

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Friday, 4 November 2011

(9.30 am)

PROFESSOR VAN AKEN (continued)

Questions by MR MACKENZIE

THE CHAIRMAN: Yes, Mr Mackenzie?

MR MACKENZIE: Thank you, sir.

Good morning, Professor. We have asked you to come and give evidence on topic C3 and you have prepared a statement which we will bring up on the screen, please. It's [PEN0171597](#).

We can see in bold type the central question we asked you to consider was:

"Could or should SNBTS/PFC have introduced Factor VIII concentrate which was sufficiently treated to inactivate non-A non-B Hepatitis, prior to May 1987, in particular against the background that BPL was able to make such a concentrate available from October 1985?"

We can see that in preparing this statement, professor, you were provided with a number of documents, including the preliminary report of the Inquiry, a lengthy SNBTS briefing paper on the development of heat treatment of coagulation factors, also, I think, another lengthy SNBTS paper, "Events concerning the safety of blood products", and also a document the Inquiry team produced, a C3 chronology, and also we sent

1 you a number of written statements from Dr Smith,
2 Dr Foster, Dr Perry, Dr McIntosh and I think, professor,
3 we also asked you to read Dr Foster's evidence he
4 provided last week, I think it was. Have you had
5 a chance to read Dr Foster's evidence?

6 A. Yes, I have.

7 Q. Thank you. You then, in the following pages of your
8 statement, set out the factual position, which I won't
9 take you through because we have gone over that in some
10 detail at the hearings, but I think in short, professor,
11 is there anything in your factual narration you wish to
12 change or are you happy it is reasonably accurate?

13 A. The only intention I had in writing it down is to show
14 that I have followed the whole sequence of events over
15 those years to see if there was at some point a delay or
16 a discussion about which direction we should go. But as
17 a stance now, I wouldn't like to make any changes and
18 I accept that this factual report is not for discussion
19 so much.

20 Q. It has perhaps been superseded to some extent by the
21 evidence we have heard at the hearings. Thank you.

22 I think I can then take you straight to page 1601 of
23 your report. And the subheading "International
24 Developments Regarding Inactivation of Non-A Non-B
25 Hepatitis During 1985 to 1987". You start by saying:

1 "The evidence that HIV is inactivated by dry heating
2 at 60 to 68°C ..."

3 Can I pause and ask, when did that evidence become
4 available?

5 A. Sorry?

6 Q. You start by referring to the evidence --

7 A. Oh, yes.

8 Q. -- that HIV is inactivated by dry heating at 60 to 68°C.
9 Can I just ask, when did that evidence become available?

10 A. That was after a publication by Dr MacDonald from the
11 CDC showing that using HIV -- purified HIV, which was
12 spiking experiments, that you could heat it and that
13 virus would completely be inactivated. That was in
14 the October 1984, I think, but that is in my previous
15 communication.

16 Q. Yes. I think we have heard evidence that certainly
17 I think Dr Foster and Dr Smith went to a conference at
18 Groningen in November 1984, when I think there was
19 a representative from CDC who again discussed this
20 evidence. Were you at the Groningen conference, do you
21 remember?

22 A. I must say that I probably didn't but -- and that's why
23 I was a bit surprised that that was presented here as
24 evidence for the first time, that they were -- became
25 known -- at least became familiar with this type of

1 heating but very soon afterwards, this publication came
2 out. So that's what I have more in my mind than the
3 Groningen meeting.

4 Q. Yes. I think we have perhaps discussed Groningen as
5 being the trigger for the UK fractionators becoming
6 aware of this evidence of the inactivation of HIV, but
7 for you the trigger perhaps is not Groningen but the CDC
8 publication in October 1984?

9 A. Right.

10 Q. I understand.

11 You go on to say that:

12 "That evidence led many manufacturers of plasma
13 products to introduce dry heating. However, it appeared
14 that these heating conditions are not sufficient to
15 inactivate non-A non-B Hepatitis. Hepatitis viruses
16 resist heat inactivation better than HIV does."

17 You then tell us that:

18 "In 1985 to 1987, severe dry or wet heated products,
19 heated at 60 to 68°C for 10 to 72 hours, were licensed
20 by the Food and Drug Administration in the USA."

21 The reference there is to, I think, 7.42 in the
22 preliminary report:

23 "However, when the positive results of animal
24 testing were not confirmed when higher infectious doses
25 were used, and when a number of clinical studies in

1 various countries did not substantiate the initial
2 positive animal results, confidence in this method for
3 the inactivation of NANB hepatitis dropped."

4 You give an example, namely the study by Colombo and
5 others published in the Lancet on 6 July 1985,
6 concerning Hemofil T of 13 haemophilia patients and in
7 84 per cent of them, non-A non-B Hepatitis developed
8 over a period of 12 months. You go on to explain that:

9 "Other dry-heated factor concentrates were
10 introduced with heating conditions varying from 60 to
11 68°C for 24 to 72 hours and furthermore, heating in
12 moist conditions was introduced in the United States but
13 in formal trials of such products, the rate of hepatitis
14 transmission, although being reduced, was not
15 obliterated."

16 You then go on:

17 "A different inactivation method using a combination
18 of solvent-detergent that preserved the clotting
19 activity was reported in 1984 and in the following years
20 became used by various manufacturers of plasma products.
21 Combinations of the solvent tri(n-butyl) phosphate and
22 non-ionic detergents such as polysorbate 80 and
23 Triton X-100 at 24°C for a minimum of 4 to 6 hours were
24 shown to inactivate hepatitis viruses. Such mixtures
25 disrupt the lipid membrane of enveloped (hepatitis)

1 viruses which are then unable to bind and infect cells.
2 No transmission of hepatitis virus (or of HIV) has been
3 observed in any of the clinical trials reported
4 published in 1988 and 1992."

5 Professor, the reference to "clinical trials
6 reported published in 1988 and 1992", was that
7 a reference to solvent-detergent products?

8 A. Indeed, yes.

9 Q. And could you perhaps just help us a little? When was
10 there a move to solvent-detergent as a method of
11 inactivation? When did that occur approximately?

12 A. Well, it started, as I said here -- the development
13 started in 1984 but it took some time before the
14 technique became known by other centres. So it was in
15 1986 and 1987 that more knowledge about it existed and
16 gradually it started to begin an interesting technique
17 for more centres.

18 So, for instance, in Amsterdam we concentrated
19 initially only on dry heating and that was, of course,
20 because we had introduced dry heating at the end of 1984
21 to inactivate HIV, and since there are a number of
22 products which had to be studied, whether that was
23 sufficient to inactivate HIV, for instance, in
24 cryoprecipitate, in Factor IX, in Factor VIII and in
25 various other products which we developed.

1 Most of our time was devoted to study how efficient
2 is dry heating, and we used the technique of Baxter,
3 which involves 72 hours at 65 degrees. So we didn't
4 study, as was here in Scotland, so much what happened
5 with non-A non-B. So we were more concentrating on
6 making those plasma products safe as regards to HIV
7 transmission.

8 Q. I'll come back to ask you a few questions about what was
9 happening in Amsterdam and in Holland but just sticking
10 for now with solvent-detergent, did there come a time
11 when the majority of manufacturers of blood products
12 used the solvent-detergent method to inactivate viruses?

13 A. That was only much later, when it was clearly shown that
14 this technique was favourable. But you have to
15 understand that the solvent-detergent methodology is
16 quite different from the techniques like dry heating or
17 heating at high temperature, because you introduce
18 a solvent and a detergent which you have to remove
19 afterwards and that is not a situation which was very
20 familiar with the fractionation industry.

21 So it required also the acceptance of that approach
22 and the introduction of methodology to remove those
23 substances. So that was not a very fast growing
24 process. It took some time and people waited until it
25 was quite convincing that this was a superior technique.

1 Q. Can you identify a year or a period approximately when
2 the majority of blood product manufacturers used
3 solvent-detergent as a method of inactivating viruses?

4 A. Well, I think that would be in the late 80s but I cannot
5 give a precise date at which that would have occurred.

6 Q. Thank you.

7 Returning, please, to look a little at what happened
8 in Holland in respect of the question of using
9 heat-treating to inactivate viruses and blood products,
10 can you tell us perhaps what, if any, work occurred in
11 Holland in 1982/1983 and the first half of 1984 in
12 respect of considering heat treatment of blood products
13 to inactivate viruses?

14 A. Before we started to introduce the technique from
15 Hyland -- and we didn't have access at that time to
16 sufficient HIV virus to monitor how efficient the
17 inactivation would be -- we did some small scale
18 experiments to see what it mean in terms of solubility
19 of the product and notably in yield, and also those
20 experiments were quite disappointing because we lost
21 most of the Factor VIII during those heating
22 experiments. So we didn't make very much progress and
23 therefore we looked around to see if there was another
24 methodology which would perhaps help us to solve those
25 two problems in terms of what I said, solubility and

1 yield.

2 Q. When that research was being undertaken in Holland, was
3 that with a view to inactivating HIV or was any
4 consideration given to also trying to inactivate the
5 virus or viruses which caused non-A non-B Hepatitis?

6 A. No, it was concentrated on HIV. And non-A non-B was not
7 so much an issue which we included in those studies.

8 Q. So just before the information in October 1984 from the
9 CDC, that HIV is inactivated at heating between 60 and
10 68 degrees -- just before October 1984, what stage had
11 your research reached in Holland?

12 A. Well, as I said, we were not quite far. We didn't have
13 product. We had only disappointing results. So we
14 needed some other methodology to make any progress and
15 that's after a long discussion with Baxter, we managed
16 to get their patent and to use that for our own product.

17 Q. Yes. So, after the evidence became available
18 in October 1984, what happened in Holland after that?

19 A. We started in January/February to introduce a dry-heated
20 Factor VIII concentrate, a cryoprecipitate, and that
21 development took some time before the whole market was
22 served by those products. It took until about June
23 or August of the same year, 1985.

24 Q. And I think you have explained the reason you were able
25 to introduce dry heating was because you, presumably,

1 purchased the technology rights from, was it Baxter you
2 said?

3 A. Yes.

4 Q. During 1985 -- so you have now in Holland a dry-heated
5 Factor VIII concentrate -- what was the heating
6 protocol? What was the heating temperature of that
7 product?

8 A. That was, as I said, 65 degrees and we heated for
9 72 hours.

10 Q. Thank you. So during 1985, was any consideration given
11 in Holland to trying to achieve greater heating of
12 Factor VIII concentrate and was any consideration given
13 in 1985 to try to inactivate the virus or viruses which
14 caused non-A non-B Hepatitis?

15 A. The first question, we did not consider a higher
16 temperature. What we considered was to see if we could
17 purify the product to a higher degree because at that
18 time it was intermediate pure and we did some
19 experiments to see if we would purify Factor VIII
20 further, and that was successful. I mean, we had
21 a technique which used glass beads to remove fibrinogen
22 and fibronectin but when we started to use this
23 clinically, it appeared that a number of patients
24 developed Factor VIII inhibitors and so we had to stop
25 that production.

1 Q. Why in 1985 were you seeking to develop a higher purity
2 Factor VIII concentrate?

3 A. For the same reasons as what other people were doing.
4 They were just judging that if you had a higher purified
5 product, you would also increase the rate of virus
6 inactivation. So it would be a more efficient virus
7 inactivation method if you had a purer product.

8 Q. Presumably at some point, professor, you became aware of
9 the 8Y product and that PFL or BPL in England was able
10 to heat their high purity Factor VIII concentrate at
11 80 degrees. Do you remember becoming aware of that
12 information and what your reaction to it was?

13 A. That's a difficult question because I don't remember
14 when it was the first time that I heard about 8Y and
15 what sort of information was transmitted to me. I am
16 afraid that I cannot directly answer that. I forgot
17 when it was. It was certainly not in the very early
18 stages.

19 Q. Yes. Do you have a general impression as to how that
20 news was received in the fractionation community that
21 BPL or PFL had been able to achieve heating at
22 80 degrees?

23 A. What I remember is that -- it may be my bias, so that
24 certainly has to be taken into account -- that I didn't
25 hear very much about it. It was not, in my view, an

1 issue which was giving rise to much discussion in the
2 fractionation centre.

3 Q. I see. I know you have difficulty pinning down when you
4 first heard that PFL were able to heat at 80 degrees and
5 if you can't answer the following question, please say
6 so, but when you did hear that news, did you have any
7 view as to whether 80 degrees heating was likely to
8 inactivate the virus or viruses which caused non-A non-B
9 Hepatitis?

10 A. Well, it would seem logical to expect that if you
11 increased the temperature, that you get a higher degree
12 of virus inactivation, but as I said before, our
13 experience with a higher purified product which gave
14 rise to a number of patients with inhibitors, also took
15 us to the counter side of that, and that is if you
16 change the circumstances for inactivation, that it may
17 result also in the development of new antigens thereby
18 creating inhibitors in patients. That is what maybe
19 diverted our attention from the non-A non-B virus
20 inactivation.

21 Q. I see. Just to finish this point, I suppose in
22 considering whether a product was likely or unlikely to
23 transmit a virus, you would want to see some proof
24 before coming to a view on that?

25 A. What is the question here?

1 Q. Yes. I think I had asked you whether you had
2 a recollection whether 80-degree heating was likely to
3 inactivate the virus or viruses which caused non-A non-B
4 Hepatitis, and just following on from that, I suppose
5 the answer is you would need some proof before you could
6 come to a view on that question?

7 A. Yes.

8 Q. Which would then bring us back to clinical trial data.

9 A. Indeed, because I think in 198 -- 198 -- there were only
10 data available from a limited number of patients and so
11 it was quite clear that we were awaiting the outcome of
12 a larger clinical study to show how efficient it was.

13 Q. I take it there is no question that you were supplied
14 with the clinical trial evidence during 1985.
15 Presumably you simply had to wait and see what was
16 published in due course in the publications?

17 A. No, I have talked with other people in Amsterdam and
18 nobody knew exactly what was going on.

19 Q. Yes. So I won't ask you any more on that, professor.

20 THE CHAIRMAN: I wonder if I could take it up.

21 MR MACKENZIE: Yes.

22 THE CHAIRMAN: Professor, I'm interested in the perception
23 within the international community of different workers'
24 positions. At this stage, in the first half of the
25 1980s, did you and your continental colleagues look

1 primarily to find out about what was going on to England
2 or to Scotland or what?

3 A. I think the West was certainly -- what happened in the
4 US was certainly taken very seriously, because, you see,
5 the whole -- of course, as you know, the AIDS epidemic
6 started in the US and so we were expecting that they
7 would be the first to isolate the virus and also to make
8 it available for this type of study.

9 But at the same time in France, there were also
10 virologists doing very good work. So it was those two
11 sides which, in my recollection, we were predominantly
12 focusing on when it came to new information.

13 When you asked me about UK and Scotland, I don't
14 recall -- well, of course, I should refer. Here in
15 Edinburgh you had a virological group which was also
16 very active in the international scene. So they were,
17 I think, also making a lot of progress at that time. So
18 I would say these three groups.

19 THE CHAIRMAN: Well, you see, we have already heard quite
20 a lot of evidence from Professor Weiss and
21 Professor Tedder that in 1983 and early 1984 their
22 contacts for obtaining material to begin to study HIV
23 were Montagnier on the one hand and Gallo on the other.

24 A. Yes.

25 THE CHAIRMAN: And indeed, isolates were obtained from both.

1 And we know, for example, that there was collaboration
2 that involved Montagnier using the cell line that was
3 developed here, rather than the Gallo cell line, and
4 therefore avoiding all sorts of trouble with the H9,
5 isn't it, aspects of it?

6 So in a sense it wouldn't be a surprise to discover
7 that the wider continental expertise also focused on
8 France and America, but I really have to try and get
9 a feel from evidence for that and, yes, we know that
10 work was being done by virologists here in Scotland but
11 it doesn't necessarily follow that the world would take
12 particular notice of it.

13 So a sort of objective view as to what was going on
14 at that time would be very helpful.

15 A. Yes, well, again -- you pose a very interesting
16 question, which brings me back to -- well, almost
17 30 years back now, and in my mind, what happens in
18 France, in Montagnier's laboratory and in Gallo's
19 laboratory and the discussions between these two groups,
20 who was where and which virus was in fact responsible
21 for AIDS, still dominated my mind, yes? Because --
22 well, the nomenclature was different and the
23 methodologies which these people used were different.
24 So it was, at that stage, quite complicated to know who
25 is right and which line is probably the most profitable

1 one.

2 As usual -- no, that's not correct. You should skip
3 that. There is a sort of bias to believe Americans
4 earlier than French people in certain scientific
5 circles. It's absolutely wrong, but at that stage we
6 may be biased for having a sort of more trust in what
7 was happening in the US than in France. We were wrong.
8 I think that the Montagnier group did a fabulous job and
9 in the end they were in fact the real inventors of the
10 HIV virus.

11 So I hope that helps a bit what you wanted to know.

12 THE CHAIRMAN: It does because I think, realistically, one
13 has to face the possibility that perception and reality
14 may not actually coincide in this sort of area.

15 A. Absolutely.

16 THE CHAIRMAN: And if the perception at the time were that
17 the American scientists were the leaders in the field,
18 I might not be surprised if experts generally responded
19 to that and looked primarily to American sources.

20 A. Yes. I have to add one other aspect. That is that in
21 the beginning of the 1980s -- it would be notably when
22 the threat of virus transmission by blood products, by
23 HIV, became known, at least the first indices was there,
24 it surprised me that when I visited the US -- and during
25 that time I was there quite frequently -- that a number

1 of what I would call prominent people in the transfusion
2 area did not believe that AIDS would become a problem
3 for the transfusion society. So it took again --
4 whereas we were already quite convinced, they were still
5 doubting about it and very sceptical about it.

6 So you would expect that, because of the other
7 developments in the US, they would gradually become in
8 advance of us but, no, that was not the situation.

9 THE CHAIRMAN: Yes, thank you very much.

10 I think that we have followed the different
11 responses of different professional groups to emerging
12 knowledge with more than a little interest.

13 A. Yes.

14 THE CHAIRMAN: It's very, very difficult to recreate, isn't
15 it, the atmosphere at the time?

16 A. Indeed, and I'm sorry, again, my mind is also of course
17 restricted to certain developments, certain events,
18 which happened and I may have forgotten some important
19 things.

20 THE CHAIRMAN: Yes, thank you, Mr Mackenzie.

21 MR MACKENZIE: Thank you, sir.

22 Professor, if I may perhaps develop that line
23 a little but from a different angle. I think that line
24 of questioning perhaps looked at the things from
25 a virology point of view and in particular HIV, but if

1 I can look at things from a different standpoint,
2 please. In the 1980s, as a fractionator, as someone who
3 was involved in the manufacture of blood products, who
4 was seen to lead the field in respect of the manufacture
5 of blood products, where would one look perhaps with
6 particular interest for developments? Is it a case that
7 the US commercial companies were seen to lead the field
8 or the US public health manufacturers, or were the
9 European commercial manufacturers or European public
10 health manufacturers also leaders? Do you see what I'm
11 asking there?

12 A. In my opinion, I think it was the commercial sector.
13 The commercial sector was very, very much aware of the
14 risks and they spent a lot of money in doing studies and
15 had safe products earlier on the market than the not for
16 profit sector, so to say.

17 Q. So in the 1980s, if one had to manufacture blood
18 products and one was interested in viral inactivation
19 techniques, where would one look for the latest
20 information or developments?

21 A. Well, a lot of that information was not openly
22 available. You had to go to congresses and meetings to
23 discuss with people but, of course, as is usual, the
24 commercial sector was not very open on some of the
25 details of the methodologies because it was all

1 protected by patents or it was in the process of being
2 patented, so therefore you had to guess what sort of
3 ways they were going; which is of course in contrast to
4 what the not commercial sector was doing, the not for
5 profit sector, which was quite open usually when it
6 comes to publications and also presentations and
7 meetings.

8 Q. Yes. So in the 1980s, the non-profit blood product
9 manufacturers in Europe -- we can understand the
10 difficulties they would have had in trying to get
11 information from the commercial companies for
12 understandable reasons -- would perhaps discuss and
13 share ideas among themselves?

14 A. Yes, but, of course, there were also representatives
15 from commercial companies present because these meetings
16 are open, they are not closed. So if you pay your
17 registration fee, you can come.

18 Q. And in the 1980s, not for profit manufacturers,
19 presumably, were trying to develop new blood products,
20 including viral inactivation techniques?

21 A. Yes.

22 Q. And can you remember, in Europe in the 1980s, was there
23 any view among the not for profit manufacturers who was
24 particularly well regarded in respects of development of
25 new products and techniques, including viral

1 inactivation techniques?

2 A. You see, the not for profit sector during that time was
3 quite different from what it is now. Then they were
4 usually small facilities which were mostly dealing with
5 albumin and immunoglobulins, and some of them were
6 dealing with Factor VIII, but a lot of them were not
7 interested in Factor VIII or Factor IX because they left
8 that to the industry and they had not the capital and
9 the possibilities to invest in research and in doing the
10 clinical studies. So they kept it mostly to albumin and
11 immunoglobulins, and there were only a limited group of
12 fractionators which, like the pharmaceutical industry,
13 were dealing with coagulation factors.

14 Q. Can you remember which countries were producing their
15 own coagulation factors?

16 A. Okay. In Europe that was Finland, so Helsinki. To
17 a certain degree people in Denmark, but that was a very
18 small scale; Amsterdam, Brussels, Belgium, Paris, Lyon.
19 Switzerland, Switzerland was very active. You see, in
20 Germany the situation was quite unclear because there
21 you had about ten fractionating centres but only I think
22 in Munich and in Frankfurt they were fractionating for
23 Factor VIII.

24 Q. And of course in England and in Scotland --

25 A. Sorry, sorry, I should have started there. Of course,

1 in England and Scotland.

2 Q. And can you remember in the 1980s how the fractionators
3 in Holland viewed the work going on in England and in
4 Scotland and the fractionators there? What standing or
5 reputation did the British fractionators have; can you
6 remember?

7 A. At least for Holland, I can say there was one blood bank
8 director in Groningen, which organised this meeting you
9 were talking about, and he had quite a frequent contact
10 with Professor Cash. So he knew, I think, quite well
11 what was going on in Edinburgh. We had also our
12 contacts with Edinburgh and also with BPL but not in
13 a very regular or systematic way, it was just by chance
14 or because certain developments or certain meetings led
15 to further discussions.

16 Q. Yes. I'm not sure that directly answers the question
17 but it may be it's not a question you can answer. The
18 question really, in short, was what reputation did the
19 Scottish and English fractionators have in the eyes of
20 the Dutch at that time. Is that a question you can
21 answer or ...?

22 A. I think they were considered at the same level as what
23 we were doing. So there was no difference in quality or
24 in reputation; it was just the same.

25 Q. I understand. Returning now, please, professor, to your

1 statement, if I may, and the question towards the
2 bottom, back to the central question we had asked, which
3 was:

4 "Could/should SNBTS have introduced Factor VIII
5 concentrate which was sufficiently treated to inactivate
6 non-A non-B Hepatitis prior to may 1987?"

7 I suppose there are really two ways of looking at
8 this, professor. One is to say, having regard to what
9 was known at the time, should something different have
10 happened and then perhaps the other way of looking at it
11 is, with the benefit of hindsight, so knowing all we
12 know today, should anything different have happened.

13 I think I'll keep the benefit of hindsight question
14 to the very end. So here we will perhaps try and stick
15 to knowing what was known at the time. Should something
16 different have happened, and in particular should
17 Factor VIII concentrate, which was sufficiently treated
18 to inactivate non-A non-B Hepatitis, have been
19 introduced prior to May 1987, and in your answer you
20 say:

21 "In December 1985, SNBTS/PFC decided that an
22 intermediate purity Factor VIII concentrate that could
23 be treated at 80°C should be developed. Before that
24 moment, in fact starting in 1981, SNBTS investigated
25 pasteurisation of Factor VIII concentrate with the

1 objective to inactivate the agent(s) responsible for the
2 transmission of NANBH. The initial pasteurisation
3 project, the zinc heat treatment process, was stopped at
4 the end of 1984, at which point priority was given to
5 the high purity pasteurisation project with
6 Professor Johnson of New York University."

7 You go on to set out what happened at the end of
8 1984 with the introduction of dry heat treatment, with
9 the aim of inactivating HIV, and that
10 between October 1984 and January 1985, the manufacture
11 of Factor VIII at PFC was largely suspended and then the
12 reference to the evidence from the literature. Then you
13 say:

14 "Meanwhile, there was evidence from the literature
15 that dry heating at 68°C was insufficient to prevent
16 transmission of non-A non-B Hepatitis. There were also
17 concerns about the degree of dry heating required to
18 inactivate HIV."

19 Do you remember becoming concerned at the time,
20 professor, so in 1985 and perhaps towards the end of
21 1985, that the dry heating regime you were using, for
22 example in the Dutch product, may not inactivate HIV?

23 A. No. That was only after a publication by Fred Prince
24 from the New York Blood Centre that we heard about that
25 and we had no evidence ourselves that there was such

1 a concern. So I looked again at this paper of Dr Prince
2 and I must say that he himself is also quite -- well, to
3 a certain degree, uncertain about what the significance
4 of his findings is because he mentions also that there
5 are other data which are quite the opposite. So I'm not
6 sure how to use that. The developments in Amsterdam
7 were not affected by that publication.

8 Q. Yes. Am I right in thinking the first you became aware
9 of that paper at the time was when it was published?

10 A. Yes.

11 Q. I think that was some time in 1986?

12 A. Yes, indeed.

13 Q. We have heard evidence that in Scotland there was
14 a pre-publication version of the paper available in the
15 second half of 1985. And then returning to your
16 statement you say that:

17 "In early 1986, SNBTS started research to increase
18 the degree of dry heating using Factor VIII concentrate
19 of a higher purity than its existing Factor VIII
20 product, but less pure than 8Y, and discussed with PFL
21 heat treatment at 80°C for 72 hours. PFC's severe
22 dry-heated product, Z8, was available for clinical
23 trials in December 1986 and was introduced into clinical
24 use from April/May 1987."

25 Now, you then go on to say:

1 "In retrospect, it may be asked if PFC should have
2 changed its policy at an earlier stage, ie
3 before December 1985."

4 You say:

5 "In my opinion, which is shared by Dr Smith, PFC had
6 good arguments to pursue the wet heating of Factor VIII
7 concentrate as it was doing. Before December 1985 it
8 was uncertain if the BPL product would be safer than the
9 SNBTS/PFC product."

10 When you say, professor, that in your opinion "PFC
11 had good arguments to pursue the wet heating of
12 Factor VIII concentrate", can you explain that a little
13 bit please? What were those arguments that you think
14 were good?

15 A. What I understood from the various reports is that
16 Dr Foster was somewhat concerned about the stability of
17 the product. He described that not all the batches
18 which BPL or PFC made were in fact suitable for
19 distribution and/or usage. So that would indicate that
20 high temperature would in fact lead to a less stable
21 product. Therefore would not be so good to be used
22 clinically.

23 The second argument which he has is the limited
24 capacity because it was known that BPL was only able to
25 serve 25 per cent of the patients with this product. So

1 there was clearly a logistical problem which needed to
2 be solved, and I can very well imagine that if I would
3 be in the position of Dr Foster, I would also be
4 concerned about that because that's something which you
5 don't want, certainly not in Scotland.

6 Certainly, at that time -- because that was later --
7 there were some concerns about the pharmacokinetics of
8 the product, so the shorter half-life which was
9 indicated, but that later on was shown not to be an
10 issue. What was an issue was also the neoantigen
11 formation, as I indicated earlier. At this high
12 temperature you can introduce molecular changes and
13 therefore introduce antibodies directly to this modified
14 Factor VIII, and finally -- and I think that is an
15 argument which I can very well see -- is that it wasn't
16 certain what degree of virus inactivation was in fact
17 obtained and achieved by this superheating, because BPL
18 didn't have apparently the facilities, the possibilities
19 to use model viruses and see what the effect was of the
20 heating on those model viruses.

21 Q. I think those are largely reasons why Dr Foster may not,
22 at that stage say in early 1985, have wished to adopt
23 this severe dry heating process, arguments perhaps
24 against that, which call it into question. But how
25 about looking at that a different way?

1 We know that Dr Foster's preference in the beginning
2 of 1985 was to continue to try to develop a high purity
3 Factor VIII concentrate, which ideally could be
4 pasteurised but if there were difficulties there, at
5 least keeping the options open of severe dry heating or
6 possibly later solvent-detergent. But do you think
7 Dr Foster had good reasons in the beginning of 1985 to
8 seek to continue to try and develop a high purity
9 Factor VIII concentrate, which ideally could be
10 pasteurised?

11 A. Well, if you take first the high purity, the answer is
12 yes. I think everybody was aware that the intermediate
13 Factor VIII products, which were used at that time, had
14 some limitations in terms of the potential side effects
15 which would occur in patients, but also of course, the
16 commercial competition would of course, sooner or later,
17 lead to a higher degree of purity and therefore you want
18 to compete with those products, and that you can only do
19 by, just like the industry does, increasing the purity.
20 But that is purely a commercial marketing point of view.

21 From the more scientific point of view, you have to
22 be aware that the dry heating is a process which
23 involves the vials, the individual vials of Factor VIII
24 which it is stored in, and those vials may introduce
25 variation from batch to batch when it comes to heating

1 because the moisture content of the various products in
2 each of these individual vials may not be the same.
3 Therefore, you get not a uniform product. When you
4 introduce wet heating, then you have one dollop(?), and
5 that's what is heated.

6 So the chances that you have a uniform product are
7 much better than when you have this dry-heated treatment
8 on these vials. So I agree that there are indeed
9 arguments to propose that maybe wet heating would be
10 better than just the dry heating.

11 Q. And I think we also heard evidence that a high purity
12 product would result in a smaller volume, which would
13 have been less viscous and that, as a general principle,
14 a smaller volume product, which was less viscous, was
15 easier to manufacture at all steps really in this
16 process. But also that a smaller volume product would
17 be easier to heat and in particular easier to
18 pasteurise. Do you have any views on these statements?

19 A. No, not particularly, no. No. It's possible but
20 I wouldn't know, no.

21 Q. Okay. Returning to your statement, please, professor.
22 The next question you look at is the communication
23 between BPL/PFL and PFC, and whether that was sufficient
24 to allow PFC to keep track of the development of 8Y.

25 I think we have heard quite a lot more evidence

1 about that during the hearings but from the evidence you
2 looked at, you say:

3 "First of all, it should be emphasised that close
4 professional and scientific collaboration between BPL
5 and SNBTS was repeatedly and strongly advocated by
6 Dr Cash. From the various witness statements it is
7 obvious that between 1983 and 1986, several exchange
8 visits took place from PFC and PFL. Dr Perry and
9 Dr Foster regularly discussed and exchanged information
10 with Dr Smith."

11 Also, a reference to the patent application. This
12 will be a matter for the chairman in due course but in
13 your opinion, professor, you consider that there does
14 not appear to have been a lack of shared information
15 which might have impeded the progress of developing
16 heat-treated Factor VIII by PFC. You then go on to look
17 at the next step of events, ie:

18 "Once SNBTS/PFC had decided to start the development
19 of an intermediate purity Factor VIII concentrate that
20 could be treated at 80 degrees, it took
21 until August 1986 before the first production scale
22 trial batch of Z8 began ... During this period, the
23 project had to be taken from a laboratory scale to pilot
24 scale, and subsequently to large production scale. This
25 involved the development of new purification of

1 Factor VIII and its concentration, the formulation of
2 the product, the heat treatment and the proper
3 freeze-drying conditions. Although several of these
4 methods were well-known at PFC, it is time-consuming to
5 determine the proper conditions for each of them to
6 create optimal Factor VIII yield and solubility ..."

7 A reference also to:

8 "... standard operating procedures for quality
9 control and product release requiring to be developed."

10 You say:

11 "In my opinion, it is quite an achievement to
12 successfully complete all this within one year (in fact
13 between June and December 1986)."

14 To pause there, professor, I think our understanding
15 of the evidence is that between approximately January
16 and May 1986, work was undertaken in the laboratory to
17 develop Z8, and June 1986 was the first pilot scale
18 production?

19 A. Yes.

20 Q. So when you say June and December 1986, is that
21 reference to the first pilot scale production until the
22 product being available for issue?

23 A. Indeed.

24 Q. I understand. And you say:

25 "The experience of BPL shows that it may take

1 considerable time (almost 4 years) before there is
2 sufficient stock of 8Y to meet the demand of all
3 patients."

4 You conclude by stating:

5 "In my opinion, it is very unlikely that SNBTS/PFC
6 could have introduced Factor VIII concentrate that was
7 sufficiently treated to inactivate NANB hepatitis before
8 1987."

9 Now, professor, I have one or two further questions
10 with a view really to trying to explore all of the main
11 issues from every possible angle.

12 Going back, please, to the beginning of 1985,
13 I think the PFC position is that dry heating of their
14 interim purity product was essentially a temporary
15 response, following the news at Groningen, and in the
16 longer term the plan was to continue research and
17 development into producing a high purity Factor VIII
18 that ideally could be pasteurised.

19 As at the beginning of 1985, do you consider that
20 that was a reasonable or unreasonable plan?

21 A. I consider that very reasonable.

22 Q. Again, just the main reasons for that?

23 A. Well, we all know that on the one hand you need to have
24 a product which is immediately available so that you can
25 continue to serve your patients, but you also need to

1 think ahead to what are the real wishes from the market,
2 and at this time, as I said earlier, it is a higher
3 purity product. But you cannot obtain that immediately,
4 so you have an intermediate product which you can use in
5 the time before you have that higher purity product, and
6 you have to take care that the intermediate product is
7 also as safe as possible.

8 So you cannot do them both -- at least not bring
9 them on to the market at the same time. You have some
10 developments on the one hand and you have a sort of
11 routine production, which you have to do troubleshooting
12 at, to see what are the problems there.

13 So this is not like the commercial sector, where
14 they have many people who can devote all their time to
15 do this. You have to take into account the size of the
16 operation to see what are the opportunities and the
17 possibilities.

18 Q. Yes. Professor, I think we asked you to look at this
19 document, if we could bring it up on the screen, please.
20 It's [SNB0074867](#). This is a document by Dr Foster
21 in February 1985, a progress report for Factor VIII
22 study group. We have looked at this before and in short
23 it sets out Dr Foster's preference for continuing to
24 seek to develop a high purity product. I think you have
25 had a chance to look at this document, professor?

1 A. Yes, indeed.

2 Q. Could I ask, please: if Dr Foster in February 1985 had
3 sent you this document and said, "Professor van Aken,
4 I have produced this document, I'm a little unsure
5 whether we should be continuing down the path of seeking
6 to develop a high purity product. What do you think?
7 Do you think what I say in the document is reasonable or
8 do you think I should ditch that and seek to develop
9 severe dry heat-treated Factor VIII concentrate?" What
10 would your response have been then?

11 A. I think I would have told him that it is, of course,
12 quite ambitious to work at that stage with your capacity
13 on a new purification technique. On the other hand
14 there was quite some effort done before, so it was not
15 starting from zero. There was already a lot of work
16 done and therefore you could take profit from the
17 experience which was already collected and continue on
18 that line.

19 So I think that would be my argument to motivate him
20 to continue on that line. Why not go for the
21 superheating, so to say, for the BPL method? You have
22 to start from scratch. You have to start from
23 a technique which you have to learn from somebody else,
24 and to transmit it to your own environment. That has
25 a number of risks because what may be successful in

1 Oxford is not necessarily successful here. There are so
2 many details in the methodology which you have to take
3 into account.

4 Just for an example, freeze-drying, as is clear from
5 the document. The freeze-drying in Oxford is probably
6 not the same here. Thanks to all the experiments which
7 were done here, we now know the importance of some of
8 the parts of the freeze-drying process, how it can
9 affect the quality and the yield of the product. That,
10 I think, is a risk if you transmit it from one
11 laboratory to another. So you cannot just assume that
12 what has been done there results in a production
13 facility, a production method here, within a couple of
14 months. It can easily continue much longer and it can
15 be very difficult to find out what are the differences,
16 where exactly do the people hear something different
17 from there.

18 You balance that with the other way, where you have
19 already experience and have already invested into
20 a higher purification method. I could very well see
21 that you have the tendency to continue with what you
22 know already and what you are good at, rather than to go
23 for a technique which has some uncertainties.

24 Q. Thank you. That perhaps links into the next question,
25 which is this: we know that in December 1985 PFC did

1 decide to change direction in their research in that
2 they decided to introduce a severe dry-heated product.
3 At that stage, in December 1985 or early 1986, do you
4 think it was reasonable for them to seek to develop
5 their own process, building on their work to date, or do
6 you think it would have been better for them to have
7 followed the 8Y process or at least key parts of it?

8 A. The difference with the January and December is that
9 during that year, of course, there was far more
10 information about the 8Y process. So that uncertainty
11 must also have been in the head of Dr Foster when he
12 decided not to go for the 8Y method in early 1985. Yes?

13 In December 1985 there was more experience, and
14 although it was not yet certain how it would work out
15 clinically, that's phased out, because there were only
16 a limited number of patients treated with the 8Y product
17 and the real study, the real clinical trial is still to
18 be done. So again there was some uncertainty there.
19 But at least it looked as if 80 degrees was not bad in
20 terms that it would be unsafe and that it would present
21 problems which could be avoided otherwise.

22 So I think that to go for a higher temperature,
23 there were arguments for that. Also, the uncertainty
24 from Dr Prince, which was also playing a role, whether
25 that dry heating at 75 degrees was sufficient, may have

1 played a role.

2 Q. Okay. So one can understand why one would seek to
3 achieve that outcome, 80 degrees heating. The question
4 really is: how does one achieve that outcome and from
5 PFC's perspective, was it reasonable for them to try and
6 achieve that outcome by seeking to develop their own Z8
7 process, building on their existing work do date or
8 would it have been better for them to achieve that
9 outcome by following the 8Y process or at least certain
10 parts of it?

11 A. Well, as I said earlier, the same arguments which are
12 used for the previous question are still applicable to
13 this situation here. So if you had arguments that the
14 purification method wouldn't work, then it was
15 different. Then it would have been no choice because
16 then you would have said, "Okay, we will stop with the
17 purification attempts. We now go straight forward to
18 the 8Y method because otherwise we have no product."

19 Q. Yes. In the question I asked, I made a reference to the
20 key parts of the 8Y process. Would it have been
21 possible in late 1985/early 1986 to identify what were
22 the key parts of the 8Y process which meant that the
23 product could be heated at 80 degrees?

24 A. Well, if you go through the methodology of the 8Y, which
25 is published in Vox Sanguinis, I can see that the key

1 parts are first of all the extraction, the
2 cryoprecipitate extraction, which requires a certain pH,
3 which is critical, because otherwise you have low yield,
4 then the heparin precipitation, which is crucial because
5 you have to precipitate fibrinogen and fibronectin,
6 which, up until that moment, nobody else was, I think --
7 (inaudible) where it was attempted.

8 But there was some doubts about how that would work
9 and then you have the precipitation of Factor VIII by
10 glycine and sodium chloride buffer. That is also used
11 in other methodologies, so that is not new. And then,
12 of course, you have to remove all the salts which you
13 have by Sephadex chromatography. That is not something
14 which is so standardised that you can assume that if
15 what has been achieved there can immediately transmit to
16 here.

17 Then, as I said, finally you come to the
18 freeze-drying again, which is an essential part of -- at
19 least appeared to be the essential part.

20 Q. In saying that, professor, I think you really listed all
21 of the main steps in the process. Does it really come
22 down to this: that in late 1985, if one wanted to use
23 the 8Y process as a means of achieving a 80-degree
24 outcome, it was really all or nothing? One would have
25 to have adopted all of these main steps, rather than

1 saying, "We will just take the first step or the last
2 step"?

3 A. No, no, that doesn't work. You cannot say, "I'll just
4 take this step and the rest I will continue", as you
5 used to do so. You have to do it all or not to do.
6 That is usually the experience, that you cannot, without
7 getting into all sorts of surprises, just say, "Well,
8 I'll use this element and this element, and the rest
9 I'll leave as it is".

10 Q. Thank you. Again, sticking with 8Y, are you able to
11 help us, professor, with why it was possible to heat 8Y
12 at 80°C? Was it because it was a high purity product?
13 Was it because of the freeze-drying process? Was it
14 a combination of these two factors or were there other
15 factors at play we don't know about?

16 A. I will have to look against all the evidence and all the
17 papers which you have sent me. I think the most likely
18 is that it's a combination of freeze-drying and -- what
19 did you say? Purity?

20 Q. The high purity?

21 A. Yes, the high purity, sorry, yes.

22 Q. Why do you say that?

23 A. Well, the high purity because the high purity, of
24 course, from the theoretical point, is a major factor
25 but other people have also gone through to a higher

1 purity and I have never heard that they were able to
2 heat it to the same degree. And secondly, because what
3 I heard from the freeze-drying methodology makes me
4 believe that there are elements there which should also
5 be taken into account.

6 Q. We know that 8Y and Z8 were heated at 80 degrees. Did
7 any other commercial or not for profit manufacturer
8 adopt the 80-degree dry heating protocol for
9 Factor VIII, and if not, why not?

10 A. Well, at least you have some of the documentation, the
11 paper from Kasper et al, 1983, where you get an overview
12 of all the products which were on the market, and if you
13 go through that, you will not see that there is any
14 other commercial company at least who has used
15 80 degrees. That doesn't exclude that there are perhaps
16 other institutions which have used it but I have not
17 heard about it.

18 Q. Are you aware whether commercial manufacturers tried
19 to --

20 A. No.

21 Q. The 80-degree protocol?

22 A. No. But again, I think you have to take into account
23 that there was a concern that this superheating would
24 perhaps introduce new antigens and that was in the mind
25 of a lot of people when they were discussing the level

1 of the temperature.

2 Q. Professor, one final question, please. This is with the
3 luxury of hindsight, so sitting now knowing all that we
4 know, do you think PFC could have done anything
5 differently to achieve a Hepatitis C safe Factor VIII
6 product earlier?

7 A. I don't think so. I think all the reports show that
8 there was a group of people there which was very well
9 aware of what was going on, who considered every
10 possibility and even attempted some solutions. So it
11 always requires some luck to have a product, a new
12 innovation, which makes really progress, yes? But if
13 I take the environment in which they were working into
14 account and the size of the operation, I don't think
15 that you can assume that there is one element or more
16 elements which, when they would have been taken into
17 account earlier, would have given them not a profit in
18 terms of coming forward with a product earlier.

19 I think when I have read this, I was very much
20 convinced that this was really top quality what was done
21 and it could not have been done earlier.

22 Q. Sir, I have no further questions for the professor.

23 THE CHAIRMAN: Professor, when did you have a Factor VIII
24 product that was safe from transmission of NANB
25 hepatitis?

1 A. As I said, we heated for 72 hours at 65 degrees and we
2 thought that this was safe, but the final proof would be
3 that we had later on done some spiking experiments with
4 Hepatitis C to see if that was sufficiently heated. We
5 did not do that. Why didn't we? In between in fact,
6 the Hepatitis C test was introduced, so all our donors
7 were screened for Hepatitis C and therefore the viral
8 load of plasma already would have gone down. So it was
9 not logical to assume that there would still be much
10 virus around.

11 So in fact I was saying that we didn't do that
12 experiment, but that would have been the proof to see if
13 it was safe. We didn't do that. So I cannot answer the
14 question.

15 THE CHAIRMAN: What about Factor IX? Is it in the same
16 position?

17 A. No, Factor IX is always easier than Factor VIII because
18 it was more stable and in fact you don't have the yield
19 problem to such an extent as you have with Factor VIII.

20 THE CHAIRMAN: Yes, I think we have heard that, because of
21 the relative quantities, one can always select within
22 the material.

23 A. Yes.

24 THE CHAIRMAN: Yes.

25 PROFESSOR JAMES: Could I just add to this? You must have

1 some idea as to whether your product that you
2 effectively bought in from Baxter between, let's say,
3 1986 and 1989 actually in retrospect was safe or whether
4 there were cases of what was subsequently known to be
5 Hep C, which arose.

6 A. First of all, may I correct, we didn't license the
7 product, we licensed the technology. So we made
8 Factor VIII from our own plasma source in our
9 laboratory.

10 PROFESSOR JAMES: Right.

11 A. That is the first thing.

12 The second thing is that we had in Holland quite
13 a good surveillance among haemophilia patients for
14 Hepatitis B and NANB. We did not hear ever about an
15 incidence of non-A non-B after we introduced the
16 65 degrees at 72 hours product.

17 But it's indirect proof that it was safe but I would
18 have liked to show you here that we did some spiking
19 experiments to see what degree of virus inactivation we
20 had achieved.

21 PROFESSOR JAMES: I'm sorry, when did you start to produce
22 that product?

23 A. That was, as I said, in January 1985, when we started,
24 and we were able to serve everyone who asked for the
25 product in June 1985.

1 PROFESSOR JAMES: So one final question is: do you think in
2 retrospect that if Scotland or, for that matter, the UK
3 had followed the path of Holland and negotiated with,
4 for example, Baxter, the similar technology that you
5 had, that possibly this product could have been
6 introduced significantly more quickly into Scotland
7 and/or the UK, and much of what we have been devoting
8 our time to and you too from your careful reading, would
9 have been irrelevant?

10 A. I have always been -- this is the most difficult
11 question that you have asked me during all these
12 sessions here.

13 Well, of course, that could be a conclusion but
14 again, if we take it back to the time where all these
15 things were happening, notably when it comes to
16 Hepatitis C, it took some time before you could do the
17 real model virus and spiking experiments which were
18 needed.

19 So in retrospect -- and that comes back to the
20 question -- in retrospect, it would perhaps be yes,
21 a way, but given the circumstances which were applicable
22 to this, I don't think at that time you would be able to
23 convince everybody about that.

24 PROFESSOR JAMES: Thank you. So it's wise after the event?

25 A. It's wise after the event.

1 PROFESSOR JAMES: Thank you.

2 THE CHAIRMAN: Could I ask something on the development of
3 it? You bought the technology from Baxter. Did that
4 prescribe the engineering sequences necessary to produce
5 the product or did you have to interpret it and produce
6 your own?

7 A. No, our people went to Baxter to see how they were doing
8 it and we got a protocol and people from Baxter came to
9 us at the initial stage to see if there were problems.

10 THE CHAIRMAN: So in selling the technology, Baxter were
11 also prepared, in effect, to oversee the procuring and
12 installation of the necessary --

13 A. In the initial phase, yes. So that was only for the
14 first few months.

15 THE CHAIRMAN: Mr Mackenzie, do you have anything to follow
16 on?

17 MR MACKENZIE: Yes, sir, I should perhaps.
18 Professor, the product you have discussed in
19 Holland, heated at 68 degrees for 72 hours, was that an
20 intermediate purity product?

21 A. Yes.

22 Q. And it was dry-heated?

23 A. Yes.

24 Q. In 1985 and 1986, did you have any evidence or
25 expectation that that product did not transmit the agent

1 or agents responsible for non-A non-B Hepatitis?

2 A. Well, we hoped that it would be sufficient but we had no
3 further proof or evidence or whatever to support that.

4 Q. So was it more in hope than expectation?

5 A. Yes.

6 Q. And the primary purpose in producing that product was to
7 inactivate HIV for which there was evidence?

8 A. Yes.

9 Q. Thank you. I'm sorry, it's my mistake, professor.

10 I said the product was 68 degrees for 72 hours, it was
11 of course 65 degrees for 72 hours.

12 A. Yes.

13 Q. Thank you.

14 THE CHAIRMAN: Mr Di Rollo?

15 Questions by MR DI ROLLO

16 MR DI ROLLO: Can I just ask one matter in relation to your
17 statement? Your statement is [PEN0171597](#) and the page
18 of the statement that I would like to go to is
19 page 4 of [PEN0171597](#).

20 A. I missed that.

21 Q. The page of your statement is PEN0171600.

22 A. Do we get that on the screen?

23 Q. I hope so.

24 Just before coming to that, I think it's fairly
25 clear from what you have told us that you are satisfied,

1 from the material that you have seen, that there was
2 a considerable amount of cooperation and exchange of
3 information between BPL and PFC in the relevant period?
4 You are nodding to that one.

5 What you have said in your statement is that:

6 "An interim review of the clinical trial with 8Y
7 in March 1986 showed that it was likely that the product
8 was free of NANBH, Hepatitis B and HTLV-III. The final
9 report of this trial became available in October 1988."

10 Is that right?

11 A. Yes, that report referred to 14 patients which were
12 treated at that time.

13 Q. I think it would appear then that, as far as you are
14 concerned, with the material that was available
15 in March 1986, PFC would appreciate that there was, or
16 did appear to be, a substantial increased margin of
17 safety in the product of 8Y insofar as NANBH was
18 concerned?

19 A. That I have not read, I must admit. I don't know where
20 you are now referring to because in the publication of
21 8Y in Vox Sanguinis, this is not mentioned.

22 Q. If I could just go to [SNB0075664](#). Have you seen this
23 document before?

24 A. This is the statement document which you showed earlier,
25 I think?

1 Q. No, I don't think you were shown it by my learned friend
2 this morning.

3 A. No, no. Then it must be said I haven't seen it.

4 Q. You haven't seen this document. If we just carry on
5 over the page, please. If you go to paragraph 5 there,
6 it says:

7 "Dr Smith outlined clinical trial results of 8Y
8 Factor VIII product so far. While results cannot be
9 considered conclusive at this stage, he indicated that
10 no cases of virus infection have occurred (attributable
11 to 8Y material) after 12 months experience of 8Y in
12 virgin haemophiliacs."

13 That's what he is reported as saying at that
14 meeting.

15 A. This is what I think is consistent with what I have read
16 in the scientific register.

17 Q. Right.

18 A. What you said earlier, that there were more effects,
19 sorts of extra effect of virus inactivation.

20 Q. No, I wasn't suggesting an extra effect. I think
21 I perhaps put that to you badly. I'm just suggesting
22 that what you are saying in your report tends to suggest
23 that as at March 1986, it happened there was at least
24 a likelihood that the product was free of NANBH?

25 A. Yes, that was based on this type of remark which I think

1 I also found in another piece of paper, but that's based
2 on that.

3 Q. Fine, thank you.

4 THE CHAIRMAN: Mr Anderson?

5 MR ANDERSON: I have no questions, thank you.

6 THE CHAIRMAN: Mr Johnston?

7 MR JOHNSTON: I have no questions either.

8 THE CHAIRMAN: Professor, it occurred to me as the
9 discussion has been going on to ask something that may
10 be totally wrong, but there is a great deal of mythology
11 in Scotland relating to the production of whisky, that
12 the shape of the vessel used for distillation affects
13 the outcome. Is there anything in this, that the
14 precise configuration of pipework, tubes, connections
15 and all the rest of it has a bearing on what one gets
16 out at the end of a chemical process?

17 A. Yes, certainly. The shear rate of certain processes,
18 for example, during centrifugation and during tubing
19 from the centrifuge to the vessel -- during that
20 shearing you can see that certain changes can occur and
21 notably, when foam is developing, it can lead to
22 denaturation of a molecule. So that's just two examples
23 of what I have heard that affects the outcome in fact.

24 THE CHAIRMAN: So the outcome is very sensitive to the
25 physical characteristics of the equipment.

1 A. Yes.

2 THE CHAIRMAN: And to the operation of the equipment?

3 A. Yes, yes.

4 THE CHAIRMAN: I think that's quite difficult for
5 a non-specialist to understand. I suppose rate of flow
6 would come into it if we are thinking of the physical
7 dimensions of tubing and so on. Is there any key to
8 understanding this or is it simply something you can
9 tell us happens in fact?

10 A. Well, I was thinking about if there are other examples
11 which you might find interesting. In fact, you see, it
12 starts already with the collection of plasma, yes?
13 I don't know whether you are familiar with how
14 plasmapheresis, for instance, takes place.

15 THE CHAIRMAN: Yes, we have actually seen it.

16 A. So you have seen the centrifuge, you have seen the bowl,
17 you have seen what it takes. And you have also seen the
18 normal collection with the tubing.

19 THE CHAIRMAN: Yes.

20 A. Then they must have told you that there is a difference
21 in the recovery of Factor VIII of one sort of plasma
22 versus the other one, that the ones which are coming
23 from plasmapheresis have a higher yield than when you
24 use what we call "recovered plasma". But in the
25 background of that difference is, in fact -- of course

1 there is a time effect but there is also an effect which
2 is due to the fact that if you use normal blood, which
3 is donated, and you use that as your source material,
4 the bags which are used for that are just, immediately
5 after collection, if it is done at least properly, are
6 put on ice and they, during transportation, start to
7 move. So all these factors add to a loss of
8 Factor VIII, which indicates that there is something
9 going on there, which is the movement in the material
10 but also the contact with the environment, in this case
11 the polyethylene plastic bag, which interfere with it.

12 We know that the blood, even though it is
13 anti-coagulated, when it comes into contact with
14 a foreign surface, a cascade of events may occur leading
15 to clotting, yes? Now, of course, in the process of
16 citrate, which takes away all the calcium, that process
17 is retarded. But again, also here in Scotland, they
18 have tried it find out how it is possible, by the
19 addition of calcium, to affect the yields of it.

20 So there is a scientific explanation possible how
21 shear stress, contact with a surface, the dimensions of
22 the environment, can indeed all have an influence on
23 what the final product and what the final yield is. It
24 is not just one aspect. It is a whole physical process
25 which I think plays a role there. But you must be

1 a physicist to ask this so you probably know better than
2 I what could be --

3 THE CHAIRMAN: Not at all. I daren't go and ask my
4 colleagues out at Riccarton or they would give me
5 a totally different answer, no doubt. You have
6 mentioned more than once "shear".

7 A. Yes.

8 THE CHAIRMAN: And I think most of us have heard of shear
9 stresses in relation to civil engineering, construction
10 and such like. What is the meaning of "shear" in this
11 context?

12 A. The meaning of "shear" is that -- well, of course, if
13 you look in the human body at shear stress, it means
14 that you have blood vessels of different dimensions,
15 which, when it comes to bifurcation, you get a swirling
16 effect there. That means that the velocity of the blood
17 cells in that blood stream is different at various
18 parts. So near the wall it's different from the middle,
19 and that can cause, in certain circumstances when there
20 is a damaged vessel wall, that there is clotting going
21 to happen and the platelets attach to it, and that is
22 affected by the shear stress.

23 THE CHAIRMAN: Okay.

24 A. There's quite a lot of literature about that.

25 THE CHAIRMAN: I don't think I need to go into it for my

1 benefit; just to have a definition here, is helpful.

2 Now, Mr Di Rollo, do you want to ask any questions

3 arising from my intervention?

4 MR DI ROLLO: No thank you.

5 THE CHAIRMAN: Mr Anderson?

6 MR ANDERSON: No thank you.

7 THE CHAIRMAN: Mr Mackenzie? Thank you very much, you have

8 been very helpful. And I'm sure we will all benefit

9 from contemplating what you have said.

10 A. It was a pleasure, thank you very much.

11 MR MACKENZIE: There are no further witnesses on C3, but

12 I wonder whether it would be convenient to spend five

13 minutes in the usual way listing the statements from

14 those witnesses who haven't attended. It shouldn't take

15 more than five minutes, if that would be convenient.

16 THE CHAIRMAN: I'm sure if it's five minutes, the

17 stenographer will be able to tolerate that.

18 MR MACKENZIE: I'm grateful.

19 THE CHAIRMAN: Professor, make yourself comfortable or

20 whatever.

21 MR MACKENZIE: Could we please have the inventory for this

22 topic, [PEN0172484](#)? This document is now in court

23 book. I have to say, sir, this was compiled by Mr Evans

24 and I certainly found it extremely helpful. It lists

25 all the reference numbers for the statements and also

1 the witnesses' references. Can we go to page 3 of the
2 inventory, please? I hope you have a copy of this, sir,
3 I should say.

4 THE CHAIRMAN: I don't recognise it as something I have in
5 hard form but I am sure it will be very helpful.

6 Oh, I do have it in hard form.

7 MR MACKENZIE: I'm grateful. We can see on page 3, "Other
8 statements", and in short, sir, all of the statements
9 I will now list deal with the question of collaboration
10 between Scotland and England.

11 Dr McClelland's statement was [PEN0170003](#) -- we
12 don't have to go to any of these documents -- and also
13 an additional response, [PEN0170001](#).

14 Dr Scott of the SHHD's statement is [PEN0171017](#).

15 Over the page, please, in the inventory, Mr Hamill
16 of the SHHD, [PEN0170007](#).

17 Then Dr McIntyre, again SHHD, [PEN0170019](#).

18 Again, Dr Forrester of the SHHD, [PEN0170005](#).

19 Mr Morison of the SHHD, [PEN0170014](#).

20 Over the page of the inventory, please, Mr Davies of
21 the SHHD, [PEN0171020](#).

22 There are some other ancillary documents, sir. In
23 particular, under 10b Dr Boulton has a very brief
24 statement, [PEN0171825](#). We asked him a question about
25 the issue of Z8 and I think, unsurprisingly, Dr Boulton

1 said he couldn't remember but suggested we check the
2 issuing records, which we have done.

3 THE CHAIRMAN: Which don't actually take you to the
4 downstream end of the exercise, which would have been
5 very interesting to be able to follow.

6 MR MACKENZIE: The one outstanding matter in this topic,
7 sir, is Dr Cuthbertson had undertaken to check the PFC
8 records again and to try and clarify where and when the
9 phase 1 trial was carried out and in particular whether
10 it included GRI and Northern Ireland. So fingers
11 crossed there.

12 THE CHAIRMAN: So we still wait for an answer from
13 Dr Cuthbertson?

14 MR MACKENZIE: Yes. That's the one outstanding matter, sir.

15 THE CHAIRMAN: Yes.

16 MR MACKENZIE: Some other ancillary documents, sir, to
17 complete this, if I may. We don't have to bother with
18 11, but under 12 document [PEN0171662](#) is a copy of our
19 request to the SNBTS for the provision of documents on
20 this topic, together with the reply.

21 Two final ancillary documents we found in the
22 Inquiry database on the question of clinical trials.
23 Could we, please, bring up document [SNB0076312](#). One
24 could see this is a letter dated 23 December 1986 from
25 Dr Perry to Dr Boulton on the question of the clinical

1 trial of Z8:

2 "I wrote to Dr Mitchell advising him that we wished
3 to bypass the formal distribution network for this
4 trial. Bob Crawford has responded (see enclosed) and
5 I see no reason not to drop John Davidson a note of that
6 material which will be issued to Charles Forbes when the
7 time comes."

8 If we can compare that, sir, with the letter we had
9 looked at, which is [SNB0076298](#), this was the earlier
10 letter of 12 December 1986 from Dr Crawford to Dr Perry
11 and, well, if one looks at this letter in isolation, one
12 may think that Z8 had been sent to Glasgow. I think,
13 when one looks at the later letter of 23 December, it
14 appears that Z8 hadn't been sent. But I think we will
15 leave these matters with Dr Cuthbertson and see what he
16 can tell us in due course.

17 THE CHAIRMAN: Yes. It doesn't really provide an answer to
18 the intriguing background questions as to what on earth
19 had been going on that led to this situation. But
20 perhaps you don't have an answer to that.

21 MR MACKENZIE: We have looked in our database for the letter
22 of 9 December referred to here and we can't find that.
23 It may remain a mystery.

24 Finally, sir, could I just bring up [SGH0031745](#)?
25 We will see in a second this is a letter from Dr Mayne

1 of Northern Ireland to Dr Forrester of 7 July 1987. It
2 really deals with the question of the accuracy of the
3 minute of the meeting of the SNBTS and haemophilia
4 directors. I'm not sure one can take much from this
5 letter other than that I think the general tenor is that
6 Dr Mayne supports Dr Ludlam in wishing compensation
7 before trial. But I'm not sure how much one can take
8 from this letter in isolation, but it's there for what
9 it's worth.

10 THE CHAIRMAN: I think my impression was that a number of
11 haemophilia clinicians came on board, as it were, over
12 a period of months and expressed their support for
13 Dr Ludlam on this matter. But this doesn't really help
14 us to tell whether any material ever did go to
15 Northern Ireland for trial.

16 MR MACKENZIE: It doesn't, sir.

17 THE CHAIRMAN: It doesn't. Are we any further forward on
18 that or are we still dependent on Dr Cuthbertson?

19 MR MACKENZIE: We are dependent on Dr Cuthbertson, at least
20 in the first instance.

21 With that, sir, and subject to that one outstanding
22 matter, that completes the evidence on this topic.

23 THE CHAIRMAN: We can rise now.

24 MR MACKENZIE: Dr McClelland is due at 10.30.

25 MR DI ROLLO: Before we rise, we want to observe that, in

1 relation to Dr McClelland's statement, there is
2 one matter which does arise which I have an interest in.

3 There is a document, [PEN0161152](#). This is
4 a document we have already seen, sir and if we go to the
5 second page of that, paragraph 14.3 and 14.4, this was
6 a meeting in December of 1985 and there is comment about
7 the progress of Factor 8Y. Dr McClelland doesn't
8 specifically refer to this item in his statement and
9 a request was raised with Dr Ludlam as to whether or not
10 information was passed on to him by Dr McClelland about
11 the progress of Factor 8Y at that time in earlier
12 evidence. That is really to do with the C3A section but
13 there is an overlap between C3 and C3A and I think it's
14 important that I indicate to you, sir, that I would wish
15 to know from Dr McClelland whether or not any
16 information was passed on about the progress of
17 Factor 8Y at this time.

18 THE CHAIRMAN: Thank you for the notice. I'm sure, if there
19 is any problem about it, it will be drawn to my
20 attention, but unless I'm told there is a difficulty,
21 you just proceed and ask your question.

22 MR DI ROLLO: Very good.

23 (11.15 am)

24 (Short break)

25 (12.00 pm)

1 DR BRIAN MCCLELLAND (continued)

2 THE CHAIRMAN: Almost good afternoon. That's not
3 a criticism of you or the traffic. Don't worry.

4 Yes, Ms Dunlop?

5 Questions by MS DUNLOP

6 MS DUNLOP: Sir, as you are aware, we have Dr McClelland
7 back with us. He has been able to join us to complete
8 his evidence on the B2 and B5 topics. I gather that
9 Mr Dawson has questions for him.

10 MR DI ROLLO: Yes. Mr Dawson will be dealing with this
11 matter. Can I just say how grateful we are to
12 Dr McClelland for coming back to answer these questions.

13 THE CHAIRMAN: Mr Dawson, I hope you are properly aligned on
14 a microphone.

15 Questions by MR DAWSON

16 MR DAWSON: Good afternoon, Dr McClelland. As you are
17 aware, we have asked you to come back today to answer
18 some more questions on B2 and B5 topics, which, as you
19 know, are part of a series of topics dealing with the
20 HIV section.

21 So the questions I have for you today relate really
22 to the first half the 1980s, just to put them into some
23 context. Could I start by asking you first of all some
24 questions about the products used in the treatment of
25 haemophiliacs in the Southeast of Scotland over that

1 period. In your evidence relating to the B2 topic on
2 6 May, you pointed out that the requirement for the use
3 of concentrates for patients in Edinburgh, did increase
4 quite rapidly after the arrival of then Dr Ludlam in
5 Edinburgh in 1980.

6 To what extent was the rise in the need for
7 concentrates due to the introduction of prophylactic
8 treatment?

9 A. I can only answer that from, you know, from recollection
10 because, as I stressed before, I was never directly
11 involved in the care of the haemophilia patients.

12 But my recollection is that it probably was not
13 primarily related to sort of extension or starting -- or
14 extension of prophylactic treatment but more to the
15 undertaking quite lot of surgery for patients who had
16 probably got quite severe and long-term joint damage,
17 and possibly by today's standards certainly may have
18 merited earlier surgery.

19 I think Dr Ludlam's predecessor, as I'm sure I and
20 others have said, had a very conservative approach to
21 the care of patients and I think when Dr Ludlam came,
22 having worked in a different clinical setting, he
23 probably felt -- I haven't read his evidence on this so
24 I don't know what he has told the Inquiry, but my sense
25 was that quite a lot of patients underwent surgery,

1 particularly knee surgery, and that can create very
2 large, as you will know -- a requirement for a very
3 large amount of Factor VIII replacement.

4 Q. Would it be fair to say that the prophylactic therapy
5 programme was a factor however, but along with the other
6 factors --

7 A. I honestly don't know.

8 Q. You have mentioned there the culture that was in place
9 before Dr Ludlam arrived, I think under Howard Davies?

10 A. Correct.

11 Q. We have heard evidence from yourself and others that
12 during the period before 1980 there was, I think, almost
13 exclusive reliance on cryoprecipitate in the treatment
14 of haemophiliacs in the Edinburgh or southeast region?

15 THE CHAIRMAN: I'm sorry, what period are you talking about,
16 Mr Dawson? Because I have to say, that is not my
17 recollection of the evidence.

18 MR DAWSON: My recollection of the evidence, sir, was that
19 under Howard Davies, before 1980, the treatment of the
20 patients had been, at least predominantly perhaps, with
21 cryoprecipitate.

22 THE CHAIRMAN: You might like to look at the Cash and
23 Spencely article tracing the use of product. It's the
24 generalisation that's difficult, Mr Dawson.

25 MR DAWSON: I understand that. I'm really just trying to

1 create a bit of context. I do want to ask specifically
2 about a period slightly after that which Dr McClelland
3 hopefully will be able to help us with.

4 Can I ask you about the position in 1983 and in
5 particular whether or not you discussed with
6 Professor Ludlam, then Dr Ludlam, the possibility of
7 starting his patients on cryoprecipitate treatment at
8 that time.

9 A. I certainly don't have any recollection of initiating
10 that discussion with him and to be honest, I wouldn't
11 have considered that to be my responsibility. Dr Ludlam
12 was extremely well informed about the potential risks,
13 I think he was aware of the -- you know, the potential
14 for risks in relation to AIDS every bit as soon as
15 I was, and was very much in discussion with professional
16 colleagues in the UK and around the world.

17 It's very possible that we had discussions about the
18 supply of Factor VIII because in a sense -- of
19 cryoprecipitate -- that was my responsibility. We were
20 set up to make cryoprecipitate and we had plenty of
21 plasma. It was merely a matter of taking plasma that
22 would otherwise have gone for fractionation and making
23 cryoprecipitate from it.

24 So I don't think there would have been any
25 particular difficulties in our responding to increased

1 demand but I don't actually have any recollection of
2 discussions about this and obviously I only saw these
3 questions yesterday. I haven't had a chance to look at
4 any documents to see if there is any recorded evidence
5 about such discussions.

6 Q. Okay, thank you.

7 You mention there the position as regards
8 awarenesses of the HTLV-III risk from products. That's
9 something I would like to ask you some questions about.

10 We have heard evidence from you, predominantly in
11 the B1 section, as regards efforts made by you in
12 drafting a leaflet relating to donor exclusion in about
13 1983 and that's covered quite extensively, I think, in
14 the preliminary report, in particular at paragraph 8.28
15 and 8.33. I wondered if you could answer this question.
16 Would it be correct to say that you had serious concerns
17 at that time, when you were drafting the leaflet, in
18 1983, that there was a risk that HTLV-III had entered
19 the donor population in Scotland?

20 A. I'm trying to recreate that and also I think probably
21 everything I have to say about that was probably said in
22 a previous statement and in the evidence I gave relating
23 to that, because I have already been specifically asked
24 whether I was aware of AIDS cases in Edinburgh at the
25 time of the first draft of the leaflets and I have said

1 that I'm not at all sure that I was. I'm not sure that
2 anybody was aware of AIDS cases in Edinburgh. And that
3 wasn't really -- that wasn't really what was motivating
4 our efforts to prepare the leaflet and take other
5 measures to minimise the risk of anyone who might have
6 infection coming to donate. What we were fairly,
7 I think, confident about, if that's the right word --
8 and I think you have touched on this in another of your
9 questions -- was that it was inconceivable really that
10 it would not appear in our community.

11 So in a sense, I don't think we had any conviction
12 at all. In fact, I think we probably were hoping that
13 it was not -- I'm sure we were hoping that it was not in
14 our donor community at that time. But we had a betting
15 man's certainty that it would be there at some point in
16 the future. So we had to take action as soon as we
17 could.

18 Q. So you were taking all precautions to prevent that
19 possibility?

20 A. Absolutely.

21 Q. Okay, thank you.

22 Could you try and describe for me what your
23 understanding was in 1983 of the risks for patients who
24 did acquire infection with HTLV-III as regards the
25 understanding of the progression of the disease at that

1 time?

2 A. I'm not sure that we would have quite described it that
3 way because I can't actually remember when HTLV-III was
4 first named (inaudible). What we did have access to, if
5 you like, was the epidemiological information which was
6 being built up in the United States, and my recollection
7 was that there was already published or available
8 evidence that showed that this condition, AIDS, was
9 associated with quite a high mortality. It would be
10 very difficult to produce a sort of confidence, in if
11 you like, actuarial predictions about mortality at that
12 early stage, because in many cases one didn't know how
13 long people had been infected for and little was known
14 about the natural history of the disease. But I think
15 we were very clear that this was a very serious
16 condition that was likely to kill you.

17 Q. There is a document that we came across before in the
18 evidence of Dr Boulton, in the B2-section. Could I just
19 ask you very quickly about that. The document is
20 [SNB0014033](#). Hopefully --

21 A. Is that the meeting report?

22 Q. It's a meeting --

23 A. I have got it here.

24 Q. It's entitled "Notes of meeting with Immuno at London
25 Airport 24 January."

1 As we found out from Dr Boulton, January
2 is January 1983. Could I just ask you very briefly
3 about page 4035, which is page 3 of this document?

4 There is a reference about half way down that page
5 so some information about Acquired Immunodeficiency
6 Syndrome, as you will see in. And in particular, in the
7 penultimate paragraph on that page, up to 10 December
8 1982, some 800 people had been reported as suffering
9 from the AIDS and there was a 45 per cent mortality.
10 And that 45 per cent mortality figure has been
11 underlined.

12 Dr Boulton was under the impression that it would be
13 you that had done that underlining. Is that correct?

14 A. I have absolutely no idea. I don't actually remember
15 this note. I remember the existence of this meeting in
16 London. You know, one person's line is very much like
17 another's. I really can't remember.

18 Q. Would that be consistent, however, the figure there,
19 45 per cent mortality, with what your understanding
20 around about the beginning of 1983 of the disease would
21 have been?

22 A. I think this is exactly the data that I was referring to
23 that was being published by the CDC. I think this was
24 already appearing in the Morbidity and Mortality Weekly
25 Reports. All one could really say was that there was

1 a growing population of people with this syndrome and
2 quite a lot of them had already died. That was, in
3 a sense, the most accurate statement that one could make
4 at that time.

5 Q. Do you remember having any discussions about the
6 possible risks of HTLV-III entering the donor system in
7 Scotland with Professor Ludlam at about this time, by
8 which I mean 1983?

9 A. I don't remember specifically. There was an issue,
10 which again you have touched on, later on, that we
11 clearly did have some discussions about the issue of
12 contacts -- and we can come back to this -- with
13 patients with haemophilia, which is on this specific
14 issue.

15 Whether Dr Ludlam raised that with me or I raised it
16 with him, I can't remember because I have only seen
17 parts of the correspondence, but I wouldn't have --
18 I think my view at that time would have been that it was
19 my job to do everything I could to safeguard the blood
20 supply. I'm absolutely certain Dr Ludlam would have
21 known, at least in broad terms, what we were doing
22 because we tried to make it very public. Did I consult
23 him about what we were doing? No, it was my job with my
24 colleagues to get on with that. I'm not sure if I'm
25 understanding the question.

1 Q. I'm not really referring to consulting him in the sense
2 of seeking his permission, or anything like that, to do
3 anything, because obviously you had your distinct areas
4 of responsibility. What I'm talking about is the extent
5 to which you had discussions with him about your
6 concerns, views, understandings, of the risks at that
7 time.

8 A. I really can't remember. I think it's almost certain
9 that we would have had, frequent informal conversations
10 about it because we met regularly. We worked in the
11 same corner of the same hospital. But in terms of
12 specific recollections -- it was a subject that was very
13 much -- you know, anybody to do with blood, whether
14 somebody treating patients or somebody trying to provide
15 blood, it was very much in our consciousness at that
16 time.

17 Q. That's precisely what I'm getting at, Dr McClelland, the
18 idea that these issues would affect both the people at
19 one end of the system and the people at the other.

20 A. Yes, absolutely.

21 Q. And therefore, what I'm really getting at is whether or
22 not there was any formal system for the airing of views
23 and sharing of information which existed between the two
24 of you at that time. I think you have already answered
25 that it would be informal. Is that right?

1 A. I think we didn't need a formal system. That would
2 probably have just got in the way, quite honestly.

3 Q. Okay. Thank you very much.

4 If I could move on to a slightly different area,
5 now. This is really the B5 topic, which you will recall
6 also having given evidence on. This is moving to
7 a later time period than the one we have been talking
8 about. Really focusing on the late 1984 period and the
9 time when it emerged that there had been some
10 haemophilia patients who had been infected and had
11 tested positive on antibody testing.

12 Could I just ask you to have a look, please, at one
13 document, which is [PEN0161294](#)? I think this may be
14 a document you have been taken to before in this
15 context, Dr McClelland.

16 A. Yes.

17 Q. It's an Evening News article from 21 December 1984 and
18 in particular in the right-hand column there, the
19 context of this is set out in the first paragraph where
20 we see:

21 "The Scottish Blood Transfusion Service today
22 appealed to four groups of people not to give blood
23 following an AIDS scare. Tests in Edinburgh have shown
24 that 50 haemophiliacs have developed antibodies to the
25 AIDS virus."

1 That's the context here, and under the heading
2 "Vulnerable" in the right-hand column, there appears to
3 be a quote from you, which says:

4 "Dr McClelland said the 15 people were discovered as
5 the result of routine testing of those most vulnerable
6 because of their reliance on frequent transfusions."

7 What I want to ask you about was really whether the
8 use of the phrase "routine testing" to apply to the
9 testing which had been done on these patients is an
10 accurate description of that test?

11 A. I mean, as Lord Penrose has commented on one of my
12 previous appearances here, we can't always totally rely
13 on the accuracy of press reports.

14 Q. Of course.

15 A. So whether I said "routine testing" or not --

16 Q. I'm not seeking to criticise in any way, I just wanted
17 to know whether if someone had got the impression that
18 that was routine testing, whether that would be
19 accurate?

20 A. It clearly wasn't routine testing at that time. Because
21 it was still -- not routine testing in the sense that
22 every patient with haemophilia was having that test
23 done. This was something that was very new. I think,
24 if I did use the word "routine" -- and whether I did or
25 not is immaterial -- I certainly at that time, I think,

1 would have taken the view that it would be a matter of
2 not just good clinical practice but actually a duty of
3 care for someone caring, for patients who were known to
4 have a high exposure to blood and blood products, to do
5 whatever they could to ascertain whether they had become
6 infected.

7 So in that sense it's not an action that I would
8 have questioned, it was a matter of good professional
9 standards of care to ascertain this and then to be --
10 you know, to take the appropriate action in terms of
11 both information and care for the patients.

12 Q. Thank you.

13 A. And doing that, as you will have heard from many
14 witnesses already, was actually not particularly
15 straightforward in 1984.

16 Q. Obviously the tests that we were talking about, just to
17 recall some time ago that we went through all of this,
18 that these were the tests, the antibody tests, that were
19 done by Dr Tedder on the patients. Is that right?

20 A. Yes, to the best of my knowledge, this specific group of
21 patients, who led to the -- you know, who were
22 identified by their biology, the appearance of the virus
23 in the Scottish donor population, those tests were all
24 done in the laboratory of Richard Tedder, then in the
25 Middlesex Hospital.

1 Q. Could I just ask you: as far as the tests, the antibody
2 tests that were being done at that time, what did
3 a positive antibody test tell you about a patient at
4 that time?

5 A. I think my interpretation of it was that we would take
6 it that that meant the patient was infected with the
7 virus. Certainly from my perspective, as somebody
8 looking at people as potential donors, I would have had
9 absolutely no doubt that the presence of a technically
10 confirmed evidence of an antibody to HTLV-III would
11 totally debar that person from donation because I would
12 work on the assumption that they (a) had the virus and
13 (b) could transmit it.

14 I think the second question is implied in what you
15 are saying: what did this tell us about the prognosis,
16 ie did it mean they were going to get AIDS and die?
17 That was a lot less clear and you will be aware that in
18 the literature of the time there was quite a lot of
19 controversy, and there was a belief, I think more in
20 hope perhaps than anything else, that quite a lot of
21 people who had this evidence of infection might actually
22 not develop the full syndrome.

23 I think history proved that there was only a very
24 small minority of people with the particular sort of
25 genetic make-up who would carry the virus and not become

1 ill.

2 Q. Thank you. If we could just move on to a slightly
3 different area at about the same time, this was the
4 meeting which you attended with Dr Perry and Dr Ludlam
5 on 15 November 1984. Could we have up, just to refresh
6 your memory, the document [SNF0013624](#)?

7 This is a letter from you to Dr Cash. You refer to
8 the meeting in the first paragraph there:

9 "I have had several discussions with
10 Dr Christopher Ludlam following the discovery that some
11 recipients of PFC Factor VIII have developed antibodies
12 to HTLV-III during 1984 which must, at present, be
13 attributed to infusions of PFC products. I spent
14 several hours this morning with Dr Ludlam and Dr Perry,
15 acting director of PFC, reviewing the data and write now
16 to report to you, as national medical director, on our
17 conclusions."

18 You see over the page there are some conclusions
19 listed. You have obviously given quite a bit of
20 evidence on this meeting already but I just want to
21 clear up a couple of things with you. The first is was
22 the purpose of that meeting which you attended with
23 Dr Ludlam and Dr Perry looking at the records to see if
24 you could pin it down to a single batch?

25 A. I think that it probably was not quite as specific as

1 that. I think what we were essentially trying to do was
2 to review the evidence that we had -- the objective was
3 probably to decide which batches -- the strength of
4 evidence that we had and therefore the decisions that
5 probably would have to be taken in terms of which
6 batches might have been implicated, and whether any of
7 these batches were still in stock anywhere and would
8 have to be withdrawn.

9 I don't think that we started with -- we may have
10 started with a hope or with a sort of belief that it
11 probably was only one batch because, you know, it was
12 a surprise to us, a nasty surprise to us that any of the
13 batches were infected. So I think our starting point
14 would probably not have been to say, "We expect lots of
15 batches to be infected," but I don't think we would have
16 started off saying, "We are working on the assumption
17 that there is only one and we have just got to find it".

18 I think if you read the documents that I wrote at
19 the time, I don't think that implication is there.

20 Q. Okay. Thank you.

21 Professor Ludlam in his evidence suggested that you
22 might have had available to you at that time
23 a spreadsheet containing information about the
24 transfusion histories of the infected patients. Do you
25 recall that at all?

1 A. I don't think I knew what a spreadsheet was in 1984.
2 I was pre-computer literate in those days, even more so
3 than I am now.

4 Q. Perhaps if we just call it a document that contained
5 that information?

6 A. I'm sure we had a piece of paper which would have been
7 compiled, probably jointly, by members of Dr Ludlam's
8 staff involved in treating the patients, and I would
9 think also by my own blood bank staff, because they
10 actually issued the products and kept good records of
11 who got what, and I think certainly Dr Ludlam must have
12 had that information.

13 I cannot remember all those years ago exactly what
14 paper we had in front of us, but looking at the report
15 from Dr Cash, he clearly must have had information about
16 both the transfusion history of these people, you know,
17 the batches and the quantities that these patients had
18 received, and we must also have had information about
19 the test results on -- in some cases -- more than one
20 blood sample, because we had some information about when
21 was the first positive sample and we were trying to tie
22 that in, as one of the clues to which batches might have
23 been implicated.

24 Q. Could I just ask you --

25 A. I can't visualise now the desk with the papers on it,

1 I'm sorry.

2 Q. There is something else I want to ask you about the
3 document, but just on that very point you were making
4 there, you are assuming, as I understand it, that you
5 had available, or you are recalling you must have had
6 available to you, information about the timing of the
7 first positive test for these patients but presumably
8 also the timing of the last negative test. Is that
9 correct?

10 A. Yes.

11 Q. And that would create a sort of seroconversion window,
12 if you see, a window in which it would appear that that
13 person has seroconverted. Is that right?

14 A. That was a fairly crucial piece of information because,
15 obviously, these patients would be getting certain
16 products at a certain time and you could really only
17 hope to attribute seroconversion of the infection
18 episode to a particular product if you had the
19 information to say, right, the patient was negative
20 here, got the treatment here and became positive there.

21 Q. How --

22 A. It's simple cause and effect stuff.

23 Q. I'm just wondering how exactly one links the data about
24 the seroconversion window, as I have called it -- that
25 may be inaccurate -- to which batch you think was the

1 infective batch.

2 So say, for example, if one has a last negative test
3 in March of a particular year and a first positive test
4 in May, what time period -- obviously one would be
5 looking at products that had been administered before
6 that window, but how far before that window would one be
7 considering products that might be implicated in the
8 infection?

9 A. I think the actuality of this is that these are
10 retrospective studies. You only have the samples that
11 you have, which were taken at times which were dictated
12 by factors other than the investigation that you are now
13 conducting. And you have probably fairly accurate
14 information about the batches and the dates over which
15 they were administered. So you have to do the best you
16 can with that. And it's very unusual in a retrospective
17 study, to have perfectly timed samples that will allow
18 you to pinpoint exactly what happened. You have to say,
19 "Well, the probabilities are that it was this batch
20 because it was negative here and positive here. And he
21 got this batch some time in between."

22 I mean, we knew, I think, probably at that stage --
23 well, even if we didn't know, we would have inferred
24 because it's true of all infections, that between
25 exposure to the infectious agent and the appearance of

1 a detectable antibody in the patient, there will be
2 a gap, it takes time for the immune system to make the
3 antibody. But we probably -- we certainly didn't know
4 with any accuracy what that gap was.

5 Q. What time gap were you applying in your thinking at that
6 time? Can you recall?

7 A. I don't think we were. I don't think it was that
8 sophisticated. We didn't -- that, in a sense, wasn't
9 relevant because what we could do was governed by the
10 archive samples that existed. You couldn't invent new
11 archive samples. So we couldn't control those dates.
12 I'm not remembering this; I'm trying to reconstruct what
13 I think we would have done.

14 Q. Thank you.

15 Just returning to the document which I described as
16 a spreadsheet earlier, just one thing I want to clear up
17 with you. Professor Ludlam in his evidence suggested
18 that you might have retained a copy of information that
19 was available to you at that meeting, and he pointed out
20 that he might have had a copy but it was probably lost
21 at the time when his department moved from
22 Lauriston Place to Little France. He suggested you
23 might have a copy, though, and I just wanted to find out
24 whether you did or you didn't?

25 A. I'm not aware of a copy. I haven't seen a copy of that

1 in any various delvings into my own archives. So quite
2 a number of years.

3 Q. Thank you very much.

4 Could I just move on to something slightly
5 different, although it's still related to the issue of
6 the infection of the patients in Edinburgh at that time.

7 Could we have up the document [SNB0086427](#), please?

8 I'm hoping that you will recognise this document,
9 Dr McClelland. It's an interim report by Dr Cuthbertson
10 which comes from June 1986 and, as you may recall, at
11 that time certain tests were being done on batches which
12 may have been responsible for the infection of the
13 patients in Edinburgh in particular.

14 You will see at the bottom of that page, that there
15 is a list of batch numbers and you may recognise the one
16 at the bottom, which was the one, as is indicated there,
17 known as the "implicated batch", which was the one that
18 you had taken the view was most likely to be responsible
19 for the infections.

20 At the bottom it points out that:

21 "The batches marked with an asterisk were tested for
22 HTLV-III antibody using a sensitive variant of the
23 Wellcozyme assay, no trace of antibody was found in any
24 of these batches."

25 What I want to ask you about is obviously the theory

1 which most people have, and indeed the one that I have
2 just mentioned, about the source of infection of these
3 patients, ie that is was this implicated batch, or at
4 least for most of them it was.

5 Now, this result here, of an antibody negative in
6 1986, would appear to be inconsistent with that
7 proposal. What I wanted to ask you was whether you
8 thought that it might be possible that the batch was
9 positive for the virus but in some way negative for the
10 antibody, and the theory that I want to put to you for
11 your comment was whether perhaps in the fractionation
12 process the antibody, which is what this test is looking
13 for, may in some way have been stripped away leaving an
14 infective product which is antibody negative.

15 Do you have any view on the cogency of that theory?

16 A. I think you have made two statements, which are quite
17 separate. One is, did I believe -- do I believe now --
18 that one of these batches could have transmitted
19 infection but yet had an negative test for antibody in
20 1984, and that is entirely possible and there are lots
21 of possible reasons for that.

22 Your biochemical theory of how it might have
23 happened, I'm not really competent to comment on that
24 but I think there are numerous possible explanations
25 for, and numerous examples in the literature in relation

1 to this and other infective agents, where no test,
2 except infusion into a human, will detect the fact that
3 this product is infective.

4 Absolutely classic examples of this with
5 Hepatitis B, where it will not infect primates, it will
6 not infect any other animal species, but the same
7 product given to humans will produce Hepatitis B because
8 the human is a very, very sensitive host.

9 In 1984 the tests were not particularly sensitive
10 and the tests that were available were all designed to
11 be used on single blood samples. You know, a product
12 which is quite different in nature to a concentrate of
13 certain proteins prepared as Factor VIII is prepared.

14 And dilution, you know, is another factor because
15 this might have been present in a very, very low
16 concentration, being one donation in a thousand or
17 10,000.

18 Q. You pointed out the reliability of the test as being,
19 obviously, an important factor. You mention the test in
20 1984. This is actually from 1986. Would that --

21 A. The same applies.

22 Q. The same applies?

23 A. All these tests have become progressively more sensitive
24 and it's something -- we have had to be very careful in
25 interpreting the results of things that have happened at

1 different periods of time, to take account of the fact
2 that something could have been completely undetectable
3 in year 1. Because of refinements and improvements in
4 the tests, it could be quite detectable in year 10.

5 Q. Who would be the best person to ask about my biochemical
6 theory?

7 A. Dr Foster.

8 Q. Thank you.

9 Can I just move on to something, again related but
10 to do with a slightly different document.

11 Could we have up the document [PEN0121423](#), please?
12 This is a document to which you have been taken before.
13 You may remember it. It is a letter from you dated
14 28 November to Dr Tedder, pointing out that you had now,
15 by that stage, November, identified all the donors who
16 contradicted to the batch of Factor VIII under
17 discussion. I'm assuming that's the implicated batch --

18 A. Yes.

19 Q. -- that we have mentioned. There are approximately
20 4,000. Donation samples are available from
21 approximately half of these at present and the remainder
22 will take some considerable chasing up. And you ask
23 him:

24 "Can you advise on the possibilities of getting
25 these donors screened?"

1 You were asked about this piece of correspondence in
2 your original evidence on this topic, and you said that
3 the fact that this was not pursued was something which
4 could be criticised in retrospect. I just wanted to get
5 you to explain why it is that you thought that that
6 decision could be criticised in retrospect.

7 A. I'm not sure I said it could be criticised. I said
8 I wasn't sure now that it was the right decision, which
9 is slightly different. I'm not sure if you are
10 referring to the transcript or my witness statement.

11 Q. I think it was the transcript that I had --

12 A. In the transcript what I actually said was:

13 "... I have to confess I did not think of going to
14 the United States to get an answer to this question. In
15 retrospect I should have done."

16 I think that's what I actually said.

17 Sorry, your question?

18 Q. I apologise if I have misrepresented what you have said.

19 A. That's all right.

20 Q. I really just want to explore why it was that you
21 thought it was something that would have been worth
22 following up on the basis that it wasn't followed?

23 A. Looking at it by the standards of today, this is
24 something that we would do. We would turn the place
25 upside down to test all the source donations.

1 It was not the standard of 1984 or 1986, whenever
2 this was. There was another problem actually, because
3 it wasn't at that time routine to -- it wasn't required
4 and it wasn't general practice to retain archive samples
5 for long periods. So one or two of the blood centres in
6 Scotland did retain donor samples for long periods. The
7 others did not.

8 So while we had archived samples for about 2,000 of
9 the donations for the others, the donors would have had
10 to -- or most or all of the other 2,000 -- the donors
11 would have had to be recalled and retested. And
12 actually the results of that recall and retest, even if
13 we had found a positive, it wouldn't have proved
14 anything because they obviously could have become
15 infected by some route subsequent to that contributing
16 to the original batch. And I think that's probably one
17 of the reasons why Richard Tedder didn't -- he wrote me
18 a brief note, which is in the documents.

19 Q. I think we looked at that.

20 A. Saying that, you know, unless we could be confident of
21 getting virtually 100 per cent of samples, he didn't
22 think it was worthwhile. And he didn't have the
23 capacity to do it quite honestly; 4,000 samples would
24 have sunk his laboratory without trace at that time.

25 Q. Would another way of trying to work out the answer to

1 the same question be to ascertain whether any of the
2 donors whom you had identified, who contributed to the
3 implicated batch, died of AIDS?

4 A. I think it would be open to the -- if that information
5 was available, it would certainly be interesting and
6 might be suggestive, but it would not tell you, in the
7 absence of adequate blood samples, when this donor had
8 become infected, so --

9 Q. It might provide a bit of a clue, though?

10 A. It might provide a bit of a clue. I think it would have
11 been extremely difficult to do. I don't think -- you
12 also asked could we do it now. I would have to talk to
13 David Goldberg and his colleagues about that just to see
14 whether, with the existing information, databases and so
15 on -- I think if we had a name, if Health Protection
16 Scotland were able to identify a relevant group of
17 individuals who died of AIDS, it is possible that
18 a search could be made in historical blood donor
19 archives, but to be honest, I'm not sure whether it
20 would be a particularly useful exercise.

21 I haven't had time to think that one through.

22 Q. Okay, thank you very much.

23 Moving on just to the next topic, this is again
24 a particular document I wanted to ask about. This is
25 [SNB0064686](#). Again, we are dealing with roughly the

1 same time period, now into December of 1984, and this is
2 a letter which I don't think we have looked at before,
3 which is a letter from Dr Ludlam to yourself. It says:

4 "Dear Brian,
5 "Thank you for your letter of 12 December concerning
6 our recent discussions about the desirability of close
7 family members of haemophiliacs not donating blood. As
8 we agreed in our discussion, it would be better to
9 disseminate this information in the haemophiliac
10 community via existing lines of communication, rather
11 than add these potentially high risk donors to your
12 formal list as published by the SNBTS."

13 At the meeting with haemophiliacs on the
14 19 December, at which you were present, this point was
15 made clear to make sure that the wider haemophiliac
16 community is made aware that they should not be blood
17 donors. We are arranging for a circular to be sent to
18 every patient with moderate and severe haemophilia A and
19 B. I hope this will prevent any further donations
20 within the Edinburgh and Glasgow areas. We are planning
21 to send the circular to the other three east coast
22 haemophilia centres, asking them to distribute it
23 amongst their patients."

24 Am I correct to take it this is one of the
25 consequences of the infection of the Edinburgh patients,

1 that the policy for donor exclusion was, not formally,
2 but informally changed in this way?

3 A. I think we will have obviously, in sort of following
4 through the implications of discovering that haemophilia
5 patients in Scotland -- some of them now had HIV --
6 I would certainly have had a concern, particularly
7 sexual partners, or anyone whose contacts with those
8 patients would put them at risk of contracting
9 infection, that could also have included carers who were
10 making up the Factor VIII products and who themselves
11 would then be at risk of needle stick accidents.

12 I think we were just trying to lock some doors here
13 and say what can we do to minimise the risk that any of
14 these people who may have a slightly higher risk than
15 average -- to minimise the risk of them giving blood.
16 Dr Ludlam was, I think, quite understandably, not
17 enthusiastic about having these groups of people
18 formally identified among its risk groups, the exclusion
19 groups that were very much standard around -- you know,
20 not just in the UK but in other countries as well.

21 Actually there was not the epidemiological evidence
22 to justify including them in those groups because none
23 of these people had been recognised as being infected or
24 being a source of infection.

25 So I think this more informal approach was what,

1 certainly Dr Ludlam as the consultant caring for those
2 patients, felt was appropriate.

3 Q. What was meant by "close family members"?

4 A. I don't know what Dr Ludlam, who wrote the letter, meant
5 by "close family members" but what would have concerned
6 me, as I have already said, is people -- the nature of
7 whose contact with a patient, who was or might be
8 infected, could put that individual at risk of acquiring
9 the infection, and that's blood or sex.

10 Q. I'm just trying to envisage how this might work if
11 someone who was within the excluded group turned up at
12 a donor session. Can you explain to us how that would
13 have been dealt with?

14 A. Well, it's very difficult to deal with these things and
15 I think in another bit of my evidence I made the
16 point -- and I I'll make it again -- that I was always
17 very clear that the exclusion of people who could
18 transmit HIV was highly dependent on having a good test.
19 All the other deferral measures are contributory and
20 important but of very much less than 100 per cent
21 efficacy. How would you identify somebody who lived in
22 the same house as a haemophilia patient and would that
23 in fact justify not accepting their donation is a very
24 difficult thing to deal with.

25 What I can't tell you, because I haven't had time to

1 look, is whether in guidance that I wrote or
2 Dr Anne Smith wrote for our donor staff, we addressed
3 this issue and how we addressed it. But I can't think
4 that it would have been easy to do anything particularly
5 effective. We would have largely relied on people
6 informing us of that.

7 Q. Would that be something you would ask them when they
8 turned up, "Are you in this category?"

9 A. No, not routinely because you would be asking thousand
10 and thousands and thousands of people a question to
11 which 99 per cent of them --

12 Q. I'm slightly having a bit of trouble with how it is that
13 these people would be identified, because if they would
14 be identified through the lines of communication that
15 have been identified by Professor Ludlam there, ie
16 through the haemophilia community, presumably they
17 wouldn't have turned up to a donor session anyway?

18 A. Professor Ludlam's intention, and he was absolutely
19 right, was to try, through what is quite a small
20 community with quite good communication networks, to try
21 and, you know, encourage and inform and motivate these
22 people to not volunteer to give blood, and that was
23 obviously the most practical and sensible thing to do
24 so.

25 Q. But there wouldn't have been proactive steps taken at

1 the donor session to identify these people?

2 A. I don't think so.

3 Q. Right.

4 A. Because I don't think we could have designed a way of
5 doing it. But, as I said, I would have to go -- as the
6 Inquiry knows, there is an awful lot of detailed
7 information over the period of the implementation of
8 testing and so on. For about two years we were issuing
9 instructions for the staff about how to deal with just
10 this sort of problem. Whether we did take specific
11 action to try and address the problem that you have
12 correctly raised, I honestly can't remember. I would
13 have to go back and dig all through that literature.

14 I have to say I cannot think now how we would then
15 or now have designed an effective procedure to address
16 this.

17 Q. Thank you. That concludes the questions I had, sir.

18 There was one further question, which isn't actually
19 on the B2 or B5 topics. Mr Di Rollo referred to this
20 earlier and I don't think there is any difficulty, as
21 far as the Inquiry counsel are concerned, with this
22 matter being raised. It's just a couple of questions.

23 Sorry to jump about the topics, Dr McClelland, but
24 I just wanted to ask you one question that had come up
25 in connection with the C3 topic, with which the Inquiry

1 has been dealing over the last couple of weeks. In
2 particular, could we have up your statement from that
3 section, which is [PEN0170003](#)? In particular, I wanted
4 just to refer you to the third paragraph of that, where
5 you say -- you are talking about the CBLA research and
6 development committee, of which you were a member,
7 I think, and it says there:

8 "I have no firm recollection about sharing
9 information from the committee. It was my usual
10 practice to share any information that I judged
11 important for SNBTS with Dr Cash, and directly, or
12 through him, with the other Scottish transfusion
13 directors, and I can see no reason why I would not have
14 done so following meetings of the CBLA committee.
15 Dr A E Bell of SHHD also attended these meetings and
16 I am sure he would also have communicated information
17 both to Dr Cash and to the SHHD."

18 Could I just take to you a couple of documents, and
19 there are a couple of passages I just wanted to remind
20 you of. Hopefully, you have seen these documents
21 before, which are basically minutes of that committee.
22 In particular, the first one is document number
23 [PEN0161142](#). We can see from the first page there this
24 is not a meeting that you attended and we can see under
25 "Apologies" that you had sent in your apologies.

1 This is a meeting which took place on 9 July 1985 of
2 the research and development committee. The particular
3 passage I wanted to refer to you was on page 1144, which
4 is the third page of these minutes, and it's the
5 penultimate paragraph on that page, where it says
6 in July 1985:

7 "Evidence for reduction or elimination of viral
8 transmission is being sought after infusions in
9 haemophiliacs who have been treated with concentrate
10 either for the first time or after a long interval and
11 who are thought to be susceptible to infection with
12 Hepatitis B, NANBH and HTLV-III. This trial is at
13 a critical stage but several patients have already
14 safely passed the point at which the first evidence of
15 NANBH transmission would have been expected."

16 You weren't at that meeting but would it be fair to
17 assume that you would have been sent the minutes after?

18 A. I'm sure I would have been sent the minutes, yes.

19 Q. Could I just take to you one other similar passage in
20 a later meeting? This is document [PEN0161152](#). Can we
21 just have that up, please? That's a meeting, as we can
22 see there, of the same research and development
23 committee, and this is a meeting you did attend. We can
24 see your name under the list of attendees. This is
25 a bit later on, 19 December 1985. If we could look over

1 the page, which is 1153, the particular passage I was
2 interested in is the one under 14.3, where it says:

3 "Heated treat Factor VIII.

4 "Dr Rizza reported upon further trials carried out
5 with heat-treated Factor VIII, which he had now been
6 using for approximately nine months. He confirmed that
7 none of his patients, including children, had become
8 clinically ill and therefore the immediate signs were
9 encouraging."

10 So we have a picture from these two documents that
11 information had been given to the members of the
12 committee about the progress of the English 8Y product
13 and in particular the fact that there were encouraging
14 signs about the transmission or non-transmission of
15 non-A non-B Hepatitis.

16 You have said in your statement that the information
17 which was given to you at this committee was shared with
18 others in SNBTS. What I'm interested in is whether
19 information of this nature about that product would have
20 been shared by you with haemophilia clinicians such as
21 Dr Ludlam.

22 A. I honestly don't remember but I think Dr Ludlam would
23 have known a great deal more about this than me because,
24 you know, he was very closely involved with the
25 haemophilia community, with Charles Rizza and other

1 people who were doing these studies, and he, I think,
2 had some patients -- I think he probably had one or
3 two patients of his own enrolled in the trial.

4 So I might well not have passed this rather brief
5 fragment of information to Professor Ludlam because
6 I would correctly, I think, have assumed that he would
7 be much more familiar with the details of this trial
8 than I was or needed to be.

9 Q. Thank you very much, sir, I have no further questions.

10 Thank you very much, Dr McClelland.

11 A. Thank you.

12 THE CHAIRMAN: Anything arise out of this, Mr Anderson?

13 MR ANDERSON: No, sir, I'm obliged.

14 THE CHAIRMAN: Mr Johnston?

15 MR JOHNSTON: I have no questions, thank you.

16 MS DUNLOP: Thank you, sir. I have no further questions for
17 Dr McClelland at the moment.

18 Dr McClelland has two further appearances, I think,
19 both this month, so we will be seeing him again shortly.

20 THE CHAIRMAN: Thank you very much.

21 Is that us for today?

22 MS DUNLOP: Yes, sir, we have no further business for today
23 and we are not sitting next week, so we will be back
24 again a week on Tuesday.

25 THE CHAIRMAN: We are not sitting next week?

1 MS DUNLOP: We will be back again on 15 November, when we
2 will be looking at topic C2 and then moving seamlessly
3 from C2 to C4. That's the next --

4 THE CHAIRMAN: I won't hold to you seamlessly.

5 MS DUNLOP: That's the next part of the agenda.

6 THE CHAIRMAN: But that's the agenda. Thank you very much.

7 (12.50 pm)

8 (The Inquiry adjourned until Tuesday, 15 November 2011 at
9 9.30 am)

10

11

I N D E X

12 PROFESSOR VAN AKEN (continued)1

13 Questions by MR MACKENZIE1

14 Questions by MR DI ROLLO45

15 DR BRIAN MCCLELLAND (continued)58

16 Questions by MS DUNLOP58

17 Questions by MR DAWSON58

18

19

20

21

22

23

24

25

