

Friday, 6 May 2011

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(9.15 am)

THE CHAIRMAN: Good morning. Yes, Ms Dunlop.

MS DUNLOP: Thank you, sir. This morning, sir, we do have Professor Ian Hann with us from Cork.

PROFESSOR IAN HANN (sworn)

Questions by MS DUNLOP

MS DUNLOP: Professor, we normally start by looking at the curriculum vitae of a witness and I would like to look at yours, if I may. Do you have a hard copy of that?

A. I am afraid I don't.

Q. I was just going to say that I don't imagine that that's a problem because you will know everything in it. If we could perhaps have it on our screens, it is WIT0030296. Could we look at the first page in, please?

Professor, we can see that you took an MB BS at Bart's in 1971 and you developed your career in haematology, and we know from later in your CV that you moved to Glasgow and obviously that's the period of your career in which we are particularly interested.

If we look at the next page, please, where your previous positions are listed. And like most of the doctors whose CVs we have been looking at, you have taken us through your house jobs. We can see that you worked in paediatrics in Liverpool and indeed in

1 Manchester.

2 Then on to next page, please. You had a spell in  
3 Great Ormond Street, towards the end of the 1970s. Then  
4 you went to Glasgow. We can see that's position number  
5 12. You tell us that the position that you held in  
6 Glasgow involved not just looking after the hospital at  
7 Yorkhill but also the Queen Mother's Maternity Hospital,  
8 which, for those who are not so familiar, geographically  
9 was next door. Yes, you are nodding. But also there  
10 were facilities at Strathblane, the children's home  
11 hospital at Strathblane, which is outside Glasgow, and  
12 in those days also there were some paediatric beds in  
13 the hospital in Drumchapel. Is that correct?

14 A. I'm not sure about that, to be honest. I think it was  
15 mainly for the elderly.

16 Q. Yes. At one time, certainly, there were paediatric beds  
17 in the hospital in Drumchapel but it is very difficult  
18 to know exactly when. You held that position  
19 between January 1983 and August 1987. You then went  
20 back to Great Ormond Street?

21 A. Could I just interrupt, sorry.

22 Q. Yes.

23 A. There is a doubt over that latter date. You will know  
24 from Dr Brenda Gibson's evidence that the data that she  
25 has been given was that I left in 1988. What I'm

1 quoting there is what the personnel department at  
2 Great Ormond Street told me. I am afraid I can't verify  
3 it either way. It is either August 1987 or August 1988  
4 depending on who you believe.

5 Q. We have seen other material, professor, but I don't  
6 think anything is going to turn on it. Can we look at  
7 the next page, please, where we see set out  
8 a description of your work in London, then finally, your  
9 move to Cork.

10 If we move on, on the next page, charity committees,  
11 research bodies and committees and editorial  
12 commitments. Then recent research projects. This is on  
13 to page 8. Professor, you have told us you are a house  
14 husband, and I'm sure that's very full-time, but are you  
15 still working in haematology in any respect at the  
16 moment?

17 A. No, I was running a laboratory until mid-March and like  
18 many things in Ireland, it went into liquidation. So at  
19 this moment in time I'm just a house husband, but I'm  
20 also an editor of the British Journal of Haematology and  
21 I do medico-legal work, mainly in the clinical field.

22 Q. Thank you.

23 Just to look at your publications, which begin on  
24 page 10, I did notice a very large number of  
25 publications connected with leukaemia, childhood

1       leukaemia. Would it be right to describe that as your  
2       principal interest?

3   A. Principal scientific interest, yes.

4   Q. Among the list, however, I noticed, for example, number  
5       44, if we could go to that. This is page 14.

6   A. Yes.

7   Q. Psychological disturbance in children with haemophilia.  
8       We see your name and indeed Dr Brenda Gibson, and then  
9       53 on the next page, "Children with haemophilia: same or  
10       different?" On the following page, 68, "The impact of  
11       prophylactic treatment on children with severe  
12       haemophilia". These articles might suggest an interest  
13       in haemophilia in a holistic sense, so not purely the  
14       science of it but also in the psychology of it; would  
15       that be correct?

16  A. Yes, that is correct, in fact research in the  
17       haemophilia area outside of the genetic aspects is very  
18       difficult to perform.

19  Q. Why is that?

20  A. Basically it's a lifelong disease and a relatively rare  
21       disease and therefore there is an extreme paucity, until  
22       very recently anyway, of, for instance, randomised  
23       trials or metanalyses, which would be the gold standard  
24       of clinical studies, particularly in leukaemia.

25  Q. Number 96, which is on page 21, a publication relating

1 to a survey of treatment of children with haemophilia in  
2 Europe. So 20 centres in 16 countries. Was that across  
3 the whole of Europe?

4 A. No, it basically was a thing that was established by  
5 Professor Rolf Ljung(?), who was the director, and still  
6 is, I think, in Sweden for many years who set up for the  
7 first time a group of paediatric centres, which was  
8 called "Euro Ped Net" (?), and it basically was large  
9 centres that were prepared to take part in that and to  
10 do epidemiological studies mainly.

11 Q. So was it more western Europe?

12 A. Almost entirely western Europe, yes.

13 Q. If you look at what is beyond your list of publications,  
14 which is a lengthy list, we can see you also have some  
15 case reports and we understand that, and communications.  
16 Is that where you have written to journals?

17 A. Yes, letters to journals, basically, which were  
18 published.

19 Q. That was page 32. Well, it is in my copy anyway. I'm  
20 sorry, it doesn't seem to be page 32 on the screen.  
21 Special dissertations come next. I noticed some  
22 publications on the genetics of haemophilia. We can see  
23 that if we go on. It might be page 34 here. It is  
24 page 36 in the hard copy.

25 Yes, "Genetics of haemophilia". Then again on the

1 page two pages on, what looked to be another  
2 presentation on the psychological aspects of haemophilia  
3 entitled "Haemophilic children, more or less disturbed".  
4 We can see that on the screen in the 1980s.

5 Not taking up too much time but I noticed also  
6 page 42, which might be page 40, presented to European  
7 Haematology Association on Recombinant VIIa therapy.  
8 This is Factor VIIa. Is that correct?

9 A. Correct.

10 Q. One of the things that one notices as a layperson  
11 reading about haemophilia is that sometimes deficiencies  
12 in particular factors seem to be treated by increasing  
13 the dose of what might be thought to be adjacent  
14 factors, like using Factor IX, sometimes, to treat  
15 people with perhaps inhibitors to Factor VIII. This  
16 looked to be using Factor VII to treat children with  
17 Factor VIII inhibitors. In very general terms, is that  
18 one route to treatment using different factors?

19 A. Yes, I think we gave up using Factor IX in that  
20 circumstance a long time ago, but VIIa, or activated  
21 Factor VII, which is what that means, is still  
22 a standard treatment for patients with inhibitors,  
23 so-called bypassing activity. So you bypass the  
24 Factor VIII defect or attempt to.

25 THE CHAIRMAN: I'm not sure how much we need to know at this

1 stage, but VIIa is the carrier protein, is it, or what?

2 A. No, it is the activated form --

3 THE CHAIRMAN: It is the activated.

4 A. In fact, all clotting protein factors become activated  
5 through what used to be called the clotting cascade, and  
6 this is an activated form which doesn't require much in  
7 the way of Factor VIII to activate it, so it bypasses  
8 that defect to an extent.

9 THE CHAIRMAN: Yes. I think one can see activation in the  
10 sense of putting something into gear when there is  
11 a demand for the clotting process, but is this  
12 a characteristic of the particular protein that exists  
13 independently of that? Is activated independently? Or  
14 what?

15 A. It is activated within the body during the clotting  
16 process, the clotting pathway. It is an initiator, if  
17 you like, and also a bypasser of the defect in  
18 Factor VIII mainly, although it can help with Factor IX  
19 sometimes.

20 THE CHAIRMAN: I don't know how far it's necessary to follow  
21 any of these things, Ms Dunlop, but of course just  
22 having a reference to Factor VIIa doesn't necessarily  
23 enlighten us or me.

24 MS DUNLOP: I just wondered, professor, and this may be  
25 completely wrong but to try to have a sort of lay

1           understanding of how these treatments work: if there is  
2           a gap in the cascade, so something is missing, would it  
3           be reasonable for us to think of the idea of using  
4           a different factor as being an attempt to introduce more  
5           momentum at another stage of the clotting process to  
6           enable the body, as it were, to bridge the gap that's  
7           there?

8    A.   Yes, I mean it is a great deal more complicated than  
9           that, but in essence what you are saying is correct.  
10           It's a very complex network. It is not really  
11           a cascade. But what you said is essentially correct.

12   Q.   Thank you.

13           We can also see, if we move on, that you have been  
14           involved in the production of a number of chapters in  
15           books and you have also contributed a number of invited  
16           articles. If we can move on a couple of pages towards  
17           the end of this list, we can see the heading. It is on  
18           the hard copy, page 52, which might be page 50.

19           I just noticed that you had written a chapter on  
20           paediatric haematology -- this is at number 12 -- a book  
21           called "Paediatric Speciality Practice in the 1990s."  
22           "Blood disorders", in a textbook of paediatrics edited  
23           by Forfar and Arneil, another professor of paediatrics  
24           in Glasgow. Is that correct?

25   A.   Yes.



1 Q. Forfar. Was he in Glasgow too?

2 A. I think he was in Edinburgh. It was a long time ago.

3 Q. So it was an Edinburgh/Glasgow collaboration?

4 A. Yes, amazing.

5 Q. You also contributed -- number 17 -- "Growing up with  
6 haemophilia in the shadow of AIDS". Is that an article?

7 A. I think "Health trends" is a BMJ-like journal that comes  
8 out like a volcano, on an irregular basis. I don't  
9 think it exists any more. So my memory isn't very good  
10 on it.

11 Q. Number 19, the use of blood products in paediatrics. On  
12 to the next page, number 23, "The use of factor  
13 concentrates in the management of Haemophilia A and B  
14 and other coagulopathies", in a book called Modern  
15 Transfusion Medicine. 24, "Haematological Diseases" in  
16 the Great Ormond Street Handbook of Paediatric Medicine  
17 and Surgery.

18 Professor, just lastly we also can see another list  
19 of books published. Again, what look to be general  
20 haematological textbooks, perhaps paediatric  
21 haematological textbooks, but obviously a long history  
22 of publishing in various different journals and books.

23 We have from you, professor, a number of different  
24 statements and I would like to look at them in  
25 a particular order; very, very roughly speaking it is

1 a sort of chronological order. Actually the first  
2 document I want to put to you is one that you have  
3 written very recently, and it's about the  
4 World in Action television programme. It is headed  
5 "Professor Ian Hann response to Penrose Inquiry re Blood  
6 Money", received 5 April 2011. It is a single sheet.  
7 It is [\[PEN0120205\]](#). We were trying to remember,  
8 professor, did you just receive the transcript or did  
9 you receive the DVD as well? Did we send you the DVD?

10 A. I received the DVD.

11 Q. So you actually watched the programme?

12 A. No, I didn't, I preferred personally to rely on the  
13 transcript. So I haven't reviewed the DVD itself.

14 Q. I see. We can see for ourselves, you have told us where  
15 you were in 1975. You don't remember seeing these  
16 programmes, and you pinpoint your full engagement with  
17 the question of appropriate and available therapy for  
18 bleeding disorders as being in 1983. In paragraph 4 you  
19 make a reference to the emphasis in the programmes on  
20 the problems with Hemofil and the need to improve the  
21 donor pool and move towards unpaid donors,  
22 self-sufficiency. I simply wondered when you use the  
23 term "self-sufficiency" what are you meaning?

24 A. I'm meaning that the National Health Service would  
25 eventually produce enough Factor VIII and Factor IX

1           concentrate to treat all of the patients, including all  
2           of those that require prophylaxis.

3    Q.   We will come back to ideas of prophylaxis shortly,  
4           professor.  The other thing I wanted to ask you about  
5           paragraph 4 was in relation to your reference to the  
6           commercial companies being the main drivers for  
7           increased safety with regard to heat treatment.  Really,  
8           the first part of that sentence.  It may be that we are  
9           going to hear evidence later in the Inquiry about the  
10          efforts that were made at the protein fractionation  
11          centre in Edinburgh, the NHS facility, to improve  
12          product safety.  Is it your impression that there were  
13          considerable efforts being made in that area too?

14   A.   Yes.

15   Q.   Right.  So would it be fair to say that the need to  
16          achieve increased safety with regard to heat treatment  
17          was taken very seriously by the NHS in Scotland as well?

18   A.   Very seriously indeed, yes.

19   Q.   Then paragraph 5, you make further reference to UK  
20          self-sufficiency and the risk of viral contamination.  
21          Then in paragraph 6 you talk about the figures needed  
22          for prophylactic treatment, and we can see from your  
23          figures that you are recording a ratio really of almost  
24          1 to 3 in terms of the numbers of amounts required for,  
25          on the first hand, on-demand therapy and then on the

1 second hand, prophylactic treatment. So prophylactic  
2 treatment really very much more demanding in your view,  
3 in terms of the amount required?

4 A. Very much so, and that was published from one of the  
5 very few randomised trials conducted by Manco-Johnson.

6 Q. We have seen a reference in the 1970s, professor, to  
7 prophylactic treatment being presented as something  
8 which could be achieved at almost the same cost as  
9 on-demand therapy. I suppose the thinking being that if  
10 you prevent bleeds from happening, then you don't have  
11 to use huge amounts of product in treating the bleeds,  
12 but that's not your view?

13 A. That was what we would be saying. To be perfectly  
14 frank, we wanted it. So, you know, it all comes down to  
15 the smoke and mirrors of cost-effectiveness and quality  
16 of life et cetera, and thankfully it was even more  
17 primitive in those days than it is now.

18 So, yes. There is no way that you can ever make  
19 this add up to being the same cost, no matter if you put  
20 in the cost of operations, the cost of disability and so  
21 on. And this is why cost-effective analyses, in my  
22 view, can never be wholly acceptable.

23 Q. Can we move on, please, to look at the next statement  
24 that you provided, which is headed "Preliminary outline  
25 of my time as haemophilia centre director at Yorkhill by

1 Dr, now professor, Ian Malcolm Hann", which for us is  
2 [\[PEN0120203\]](#).

3 Just to note for us all, professor, that the date  
4 which appears on the second page is 5 May 2010.

5 A. Can I interrupt, sorry. I have lost my vision of you.

6 Q. Oh, I don't think -- I don't know if that matters.

7 I don't think that matters, sir.

8 THE CHAIRMAN: I don't think it's terribly important that  
9 you see us, professor, provided that you hear us. We  
10 are not going to move around much. You can visualise us  
11 if it helps.

12 A. That's fine, thank you.

13 MS DUNLOP: We can see you.

14 Just noting from this account in the second  
15 paragraph, you explain about the haematology service to  
16 Yorkhill and the Queen Mother's as, I suppose, the  
17 maternity hospital, the haematology service would be for  
18 what? Both the mothers and newly born babies? Is that  
19 what was required?

20 A. Yes.

21 Q. You say you provided all of the paediatric haematology,  
22 malignant and non-malignant, service in the West of  
23 Scotland, and a large part of the oncology service too.

24 I think we come back to that in a later statement.

25 In relation to paragraph 3, you mention that during

1 your time at Yorkhill you:

2 "... worked very close by with the adult centre at  
3 Glasgow Royal Infirmary."

4 I know you didn't arrive until 1983 but do you have  
5 any knowledge of when the centre at Yorkhill had become  
6 a fully-functioning haemophilia centre?

7 A. I am afraid I don't know that.

8 Q. Was it in any sense a satellite of the centre at  
9 Glasgow Royal Infirmary?

10 A. I think we basically worked in conjunction with each  
11 other and provided each other with whatever help was  
12 required. Initially, for instance, because the  
13 laboratory at Yorkhill was in a terrible state, they  
14 often provided specialised clotting test help, and then  
15 at a later stage, if there were very specialised tests,  
16 they would help in that respect; but basically as  
17 a symbiotic relationship rather than a dependent one.

18 Q. Was help ever provided in the other direction? Were  
19 there ever situations where Yorkhill was helping the  
20 Royal Infirmary or did it tend to be mostly one-way?

21 A. Obviously we helped in so much as we organised the  
22 transfer of the patients' so-called translational care,  
23 nowadays, but basically Anna Pettigrew worked across the  
24 two units essentially in that respect. We always made  
25 our views -- I mean basically it was like

1 a multi-disciplinary team. We had fairly regular  
2 meetings and Anna had very regular meetings with them.

3 Q. So the translation you are talking about was when  
4 a young person would be moving from care at Yorkhill to  
5 care in the Royal Infirmary. Is that what we should  
6 understand by that?

7 A. Yes.

8 Q. Right. Within Yorkhill, when you worked there, the  
9 doctors who looked after children with haemophilia, was  
10 that just really you and Dr Pettigrew?

11 A. Mainly, yes. We sometimes had assistance from the other  
12 trainee doctors. One of the problems and one of the  
13 reasons Dr Willoughby left was that there was a paucity  
14 of medical assistance at trainee level at that time, but  
15 Anna was only part-time. So obviously I needed other  
16 help at times.

17 Q. Yes. And again this is something you discuss in your  
18 other statements as well.

19 A. Yes, and Dr Gibson of course, when she came -- who was  
20 quite an expert in coagulation and took over from me  
21 eventually -- was also very helpful on-call, et cetera.

22 Q. I just wanted to ask you a little bit about the  
23 differences involved when you are treating children with  
24 haemophilia from what you might experience when treating  
25 adults. I suppose one of the things that is

1 particularly striking is the notion that these are  
2 largely young boys, small boys, and they will, in many  
3 cases no doubt, want to be very active?

4 A. Yes, and it was a particular problem in Glasgow. I have  
5 to say, even more so than elsewhere -- well, Liverpool  
6 as well, when I worked there. It was just impossible  
7 sometimes to dissuade them from taking part in contact  
8 sports, especially football. It was a constant  
9 discussion; a question of them adapting to a different  
10 lifestyle, if possible.

11 Q. Yes. I expect, professor, we could take quite a lot of  
12 time in looking at that as a topic in itself. We have  
13 seen, particularly in the 1970s, really quite detailed  
14 debates about what sort of a life a young person with  
15 haemophilia should have. There is a reference in one  
16 set of minutes to whether people should take up dancing,  
17 for example. Were these debates quite significantly to  
18 the fore around that time?

19 A. Very, very much so, although I have to say it would be  
20 difficult to persuade boys in Glasgow to take up  
21 dancing.

22 Yes, I mean, basically we had a lot of discussion  
23 about what was right and what was wrong, and eventually  
24 the World Federation for Haemophilia provided  
25 an extremely good book, mainly derived from Australia,



1           which then categorised sports by risk and by how you  
2           could reduce those risks. So for instance, without  
3           going into great detail, we would strongly encourage  
4           swimming, tennis, running, to a certain extent  
5           gymnastics and so on, and discourage contact sports,  
6           particularly boxing and Karate and things like that.

7   THE CHAIRMAN: I'm fascinated by the suggestion that  
8           gymnastics might be appropriate, having done that at  
9           a certain stage in my life, I would have thought that  
10          some types of vaulting and jumping off parallel bars and  
11          horizontal bars might present a difficulty.

12   A. I can't hear.

13   MS DUNLOP: Can you hear us, professor?

14   A. It has gone.

15   MS DUNLOP: I guess not.

16   A. I don't know if you can hear me.

17   MS DUNLOP: We can hear you. (Pause)

18   THE CHAIRMAN: My question about gym of course can be put  
19          briefly. What sort of gymnastics did you have in mind  
20          as appropriate?

21   A. As I say, I didn't go into a lot of detail because that  
22          would be one of the difficult areas, which would be  
23          categorised as having some risk but that that risk could  
24          be ameliorated by avoiding certain aspects. In other  
25          words, if you like, you could do yoga-like gymnastics or

1 similar sorts of things, but you wouldn't be allowed to  
2 climb ropes or the ladder-type things or jump over  
3 horses, or do much in the way of hand-stands, et cetera.  
4 And actually we organised school visits, which Anna  
5 usually went on. I went on a few, where all of these  
6 things were considered. The whole idea being to try to  
7 integrate them into normal school activities as much as  
8 possible and not just be the person who ran the line  
9 with a flag.

10 THE CHAIRMAN: You have comforted me. We can ignore the  
11 five Olympic disciplines which I had in mind.

12 A. Yes.

13 MS DUNLOP: I wondered too, professor, whether further  
14 issues developed as the treatment became successful. So  
15 that bleeds became something of a distant memory or  
16 perhaps even something that an individual had never  
17 experienced. Did that bring a different set of issues?

18 A. Yes, and people worried about this a great deal.

19 The patients who received home treatment or  
20 prophylaxis had, for various reasons, all experienced at  
21 least one joint bleed. That was what we developed as  
22 the national policy, which I wrote with Dr Hill in  
23 Birmingham a few years later. So they had all  
24 experienced that, although at a very young age. The  
25 fact is that you get better at treating a chronic

1 disease if you are chronically ill than if you aren't.  
2 So there was always a worry that they wouldn't present.

3 In fact that turned out, except in very rare  
4 circumstances, not to be a major issue. We very rarely  
5 ran across difficulties of parents not presenting their  
6 children, say if they have had a head injury or if they  
7 had a joint bleed at a very late stage, because apart  
8 from anything else, treating things early is always much  
9 more effective and leads to less damage to joints.

10 Q. So I understand what I think you are saying: that the  
11 parents remained vigilant, but did the children grumble?

12 A. Yes, and this is a problem with prophylaxis that we have  
13 recognised in recent years and that the Swedish  
14 recognised many years ago, in that they -- you are  
15 speaking there about three times a week probably  
16 treatments, and difficult veins sometimes and lots of  
17 attempts on occasions. There were certainly quite a few  
18 episodes where people would hold off treatment and hope  
19 that things got better.

20 You have mentioned Dr Fiona Logan's work. What we  
21 were looking at there, comparing them to diabetic  
22 children and to so-called normal siblings, was a chronic  
23 disease and how parents and children come to terms with  
24 that eventually.

25 Q. You mention in paragraph 4 the Haemophilia Society. You

1 say:

2 "The main contact then ..."

3 I guess that should be:

4 "... and for many years afterwards was  
5 Philip Dolan."

6 I suppose parents might themselves be members of the  
7 Haemophilia Society?

8 A. I apologise for the Freudian slip by the way. It wasn't  
9 deliberate. Yes, I was involved with the Haemophilia  
10 Society as a medical adviser for a long time, starting  
11 around about 1987.

12 Q. But even in your time in Glasgow from 1983, the  
13 Haemophilia Society would be very active and very  
14 involved, I take it?

15 A. Yes, and that came as a surprise to me because they were  
16 nowhere near as involved in England, and I thought that  
17 Philip Dolan provided excellent liaison and we had  
18 a very good relationship with him to my memory.

19 Q. Thank you.

20 A. It wasn't a paternalistic one by the way. I notice in  
21 some of the evidence people saying that they think the  
22 Haemophilia Society were just almost ruled by us or were  
23 like patsies in a way, and it wasn't like that. When  
24 I was asked to become a medical adviser, it was made  
25 very clear to me that I was supposed to be their

1           advocate, not some sort of person who dictated events to  
2           them. They were a very well-informed group.

3   Q. You don't really think they were entirely dependent on  
4           medical input?

5   A. No, not at all, and I'm talking about Scotland, of  
6           course, at the time. No, they were certainly not.

7   Q. When it came to perhaps discussing issues about use of  
8           concentrates and so on, would it be correct to say they  
9           were partly dependent on medical input?

10   A. Oh, definitely, yes.

11   Q. But not totally?

12   A. Not totally, no, they had their own views, and they were  
13           of a view (inaudible) views that were passed on to them  
14           through the Haemophilia Society itself.

15   Q. At the end of paragraph 5 you say -- and this is in  
16           relation to hepatitis more -- that:

17                "Our energies were first and foremost to prevent  
18                serious bleeding and secondly to find ways out of the  
19                awful situation of virus risk."

20                It seemed, if I can say so, Professor Hann, that  
21                that was a very succinct encapsulation of a sort of  
22                ranking. Are you really saying that at least in this  
23                context of non-A non-B hepatitis, the virus risk was not  
24                seen as something which dwarfed the risk of serious  
25                bleeding?

1 A. It didn't dwarf it for the simple reason that all blood  
2 products and certainly all concentrates, both commercial  
3 and NHS, were known to carry a very high, or total  
4 virtually, risk of transmitting hepatitis, non-A non-B  
5 hepatitis as it was then called, but obviously it was  
6 a combination rather than a ranking, actually.

7 Q. Right. But not something that ever justified giving up  
8 the use of the concentrates? The hepatitis risk?

9 A. Not for the reason of non-A non-B hepatitis, no.

10 Q. Then on to the next page. You say that you did  
11 everything you could to minimise pooled plasma product  
12 use and that that would not just be an issue for  
13 patients with haemophilia but also for cardiac patients,  
14 leukaemia patients and others?

15 A. Yes, sadly that was a problem that came to light later.  
16 But we always knew that there was that risk.

17 Q. We will look perhaps in more detail at some of these  
18 issues in subsequent documents. The next document  
19 I would like you to have is one headed  
20 "Professor Ian M Hann response to Penrose Inquiry, dated  
21 5/6/2010". It's in a larger print. For us it's  
22 [\[PEN0150035\]](#).

23 A. Can you just give me the title again, sorry.

24 Q. Yes. It's the one that's in the biggest font of all and  
25 is says:

1           "Professor Ian M Hann response to Penrose Inquiry  
2           dated 5/6/2010".

3    A.   Thank you.

4    Q.   You have it?

5    A.   Yes.

6    Q.   Nothing really from the first page, professor, save to  
7           say that I think we do now know that the starting date  
8           was January 1983.  So where we read "1982", we should  
9           read it as "1983".  On to the next page you say you were  
10          director of the West of Scotland Children's  
11          Comprehensive Care Haemophilia Centre.  This was an  
12          extremely burdensome role, and this is really the  
13          totality of your position:

14                "It was an extremely burdensome role which was  
15                partially recognised by the appointment of Dr Gibson  
16                within the next year."

17                When Dr Gibson was appointed what was her brief?

18    A.   Basically we worked together but I was the haemophilia  
19          director, and her main interest initially was leukaemia  
20          and bone marrow transplantation.  Obviously we worked  
21          one in two, if you like, on-call and weekends, and those  
22          were our specific areas of interest.  I, mainly in  
23          haemophilia, but also I took half the patients with  
24          leukaemia, for instance.

25    Q.   When you say you worked one in two, does that mean you

1           were on-call on every second night?

2   A.   I spent a year on-call to start with and then one in  
3           two.

4   Q.   Every second weekend?

5   A.   It was a very tough time.

6   Q.   If you were a year on-call and then Dr Gibson came and  
7           you were doing a one in two, for how long were you doing  
8           it as a one in two?

9   A.   Until I left.   The first year I had one week's holiday.

10   Q.   Right.

11   A.   It is one of the reasons Dr Willoughby left because he  
12           was in a similar position.

13   Q.   Yes, coming to Dr Willoughby, professor, to ask you some  
14           questions about him.   But just to follow this statement  
15           through, this is actually a statement addressing  
16           questions about systems, but I did notice a mention of  
17           something I didn't recognise in the following answer,  
18           the one that's in front of us on the screen.   You say  
19           that you used topical thrombin.   How does it work?

20   A.   This is basically at the end.   In the old description of  
21           a clotting pathway or a cascade, thrombin is near the  
22           bottom just before the production of fibrinogen.   It's  
23           been used a lot in footballers and such like, for  
24           instance.   Particularly useful in children because of  
25           the mouth bleeds and such like from bottle feeding and



1           so on. You just place it on the bleeding area and it  
2           stops the blood. It assists blood clotting basically.

3    Q. Right. You mention also --

4    A. It's a Factor II, if you like.

5    Q. All right, thank you. You mention tranexamic acid and  
6           we have had some explanation of that from  
7           Professor Ludlam, but just to confirm so that we have  
8           this clear in our mine, does tranexamic acid have any  
9           role in Haemophilia B?

10   A. Yes, again, Haemophilia B is often a much less severe  
11           disorder but basically tranexamic acid is an  
12           antifibrinolytic agent which basically, in simple terms,  
13           means it stops the blood clot breaking down too quickly,  
14           which is one of the problems in haemophilia. So it is  
15           actually a very useful drug which is still used  
16           extensively, and one of the very useful aspects of this  
17           is that it stops bleeding when the deciduous teeth fall  
18           out.

19   Q. So does it have some part to play in what might be  
20           thought of as the first aid treatments, or when there  
21           already is a bleeding problem? That tranexamic acid may  
22           sometimes be useful?

23   A. It has been used but not very effectively  
24           prophylactically in children who have had recurrent nose  
25           bleeds.

1 Q. The other notion that I think we understand is the  
2 planned intervention. So where a child is going to  
3 perhaps have a tooth out, or something like that, is it  
4 a drug that you could use for that?

5 A. Yes, and sometimes you can avoid the use of factor  
6 concentrates or cryoprecipitate altogether in mild to  
7 moderate haemophiliacs and occasionally in severe  
8 haemophiliacs too.

9 Q. You go on to tell us on the next page -- if we can move  
10 to that please -- that within a few days of taking over  
11 your post you produced a protocol and guidelines for  
12 therapy of bleeding disorders as such documents had not  
13 previously existed.

14 We understand that you had worked with  
15 Dr Peter Kernoff in London. I wondered if that had been  
16 his approach. Were you applying what you had learned in  
17 London?

18 A. Yes, and also from the leukaemia area. This was an era  
19 when we had gone from basically each doctor doing it his  
20 own way almost to a much more protocolised approach to  
21 things. It was in its very early inception, but because  
22 Dr Pettigrew wasn't always there, because I had many  
23 other things to do, it was important that there was  
24 guidance for those people who weren't particularly  
25 expert in this area. So we followed the best practice

1 at the time, if you like.

2 Q. So more a question of guidance for other people who  
3 might not be so familiar with the condition than  
4 a question of standardising treatment in some sort of  
5 way.

6 A. I think both, actually, yes.

7 Q. Both. You say:

8 "I noted that my predecessor had what appeared to be  
9 a preference for commercially, as opposed to NHS  
10 produced products."

11 How did you come to realise that?

12 A. My memory was that I had one discussion with him. Do  
13 you want me to go into the detail about that?

14 Q. Yes, absolutely.

15 A. I may be wrong, it may have been more than one  
16 discussion, but this is what I can remember. I can  
17 remember it well because without being in any way,  
18 I hope, pejorative, I was being told that this was some  
19 sort of poisoned chalice that I was taking up and I was  
20 worried that as a young man who hadn't been a consultant  
21 before, I was taking on a massive amount of  
22 responsibility, and I wasn't sure that I would be  
23 adequate to deal with it.

24 So I do remember it well and I can go into a lot of  
25 the detail of why he felt that he had to leave and such

1           like, but basically, with regard to the haemophilia  
2           management, he was well ahead of his time in one respect  
3           and that is with regard to prophylaxis. There was  
4           a great deal of scepticism, which I to some extent  
5           shared I have to admit, and I was wrong over whether it  
6           was efficacious or practical or not. He believed that  
7           prophylaxis was the way ahead and he was right,  
8           actually.

9           But he was generally disillusioned with the health  
10          service throughout the UK, with industrial action and  
11          many other things. He felt that he had been let down  
12          with regard to supplies. He said that I had been used  
13          to being in England, to having to use commercial  
14          concentrates. He said this is a better option. It's  
15          available. You don't get let down at the last moment.  
16          You can go ahead with surgeries that are required. You  
17          can treat patients who have very severe bleeding or  
18          life-threatening bleed problems and not have to rely on  
19          cryoprecipitate, which was extremely difficult to use in  
20          children.

21          He felt that the Scottish product suffered from  
22          being very low purity, difficult to draw up, with  
23          significant wastage and significant problems with  
24          reactions, infusion-related reactions, and what we call  
25          in clinical terms "recovery"; in other words, the amount

1 of Factor VIII that they actually get and is measurable  
2 in the blood stream.

3 We did discuss the problem of supplies from America  
4 and his view was that the problem of Hepatitis B had  
5 largely been overcome and it was also my experience that  
6 we were not seeing new cases.

7 He felt -- and again that was the experience of the  
8 Royal Free, which was a major hepatitis centre -- that  
9 non-A non-B hepatitis was a minor disorder and that all  
10 products, all plasma products, were susceptible to that.

11 So basically that's why he used it.

12 That, to the best of my knowledge, was our  
13 discussion on the subject.

14 Q. Who contacted whom? Did you contact him or did he  
15 contact you?

16 A. I think the most likely -- I approached him. I think  
17 that we may have had one telephone conversation and one  
18 discussion at a meeting that we were both attending.  
19 I'm not sure of that, but I definitely instigated that.  
20 He did not.

21 Q. Professor Hann, it is certainly an issue now and it's an  
22 issue in the Inquiry, but I'm also interested in the  
23 fact that it was obviously an issue then too. So we  
24 must be thinking about what, towards the end of 1982 and  
25 into 1983? Was there some kind of sense in which he

1           felt he had to explain or justify why he was using  
2           commercial product?

3    A.   I think probably so.

4    Q.   Do you want to explain that a bit more?

5    A.   You know, it's a very long time ago and I don't want to  
6           make things up or have clever memories that I would like  
7           to think was the truth. I remember him saying that, you  
8           know, there needed to be a move within the NHS to  
9           self-sufficiency and we both agreed that that would be  
10          the ideal.

11   Q.   You go on to say that you did not express that  
12          preference. I was just going to ask for a start, did  
13          you inherit a stock of commercial product?

14   A.   Yes, not a very large stock but there was certainly  
15          products that was being used, yes.

16   Q.   And did it continue to be used after you took over?

17   A.   Yes, and there were periods of time when, as far as  
18          I remember, we had to call in extra commercial products  
19          because, I would agree with Dr Forbes, it was not the  
20          case that we were ever able to use exclusively Scottish  
21          product.

22   Q.   But you say you did not express that preference to the  
23          best of your knowledge. I appreciate everything you say  
24          about how long ago it was but doing the best you can,  
25          can you try to recapture your thinking at the beginning

1 of 1983?

2 A. I think my thinking is twofold. I don't think I ever  
3 met a haemophilia director who didn't want -- sorry  
4 about all the double negatives -- there to be  
5 self-sufficiency in the UK. That was our aim. That was  
6 what we all wanted. We went to many meetings where we  
7 said, "Do this for goodness sake, do this". And we knew  
8 it had been going on for at least six years before.

9 So there was that aspect of it.

10 With regard to preference, I had been used to using  
11 commercial product and NHS product in England. My  
12 impression was that there was not as much difference  
13 there as there was when I came to Scotland, where there  
14 were certainly cases of children who had reactions and  
15 where there was certainly difficulty with what appeared  
16 to be a low purity product. I would have definitely  
17 preferred to move away from commercial concentrate  
18 because of the perceived risk of other viruses.  
19 I wasn't thinking of HIV but other viruses, like  
20 cytomegalovirus for instance, and so on.

21 So I would have preferred to be able to use NHS  
22 concentrate.

23 Q. You started in Yorkhill at the beginning of 1983. You  
24 say you weren't thinking of HIV, as it was to become  
25 known, but how long was it before you were?

1 A. Yes. I read a lot of the Inquiry depositions with  
2 regard to this. My belief is that the directors who  
3 were directors in 1983 had a great deal of (inaudible)  
4 still when I took over at the beginning of 1983. We  
5 didn't know what was the cause of AIDS, we didn't know  
6 that it was going to be a major problem in haemophilia.  
7 We didn't know many things.

8 But it did become clear later, probably in 1983 some  
9 time or early in 1984, when the cases were reported from  
10 Europe, but you have already heard from various people  
11 who have different memories of the time. My memory of  
12 the time is that it was not clear in early 1983 that  
13 this was going to be a problem, a significant problem.

14 Q. Thank you. To move to the next paragraph, I just  
15 wondered if you could briefly explain what you mean by  
16 short-term prophylaxis. I think we have been imagining  
17 prophylaxis as an indefinite treatment, three times  
18 a week injections or something like that?

19 A. The problem was that we never had sufficient product to  
20 carry out long-term prophylaxis. There was also some  
21 doubt -- and I carried some of that doubt myself and as  
22 I say, I turned out to be wrong -- that long-term  
23 prophylaxis would work in these patients.

24 The fact is that it didn't work initially -- and we  
25 published on this, you have already mentioned those



1 publications from Great Ormond Street. It took several  
2 years in severely affected haemophiliacs, for  
3 prophylaxis to actually achieve its aim. So short-term  
4 prophylaxis was used in patients who had bursts of  
5 bleeding problems or a very severe bleed, like in the  
6 knee or some such, which did not settle down.

7 So we carried out short-term prophylaxis, usually  
8 for several months or a little longer, during which we  
9 could verify a supply and then, in almost all of those  
10 cases, we had to discontinue prophylaxis.

11 Q. In the next paragraph, or the next bullet, you say, in  
12 relation to commercial product:

13 "The plan would always be to use that which was  
14 available and which had a good track record."

15 I just wondered what you meant by a good track  
16 record.

17 A. There were -- and I think you have had evidence of  
18 this -- episodes, during that period of time, where  
19 specific products seemed to be associated with a more  
20 dramatic hepatitic pattern in a patient, and those  
21 products were recalled.

22 So basically we would use the concentrate which had  
23 not been associated with that type of problem. But  
24 obviously, all of the products to an extent turned out  
25 to be transmitting Hepatitis C as it came to be called.

1 Q. Can we just move to the next page, please, and  
2 a question was posed about systems. Just one thing,  
3 professor, in that answer. We can see it's on our  
4 screen about six lines from the bottom currently:

5 "My recollection ..."

6 Do you see that section about two thirds of the way  
7 down the paragraph. Your recollection is that:

8 "The supplies were kept in the blood bank."

9 That's the blood bank in Yorkhill?

10 A. Yes, I think so. I'm not at all sure of that.

11 Q. Who ran the blood bank?

12 A. I did.

13 Q. You? Yes?

14 A. With many other tasks.

15 Q. I think we can leave that statement now to one side,  
16 thank you, Professor Hann.

17 Just quickly to dispose of something else you have  
18 sent to us, if we could. It's a recent letter and it's  
19 the one about funding from drug companies, if you can  
20 find your copy of that. It's [\[PEN0150330\]](#).

21 Yes, we asked you, as we have asked, I hope, all the  
22 other directors, about connections with pharmaceutical  
23 companies, and you say that to the best of your  
24 knowledge your centre, Yorkhill, did not receive any  
25 pharma company funding for staff employment or for

1 research.

2 A. That's correct, yes.

3 Q. Although you recognised the possibility that drug  
4 company funding may have facilitated attendance at  
5 international meetings.

6 A. It's possible, yes.

7 Q. Yes. And you say that's something that continues today.

8 A. It does.

9 Q. And in fact at Great Ormond Street you say there was  
10 a practice of approaching commercial companies in  
11 rotation to ask for such funding, the rotation bit  
12 presumably being so that there was no particular  
13 connection with any one. Is that right?

14 A. Absolutely, yes.

15 Q. Yes.

16 A. And obviously we looked for study leave NHS funding or  
17 local charitable funding, if that was appropriate, first  
18 and then we approached them.

19 Q. Right. We can put that to one side now, Professor Hann,  
20 thank you. Something else we asked you about -- and it  
21 is really because you drew our attention to it -- is the  
22 symposium in Stirling.

23 Actually, before we go directly to that, we should  
24 go to the document that's actually entitled  
25 "Professor Ian Hann's statement", so that we have that,

1 and we can see where the Stirling symposium fits in.  
2 "Professor Ian Hann's Statement to the Penrose Inquiry",  
3 dated 30/9/2010. That's [\[PEN0150370\]](#)?

4 A. Yes.

5 Q. Just to check we haven't missed anything from the  
6 first page of that, but I think we have already covered  
7 the commencement of your work at Yorkhill in 1983, and  
8 you have developed a little further the conditions that  
9 had applied immediately before you arrived with  
10 Dr Willoughby. You say:

11 "The reasons were aired in the media at the time."

12 So the difficulties must have been really quite  
13 well-known, at least in Glasgow?

14 A. Yes.

15 Q. You say:

16 "He was very disaffected with the general lack of  
17 resources and in particular a lack of trainee medical  
18 NHS-funded posts and the funding for a second  
19 consultant."

20 Was that something you really had to start asking  
21 for as soon as you arrived, more help?

22 A. Yes. I am afraid it was an era where those who shouted  
23 loudest were the ones who probably got the resources.  
24 So I had to spend a great deal of time fighting our  
25 corner, both for buildings, which we eventually built,

1 and for a bone marrow transplant unit, which was built,  
2 and also, even more importantly, for staffing.

3 Q. The combination of responsibilities, Professor Hann, in  
4 involving, as it did, children with leukaemia, which  
5 I hope can be described as malignancy of the blood?

6 A. Yes.

7 Q. Children with solid tumours and children with  
8 haemophilia, does sound, I think, to lay people to be  
9 a particularly harrowing one.

10 A. Yes, and the attrition amongst my colleagues at the time  
11 throughout the UK was significant.

12 Q. That was commonplace, was it, to be combining all these  
13 different, very challenging and serious medical  
14 problems? I suppose they belong together, do they?

15 A. I don't think there was any other job where the volume  
16 was great as that in the UK.

17 Q. You mean in Glasgow specifically, there was no other job  
18 where the volume was as great?

19 A. No, there was no job throughout the whole of the UK  
20 where that volume of work would have been placed upon  
21 one person with very little funding to --

22 Q. Sorry, I'm just trying to be clear. The weight of the  
23 load in Glasgow, are you saying that was heavier than  
24 any other such post in the UK?

25 A. If you look at it as a centre, it was one of the larger

1 and certainly not the largest centre. With regard to  
2 haemophilia, there would have been two or three others  
3 that were larger. It depends on population size  
4 essentially, and we were looking after roughly 3 million  
5 people, 1 million or less children. And there would be  
6 centres in Manchester and Birmingham that were bigger  
7 and we were similar to the next size in population for  
8 haemophilia, if you like.

9 Q. Right. But was the combination in Glasgow, the  
10 combination of all these different factors, particularly  
11 onerous even within an onerous specialism?

12 A. I was the only consultant in the UK who had all of those  
13 responsibilities in the one job.

14 Q. Can we move to the second page and look at your  
15 reference to the meeting in Stirling. This is obviously  
16 something you attended before you became the director at  
17 Yorkhill?

18 A. Yes.

19 Q. We traced the papers from that meeting, and I think just  
20 so that we can put them into the record, we should look  
21 at them briefly. I think you have a hard copy because  
22 we sent you a hard copy. It's [\[LIT0013668\]](#). So you can  
23 get your hard copy and we will have our virtual copy.

24 I don't know, can we juxtapose Professor Hann's  
25 comments specifically on this meeting, if we could,

1 please. That's [\[PEN0150270\]](#). If we could have that  
2 aside. So your document relating specifically to that  
3 as well, please, Professor Hann, if you could have that.  
4 Your comments.

5 THE CHAIRMAN: Professor Hann, what interest took you to  
6 Stirling?

7 A. Throughout my career, one of my main interests was  
8 infection in immuno-compromised patients. This was the  
9 main meeting in the world -- it just so happened to be  
10 in Scotland at that time -- dealing with such  
11 infections. Immuno-compromised patients basically being  
12 patients who have either immune deficiencies, or more  
13 commonly leukaemia and cancers, requiring treatment  
14 which made them very susceptible to infection.  
15 Throughout my career, that was probably my main research  
16 interest.

17 MS DUNLOP: Can we get 0270 beside the book?

18 THE CHAIRMAN: Do we have it set up as you want?

19 MS DUNLOP: No, there is a specific document dealing with  
20 this symposium. That's [\[PEN0150270\]](#).

21 Just to explain, sir. We did go to this  
22 organisation to try and find exactly what the dates were  
23 and the best they have been able to tell us is that it  
24 was June 1982. We do have correspondence to that  
25 effect.

1 THE CHAIRMAN: The reason, professor, for asking about your  
2 interest is that we have heard from haemophilia  
3 specialists who were not at the meeting and some of whom  
4 knew nothing about it. Does that surprise you?

5 A. No, I think, you know, without bleating on too much, we  
6 were extremely busy at the time and really couldn't get  
7 away to lots of meetings. This was a meeting which  
8 would have been attended mainly by leukaemia treaters,  
9 bone marrow transplant doctors and if you like,  
10 malignant haematologists, and there were, if you like,  
11 many other meetings for haemophilia directors,  
12 et cetera. It would have been unusual for clotters, if  
13 you like, to attend this meeting.

14 MS DUNLOP: Right.

15 THE CHAIRMAN: Thank you.

16 MS DUNLOP: Sir, just without taking too much time, we can  
17 see from the preface, which I think will be 3671, the  
18 relevant pages from what is a published book, sir, which  
19 have been scanned in, and I think it's the fourth page  
20 in. The preface says:

21 "There was a special lecture by Dr Donald Armstrong  
22 on Acquired Immuno-Deficiency in homosexuals and drug  
23 addicts. A topic which came to the fore after the  
24 plenary sessions had been planned."

25 Was it the talk of the meeting, professor?



1 A. Yes, very much so.

2 Q. We can see a long paper on the topic at 3685.

3 A. Do you have the page number of the actual book?

4 Q. I'm sorry, I think it will be page 105.

5 A. The numbers are on alternate pages. Usually anyway.

6 Q. It is the presentation headed "Acquired  
7 Immuno-Deficiency Syndrome: infection and neoplasia in  
8 homosexual men and intravenous drug addicts."  
9 A long list of contributors. We see one of them was  
10 Dr Curran, whose name has cropped up in other  
11 publications.

12 A. Yes. CDC.

13 Q. Yes. And just to look at what was being said, there is  
14 a reference to an alarming epidemic, and at the bottom  
15 of the page:  
16 "AIDS patients are regularly seen in Los Angeles,  
17 San Francisco and other large cities in the  
18 United States. Cases have also been reported from  
19 Europe. In addition to ..."  
20 Then we move past a table that appears in on the  
21 next page, two tables in fact, of data so far,  
22 information to date. We find the text:  
23 "In addition to AIDS with its complications, another  
24 syndrome, lymphadenopathy, of unknown aetiology has been  
25 recognised in the same population."

1           Then the reference to persistent weight loss and  
2           then the history of some of the lifestyle factors of  
3           homosexual men involved.

4           Onto the next page, which is 109, 3689 for us, we  
5           can see at the bottom:

6           "Acquired Immuno-deficiency disease has a high  
7           mortality rate. Thirteen of 42 patients in our series  
8           have already died."

9           Then on 3691, page 111, some description of  
10          attempted treatments and then a statement is made:

11          "The aetiology of this Acquired Immuno-deficiency  
12          disease is not known."

13          Some reference to cytomegalovirus. Some questions  
14          posed towards the end of the paragraph:

15          "If CMV or other known virus is causing this  
16          disease, why is it happening now?"

17          So was there an atmosphere at the meeting of great  
18          puzzlement?

19          A. Extreme.

20          Q. And if we look on to the next page, 112, a reference at  
21          the top to:

22          "Many people being exposed but only a few people  
23          developing symptoms."

24          Then the final paragraph:

25          "Those who take care of these patients realise how

1           devastating this illness is. The early events need to  
2           be identified by prospective studies of high risk  
3           groups."

4           So is the thinking there, the reference to  
5           prospective studies of high risk groups, is that  
6           a reference to the need to acquire more knowledge about  
7           this by looking at how it starts? That would be the  
8           notion of the prospective studies?

9    A. I think we just needed to know a lot more -- I mean,  
10       there was a lot of description here which initially was  
11       puzzling because it appeared to be a series of different  
12       diseases almost. People started naming them, things  
13       like Slims disease, and so on and so forth. So what  
14       I think they are saying there is we just need to  
15       understand the natural history, obviously the aetiology,  
16       the cause, over which there was a great deal of  
17       puzzlement; why it was making people immune deficient or  
18       were they immune deficient and therefore getting these  
19       things.

20       This is a very short summary of a great deal of  
21       discussion over all the various possibilities with  
22       regard to research needed to be done, and especially for  
23       the first time. Although we knew some viruses, like  
24       Epstein Barr virus, the glandular fever virus, other  
25       Herpes viruses like cytomegalovirus, could cause immune

1 deficiencies, nothing remotely like this had ever  
2 happened before.

3 So we needed to prospectively study apparently  
4 normal gay people at that time, intravenous drug abusers  
5 et cetera, and see what it was that was making them  
6 immune deficient.

7 Q. Can we look then at the document on the right? That's  
8 your notes of your memory of this symposium. You say  
9 you remember it well because you were ill yourself.

10 A. Ironically, yes.

11 Q. You say:

12 "The meeting was very gloomy, with eminent doctors  
13 expressing their dismay at the dramatic new problem."

14 Ignorance and impotence, was that the sort of  
15 dominant feeling?

16 A. Yes.

17 Q. Then in paragraph 3 you talk about -- page 111 -- a very  
18 good insight to your memory on aetiology at the time.

19 In paragraph 6 you say:

20 "There is no mention of haemophilia persons in the  
21 documents I have recently seen. My memory is that there  
22 was corridor discussion of possible other affected  
23 patients including a very small number with  
24 haemophilia."

25 I just really wanted to ask you two things,

1 Professor Hann. When you left this symposium in  
2 Stirling, among the various possible explanations, do  
3 you have any memory of what you yourself thought was  
4 likely to be causing it?

5 A. The preferred belief of people in discussions, if you  
6 like, with the experts -- I did know Dr Armstrong  
7 a little so I think I may have discussed it with him --  
8 was that it was mainly a coincidence of factors, such as  
9 the use of recreational drugs, so-called, making these  
10 people immune deficient and making them very susceptible  
11 to cytomegalovirus and the cause, which was not known at  
12 that time, of Kaposi's sarcoma, such that we know to be  
13 due to a herpes group virus.

14 So it was thought most likely that there may have  
15 been a new agent, a new viral agent, but that that may  
16 well not be the only cause and it may be due to several  
17 viruses. In fact one of the virology experts in the UK  
18 at the time, Professor Tyrell, certainly later in 1983  
19 was still of the view that that was most likely to be  
20 the case, and I remember either a lecture or  
21 a discussion with him saying that it was unlikely to  
22 just be one agent. Like quite a lot of things in  
23 medicine, it turned out to be simpler but not easier  
24 than we first imagined.

25 Q. The other thing I wanted to ask you was: did you leave

1 thinking that it was going to be relevant to your  
2 patients with haemophilia?

3 A. I thought that there is a possibility. But this was  
4 mainly a problem of sexual transmission and possibly  
5 intravenous drug abuse.

6 Q. Can we revert to the statement that we were looking at,  
7 please? That's [\[PEN0150370\]](#). Just because that's the  
8 one that mentions your trip to Stirling. On to the  
9 second page under that heading in bold, "The situation  
10 in January 1983". You say you are trying to answer the  
11 questions in chronological order and you point out that  
12 it would be useful to see actual amounts transfused and  
13 also whether or not any HIV conversions occurred in the  
14 children after 1983. I don't know, Professor Hann, if  
15 you have seen a spreadsheet. I'm not sure if we sent it  
16 to you, but there is a spreadsheet.

17 A. Yesterday.

18 Q. Right. So you have now seen the spreadsheet that has  
19 been prepared, which lists 21 boys who are considered by  
20 the haemophilia directors, when they analyse the data  
21 today, to have been most likely to have acquired  
22 infection at Yorkhill. You have seen that now?

23 A. I have seen it, yes.

24 Q. It's [\[PEN0120160\]](#). What are your thoughts on the  
25 spreadsheet, professor?

1 A. Several. The first is -- again this is memory and  
2 others may remember better -- I don't recall 21 patients  
3 that I was looking after being HIV positive. My memory  
4 is that it was nearer to ten. I have no means of  
5 checking that but that is my memory.

6 I accept that this has been looked at and drawn up  
7 and I can only accept it.

8 The seroconversions which basically are in those  
9 patients who between the last negative and the first  
10 positive test, where those two tests are available,  
11 occur when I would expect, which reflected the  
12 experience at the Royal Free, where I have just come  
13 from in 1983. In other words, they occurred between  
14 1981 and 1982 largely.

15 I don't recall any episodes that definitely occurred  
16 at the beginning of January 1983.

17 The first patient on the list and several others,  
18 where there is no negative test available, could have  
19 seroconverted since subsequent to my starting there, but  
20 I just don't know.

21 Where there is definite evidence, it occurred mainly  
22 during 1981/1982.

23 Q. Yes. Just to explain, professor, and because time is  
24 short, I'm not going to go to it, but when we looked at  
25 statistics, which we did in March, it did seem as though

1 the Glasgow total, if we can put it like that, which  
2 UKHCDO had had, was 34 and that the allocation within  
3 Glasgow, according to their data, had been 23 to the  
4 Royal Infirmary and 11 to Yorkhill, but that as a result  
5 of the discussions and the analysis that the directors  
6 have now applied, it looks as though a proportion of the  
7 Royal Infirmary patients have been allocated back to  
8 Yorkhill. So although they were perhaps being treated  
9 at the Royal Infirmary, their infection is being  
10 regarded as having occurred while they were still, as it  
11 were, within the Yorkhill catchment. So that may help  
12 to explain why it is beyond your recollection.

13 A. Yes, I'm sorry to interrupt. Yes, that is much more my  
14 recollection.

15 Q. Right. Do you remember in your tenure at Yorkhill, any  
16 sense of how this had happened? What as doctors, when  
17 you were discussing it within the hospital, to what in  
18 particular -- and I'm really thinking of blood  
19 products -- it was being attributed?

20 A. The HIV infection?

21 Q. Yes, within the children in Yorkhill?

22 A. Yes, well almost certainly related to the factor  
23 concentrates that they had received.

24 Q. Commercial or NHS?

25 A. Well, I'm not sure that I had all the negative tests



1 available at the time in order to be able to let me  
2 know. This look back procedure is something I have  
3 wracked my brain about and I find it very difficult to  
4 remember how it happened, but obviously what we wanted  
5 to know initially was was a patient HIV positive or not,  
6 and what did that mean. And then obviously from the  
7 blood transfusion safety, et cetera, point of view, one  
8 needed to know if there was any way of allocating that  
9 seropositivity to particular batches or whatever.

10 That would have been extremely difficult to do  
11 because there was no batch allocation in those days,  
12 although that did come in at some stage. In other  
13 words, you know, trying to allocate specific batches to  
14 specific patients so that you could then go back and  
15 say, "Right, you know, that batch needs to be tested",  
16 or withdrawn or whatever it might be. So they had been  
17 exposed to a whole series of different products.

18 Q. Can we put the spreadsheet down, please, or close it and  
19 go back to the statement just to ask you another couple  
20 of questions, I think, professor, maybe three. If you  
21 go on to page 4 at the top, and this is in the autumn of  
22 1983, one of the things you remember is a very  
23 reassuring statement from Ken Clarke.

24 A. I'm sorry, my pages are different from yours.

25 Q. I'm sorry.

1 A. Heading or a paragraph?

2 Q. There is a question in bold:

3 "What did I do to reduce risk of virus

4 transmission?"

5 A. Right.

6 Q. Can you find that? Immediately above that you have told

7 us that you recall a very reassuring statement from

8 Ken Clarke and you refer to our paragraph 8.63 in the

9 preliminary report. We know, because we have been over

10 this with other witnesses, that what was being said was

11 that there was no conclusive evidence that AIDS was

12 transmitted by blood products, or something like that.

13 But when you heard that, your interpretation of it was

14 that it was very reassuring?

15 A. I haven't written that very well, to be honest.

16 It was intended to be a very reassuring statement

17 and is scientifically correct, and I think it had that

18 effect on a number of people. But by this time we were

19 very concerned obviously, about the risk of transmission

20 and the fact that at least one case had been reported in

21 the UK by this stage.

22 Q. Yes.

23 A. So I wasn't personally very reassured. It was intended

24 to be a very reassuring statement.

25 In retrospect a rather political statement, if you

1           like, which is correct without really transmitting the  
2           fears and worries that we had.

3   THE CHAIRMAN:  Could you tell me what you mean by it being  
4           scientifically correct?

5   A.  I think I'm right in saying that by this stage  
6           Montagnier had produced some virological evidence which  
7           was controversial only in so much that we didn't know  
8           how to interpret it.  You can't be sure about  
9           transmission of an agent until you know what that agent  
10          is.  I haven't read all of it in detail but I think what  
11          Mark Winter said to you about Koch's Postulates  
12          summarises all of that.

13  THE CHAIRMAN:  One of the problems is that everybody is  
14          reading what everyone else said, of course, professor,  
15          but if scientific proof means the exclusion of all  
16          possible particular negative propositions that might  
17          challenge it, it is a very high standard indeed.  Is  
18          that what you have in mind?

19  A.  Yes, I would agree with that.  It was not  
20          scientifically, conclusively proven.

21  THE CHAIRMAN:  Do you think that politicians understand what  
22          they are saying when they use an expression like that?

23  A.  My experience over the years is that they say things  
24          that could easily be misinterpreted but mean that they  
25          can't be pinned down, if you see what I mean.

1 THE CHAIRMAN: But, of course, Mr Clarke will be passing on  
2 information that was provided by his Civil Service  
3 advisers, one would imagine.

4 A. Yes, I'm sure that it was a Yes, Minister-type  
5 situation.

6 MS DUNLOP: Just looking further down that page,  
7 Professor Hann, if you still have the hard copy, you do  
8 say that there was a constant need for vigilance. I'm  
9 reading from a paragraph that begins:

10 "I am asked if haemophilia doctors followed advice.  
11 There was a constant need for vigilance in this respect  
12 as there was inappropriate use of blood products on  
13 a regular basis, particularly by surgeons, who often  
14 attributed near-magical properties to products such as  
15 fresh-frozen plasma and cryoprecipitate and whole  
16 blood."

17 Do you think sometimes the surgeons were keen on the  
18 advantages and didn't always appreciate the  
19 disadvantages?

20 A. I think that's remained the case for many years, yes.

21 Q. Then finally, Professor Hann, on the last page, just to  
22 go straight to the very end, you say that:

23 "The treating consultant had to deal with the  
24 patients in the middle of what can only be called  
25 a maelstrom of uncoordinated events. Means have to be

1 found to coordinate crises at a high level and to bring  
2 all agencies together. This really didn't happen and  
3 there was a dislocation between the parts of the UK  
4 which I hope has not continued."

5 There was, it seems to us, looking back at the  
6 period, certainly a proliferation of committees and  
7 working parties and working groups. Is that your  
8 recollection?

9 A. There was. I won't go over all the ground that you have  
10 already heard. This is a pre-Internet, pre-computer  
11 era, when access to journals and all the rest of it --  
12 you have heard all of that before. But I think I would  
13 just like to emphasise what Mark Winter already said to  
14 you, that what we needed was a bit less democracy and  
15 a bit more guidance from experts. What tended to happen  
16 in this era was that a group of doctors would get  
17 together with often civil servants or whoever, or public  
18 health doctors, and would discuss things. I hope this  
19 doesn't sound too bad but it's a bit like putting 20  
20 lawyers in a room; you will get 20 different views.  
21 Basically that's exactly what happened. You will see  
22 that one very good example of many was that what  
23 happened with regard to testing and giving out results  
24 to people.

25 I went to any number of meetings on that, where the

1 conclusion was we can't agree, therefore it's down to  
2 individual clinical responsibility. Or whatever.

3 What we needed and what came later with prions, and  
4 to a certain extent Hepatitis C, was an expert committee  
5 that came to a conclusion, that gave us guidelines that  
6 could be regularly updated. Having a dozen committees  
7 doesn't solve the problem. And even if you are in  
8 contact with real experts, as I was, in London and in  
9 Glasgow and Edinburgh, you still need some sort of  
10 guidance. You need somebody to say, "This is the way  
11 you should be doing it". And we got virtually none of  
12 that.

13 Q. When you say at the end of this passage that the problem  
14 needs to be dealt with at the highest levels, you are  
15 thinking, I take it from your answer, of something like  
16 EAGA, the Expert Advisory Group On AIDS that was  
17 established in 1985. Was that the sort of body?

18 A. To be honest with you, I can't remember that body at  
19 all.

20 Q. Right.

21 A. You need an expert body that comes to the best possible  
22 conclusions at the time, which are practicable and are,  
23 if you like, a means of doing things, as opposed to just  
24 setting out the list of the problems which we already  
25 knew about.

1 Q. Who has to make that happen?

2 A. I think there was too much deferring to doctors in that  
3 era. We all had our views but somebody had to come to  
4 a conclusion, and therefore it has to be a group of  
5 people who are held to account by the people in the Home  
6 and Health Department, as it was called then, or the  
7 health departments, and senior doctors and virologists.  
8 We had a desperate lack of virological input in that  
9 era.

10 Q. Who has to bring everyone together in that way?

11 A. Yes, and they have to come to conclusions. We needed  
12 guidelines, you didn't need a list of problems.

13 Q. Does it really have to be government taking the  
14 initiative on an issue like that and bringing people  
15 together?

16 A. I believe that it does. I really believe that it does  
17 in the end because otherwise who is going to follow it?  
18 Who is going to follow it up? Who is going to transmit  
19 the information to public health doctors, to GPs, to  
20 everyone else? We don't have the resources to do that  
21 sort of thing.

22 Q. Thank you, Professor Hann. My colleague, Mr Gardiner is  
23 going to ask you some questions about direct  
24 doctor/patient or perhaps doctor/parent interactions,  
25 but we do also need to have a short break.





1 mind the question whether it went beyond that and raised  
2 the issue of the co-ordination of the expertise of  
3 different groups. Do you have anything to say about  
4 that?

5 A. Yes, I think we learned a great deal from the HIV era.  
6 So a small amount of good did come out of that time;  
7 which is a very dark time, and that was the need for two  
8 main things. One which we took on board fairly quickly,  
9 which is the need for multidisciplinary teams, and  
10 I think that we did that in paediatrics long before the  
11 adult field took it on, and it's now standard, for  
12 instance, in breast cancer and all the rest of it. But  
13 certainly it took a very great deal of time to come in.

14 We, for instance, set up a multi-disciplinary brain  
15 tumour group over the next months and so on. So that  
16 involves all persons: psychologists, radiotherapists,  
17 nurses, doctors and social workers and so on. So it  
18 became much more the team approach rather than  
19 a pyramidal setup, which it had been recently.

20 Secondly -- you are absolutely right, there are two  
21 problems really. First of all, virology was in many  
22 ways in its infancy. There was only really one  
23 antiviral drug and that was really just treating cold  
24 sores. So basically what had needed to happen was  
25 a development of virology and infectious diseases, both

1 of which were pretty much in their infancy, and for  
2 those groups then to form co-ordinated groups when it  
3 was necessary. I do believe that that has happened.  
4 I'm obviously not involved in it any more and wasn't for  
5 quite some time, in managing patients with these type of  
6 problems, but there certainly is better direction  
7 nowadays, and I hope that that continues and that it is  
8 done in a way that they would deal with other  
9 emergencies within government, for instance.

10 THE CHAIRMAN: Thank you.

11 A. So, yes, there is a major problem with co-ordination,  
12 which has been over come by the use of the internet,  
13 much readier availability of publications and the  
14 formation of multi-disciplinary groups.

15 THE CHAIRMAN: Thank you very much.

16 Ms Dunlop?

17 MS DUNLOP: Yes, sir.

18 Just quickly Professor Hann, because I know we are  
19 running out of time, but I forgot to ask you about an  
20 exchange of letters in December 1984. Just for the  
21 record, Professor Hann, I don't think we need to go to  
22 them. You have them. If I just paraphrase for everyone  
23 what they are and we can look at them in the transcript.

24 Professor Cash's letter to all haemophilia directors  
25 of 17 December 1984, [\[SNB0074685\]](#), and a handwritten

1 response from you on 19 December, [\[SNB0074689\]](#). In  
2 short, Professor Hann, it looks as though you were  
3 unhappy with the speed at which the heat-treated product  
4 was introduced and all the tests that you were being  
5 asked to conduct. Is that right?

6 A. Yes, to give everyone their due, and Dr Cash his due,  
7 there was a great deal of urgency in this situation and  
8 they were responding to that. I think there was, to  
9 a certain extent, a failure to discuss what was  
10 appropriate in children in particular. Certainly I was  
11 very nervous about this approach. Without going into  
12 great detail, one normally does not launch a product or  
13 a drug in children with very, very limited information.  
14 Especially when there is a risk of neoantigen formation,  
15 therefore severe reactions which could be even  
16 life-threatening. There could be a significant risk of  
17 the development of inhibitors, which is a disaster,  
18 making patients not responsive to treatment, et cetera.

19 As it turned out, everything was okay, but I just  
20 wanted to express the fact that (a), it was very  
21 impracticable to do what was being asked, (b), it wasn't  
22 necessarily covering all the types of checks that I  
23 would like to see with regard to the liver function  
24 tests, et cetera and (c), that it really ought to have  
25 been instituted, and I would have preferred to see a bit

1 more evidence that there were no neoantigens, et cetera,  
2 and that there was some evidence of safety rather than,  
3 "Here it is, get on with it".

4 Q. Thank you.

5 Questions by MR GARDINER

6 THE CHAIRMAN: Yes, Mr Gardiner.

7 MR GARDINER: Thank you, sir.

8 Professor Hann, can you hear me all right?

9 A. Very well.

10 Q. Thank you.

11 I'm going to ask you some questions about the  
12 information that was given to patients about the risk of  
13 AIDS before treatment with blood products, about tracing  
14 and testing of patients and the information that was  
15 given to patients who were found to be infected with the  
16 virus. That's B5 topic.

17 The Inquiry wrote to you on 31 March this year.  
18 That document is [\[PEN0160472\]](#). Could we just get that  
19 up on the screen.

20 That included a schedule which set out the things we  
21 were interested in. At page 4 of that schedule, if we  
22 could just go there, which is 0475.

23 A. Which question, sorry?

24 Q. I don't think you have copy of this, do you?

25 A. No, I have a copy of my report, which is in bold but not

1 the --

2 Q. Yes, I'm going to come to that in a minute. We can see  
3 at page 4 question 1, 2, 3, 4 and 5. If we go to your  
4 report, your response, which is [\[PEN0120270\]](#), which  
5 I think you have a copy of.

6 A. Yes.

7 Q. We have that on the screen and we see there question 1,  
8 which is the question that you have taken from our  
9 letter. Is that right?

10 A. As far as I remember, yes.

11 Q. Yes, thank you. So the question that you are being  
12 asked there, number 1 is:

13 "When the possibility that AIDS was a blood-borne  
14 disease which affected haemophiliacs became apparent  
15 (around December 1982), did Professor Hann discuss the  
16 implications with his patients (or their parents) before  
17 continuing to use factor concentrate therapy."

18 In your answer you say:

19 "I can't recall the detail of discussions with  
20 regard to risks of therapy."

21 Then you go on to say:

22 "The situation at Yorkhill was that we had  
23 a completely open approach and questions could and were  
24 asked on many topics in the day care area, in the  
25 clinics which Dr Pettigrew and I set up for this purpose

1 and clinical review for the first time, and in the  
2 patient/parent support groups that we set up for the  
3 first time."

4 Just before we look at the detail of this, could you  
5 give us a description of the physical set-up at Yorkhill  
6 at that time?

7 A. Yes. At that era -- it is one of the many things I had  
8 to fight for -- we did not have a haemophilia centre as  
9 such. We had offices, a laboratory and a day care  
10 centre and a ward, which was obviously mainly for the  
11 leukaemia, bone marrow transplant and solid tumour  
12 patients. So the majority of the patients were seen in  
13 the day care area, which was not ideal for the purpose  
14 in that it was a mainly open area, although it was  
15 possible to have fairly discreet conversations. It was  
16 quiet at times.

17 I mean, that was the physical set-up. The day care  
18 area was used for day surgery, for splints and such  
19 like, and so we would sometimes be competing for space  
20 there or have limited space, and the nursing staff would  
21 be looking after a whole variety of different patients  
22 from throughout the hospital.

23 Q. So you didn't have a private room with a door that you  
24 could shut for appointments. Is that right?

25 A. Within that area there was -- my memory is vague on

1           this -- definitely one room where you could shut the  
2           door, which I think was mainly used for procedures. But  
3           you could use that as a room. Of course, I forgot to  
4           say, we had a clinic area where the rooms were  
5           completely private, where we did our clinics, where you  
6           could see patients if there was a clinic not in  
7           progress.

8    Q.   Yes. So for the clinics you would have arranged  
9           beforehand for patients to come and see you. Is that  
10          right?

11   A.   Yes, I would, yes.

12   Q.   And --

13   A.   But we could use those rooms ad hoc at times.

14   Q.   Yes. Thank you.

15                 In your answer in 1.1 you talk about a completely  
16                 open approach. Could you explain a bit more how that  
17                 operated?

18   A.   Yes. I mean, basically, for many years in paediatrics,  
19                 and certainly before this time, the old idea that you  
20                 basically gave partial or unworrying information to  
21                 people had almost entirely gone, and certainly had gone  
22                 in this unit. So if people asked you about things, you  
23                 answered them honestly. We had a problem, which wasn't  
24                 entirely resolved, over what we could tell to children.  
25                 The so-called Gillick competence was coming through and

1 we became more confident in that respect and then less  
2 confident with the pronouncements after Lord Scarman  
3 from Brazier and Donaldson and others.

4 So it was not easy actually to know exactly what you  
5 could say to the children, and especially young  
6 adolescents who did have a degree of competence. So far  
7 as the parents were concerned, we adopted several  
8 approaches which I put there. We had group meetings.  
9 We had clinics, both of which were new developments,  
10 which I had brought from London; and we spoke to the  
11 parents and we told them what we knew the best  
12 information that we had at the time.

13 This time, at the beginning of 1983, it was  
14 certainly unclear, and I would agree with Dr Forbes'  
15 evidence in this respect, that there was a great deal of  
16 doubt over whether this was going to be a real problem  
17 in the haemophilia field.

18 Q. Professor Hann, did you mention Brazier there? Who is  
19 Brazier?

20 A. I'm trying to remember. I'm not trying to be a lawyer  
21 here. I'm sorry, when it came to Gillick competence, we  
22 had Scarman's view and there were other views  
23 subsequently which made it much -- I need to be careful  
24 what I say about the law, but it made things more  
25 difficult for us as clinicians. The interpretation of



1           what you could say and not, for instance, tell parents  
2           to children, and this always came through usually  
3           because of contraception, but it also affected us in our  
4           area. What were you expected to tell children? What  
5           were you expected to tell children when the parents  
6           didn't necessarily want you to tell them, and so on and  
7           so forth, were all difficult areas.

8    Q. Yes, thank you. And when you say Gillick. Do you mean  
9           Gillick?

10   A. Gillick.

11   Q. Yes, thank you.

12   A. I presume this applies to Scotland as well.

13   Q. Thank you.

14           If I could just ask you to look down the page to  
15           paragraph 1.4. You are still answering question 1 and  
16           you say:

17           "When I took over, most of the patients had of  
18           course already been established on home therapy. Those  
19           few that were diagnosed anew had a full discussion of  
20           the disorder and its treatment."

21           Then you talk about Hepatitis C. Could you describe  
22           these full discussions of the disorder and its  
23           treatment?

24   A. Yes. Obviously, the main emphasis was on bleeding,  
25           avoiding bleeding, explaining what the factor deficiency

1 was and how that worked and how it came about. The  
2 genetic aspects were extremely important to families and  
3 were quite difficult to explain because there were  
4 different modes(?) of inheritance. All of that, plus  
5 a discussion of when treatment was required, what that  
6 treatment was, what the potential side effects of those  
7 treatments were and how to access the hospital social  
8 work disability allowances and so on; and of course, you  
9 can't do that in one interview.

10 One thing you learn as a paediatrician, when you  
11 bombard people who have just had their child diagnosed  
12 with a serious disorder, no matter how clever or  
13 scientific they are, they can only take in part of it.  
14 So what I was trying to say in this very wordy pre-amble  
15 I have put here is that in the view of a paediatrician,  
16 consent and the delivery of information is a process.  
17 It is not something you sort of hit them with and walk  
18 away.

19 Q. Yes, I understand. Could you turn over the page,  
20 please, to paragraph 1.5. There you say:

21 "There were many discussions with patients following  
22 the initial descriptions of HIV transmission risks and  
23 we would have explained what we knew at the time. We  
24 would never have knowingly exposed patients to increased  
25 risk."

1           When you talk about the initial descriptions of the  
2           HIV transmission risks, what time are you talking about?

3   A. Well, my memory is that this became a real issue during  
4           1983. That's my memory. I can't remember exactly when  
5           and I want to avoid the sort of business of looking back  
6           at things saying, "Oh, yes, it was then", because I just  
7           simply don't remember.

8           I happen to have started on January 1. It  
9           definitely wasn't immediately obvious as a problem but  
10          as Dr Forbes said, it sort of hit us later that year  
11          that this was going to be a major issue.

12   Q. Yes. Could you describe these discussions at that time?

13   A. The discussions prior to knowing about the virus,  
14          et cetera, and knowing about virus positivity, would  
15          have been first of all to discuss the risk of non-A  
16          non-B hepatitis, which at that stage was thought to be  
17          not a major problem, and even the experts agree,  
18          probably a minor disorder, which turned out not to be  
19          the case sadly.

20          We would have said that there had been a few cases  
21          described of haemophilia. We didn't know if this was  
22          going to become a major problem. Even into 1984, when  
23          the European study had been done, the experts like  
24          Peter Jones were quoting one in 1200 risks, et cetera.

25          So we didn't have that type of information in 1983

1 but it appeared to be a rare risk. I hope and I believe  
2 that we weren't just reassuring, we were saying that  
3 this is a possibility. We know so little about it. We  
4 don't know the cause of it, et cetera, et cetera.

5 Q. Yes. Would you have given patients the option to take  
6 up a different therapy, for example to go back to  
7 cryoprecipitate?

8 A. Yes. To put it the other way, we would not have  
9 resisted that suggestion from them that it is for  
10 certain. From our point of view, for those patients who  
11 were receiving treatment at the early stages of their  
12 disorder, we offered cryoprecipitate treatment if it was  
13 possible logistically to give them it. If their veins  
14 were adequate, et cetera.

15 My memory is -- which may be incorrect -- that there  
16 were some patients, certainly into 1984, who may have  
17 reverted to cryoprecipitate treatment for a period of  
18 time. That is my memory. I certainly think that there  
19 were some guidelines coming through -- I can't remember  
20 exactly when they came out -- that very young children  
21 should be considered for cryoprecipitate treatment, and  
22 I do believe that we offered that as a possibility.

23 Q. Is that something that you would automatically offer as  
24 a possibility or would you wait to see if the parents  
25 would ask about that as a possibility?

1 A. I think we discussed all possible therapies, including  
2 DDAVP, et cetera, depending on, you know, the individual  
3 severity of the problem. I think it would be silly for  
4 us to expect parents to be very knowledgeable; some of  
5 them were of course as time went by. The whole idea was  
6 to make them experts of their disease. That was the  
7 whole plan of what we did.

8 So, yes, later on, we would certainly expect them to  
9 have detailed discussions with us about where we go from  
10 here, and so if they were newly diagnosed et cetera, and  
11 they were very young, then the use of cryoprecipitate  
12 would have been a real possibility that was offered to  
13 them and may even have been recommended as the first  
14 option in that difficult interim period.

15 Q. Yes, thank you.

16 If we could just pass down the page to question 3,  
17 because I think we have covered question 2. The  
18 question: when did Professor Hann start testing his  
19 patients for HTLV-III? You say in paragraph 3.1:

20 "We started testing for HTLV-III when a test became  
21 available and when its reliability had improved. I do  
22 not recall when that was but I think it was through  
23 SNBTS. There were several attempts at tests that were  
24 not satisfactory prior to that."

25 Doing the best you can, Professor Hann, could you

1 tell us how testing was carried out through SNBTS?

2 A. Yes, I'm not even sure it was SNBTS in retrospect.

3 I see other people saying it is through virology and so  
4 on. That was my best recollection. What I would say  
5 is -- and I take full responsibility for this -- we did  
6 not do this as well as we should have done -- or  
7 I didn't. And we learned a great deal from this and by  
8 the time we got to Hepatitis C we did a great deal  
9 better. I wasn't complacent about that. We did studies  
10 straight afterwards to see the effects on families of  
11 what we had done.

12 As far as I remember, it may have been that this was  
13 actually instituted by the virologists themselves, or it  
14 may have been that we requested the virologists that  
15 they test samples that they had stored on our patients.  
16 For patients who had not been tested, or in whom samples  
17 were not available, which I think were quite a few, they  
18 would correlate with those where you don't have  
19 a negative test result. Then we would discuss it with  
20 the family and say we needed to do these tests and also  
21 we needed to do confirmatory tests if we did find a  
22 problem.

23 Q. Yes. The next question, which you have touched on:

24 "In what circumstances were blood tests carried out?  
25 When were blood samples taken from patients? Were the

1 blood samples taken with the intention of testing for  
2 HTLV-III? Who carried out these tests?"

3 You say at 4.1:

4 "I cannot recall the detail of testing. It was  
5 probably a mixture of look-back and actual testing in  
6 realtime."

7 When you say "look-back" are you meaning testing on  
8 stored blood samples?

9 A. Yes.

10 Q. Then actual testing would be a fresh test, getting the  
11 patient in and taking blood?

12 A. For one of two reasons. Either because there was no  
13 stored sample or because there was a positive test which  
14 needed to be verified.

15 Q. Yes. Thank you. We heard evidence from Dr Pettigrew  
16 yesterday that her recollection was that it was  
17 Dr Follett, I believe at the virology department, who  
18 did the testing. Does that ring any bells with you at  
19 all?

20 A. Yes, it does. And I may well be wrong when I said  
21 SNBTS. I did know Dr Follett and it was probably his  
22 laboratory.

23 Q. Right. Now that you have a chance to think about it, is  
24 that your best recollection of how these --

25 A. Yes.

1 Q. -- children came to be tested?

2 A. Yes, it is but I still can't remember if he initiated  
3 that testing or whether we requested it.

4 Q. Yes. Now that you have remembered about Dr Follett, can  
5 you remember receiving the results?

6 A. I can't remember specific incidents, I can remember that  
7 I received it but I don't remember. I noticed from  
8 Dr Pettigrew's evidence that there was a letter for us  
9 but I don't recall that incident.

10 Q. You have no recollection of a letter from Dr Follett?

11 A. I know that we got the results. I can't remember how.

12 Q. Okay.

13 A. Her recollection is, I'm sure, much better than mine.

14 Q. Yes. If it's correct that Dr Follett carried out tests  
15 on stored samples, do you think that permission was  
16 obtained from the parents before these tests were  
17 carried out?

18 A. The simple answer is that I can't remember. The more  
19 detailed answer is that I would hope that we were in  
20 regular contact with parents and were telling them this,  
21 and that the Haemophilia Society was doing the same.  
22 I would concur with what Dr Winter said on this. It was  
23 not the standard at the time -- quite wrongly -- for us  
24 to discuss these sort of things in great detail, and we  
25 sort of always assumed that the family, parents, would



1           want us to find out what the situation was. And I think  
2           I would be correct in saying that I did not go to the  
3           extent that I should have done, and I would have done,  
4           a few years later, having learned from this episode, in  
5           getting informed consent for that testing, and I regret  
6           that.

7   Q.   Yes. Thank you. You remember that you received the  
8           results?

9   A.   Yes.

10   Q.   But can you remember what happened next? I mean, you  
11           must have communicated them to Dr Pettigrew?

12   A.   Yes. We had discussions and had had discussions at  
13           national level, or either discussed them with colleagues  
14           in London, and I can't remember as to what. I think  
15           I knew Dr Tedder quite well, of the Middlesex. I was  
16           a trainee in London previously, and subsequently of  
17           course.

18           What did a test mean? That was the original  
19           question.

20           So we have to do several things. First of all we  
21           had to confirm that test with the gold standard, and the  
22           gold standard at the time was Western blotting. So we  
23           requested that that be done. That sometimes required  
24           a further sample, which we would definitely have  
25           discussed with the family why we were doing it. That

1 would not have been surreptitious. You know, there was  
2 no way we could have done that.

3 So we didn't immediately tell persons. Because  
4 there were definite false negatives, and I think  
5 Dr Ludlam and others had said maybe these patients are  
6 becoming negative. In fact, the test was a false  
7 positive usually and subsequent negativity was an  
8 extreme rarity.

9 So basically we went through a process. We  
10 confirmed the test, usually with Western blotting or  
11 maybe even a further test just to be certain. We just  
12 then took the next possible opportunity, within a few  
13 weeks certainly of discussing in full with the family of  
14 what the result was and what the meaning of the result  
15 was and what needed to be done.

16 Q. When you are talking about confirmatory testing, is that  
17 another test on a stored sample?

18 A. No -- yes, sorry. It could be if there was enough  
19 there, yes. Or it could be that we had to take another  
20 sample for a Western blot analysis. So we may well have  
21 had to take a further sample.

22 Q. I think what you are saying is that if you could do  
23 a confirmatory test on the stored sample, the parents  
24 would not be asked for their permission for a further  
25 test, but if the child had to come in and give a new

1 sample, the parents would be told about the test. Is  
2 that right?

3 A. Yes, to the best of my knowledge, yes.

4 Q. Could you have another look at question 5, please?  
5 Question 5.

6 A. I need to warn you that there is only two minutes of  
7 this video left. So I'll carry on.

8 Q. Yes, thank you.

9 Question 5, 5.4. You talk about the routine testing  
10 according to the standard UK guideline of the time.  
11 What are you referring to there, Professor Hann?

12 A. It is not a written guide. I probably should have said  
13 standard "practice" rather than "guideline". That was  
14 what we did. I had come from the Royal Free, which was  
15 particularly interested in viral infections, and so we  
16 were taking at least annual and probably more frequent  
17 tests, mainly to look for hepatitis.

18 Q. Yes.

19 A. And Factor VIII levels sometimes.

20 Q. Just finally, because it sounds like we don't have much  
21 more time, could you give us your best recollection of  
22 how the results were communicated to the parents?

23 A. Yes. They were communicated by Dr Pettigrew and myself.  
24 I was the consultant, so it's my responsibility. I was  
25 completely against the idea, which some have floated --

1 I can't remember who -- of sending people letters and  
2 saying, "Please, I need to see you in the clinic" or  
3 something, or phoning people up and saying the same  
4 thing. Basically we took the next opportunity. These  
5 people were visiting often, some of them weekly, some of  
6 them every few weeks, but certainly not monthly or very  
7 infrequently.

8 So I would be very surprised if there was a delay of  
9 more than a week or two or three. And that would be in  
10 the clinic or in the day care area, usually probably in  
11 the day care area. And using as private a way of doing  
12 it as possible.

13 Q. Why were you against writing a letter to the parents?

14 A. I think it would just cause extreme anxiety without  
15 actually providing information. It has been suggested  
16 that one send a letter. I could say I need to see you  
17 soon, full stop, or a letter saying, "Your son is  
18 positive and these are the consequences". I think it  
19 would be a horrendous way to deal with children and  
20 their parents.

21 Q. So the strategy you adopted, the reason you adopted it  
22 was to avoid anxiety and distress to the parents. Is  
23 that right?

24 A. Especially as there was no immediate action that we  
25 could take. This wasn't an urgent clinical situation.

1           Say somebody developed a respiratory situation, then we  
2           would say, "Get him here now and we will discuss the  
3           implications".

4    Q.   I know I'm pushing my luck a bit with the time but do  
5           you personally have any recollection of passing on this  
6           information to parents?

7    A.   Yes, I do.  Let me put it this way.  I do recall it  
8           vaguely but I recall one thing only in detail and that  
9           was a contact with a parent who felt that we should not  
10          have told her that her son was positive.  We worked  
11          through that and it's a reflection of the fact that  
12          there was not adequate independent counselling, which is  
13          what we learned about HIV.  That's what you need.  
14          Dr Patricia Hewitt's [sic - Wilkie's] PhD research which  
15          followed immediately on from this and which will be  
16          supplied to you, or maybe already has, detailed that and  
17          we learned that.  We didn't do it as well as we should  
18          and that was a reflection of it.

19                 But of course we needed to know.  We couldn't manage  
20                 these patients blindfold.

21   Q.   It seems that there were about ten children at this time  
22          who had been identified.  Would you say that is correct?

23   A.   That's my recollection, 10 or 11, yes.

24   Q.   I'll just ask you again, Professor Hann: do you  
25          personally have any memory of passing on these results

1 to any of the parents of these ten children?

2 A. I can't remember a specific instance other than the  
3 general extreme reaction to this situation because of  
4 its -- the worst thing to deal with in paediatrics, if  
5 you are dealing with leukaemia, is uncertainty and it  
6 was that aspect that was so difficult.

7 Q. So is it --

8 A. I remember that, but I don't remember speaking to X, Y  
9 or Z.

10 Q. In that case, is it your recollection that Dr Pettigrew  
11 would have done most of that work, passing on that  
12 information?

13 A. Certainly on a lot of the follow-up work, or almost all of  
14 the follow-up work, but not necessarily, I would have  
15 been seeing patients in the clinic which was held on  
16 a very regular basis, probably weekly or every other  
17 week. So I'm guessing it would be about half and half  
18 as far as personal information, but the follow-up was  
19 the social workers, eventually counselors, et cetera.

20 Q. Thank you. One final question, if I may --

21 THE CHAIRMAN: I'm not sure. If we are going to be cut off.  
22 You are not going to ask the final question and prevent  
23 a follow on.

24 A. I don't think we will be. It will be cut off at  
25 12 o'clock.

1 MR GARDINER: You have told us a couple of times that things  
2 could be done better as far as communication of  
3 information, results and so on. Could you briefly tell  
4 us how you think it could have been done better?

5 A. Yes. I think you may have only received it recently or  
6 may not even have received it yet. Dr Patricia Hewitt  
7 [\[sic - Wilkie\]](#) did a research project, which was  
8 extremely good, along with the department of  
9 psychology -- psychiatry, funded by the Haemophilia  
10 Society and led by Dr Forbes.

11 Basically she showed what we learned at that time,  
12 which is that you need independent counselling, you need  
13 pre-test counselling and not just running off and doing  
14 the tests and expecting people to realise that that was  
15 essential. We were naive. This was the first time that  
16 this sort of thing had happened really. There was no  
17 looking at Dr Winter's evidence, you will see there was  
18 no real precedent for that.

19 So that's the first thing. And also we needed more  
20 counselling follow-up and stronger support for the  
21 families subsequently, although we did get that to an  
22 extent.

23 Q. Yes, thank you.

24 THE CHAIRMAN: Professor Hann, I'm terribly anxious that we  
25 are being limited by time and not getting the best from

1           you that you can give us, and probably want to give us.  
2           So what I'll do is discuss with counsel whether we ought  
3           to ask you to speak to us again.

4           You will appreciate that not only have you not  
5           probably been asked all the questions Mr Gardiner wants  
6           to ask you, but none of the other parties have had  
7           a chance to speak to you at all. So if I may thank you  
8           very much for your contribution so far and ask you,  
9           please, to accommodate us if we come back to you again.

10        A. Thank you very much.

11        THE CHAIRMAN: Thank you very much.

12        MR GARDINER: Thank you.

13        THE CHAIRMAN: I have said it but I think that it is quite  
14           clear that Professor Hann has got a very great deal to  
15           contribute to this Inquiry and I don't want his evidence  
16           to be limited by timetable in this way. I think that  
17           the other parties really must have the opportunity to  
18           speak to him. There are some questions I might have  
19           liked to have asked him myself. So I don't know how we  
20           handle it, Mr Gardiner, but it does seem that we have to  
21           try and get another slot and have a continuation of  
22           that. Perhaps it is Ms Dunlop I should be pressing on  
23           this and not you.

24        MS DUNLOP: Perhaps we can reflect on it and discuss it  
25           a bit, sir, rather than doing it at the moment.



1 THE CHAIRMAN: I'm merely raising it for you. I hope you  
2 will discuss it.

3 MS DUNLOP: Yes.

4 THE CHAIRMAN: But I hope that Mr Di Rollo and Mr Anderson  
5 and Mr Sheldon will be party to it.

6 MS DUNLOP: They have to have their chance, I can see that.

7 THE CHAIRMAN: I'm glad.

8 Where do we go from here?

9 MS DUNLOP: Perhaps we could have five minutes just to  
10 regroup before Dr McClelland comes on.

11 THE CHAIRMAN: That's a good idea.

12 (11.59 am)

13 (Short break)

14 (12.10 pm)

15 THE CHAIRMAN: Good morning, Dr McClelland. We are treating  
16 your evidence as continuing so we won't go through any  
17 preliminaries.

18 DR BRIAN MCCLELLAND (continued)

19 Questions by MS DUNLOP (continued)

20 MS DUNLOP: Dr McClelland, you are back I think for the  
21 third time and it is probably not going to be the last.  
22 Today we are going to look at a statement you have  
23 provided for us on our topic B2 and we should have that  
24 in front of us [\[PEN0150307\]](#).

25 Thank you. You were sent a schedule, which is

1 a standard schedule that we sent to a number of  
2 witnesses in this area, but in fact, since that schedule  
3 was drafted the topic has been expanded to look at the  
4 very early days of the introduction of concentrates,  
5 concerns in the 1970s, the television programmes and so  
6 on. You are nodding. I hope that's not surprising,  
7 that you knew that before you came.

8 A. Yes.

9 Q. You say, reading from line 3:

10 "The term 'AIDS' arose first at a meeting of leaders  
11 from the blood industry, haemophilia groups, the gay  
12 community organisations and representatives from the NIH  
13 and the FDA, on July 27th 1982."

14 Your reference for that is actually the Dr Evatt  
15 article, "The tragic history of AIDS in the haemophilia  
16 population". We have already looked at that,  
17 Dr McClelland.

18 We also, after you directed us to this article, also  
19 found the response that it provoked -- I think is the  
20 right word -- from Dr Aledort, and then the reply to  
21 that from Dr Evatt. You are presumably familiar with  
22 those two documents as well, are you?

23 A. I'm aware of their existence. I have to say, I haven't  
24 re-read them recently.

25 Q. In general terms, what is your view of Dr Evatt's

1           chronology as set out in the first article, the tragic  
2           history article?

3       A.   I found it a very illuminating view and it certainly  
4           fitted quite closely to my own recollections, and the  
5           reason I actually included it as an appendix to my  
6           statement was because I felt, written many years ago, it  
7           gave a more sort of approximate view of somebody who was  
8           right at the inside of the very critical early stages of  
9           the discovery of this disease, and particularly of its  
10          association with blood products.

11      Q.   Yes.  I was just checking; it is actually published in  
12          2007.  So I suppose one of the attractions of it is that  
13          it is quite a recent piece of work?

14      A.   I am aware of that but I assume that it drew on his  
15          probably fairly extensive documentation of that period.

16      Q.   Yes.  You refer us to the initial reporting of the virus  
17          discovered by Barre-Sinoussi and Montagnier in France  
18          and we discussed that in our preliminary report,  
19          I think, around paragraph 8.84 and the work of Dr Gallo  
20          in America.  Then you say:

21                 "The term 'HIV' was not assigned by the  
22                 international committee on the taxonomy of viruses  
23                 until May 1986."

24                 I'm sure this doesn't matter very much at all but  
25                 our reference suggests that it was proposed in 1986 but

1           it's actually quite difficult to find out when consensus  
2           was achieved. Is it something that just happened or was  
3           there some kind of specific acceptance of the term?

4    A. I clearly had misread that but I can imagine the  
5           taxonomy committee probably takes a very long time to  
6           come to a decision about anything.

7    Q. Right. You give your personal background. Say you were  
8           a first-year junior house doctor in 1969 and you  
9           actually worked for Dr Howard Davies. We have been  
10           talking about Dr Davies a bit this week in fact,  
11           Dr McClelland, and you maybe know that. I don't know if  
12           you have glanced at the transcript. You may have done.  
13           Have you seen the references to him?

14   A. I'm aware that he has been referred to.

15   Q. He was a physician who cared for patients with  
16           haemophilia. We have heard a bit about how people come  
17           into haemophilia care, that some are haematologists by  
18           training but Dr Davies' route in was as a physician. Do  
19           you want to explain any more about that?

20   A. I think Dr Davies, if my recollection is correct, his  
21           primary responsibilities in the Royal Infirmary were for  
22           the haematology department, as it then was, which was  
23           essentially a laboratory department. There were  
24           actually two other senior clinicians, both of whom had  
25           or attained professorial status, who considered

1 themselves to be haematologists, but the person who  
2 actually looked after the patients with haemophilia was  
3 Dr Davies.

4 For example, in the unit that I did my training,  
5 medical jobs in, Dr Davies didn't actually have beds  
6 assigned to him. He did not actually have admitting  
7 rights to that ward. But he just got on with it and  
8 cared for the patients. And with enormous care,  
9 attention and diligence. He was possibly one of the  
10 most conscientious clinical directors I have ever met,  
11 although his origin was primarily as a laboratory  
12 doctor.

13 Q. And you explain that he was a strong proponent of  
14 cryoprecipitate rather than Factor VIII concentrate, and  
15 that his rationale was the very pooling that we now  
16 understand, and in particular the pooling from other  
17 parts of the world. So it was a theory that was based  
18 on the concept of the potential for infection?

19 A. Absolutely. I should perhaps say, I mentioned this  
20 background history because haemophilia and the  
21 technicalities of Factor VIII have never been my  
22 specialist area. I was trying to single out one or two  
23 things that I remember with great clarity that I think  
24 would have had a bearing on the way I thought about  
25 issues in general at the time.

1 Q. It was very interesting that you had, Dr McClelland,  
2 because we had just been hearing about Dr Davies. So  
3 this fits what we have been hearing from  
4 Professor Ludlam. Can we move on to the second page,  
5 please?

6 You do make the point at the top of the page that as  
7 transfusion director in Edinburgh you didn't have  
8 clinical responsibility for the care of patients with  
9 haemophilia. Selection and use of blood products for  
10 patients with haemophilia is not an area in which  
11 you have ever been clinically involved.

12 As you have looked back on this period,  
13 Dr McClelland, and as you tell us about it today, you  
14 are telling us here, I think, that you weren't  
15 a principal actor. How should we see you? Were you  
16 a supporting actor? Were you a spectator? Were you  
17 behind the scenes but involved? How do you think it's  
18 best to see your role?

19 A. I think I was very clear about my role at the time and  
20 I'm still clear about it. My job was running the  
21 regional transfusion centre, part of the task of which  
22 was to provide blood components and blood products for  
23 all the patients in the Southeast of Scotland. A very  
24 important part of our efforts at that time was focused  
25 on providing what we hoped would be sufficient

1 quantities of Factor VIII but to do that we had to  
2 collect large quantities of plasma from donors.

3 So a large part of my work was related to the issue  
4 of obtaining the plasma from our blood donors and making  
5 sure that that found its way to the fractionation centre  
6 in appropriate quantities and in good appropriate  
7 condition.

8 My second engagement, if you like, with this group  
9 of patients was -- my department contained what was  
10 called the hospital blood bank, which had the storage  
11 facilities for blood products which, as biologicals,  
12 need proper storage conditions. So we were, if you  
13 like, one of the collectors within the SNBTS of the  
14 starting material from which the Factor VIII and  
15 Factor IX were prepared. We were also at the point of  
16 distribution of those, either to individual patients or  
17 to small subunits in the hospital, which themselves  
18 dealt with individual patients.

19 So, I'm not sure, I think you have to draw your own  
20 answer to the question from that. That was my position  
21 in the supply chain, if you like.

22 Q. Yes. I quite understand, Dr McClelland. I'm certainly  
23 not going to force you to adopt my analogy, but we have  
24 already looked, I think, when you were here the last  
25 time, at aspects of your role as a collector and how you

1 reacted to the emerging risk. I think today, perhaps  
2 later on, we will also look at the other part you have  
3 just mentioned, about being involved in storage and  
4 supply.

5 On the second page of your statement you have  
6 reproduced for us a very interesting poster -- well it's  
7 a leaflet really, I think, isn't it?

8 A. It was stuck on the window of the plasma centre with  
9 sellotape and I photographed it.

10 Q. Yes. You say it's an experience that coloured your  
11 thinking about the use of blood from commercial donors:

12 "Shortly after my appointment to the SNBTS in 1977  
13 ..."

14 I'm reading from the middle of that paragraph:

15 "... I visited the Cutter company in San Francisco."

16 That's another one of the big pharmaceutical  
17 companies in America.

18 A. Cutter was at that time a major player in the plasma  
19 fractionation industry.

20 Q. We did already look actually in this topic at a section  
21 in Douglas Starr's book where he gives a little bit of a  
22 biography of these different companies. You visited the  
23 Oakland plasma centre and you asked why the centre was  
24 empty and you were told it was because it was the day  
25 when people picked up their social security cheques.



1 A. Their dole, yes.

2 Q. Because you say that the poster was obtained about 1982,  
3 we were interested in roughly when it was, and I think  
4 it has not really been possible for you to give us  
5 anything very specific on that?

6 A. Unfortunately I didn't keep my diaries for that period.  
7 As I said in my response early on, maybe I shouldn't  
8 have said shortly after my appointment. I honestly  
9 can't remember when it was.

10 THE CHAIRMAN: They seem to have been cutting the price at  
11 the time.

12 A. They were cutting the price to the donors, which was one  
13 of the things that intrigued me. This would have been  
14 very late 1970s or right at the beginning of the 1980s.  
15 I can't be more precise than that.

16 MS DUNLOP: Can we look at the next page, please? You say:  
17 "This visit left me in no doubt that even in this  
18 relatively favoured part of the USA ..."  
19 You will have to help us a little bit,  
20 Dr McClelland, those of us who have not been to  
21 California. Oakland, where is that? You're saying it's  
22 a relatively favoured part?

23 A. Well, it's on San Francisco Bay. It's actually not one  
24 of the better-off parts of the San Francisco area but,  
25 compared to many other parts of the world, I would say

1 at that time it probably was relatively prosperous.

2 Q. You say that it was clear to you at the time that plasma  
3 was being collected from individuals who might be  
4 dependent on the payments from the plasma centre and who  
5 would therefore have an incentive to conceal any aspects  
6 of their health that might make them unsuitable as  
7 donors.

8 When I look back at your CV, Dr McClelland, I saw  
9 that you had worked in Lieden, done some research in  
10 Lieden, at least partially into infectious diseases. Is  
11 that right?

12 A. Yes.

13 Q. Do you think that coloured your reaction to what you  
14 saw?

15 A. I was working in a very different area actually in  
16 Lieden. No, I don't think so.

17 Q. All right.

18 A. This wasn't a specialist observation, it was a sort of  
19 common sense observation. If people are dependent on  
20 their dole payments, you know, I felt, without needing  
21 to use any pejorative term -- because there was an awful  
22 lot of talk about skid row donors and all the rest of  
23 it. These might have been perfectly respectable people,  
24 but clearly the \$16 or \$20 that they could get twice  
25 a week for selling plasma would probably have been

1 a material part of their total disposable income.  
2 Naturally, there was a risk that they would not wish  
3 particularly to reveal features about their own health  
4 or behaviour that would lead them to lose that income.  
5 Q. So not only was it not a specialist observation but  
6 perhaps a common sense observation even for non-medics?  
7 A. I would have thought so.  
8 Q. Then you go on to deal with our specific questions that  
9 we posed in the schedule. You were asked about your own  
10 experience at the time and you tell us that  
11 in August 1982 you and Dr Foster attended the Budapest  
12 joint meeting of -- and the abbreviations are --  
13 A. The International Society of Blood Transfusions.  
14 Q. Thank you.  
15 A. The International Society of Haemostasis, I think.  
16 Q. Right. Or haematology?  
17 A. Or haematology. I'm not sure.  
18 Q. Yes. And that was the meeting that was attended by  
19 Dr Aledort. He mentioned that there had been some  
20 recent problems in the treatment of haemophilia in the  
21 United States and that's the three cases that have been  
22 reported in the MMWR in July 1982. We know about that  
23 report.  
24 Perhaps, because we haven't looked at it, we should  
25 just see what Dr Foster had in his report about that

1 intimation. Could we look, please, at [\[SNB0104452\]](#). We  
2 described this in the preliminary report as being an  
3 incomplete version of Dr Foster's report, but actually  
4 it is a complete version. I think, at first we only had  
5 part of it but we eventually managed to get the whole  
6 thing. We really need just to look at the last page of  
7 the report, if we could, please. There it is:

8 "In discussion future problems in the treatment of  
9 haemophilia, Aledort reported that the most recent  
10 problem to surface in the USA has been three deaths from  
11 pulmonary infection."

12 Do you remember this being said?

13 A. I don't. If I heard it said at that time, it didn't hit  
14 me between the eyes until later.

15 Q. Then, if we could go back to the statement, please, you  
16 mention a meeting on 18 January 1983. That was the  
17 Regional Transfusion Directors Transfusion-associated  
18 Hepatitis Working Party. This is English regional  
19 transfusion directors working party?

20 A. That's correct.

21 Q. And Dr Craske was at that and reported that he would be  
22 studying the effects of American Factor VIII in UK  
23 recipients, and this is all on to the next page.  
24 Examining immunological markers.

25 This is what sometimes appears, sir, like one of the

1           few documents we don't have in our court book but it is,  
2           I think, perhaps not anything that is any different from  
3           the other material around this time.

4           It's simply saying, under a heading "AIDS":

5           "Dr Craske summarised the current situation and  
6           mentioned the involvement of homosexuals. (In the USA it  
7           is recommended that homosexuals with AIDS be deferred  
8           from donating blood or organs). Dr Craske will be  
9           studying the effects of American Factor VIII in UK  
10          recipients and will be examining immunological markers,  
11          though the field is currently very confused."

12 THE CHAIRMAN: It's a perfectly general reference to  
13          American products, rather than a specific reference to  
14          Hemofil at that stage.

15 MS DUNLOP: Yes.

16 A. I think, sir, though, it's fair to say that Dr Craske  
17          had a very particular interest in haemophilia treatment  
18          products. So I suspect that he, in his study, was  
19          primarily referring to Factor VIII.

20 MS DUNLOP: I suppose for Dr Craske, who had become  
21          interested in the problems of infectivity in the 1970s,  
22          when the commercial concentrates arrived, this must have  
23          been a wholly natural phenomenon to study?

24 A. Absolutely.

25 Q. Yes. It was completely within his territory when this

1 began to happen?

2 A. He was the natural person at that time in the UK to pick  
3 this up.

4 Q. In the next paragraph you deal with the letter, which  
5 again, sir, is something we don't have on our database,  
6 but on this occasion not for want of trying. A lot of  
7 research and a lot of effort has gone into trying to  
8 trace Dr Boulton's letter, but unfortunately without  
9 success. But --

10 THE CHAIRMAN: We can infer it was an attempt to be helpful.

11 MS DUNLOP: Yes, I suppose it is interesting to know that it  
12 happened.

13 We don't have it but we can see that it happened and  
14 we can make certain deductions as to the content of it  
15 from the response. But it does look as though  
16 Dr Boulton has written and expressed concern about the  
17 safety of Factor VIII from the United States.

18 You don't have a clear recollection of having seen  
19 it or, presumably, of Dr Boulton saying to you, "I'm  
20 thinking of writing," and what he was thinking of saying  
21 and in any sense asking whether you approved or agreed?

22 A. I don't, no. Because I realised this might be  
23 important, I have done my best to see if we had copies  
24 of it lying around in any odd places, also to recall the  
25 origin of it.

1           I have read Dr Bloom's reply quite carefully,  
2           though, and it is actually fairly clear from the reply  
3           what some of the points were that Frank Boulton was  
4           making in his letter. I think it is possible that he  
5           did not copy the letter to me, I don't know, but I think  
6           Dr Bloom's letter was copied to me. So it implies  
7           I probably did have a copy of Frank's original letter,  
8           but it has gone.

9    Q. Dr McClelland, it is actually my plan to ask Dr Boulton  
10       about it and he is probably our best hope, so I wouldn't  
11       intend to ask you any more about it at this stage.

12   A. Thank you.

13   Q. You say you had adjoining offices. This is in the old  
14       Royal Infirmary in Lauriston Place?

15   A. Yes.

16   Q. You said you were very close to Professor Ludlam -- or  
17       indeed "Dr Ludlam" then, I suppose. Can you just tell  
18       us a little bit about the layout?

19   A. Sure. The old Royal, as you probably recall, was what  
20       was called a Nightingale hospital, which was laid out  
21       with large bays projecting out from a big central spinal  
22       corridor. There were two hospitals in fact, one medical  
23       and one surgical, which tells you how simple things were  
24       in the 1850s or whenever it was built, and there were  
25       large spaces between these projecting spurs off that

1 corridor, which constituted the wards, and those spaces,  
2 over the years, got filled in with a variety of more or  
3 less ramshackle buildings, which included a substantial  
4 extension to the transfusion service building, which had  
5 been opened in 1960, I think, and then a haematology  
6 department, which was in various portacabins and things  
7 and then got enlarged at some point and virtually  
8 adjoined. In fact at one point we ceded some  
9 accommodation to the haematology department, so that  
10 there was a corridor that connected the two departments  
11 directly. They were extremely close together.

12 Q. So you, as the transfusion service, had your own  
13 building, and the haematology department was in  
14 portacabins, was it?

15 A. It was in an adjoining building, but these were both  
16 essentially temporary structures, slotted into spaces on  
17 the old campus. But they were clearly understood to be  
18 separate departments and, of course, the haematology  
19 department was a department of the hospital, whereas the  
20 BTS was part of the more or less national  
21 Scottish National Blood Transfusion Service.

22 Q. The next question you were asked -- and I think it is no  
23 doubt our fault that it wasn't very clearly expressed.  
24 But this question about why there was no discussion  
25 about the possible connection between AIDS and



1 commercial blood products was really meant to apply to  
2 the meeting of 21 January 1983, and I think we wrote and  
3 clarified that.

4 A. Yes.

5 Q. And actually you reconsidered your answer?

6 A. I had to reiterate that I actually had absolutely no  
7 recollection of what was discussed at that meeting and,  
8 as I recall, the minutes either were not available or  
9 did not inform or assist me in any way.

10 Q. Yes. Dr McClelland, I'm sorry to do this to you -- if  
11 things had gone differently this morning, I would have  
12 shown you this first, but I think we have your  
13 handwritten notes?

14 A. Okay.

15 Q. Could you look at [\[SNB0015227\]](#)? This looks like your  
16 writing but I may be wrong.

17 A. It does. It's suitably illegible. There you are,  
18 21/1/83.

19 Q. Are they your notes on that meeting?

20 A. Yes, they are. Whether I can read them, let alone  
21 anybody else read them --

22 MS DUNLOP: That was going to be the next question, I'm  
23 afraid.

24 A. I'll do my best.

25 THE CHAIRMAN: There is a navigation problem first of all,

1           isn't there, before we get to reading.

2   MS DUNLOP:  Sorry, sir, in terms of what?

3   THE CHAIRMAN:  In trying to relate, yes, the various

4           sections that are blocked off to the source material.

5   A.  I think that's pretty relevant to the source material

6           actually:

7            "We are still purchasing commercial Factor VIII

8           because of 'uncertainties in supply for the forthcoming

9           year'."

10           Which I imagine reflects something that I know

11           Dr Ludlam was concerned about at the time, which was the

12           degree of unpredictability in supplies from the BTS.  So

13           I have asked myself who is purchasing it.  So that was

14           Dr Ludlam.

15  Q.  That has to be Dr Ludlam?

16  A.  That's Dr Ludlam.

17  Q.  Is this a note to self:

18            "Purchasing to stockpile"?

19  A.  These are my scribbles from the meeting.  Dr Bell, who

20           was the Scottish Home and Health Department senior

21           medical officer who attended these meetings said:

22            "Dr Cash, McClelland and Ludlam to sort this out.

23           Is there any misunderstanding?"

24  Q.  Then:

25            "Frank, what has been going on?"

1 I think it says.

2 A. That will be a note for me to ask Frank Boulton because  
3 Frank was at that time responsible for the blood bank  
4 part of our operation, and most of the dealings with  
5 Dr Ludlam, once Dr Ludlam was appointed, I think, were  
6 between Dr Boulton and Dr Ludlam because I felt they  
7 were the people who actually knew about the subject, in  
8 a way that I didn't.

9 So:

10 "Information: List all commercial purchases 1981,  
11 1982, 1983.

12 "List total issues by month and year, PFC and  
13 commercial.

14 "Receipts from PFC.

15 "Receipts of PFC material from other centres ...

16 "Reporting adverse reactions."

17 I think this is moving on to a separate topic.

18 Q. Yes.

19 A. Well, that's just very interesting. I have absolutely  
20 no recollection of this discussion whatsoever.

21 THE CHAIRMAN: What's the relevance of the reference to  
22 Bruce Bennett.

23 A. Bruce Bennett was the medical consultant who was  
24 responsible for haemophilia patients in Dundee at that  
25 time and --

1 Q. Wasn't he in Aberdeen? He was in Aberdeen at one point.

2 A. Was he in Aberdeen? Sorry, I may have misremembered.

3 Possibility Aberdeen.

4 Q. It is just that we have had correspondence from

5 Dr Audrey Dawson and Dr Bruce Bennett, as if they go

6 together.

7 A. That will be Aberdeen then, sorry.

8 THE CHAIRMAN: So you are extending beyond your own area

9 here and collecting information from other centres?

10 A. I think so.

11 THE CHAIRMAN: Then, out to the right, the idea appears to

12 be to put it all in a paper for Christopher Ludlam.

13 A. "Put on paper for Christopher and send to John D Cash,"

14 I think that means.

15 And "Oxford data". The reference to Oxford data is

16 what is now called the Haemophilia Reference Centre

17 Directors' database, which I know the Inquiry has had

18 contact with. And I was obviously noting to myself to

19 check whether we could actually get regional data at

20 that time from the Oxford register, presumably to see if

21 it concurred with the information that we were hoping to

22 assemble. Unfortunately, I have absolutely no

23 recollection of what I did following that meeting.

24 THE CHAIRMAN: It's an interesting use of language, isn't

25 it:

1           "Can the Oxford data on the register be broken down  
2           to regularise --  
3    A.   Regionalise.  
4    THE CHAIRMAN:   Regionalise?  
5    A.   Yes.  
6    MS DUNLOP:   Then there is the reference at the bottom,  
7           Dr McClelland -- we can see there has been some  
8           discussion of AIDS and you have noted the reference to  
9           --  
10   A.   The Observer.  
11   Q.   -- The Observer.  
12   A.   Yes, I assume that, rather than meaning the  
13           Sunday Observer, which is a bit tautologous, it probably  
14           means last Sunday's Observer.   We could easily check.  
15   Q.   We have it and we have looked at it and we are not going  
16           to look at it again.   But just look at the formal  
17           minutes of the meeting, which is [\[SNB0015160\]](#).   We can  
18           obviously see the same topics in the minutes but it's  
19           perhaps interesting to note from the bottom of page 2  
20           that Dr George McDonald, from Glasgow, is congratulating  
21           the SNBTS directors and PFC on the quantity and quality  
22           of Factor VIII concentrate being produced?   But then, as  
23           we read on to the next page:  
24           "Concern was again expressed about the amount of  
25           commercially produced Factor VIII which was still being

1 purchased."

2 Then there is a note:

3 "The meeting has noted that while purchases of  
4 commercial VIII had declined in Glasgow, purchases in  
5 Edinburgh had increased."

6 So the focus has obviously been on Dr Ludlam and  
7 that chimes with the handwritten notes?

8 A. Yes.

9 Q. Do you remember commercial purchases in Glasgow being an  
10 issue?

11 A. Not at all at that time but there is no particular  
12 reason why I would have been brought -- you know, would  
13 have --

14 Q. I was just meaning if you had been at meetings where  
15 that had been on the agenda and there had been  
16 questioning about it?

17 A. No, but clearly my recollection of this is fairly poor  
18 anyway, so that doesn't say anything. I do think,  
19 though, looking at this discussion -- I'm not sure  
20 whether I failed to read this document properly and  
21 whether there is any reference to AIDS, HIV or anything  
22 else.

23 Q. Yes, there is.

24 A. Right.

25 Q. Just --

1 A. What I was going to say, before you move on, is that my  
2 recollection of this time is that a great deal of my  
3 concern, possibly all of the concern, about the purchase  
4 of commercial Factor VIII, certainly from the Health  
5 Board's point of view, was that it was very expensive  
6 and there was a strong view that they were paying a lot  
7 of money to the BTS to collect all this plasma and make  
8 Factor VIII and the Health Department wasn't very happy  
9 about having to buy commercial products as well. So it  
10 may have been driven as much by concerns about the money  
11 as anything else at that level.

12 Q. If we move on to the next page, please, just perhaps to  
13 note at the moment the reference to heat-treated  
14 Factor VIII:

15 " ... concern was expressed about the commercial  
16 firms, who were anxious to capture the market for their  
17 own heat-treated product, and by offering supplies of  
18 their material for clinical trials might pre-empt the  
19 available suitable patients before the PFC product was  
20 ready for similar trials."

21 A. This was a bit optimistic. This, I think, probably  
22 refers to -- this was 1983, wasn't it?

23 Q. Yes, January 1983.

24 A. I think this is probably a reference to product that  
25 actually had been around for a while, which was

1 a heat-treated product produced by Behringwerke,  
2 I think, a German company, which had been intended  
3 specifically -- the treatment was intended to reduce  
4 hepatitis transmission.

5 Q. We certainly know, Dr McClelland, because we have  
6 paperwork about it, that there was a Hemofil  
7 heat-treated product coming through around this time and  
8 there is correspondence from Hyland about that. But --

9 A. But can you recall from that, was that heat treatment in  
10 relation to hepatitis or to HIV?

11 Q. It was hepatitis.

12 A. Hepatitis, yes, sorry, that was the point I was trying  
13 to ...

14 Q. And:

15 "Directors were made aware of the fierce competition  
16 facing the PFC from commercial concerns and were asked  
17 to bear in mind the stated policy for the  
18 Scottish Health Service to be self-supporting in blood  
19 products."

20 "Stated policy". Stated by whom? Do you remember?

21 A. I have absolutely no idea.

22 Q. And then:

23 "It was agreed that the working group..."

24 This is reading from the next page:

25 "... should keep these developments under review and



1 help to promote whatever collaboration was required to  
2 bring the PFC heat-treated Factor VIII most effectively  
3 into therapeutic practice."

4 Just look at that reference to AIDS, which is on  
5 page 7 of [\[SNB0015160\]](#). We can see there Dr Cash  
6 appears to have drawn everybody's attention to recent  
7 articles in the United States and also to the one in the  
8 Observer. We do have the cutting from The Observer and  
9 we actually also have a memo from the Department of  
10 Health about it. So it's a reasonable deduction,  
11 I think, that it's that particular piece in The Observer  
12 that's being referred to?

13 A. Yes, having looked at this again, though, I think that  
14 my response to your question, as advised to this minute,  
15 is actually correct. I don't think there is any mention  
16 in here about the connection between HTLV-III, or  
17 whatever, or LAV1 and commercial blood products. There  
18 is clearly reference to commercial blood products, which  
19 I have suggested is possibly more likely related to  
20 concerns about the cost, and there is obviously concern  
21 about the possibility that heat-treated commercial  
22 products might make it impossible to trial PFC treated  
23 product, which may or may not be seen as a legitimate  
24 concern. But the connection between Factor VIII and  
25 AIDS is not apparent to me in this minute.

1 Q. Well --

2 A. Unless there is another bit which we haven't looked at  
3 yet.

4 Q. Perhaps, Dr McClelland, it would be a good idea just to  
5 look quickly at the Observer. It is [\[DHF0017108\]](#).

6 A. I think this is shortly after the first report in the  
7 Morbidity and Mortality Weekly Reports of the  
8 association of AIDS with Factor VIII and shortly before  
9 a publication, I think, in the Lancet, if I have got my  
10 years right.

11 Q. Yes. Just looking at it, Dr McClelland, it certainly  
12 seems to be making the point about the connection.

13 A. That would fit, yes. Well, this had already been  
14 raised, as we already heard, at the summer 1982 meeting  
15 in Budapest and it had by this date, if it was the first  
16 of -- what date was this again? Early 1983 anyway.  
17 This would have found its way into the MMWR by that  
18 time. So there was a source for it.

19 But I have to confess I hadn't looked up this  
20 cutting when I read at that minute and I wasn't aware of  
21 it.

22 Q. Please don't worry, Dr McClelland, it is just that, you  
23 know, we have looked at so much and we find things that  
24 seem to fit. But would it be reasonable if we drew the  
25 inference that, even though it is not specifically

1           minuted, the sentiment must have been at the meeting  
2           that this was an issue relevant to matters of blood  
3           transfusion and haemophilia treatment?

4    A.   I think it is reasonable to draw that conclusion,  
5           although the lack of a specific reference to that  
6           connection in the minutes is surprising.

7    Q.   Go back to your statement, please, [\[PEN0150307\]](#) at  
8           page 4.  There is a question 2.1:

9                    "Should Scottish representatives have been invited  
10                   to the UKHCDO meeting on 1 May 1983?"

11                   That question really has been superseded because we  
12                   discovered that Dr Ludlam was there.

13   A.   Yes.

14   Q.   But there doesn't appear to have been anybody else from  
15           Scotland.  You say in the next paragraph that you would  
16           be surprised at the reluctance to involve haemophilia  
17           clinicians from Scotland.  This issue of whether Glasgow  
18           and Edinburgh were or were not formally designated as  
19           reference centres crops up quite a lot.

20   A.   Yes.  I hadn't realised just quite how much, but there  
21           clearly was a lot of politics in here, that I wasn't  
22           involved in at all.  It is all new to me, this.  There  
23           was a bit of status juggling going on, I think.

24   Q.   Actually I think it is a set of your handwritten notes  
25           from 1981 which seems to make reference to a concern

1           that designation as reference centres might lead to  
2           two-tier care. Does that ring any bells?

3    A. I can see why I would have expressed that concern, put  
4           it that way.

5    Q. I'm not sure if it is your concern. It is just a note  
6           you've made about two-tiered care.

7    A. I don't recall that actually, I'm sorry.

8    Q. But in any event we haven't, I think, found any evidence  
9           that the lack of formal designation made any difference  
10           to people's attendance at meetings or people's awareness  
11           of what was going on.

12   A. I don't think so. It was a very, very small community  
13           of professionals.

14   Q. Yes. Then we asked you if there was any thinking along  
15           the lines of Dr Galbraith's letter to the DHSS in  
16           Scotland and you have said there was the letter that  
17           Dr Boulton obviously sent.

18           We asked you about knowledge in Scotland. You said  
19           you would be:

20           " ... surprised if Dr Galbraith's concerns had not  
21           been transmitted by the DHSS to the SHHD since this  
22           matter was important to the regulation of blood products  
23           and this was a UK matter."

24           But, as you go on to say later, when you talk about  
25           the meeting, that you were:

1           " ... under the impression that the meetings of the  
2           CSM were confidential. The business involved  
3           information that was commercially confidential."

4           Indeed, look at [\[DHF0014587\]](#). This is a suggested  
5           agenda for the meeting on 13 July. In fact, if one  
6           reads through it, it has got some suggested conclusions  
7           as well, although they are expressed with question  
8           marks. But this is a document dated 28 June 1983. It  
9           is obviously something that has been prepared for the  
10          meeting that is coming up to look at Dr Galbraith's  
11          paper, but we can see that it's marked "in confidence".  
12          Indeed, the ultimate minutes of the meeting, which we  
13          have already looked at too but we don't need to go to,  
14          are headed up:

15                 "Not for publication. Commercial in confidence."

16           So it does look as though not just the meetings of  
17           this body but the paperwork that was circulating in  
18           advance for the meeting was very much treated as  
19           confidential.

20    A. Since writing that statement it just occurred to me that  
21           I expect there would have been formal representation  
22           from the Scottish Home and Health Department at that  
23           meeting. That would, presumably, be evident from the  
24           minutes.

25    Q. Well, really the only person we have been able to

1 identify from Scotland as having definitely been there  
2 is Mr Watt.

3 A. He was a member of the CSM in his own right, as opposed  
4 to representing Scotland. So the confidentiality  
5 clauses possibly he would have seen as binding him from  
6 passing information on to the department. I don't know  
7 how that worked.

8 Q. Yes. It's difficult to know, Dr McClelland. We have  
9 two sets of minutes and they are both redacted in  
10 different ways but there isn't, I don't think, any  
11 specific mention of SHHD.

12 A. The reason I'm surprised at that was because my  
13 understanding was -- and others are more expert than  
14 I -- that this was clearly a pharmaceutical regulatory  
15 issue and the Scottish Home and Health Department,  
16 I think, had clear responsibilities in that general  
17 area. I would have thought there would have been  
18 a routine mechanism for communicating this sort of  
19 information between the two departments, as it then was.

20 Q. Before we leave that perhaps, to avoid going back to it,  
21 it is just perhaps worth noting that the suggested  
22 conclusions appear to be directed serially to  
23 Dr Galbraith's suggestions. Look particularly at the  
24 third page of [\[DHF0014587\]](#), numbered paragraph 4.  
25 Withdrawing concentrates cannot be recommended. We can

1 see what the reasoning behind that is. Withdrawing US  
2 preparations:

3 "Impracticable on grounds of supply."

4 Then:

5 "Use US blood products as sparingly as possible ...  
6 This possibility is largely a matter for physicians  
7 treating haemophilia, but it could in theory be decided  
8 to modify product licences ...

9 "Conclusion? The uncertain balance of risk/benefits  
10 considerations in various categories of patient are too  
11 finely balanced to justify action via licensing: The  
12 matter should be left to clinical judgment."

13 Then promoting self-sufficiency as a goal; trying to  
14 use only post March 1983 products; and viral  
15 inactivation as the sort of range of responses, and we  
16 know from the minutes of the meeting -- perhaps we  
17 should just look at them before we stop. [\[MIS0010291\]](#).  
18 In particular, on the second page, where the conclusions  
19 are listed, they seem broadly to correspond to the  
20 suggested conclusions from the paper in June. Would  
21 that be right?

22 A. (Pause)

23 I'm sorry, I didn't realise you were addressing  
24 a question to me.

25 Q. I was just saying there seems to be an overlap between

1 the suggested conclusions and the actual conclusions?

2 A. Yes, absolutely.

3 Q. You didn't know about Dr Galbraith's letter, you tell  
4 us, until you started working for this Inquiry?

5 A. Peter Foster found it on the DHSS website a couple of  
6 years ago. That was the first time I was aware of it.

7 Q. Just before we stop, we asked you if you thought it was  
8 referred to in England and I think you say that if it is  
9 being described at a meeting of the transfusion  
10 directors in May, the reference is cryptic.  
11 I absolutely see why you say that, Dr McClelland.  
12 I don't think we really have any evidence that this  
13 suggestion was in any way being discussed outwith the  
14 forum of the Committee On the Safety of Medicines around  
15 about that time. So in fact it looks to have been very  
16 much kept confidential then and even those working in  
17 the area don't seem to have heard about it and you  
18 certainly didn't?

19 A. I certainly didn't.

20 Q. Sir, I think that's an appropriate moment at which we  
21 should stop for lunch.

22 THE CHAIRMAN: Thank you.

23 (1.03 pm)

24 (The short adjournment)

25 (2.00 pm)



1 MS DUNLOP: Dr McClelland, can we take up where we left off,  
2 please? Just looking at paragraph 2.4. I don't think  
3 there is anything particular in that that I need to ask  
4 you about.

5 You discuss in brief the report in 1983 of AIDS  
6 transmission by platelets. That's the article that was  
7 in the Lancet of 30 April 1983, which itself is the  
8 writing up of a case which had been described in the  
9 MMWR in December 1982.

10 A. That's correct.

11 Q. We have looked at that already.

12 You think that you were interested in it because you  
13 had invited, was it, Dr Diane Wara?

14 A. Yes, she was one of the authors of the paper.

15 Q. Yes. You are not sure whether you saw it in the MMWR  
16 when it was reported in the December?

17 A. I can't remember.

18 Q. Then the letter from Professor Bloom in June 1983 we now  
19 understand to have been a circular letter to all the  
20 haemophilia centre directors.

21 I just wondered, in connection with advice issued in  
22 Scotland around about that time, that is the middle of  
23 1983, from what we have seen -- and we are obviously  
24 going to hear some evidence from Dr Foster next week and  
25 other people connected with SNBTS -- it does look as

1           though Scotland was much closer to self-sufficiency  
2           around that time than England, in 1983.

3    A.   The proportion of the then demand that was met from  
4           indigenous sources was a lot higher in Scotland than it  
5           was in England.   That's my understanding.

6    Q.   Suppose there had been something of a direction to  
7           clinicians in Scotland that they were to use only  
8           Scottish product, what do you think would have happened?

9    A.   I'm not quite sure what form of direction you have in  
10           mind.   Something like a chief medical officer's  
11           letter --

12   Q.   Yes, something like that.

13   A.   My experience has been that that sort of very formal  
14           communication, if it's fairly unequivocal in what it's  
15           saying, it tends to be taken pretty seriously.   More  
16           than that, I cannot speculate as to what a whole group  
17           of different clinicians with different attitudes would  
18           have responded to a direction.

19           There wasn't at that time a tradition of issuing  
20           instructions.   So the strength of the direction would  
21           not have mandated every clinician to have to follow it.

22   Q.   It is just that we have seen a lot of references,  
23           particularly in the minutes of meetings to the goal of  
24           self-sufficiency, and I just wondered when you had any  
25           recollection of that being set, as it were, from SHHD?

1 A. Well, I'm not aware -- or if I knew it, I have forgotten  
2 it -- of any explicit direction from SHHD that said  
3 Scotland is to be self-sufficient; you know, the various  
4 component parts of Scottish Health Service are  
5 instructed to achieve that.

6 What I am aware of was that substantial amounts of  
7 public funds had been put into the construction and  
8 operation of the fractionation centre, and as I said  
9 this morning, I think there was a concern that we  
10 shouldn't be paying twice for the treatment for this  
11 group of patients.

12 Q. Yes. Perhaps I could just ask you to look at the  
13 minutes of the meeting before the 1983 meeting, which is  
14 the 1981 meeting. That's at [\[SNB0015055\]](#).

15 We have looked at this before, Dr McClelland, so we  
16 are familiar with it to a degree, but the tone of the  
17 discussion about commercial purchases, which we can see  
18 starting at the bottom of the first page, seems to be  
19 that the increasing quantity of commercially produced  
20 Factor VIII is something to be examined. To put it  
21 mildly, it wouldn't be a welcome phenomenon.

22 A. That was my understanding, I think, at the time.

23 Q. I just noticed in these minutes, if we can go to the  
24 third page, paragraph 6, there is a discussion about the  
25 Council of Europe. We had some evidence at the Inquiry

1 about the Council of Europe, the recommendations in this  
2 area, and you yourself have drawn our attention to  
3 various papers emanating from WHO. I don't know whether  
4 you would want to take those two separately, but I just  
5 wondered what you thought was the attitude to  
6 pronouncements from bodies such as these within the  
7 profession.

8 A. Take the Council of Europe recommendation first.

9 I mean, the group that, as I recall, produced that  
10 recommendation was then called SDS something or other.  
11 They all had amazing names, these committees. But it  
12 was very much a transfusion service-focused group.  
13 Certainly its successor group in more recent years,  
14 which I have been involved with, wasn't strongly  
15 representative of the treating clinicians. So I suspect  
16 that it was talking largely to the transfusion community  
17 and possibly perhaps many of the clinicians would not  
18 have even been aware of some of these recommendations,  
19 I suspect. I don't imagine it would have carried a huge  
20 amount of weight among haemophilia clinicians in the  
21 United Kingdom at that time.

22 Q. Right. We will ask you about WHO when we come to look  
23 at that later on.

24 A. Yes sure.

25 Q. I think that might be better.

1 THE CHAIRMAN: Ms Dunlop, could I see page 2, please, of  
2 this minute?

3 MS DUNLOP: Yes.

4 THE CHAIRMAN: I think we can see there that the factors  
5 creating demand were discussed fairly generally at this  
6 meeting. Yields are discussed, cryoprecipitate yields.  
7 I think then it goes over the page and begins to talk  
8 about the distribution of therapeutic products produced  
9 by PFC. This was in 1981 shortly before a major  
10 exercise in upgrading PFC was due to begin.

11 A. Hm-mm.

12 THE CHAIRMAN: Do you remember that context?

13 A. I remember the upgrading of PFC. Sorry, I'm not sure  
14 that I understood your question, sorry.

15 THE CHAIRMAN: Were there factors at that stage that were  
16 leading to restrictions in the supply of PFC products?

17 A. I think perhaps there were. There were a number of  
18 issues here that go beyond the simple matter of  
19 quantitative supply that influenced the treating  
20 clinicians' view of the desirability of the different  
21 products.

22 Although I'm not a haemophilia treater and I claim  
23 no expertise whatsoever in that area, it is fairly  
24 self-evident, I think, that many of these patients have  
25 a severe and obviously permanent illness and require to

1 be treated frequently and quite often intensively with  
2 this particular product.

3 So the practicality, the usability of the product is  
4 not a trivial issue for either the patients or their  
5 parents or the people who are trying to care for them.

6 That's the first issue, and I think there is no  
7 question that for reasons which I can touch on if you  
8 wish -- but Dr Foster is much better equipped probably  
9 to expand than me -- there are perfectly understandable  
10 reasons why in many cases the commercial products were  
11 easier to use because the volume required to produce  
12 a given dose would have been smaller, the dose content  
13 of the vial was essentially standard whereas the PFC  
14 vials were labelled individually. The dosage was clear  
15 but they were individually labelled and very often the  
16 commercial product was easier and quicker to dissolve  
17 from the freeze-dried state into the form which was  
18 suitable for injection.

19 Each of those things may individually seem rather  
20 trivial but if you are actually having to prepare 20 or  
21 30 vials two or three times a day, these become very  
22 major issues for the patient.

23 The other issue --

24 THE CHAIRMAN: I don't want to get into Dr Foster's area too  
25 much. I was thinking of you, in the Blood Transfusion

1 Service, and how these things would impinge on your  
2 experience and understanding of what was going on.

3 A. That did impinge on my understanding quite a bit because  
4 we inevitably had very regular contact with the treaters  
5 and myself particularly with Dr Ludlam. So we were not  
6 immune from communication about these specific problems.

7 The second issue, which is slightly different from  
8 total, as it were, annualised supply, was that there  
9 were occasions, because the PFC was a very small  
10 operation compared to these large commercial suppliers,  
11 when supplies for a period would be restricted. And of  
12 course the third thing was that if one took the view  
13 that the PFC was the sole supplier, which was one of the  
14 concepts underlying self-sufficiency, then the PFC had  
15 to meet all those requirements. The commercial  
16 manufacturers could and often did say, "Sorry, we  
17 haven't got any; you have got to go to somebody else."  
18 So all of those factors were very relevant to the sort  
19 of perception of when it might be important to have  
20 access to a commercial product.

21 THE CHAIRMAN: I think if we go over the page, we see some  
22 of those factors mentioned at the top.

23 A. Yes.

24 THE CHAIRMAN: Yes. And going on to arguments about how to  
25 distribute it throughout Scotland, whether on

1 a population basis or on the amount of plasma supplied  
2 for processing and so on.

3 A. Yes, and that basis of distribution did change over  
4 time. I unfortunately cannot recall the precise date,  
5 but there was a period when I think, largely as an  
6 incentive to the transfusion centre, there was an  
7 attempt to distribute Factor VIII on the basis of plasma  
8 supplied to the PFC. That was abandoned at some point  
9 during the 1980s, the early 1980s, I think, and I cannot  
10 honestly remember what was the basis of distribution  
11 thereafter.

12 THE CHAIRMAN: Sorry. My interest was triggered by what  
13 I saw there, and of course the question whether there  
14 can be a direction to use only the domestic product  
15 becomes very much more complicated when one looks at the  
16 surrounding circumstances.

17 MS DUNLOP: Clinicians, you say, Dr McClelland, made their  
18 own clinical decisions about the choice of product, and  
19 for our assistance you have referred us to a section  
20 from the Lindsay tribunal. It's from the report of the  
21 Lindsay tribunal, rather than the transcript. We don't  
22 need to go to it but it is reproduced from page 15 of  
23 your statement, evidence of Dr Colvin, Dr Jones and  
24 Professor Christine Lee.

25 A. I think it's also, you know, relevant to your last



1 point. I mean, if we looked at the minute that we saw  
2 this morning from the CSM, the  
3 Committee on Safety of Medicines, it is very explicitly  
4 saying it is down to the clinicians to make the  
5 decision.

6 Q. Yes.

7 A. This is a recurring theme in many governmental-type  
8 communications.

9 Q. Yes. Can we go back to your statement, please, to  
10 page 7. You refer to this idea of whether large  
11 quantities of commercial Factor VIII were used at  
12 Yorkhill. You, in your answer, drew our attention to  
13 Dr Willoughby's book, and I think I have seen the whole  
14 book sitting here in this room. We don't have the whole  
15 book but we have some pages that you provided for us and  
16 I think we should have a look at them.

17 Can we have a look at [\[PEN0150066\]](#), please?

18 You provided us initially with a photocopy of the  
19 cover, which I think is a red cover, is it?

20 A. Yes, it is, a red and black hard book.

21 Q. A red and black book, which as I say, I have seen here.  
22 If we just look at the next page, please, you see  
23 Dr Willoughby's name appearing there. It seems to be  
24 1977. You said 1976. Perhaps completed around 1976,  
25 that sort of era. Just to look a little bit at what

1 Dr Willoughby had to say in this book on paediatric  
2 haematology, can we see [\[PEN0161062\]](#), please?

3 I would like, if I may, to go to page 319, which  
4 I think should be the next page. Yes. He has been  
5 discussing hereditary coagulation disorders but on this  
6 page, if we look down a little bit on the right-hand  
7 side, we see him going on to discuss correction of the  
8 coagulation deficiency.

9 We see some information that we actually already  
10 have heard, cryoprecipitate in haemophilia and  
11 von Willebrand's disease but not in Christmas Disease:

12 "Appropriate concentrates of Factor VIII, Factor IX  
13 and the prothrombin complex have also become available  
14 in recent years and are of use in particular  
15 circumstances."

16 Perhaps not the next page but the page after that,  
17 I think, is talking about the use of the different  
18 products. This is a section on the use of  
19 cryoprecipitate. He explains about the pioneering work  
20 of Judith Pool and then goes on to give some more detail  
21 about how to use the material. He says, at the end of  
22 this section:

23 "Both plasma and cryoprecipitate have an advantage  
24 over human concentrates in carrying a low risk of  
25 transmitting serum hepatitis, since each bag is prepared

1 from a single donor rather than a pool."

2 So certainly shows, as one would expect, that he was  
3 aware of the risks. Then he goes on to talk in this  
4 section 3 about cost. He says:

5 "They are of course, expensive (for example, 10  
6 pence per unit for Hemofil)."

7 Then we can see a section beginning in the  
8 right-hand column, "Management of specific problems."  
9 "Cuts and lacerations". Then on to the next page, "Soft  
10 tissue bleeding" on page 322. Haemarthrosis and then  
11 323. Nose bleeds, haematuria, gastrointestinal  
12 bleeding, CNS bleeding, dental treatment. Then  
13 interestingly for our purposes, on to page 324,  
14 section 11 is on home transfusion, prophylactic  
15 treatment. So amply demonstrating what you say in your  
16 statement, Dr McClelland, that:

17 "His early interest in prophylactic therapy using  
18 concentrates is evident in his textbook."

19 We can see that for ourselves.

20 He talks, at the bottom of the right-hand column,  
21 about recent explorations into prophylaxis for selected  
22 severely affected patients with frequent haemorrhagic  
23 episodes. In to the next page. He has -- one  
24 assumes -- some reservations about prophylactic  
25 treatment. He says, and we can see it on the left:

1           "Prophylactic administration of Factor VIII or IX in  
2 severely affected patients has met with greater success  
3 but clearly this is reserved for patients with quite  
4 exceptionally severe and frequent haemorrhages."

5           He explains in the following paragraph that:

6           "The rationale for intermittent prophylactic  
7 replacement therapy is that spontaneous haemorrhage is  
8 only seen in patients with factor VIII levels below 1 to  
9 2 per cent and infusions of concentrates at 36 to  
10 48-hour intervals can keep the concentration above this  
11 level for most of the time ..."

12           Did you know Dr Willoughby?

13 A. I never met him. I know his book very well because it  
14 is an extremely good book. Although way out of date, it  
15 is one of those books that you still find the  
16 information that you want, when you want it. So I have  
17 always kept it.

18 Q. Thank you. Can we go back to your statement, please,  
19 and go on to the next page, page 8. Again,  
20 Dr McClelland, this is a bit of a trailer for the  
21 witnesses who are coming next week, but I just wanted to  
22 ask you if you could explain what you say at the top  
23 about the use of a particular technique, the thaw-siphon  
24 technique, to improve the yield of cryoprecipitate. By  
25 that do you mean that you would get more cryoprecipitate

1 from a given donation?

2 A. You would get more Factor VIII out of a given donation  
3 using this technique, which I think was originally  
4 developed or reported from Australia, and some of  
5 Dr Cash's colleagues did work on improving the  
6 technique. So it got more active product into the  
7 cryoprecipitate.

8 Q. Yes. Then can we move on to the next page, please.  
9 This is the WHO Geneva conference at the end of 1983,  
10 I think. We just discussed this in our preliminary  
11 report. You say:

12 "Dr John Watt presented a paper entitled 'Acquired  
13 Immune Deficiency: implications for blood and blood  
14 products'."

15 Just to show, sir, that we have this. Dr McClelland  
16 provided it to us and we have it in court book. It is  
17 [\[PEN0161076\]](#). It appears to be, I suppose, a snapshot  
18 of a situation towards the end of 1983. Perhaps the  
19 comment that reveals a certain amount of resignation in  
20 the face of these problems is the one that's slightly  
21 more than half way down the page; so if we scroll down  
22 a little bit we can see:

23 "An unknown agent which transmits disease from donor  
24 to patient has been a feature of blood transfusion since  
25 the beginning with the exception of the period 1970 to

1 1981."

2 I don't understand that?

3 A. No, I don't understand that either.

4 Q. "The primary response of the transfusion community has  
5 been an updated version of the measures used against  
6 serum hepatitis until 1970."

7 I suppose he is meaning the introduction of  
8 screening for Hepatitis B, is he?

9 A. I'm not quite sure what he means.

10 Q. No. Then on the second page he refers to media  
11 coverage. The AIDS problem. Actually, Dr McClelland,  
12 I think we asked you about this the last time you were  
13 here. Certainly John Watt's view was that:

14 "Early dissemination to the public of media concern  
15 over the AIDS phenomenon was sensationalist in the  
16 extreme, rarely accurate and frequently a gross  
17 distortion of the truth."

18 Is that fair comment?

19 A. I'm not sure that it is a fair comment actually.

20 I think, as very often, one would have to go through and  
21 analyse some of the articles of the time, but I think  
22 very often there were very dramatic headlines under  
23 which were quite reasonably factual pieces.

24 Q. It didn't look as though the paper was particularly  
25 contributing anything new to the debate; it was more

1 a sort of record of the way matters lay. Is that true?

2 A. I know nothing about the origin of the paper. It  
3 appeared in the copious documents for that meeting.

4 Q. Just to go back to your statement. You say:

5 "I submitted my report and recommendations from the  
6 Geneva conference to both the SNBTS and to Dr Bell."

7 And just put shortly, the references you make there  
8 are to the directors' meeting on 8 December, where you  
9 made a contribution on the conference, the draft report,  
10 which we mention in the preliminary report, working  
11 group on AIDS of November 1984 and a letter from  
12 Dr Boulton to Dr Bell. I think these seem to be the  
13 references, and you say you would have disseminated the  
14 information to colleagues with an interest in the topic.

15 We didn't have at the time of publishing the  
16 preliminary report but we do now have a final version of  
17 the report, rather than a draft, and just to note that  
18 too: [\[PEN0161079\]](#). On the following page of your  
19 statement you have highlighted some of the  
20 recommendations from this report, if we can just look at  
21 it, and particularly page 14. That's [\[PEN0161079\]](#) at  
22 page 14.

23 The ones you have quoted, Dr McClelland, come from  
24 the section that begins "Sufficient information", and  
25 you have quoted as recommendations the fourth bullet:

1           "Informing persons with haemophilia and their  
2           physicians of the potential health hazard of Factor VIII  
3           or IX products, including the risks related to AIDS.

4           And the fifth:

5           "Considering the use of autotransfusion using frozen  
6           or conventionally stored blood for suitable patients."

7           Who are these recommendations aimed at? Are they  
8           meant to go straight to individual doctors or is that  
9           not really the thinking?

10    A.    It's sometimes difficult to know what the thinking is  
11           with WHO but the normal -- I mean, WHO, like the rest of  
12           the United Nations institutions, consists of its member  
13           states, essentially it's a bureaucracy for its member  
14           states. So normally they would communicate, as would  
15           the Council of Europe, through the member state  
16           government representatives. So this would have gone to  
17           the Department of Health in the UK.

18    Q.    Yes. In Scotland would it go to SHHD?

19    A.    I don't think Scotland would have been recognised at  
20           that time by the WHO as a separate member state. So  
21           probably not. But I really don't know. I would be  
22           surprised if it had gone from Geneva to SHHD.

23    Q.    Okay. Would you have expected it to go from Geneva to  
24           London and then from London to Edinburgh?

25    A.    If anybody in London had read it, yes, I would expect



1           that to happen.

2    Q.   Can we go back to your statement, please, at page 10.

3           You say what you just said, that you can't say from  
4           personal knowledge whether or not a specific note was  
5           taken of these WHO recommendations by the haemophilia  
6           clinicians in Scotland. I suppose you were an  
7           ambassador, weren't you; if you have been there, you  
8           would come back and disseminate what the thinking was?

9    A.   In some of the documents I have referred to, I tried to  
10          spell out my own thoughts as to what we should be doing,  
11          but that was the best I could do. I have just realised  
12          there is an error in my statement which is I have quoted  
13          two of those four recommendations and for some reason  
14          the first two, the most important ones, have got lost,  
15          actually in some cut and pasting exercise. I apologise  
16          for that. I have missed it. I had intended to quote  
17          the four recommendations relevant to blood.

18   Q.   So you would have liked the quote to begin with the one  
19          that says:

20                 "Persuading individuals with AIDS ..."

21                 Et cetera?

22   A.   Yes.

23   Q.   Right. I think we can read your statement subject to  
24          that amendment.

25   A.   Yes. That's an error, sorry.

1 THE CHAIRMAN: Professor James has his own take on these  
2 recommendations which it might be more politic not to  
3 read into the transcript.

4 MS DUNLOP: I don't want to ask you anything specific,  
5 Dr McClelland, about the question at 3.6, Scottish  
6 patients with AIDS. This is where you refer to  
7 Dr Evatt's article and you did include an extract from  
8 the paper, and as I have said, we were sufficiently  
9 interested in it to include it in its own right,  
10 together with responses to the aftermath, one might say,  
11 of the initial article.

12 Then on to the next page. This is moving back into  
13 the topic that we covered a month ago -- more than  
14 a month ago, in fact, two months ago -- that the  
15 meetings with Dr Sandy Macmillan and Mr Derek Ogg. You  
16 say that you have a definite recollection that by that  
17 time -- and this is, what, the first half of 1983?

18 A. Yes.

19 Q. "Dr Macmillan was aware that some of his male patients  
20 that were known to be gay were showing clinical features  
21 that suggested that they could be suffering from this  
22 new form of immune deficiency disorder."

23 I suppose, taken on its own, the fact that somebody  
24 had swollen glands wouldn't normally have struck a  
25 doctor as significant, or was this different?

1 A. I think what I was trying to get across here was that  
2 the question was a very difficult one to answer at the  
3 time, and it is a difficult one to answer now, because  
4 the early stages of what, in a given individual, would  
5 evolve into the syndrome which was taken at the time as  
6 defining AIDS, which was a combination of very specific  
7 things -- but the early features, like swollen glands or  
8 fevers, you know -- were highly non-specific. And we  
9 were really just saying there is something wrong with  
10 this patient, particularly if there was only one of  
11 those symptoms.

12 Fever is a very good example. If you look at any  
13 textbook of medicine, you know, there is usually pages  
14 and pages on the differential diagnosis of what's called  
15 PUO. Pyrexia of unknown origin. It is a symptom that  
16 something is wrong. So the early stages of a lot of  
17 these patients -- I think the shrewd clinicians had  
18 a sort of nagging certainty that something was going  
19 wrong with some of their patients and it wasn't quite  
20 like what they had seen before. But it was not possible  
21 to pin it down.

22 Q. I have heard it said, Dr McClelland, that context is  
23 everything and perhaps, is that the answer, that in  
24 other circumstances it might be viewed differently from  
25 how it was viewed when AIDS was very much on the agenda

1           and perhaps those who looked after men of homosexual  
2           orientation would be on the alert, as it were?

3    A.   They most certainly would have been because obviously  
4           the epidemic originally in the United States was focused  
5           in that community and there was a great deal of  
6           communication about it.  So there was a period when, you  
7           know, members of the gay community probably knew more  
8           about this syndrome than anybody else.  They were the  
9           experts.

10   Q.   Yes.  You were involved in these discussions and we  
11           understand why and you have spoken about that the last  
12           time you were here, that you were already concerned  
13           about the donated blood in Scotland and blood donors but  
14           what about thinking further downstream, as it were and  
15           about the people who would be treating their patients  
16           with Scottish products.  Do you think they were aware  
17           that there were these suspicions already in Scotland?

18   A.   It's very difficult to answer.  Obviously there will  
19           have been some in particular specialist areas but  
20           I mean, the most evident of those specialist areas for  
21           lots of reasons would be the haemophilia treaters  
22           because -- you already, I think, heard from  
23           Professor Hann and others -- their patients were expert.  
24           Their patients were the most intensively treated with  
25           blood products.

1           That's where I would -- that and possibly later on,  
2           maybe other people in haematology who were involved with  
3           the repeated use of blood products in patients; that's  
4           where awareness should have emerged first. The vast  
5           majority of doses of any product that the transfusion  
6           service provides are red cells, and most patients over  
7           a year will only get maybe two or three units of red  
8           cells and one episode, and so if it's the surgeons or  
9           the anaesthetists, they had no particular special reason  
10          to become concerned about that.

11          We started communicating what we knew about possible  
12          risks in blood quite early on. I haven't addressed that  
13          question in terms of saying precisely what we did and  
14          when but I'm pretty certain that we will have evidence  
15          of concluding -- I know we have evidence of concluding  
16          concerns about AIDS, if I can put it that way, in  
17          material that was intended for clinicians at quite an  
18          early stage.

19   THE CHAIRMAN: Dr McClelland, I wonder if we can get  
20          a little bit more specification, and I appreciate it's  
21          very difficult and it's a long time ago but that  
22          paragraph at the top of page 11 paints part of a picture  
23          and I wonder if we can take it a little bit further.  
24          Dr Sandy Macmillan clearly had very close contact with  
25          a number of patients who were members of the homosexual

1 community in Edinburgh and as such, would he have had  
2 really quite frequent association with complaints of  
3 swollen glands, other forms of infection in the genital  
4 areas and in the anus and so on, over a long period of  
5 time?

6 A. Oh, yes.

7 THE CHAIRMAN: This would not have been new to him if it had  
8 fitted that pattern?

9 A. If he was simply seeing patients with the conditions  
10 that we had habitually been seeing, obviously he would  
11 not have perceived something new going on. It would not  
12 have become evident to him, I'm sure -- I mean, he needs  
13 to speak for himself. I would guess he might find it  
14 quite difficult to define in retrospect but there will  
15 have been a point when he would have had an increasing  
16 awareness that, "There is something going on here that  
17 I haven't seen before". That's the way these things  
18 tend to work.

19 THE CHAIRMAN: Is that an important part of the background  
20 to this paragraph?

21 A. I think it is.

22 THE CHAIRMAN: These contacts are triggered by the  
23 appreciation that the Rubicon has been crossed in  
24 a sense.

25 A. Yes.

1 THE CHAIRMAN: Of course, another part of the background is  
2 that the emergence of features of this kind in  
3 previously healthy homosexual men was part of the  
4 picture painted in America from 1981/1982 onwards.

5 A. Yes.

6 THE CHAIRMAN: I would be very surprised if a person with  
7 the experience of Dr Macmillan, particularly working  
8 along with Derek Ogg, coming together with you, wouldn't  
9 have had these features in mind.

10 A. I think that's what I was trying to imply in my  
11 statement.

12 THE CHAIRMAN: Perhaps one just has to face up to it because  
13 you really have to know what the atmosphere at the time  
14 was, if at all possible. And I know it's not easy, but  
15 essentially, should one understand at this time, in the  
16 spring of 1983, there was a fairly clear understanding  
17 among people with an insight that there were features  
18 that suggested that the problem had arrived in Scotland?

19 A. I don't think I can actually say more than I have said  
20 because I think it would be important for the Inquiry to  
21 talk to one or two -- to hear from the clinicians who  
22 were seeing these patients day-to-day. All I can really  
23 say with confidence now is that looking at our actions  
24 at the time, I think I had come to the conclusion and  
25 Dr Anne Smith, who was working on this with me, that

1 this was something that was real enough that we were  
2 going to do something about it.

3 We were pretty convinced that this was real and that  
4 if it wasn't in Scotland today, it was going to be in  
5 Scotland tomorrow. And that we couldn't hang around.  
6 But as to what individual clinicians in relative  
7 specialities felt, I really think it is not something  
8 that I can comment on.

9 THE CHAIRMAN: It is not something that you can say.

10 I appreciate one must be very, very careful to avoid  
11 hindsight here because living in Edinburgh, it is not  
12 possible to forget the reality for some people that some  
13 of us knew, but do you really think that it's up to  
14 Dr Macmillan to tell us what was in his mind?

15 A. I really do think so, sir.

16 THE CHAIRMAN: Sorry for interrupting but I was just trying  
17 to get as clear a picture as I could.

18 MS DUNLOP: I was interested, Dr McClelland, in your  
19 reference to material for clinicians. You referred  
20 a few answers ago to material that you prepared for  
21 distribution to clinicians.

22 A. Yes.

23 Q. Is that clinicians who would be using blood and red  
24 cells, all sorts of blood products?

25 A. I may have been answering the wrong question at that



1 point and I have not prepared specifically on this, but  
2 I was thinking of things like information that went out  
3 with PFC products which Peter Foster could comment on.  
4 I, at some point around -- we altered the labels on  
5 blood bags, we had text in things like The Transfusion  
6 Handbook and so on, which was modified to account for  
7 this. But I would have to assemble exactly the trail of  
8 how we did that and at what point we felt confident  
9 enough of what was going on that we could communicate it  
10 to users of the products that we were supplying.

11 Q. Yes. I think all I'm really getting at, Dr McClelland,  
12 is that we know that you were beginning your drafting of  
13 leaflets around about this time, the first half of 1983,  
14 and we know there are these discussions with  
15 Dr Macmillan and I don't want to put words in your  
16 mouth, so I think just using your own words, you say  
17 that AIDS, "if it is not here today will be here  
18 tomorrow".

19 But it then is rather striking that in a minute of  
20 a meeting in March 1983 it looks as though it is  
21 Dr Ludlam who is saying that there is concern that AIDS  
22 might appear in the UK. I was just wondering if there  
23 was enough interdisciplinary sharing of how close the  
24 risk might be.

25 A. I think the honest answer is probably there wasn't.

1           There probably was quite a lot of sharing, though,  
2           because it was already a pretty hot topic for a lot of  
3           people. I mean, I can't remember now whether  
4           Christopher Ludlam shared those concerns with me at the  
5           time or not. I really can't remember.

6   Q.   Just moving on through your statement, Dr McClelland,  
7           you talk about, I think, really the detective work. It  
8           was detective work done by Dr Evatt, wasn't it?

9   A.   Yes.

10  Q.   About the requests for pentamidine?

11  A.   Yes.

12  Q.   It is a very special drug, is it?

13  A.   It's a drug which has certain uses for which it's  
14           conventional, but its use for the treatment of  
15           pneumocystis pneumonia was a special off-licence  
16           indication and, for reasons which I probably never knew,  
17           the policy had been developed at some point in the  
18           United States that it was only available by contacting  
19           a particular office in the Centre for Disease Control in  
20           Atlanta, which allowed them to build a national  
21           epidemiological map of putative diagnoses of  
22           pneumocystis pneumonia on the basis that people would be  
23           requesting this drug for it.

24  Q.   I see.

25  A.   Their unique observation was that they saw in relatively

1 quick succession, I think, three cases of this drug  
2 being requested for that form of pneumonia in patients  
3 whose primary condition was haemophilia, whereas  
4 previously they would have seen it mainly in patients  
5 who had profound immuno-suppression, usually due to  
6 treatment with chemotherapy or something like that. So  
7 this was signalling to them a new form of  
8 immuno-suppression-related infection was occurring in  
9 the haemophilia population, and they had never seen that  
10 before.

11 Q. Move on to the following page. Making another reference  
12 to the WHO conference in Geneva in 1983. I think we  
13 appreciate the point you are making, that getting your  
14 case definition right is very important. I just wonder,  
15 if you say Dr Curran was emphasising the importance of  
16 creating a narrow case definition, does that have some  
17 disadvantages? Is it possible that your definition is  
18 too narrow, you are missing some of the people you  
19 should be looking at?

20 A. Yes, they were absolutely explicit that the tight  
21 definition would miss cases but the reason for using  
22 that definition was that they wished to be able to count  
23 a population that was all oranges and didn't include  
24 apples and grapefruit. They were in no sense ignoring  
25 the fact that, by doing that, they would exclude many

1 other individuals who probably did have the same  
2 condition but could not be reliably counted.

3 So this was a fairly typical CDC approach, and it  
4 had proved very successful in other investigations that  
5 they had done. They used a tried and tested approach on  
6 this occasion.

7 I really only raised it to try and, I suppose,  
8 emphasise the points that we have already discussed,  
9 that it would have been fairly easy for a clued-up  
10 clinician to see the combination of pneumocystis  
11 pneumonia, Kaposi's sarcoma and a couple of other things  
12 and say, "That's a case of AIDS." But the same doctor  
13 might be seeing four other people in the clinic who had  
14 one or two or three features which were strongly  
15 suggestive but wouldn't allow the diagnosis to be made.

16 Q. Just for the record, sir, that extract that  
17 Dr McClelland has quoted is on page 6 of the WHO report  
18 but I don't think we need to go to it.

19 A. Sorry, in the lower part of the quote, on the lower part  
20 of the screen there, it is explicit:

21 "This definition has been useful for monitoring  
22 trends and detecting patterns but may underestimate the  
23 extent of the problem."

24 Q. Then you make a response to a question about the  
25 purchase of commercial Factor VIII in 1984 and you say

1           it's really for clinical haemophilia specialists to  
2           comment on this.

3           Then, on to the next page, you explain the  
4           importance of collecting and processing enough plasma in  
5           Scotland because of the goal of self-sufficiency; there  
6           does seem to be an ever-increasing demand.

7           There does look to have been an ever-increasing  
8           demand, for reasons which we can understand. In a sense  
9           the more successful the treatment, the more product will  
10          be required?

11        A. Yes.

12        Q. Yes. Then you have furnished us with another document  
13          which I am afraid, because we only got it this week, we  
14          don't yet have in court book, but it's a paper which you  
15          have recently been involved in preparing for WHO about  
16          the definition of demand for blood products. You maybe  
17          have a hard copy with you, do you?

18        A. I don't but I think actually the relevant bit --

19        Q. Is all in the footnote?

20        A. Yes.

21        Q. There is some confusion about this reference --

22        A. An editorial problem on our part, for which I apologise.

23        Q. I think we didn't appreciate that the quote that you  
24          actually wanted to refer us to is in the footnote and so  
25          if we look at what is page 21 of your statement, if we

1 can scroll on to that -- I take it you are providing  
2 these extracts, Dr McClelland, because they help us to  
3 understand different concepts of self-sufficiency of  
4 demand and supply?

5 A. That was my intention. I'm not sure whether they do  
6 help but I was trying to find a way of pointing out  
7 I think self-sufficiency is in many ways a very  
8 unhelpful concept because it depends almost entirely on  
9 where you are looking at it from, and this was an issue  
10 when -- the purpose of this document was quite  
11 different. It was to try to develop a model that would  
12 allow individual countries to work out approximately how  
13 much blood their services should be trying to collect  
14 and that led us to have to explore the nature of the  
15 requirement.

16 Q. Right.

17 A. So it's a closely related issue.

18 Q. Yes. The paper for the record is entitled "Approaches  
19 to estimating the adequacy of blood supply for  
20 a population", and it's by Oliver Hassall,  
21 Rene van Hulst and you, and it was delivered, I think,  
22 was it, at a workshop in Oxford in October 2010?

23 A. It was actually written in Oxford in October 2010 and  
24 delivered to the WHO.

25 Q. I'm obliged. Right. Can you just talk us through

1           what's in footnote 11 that we can see?

2    A. Well, this, as I say, is only included in the context of  
3       thinking about self-sufficiency, and we identified three  
4       possible different view points, as it were, for the  
5       quantitative supply of blood to a population. One was  
6       the current use, which is, as it implies, exactly what  
7       is being done in the territory at a given time, usually  
8       a year, and is influenced by a whole raft of factors,  
9       including the availability of hospital facilities, the  
10      number of doctors, the prevalence of disease, the  
11      attitudes to treatment of both doctors and patients and  
12      so on.

13           Then there is demand, which we had, roughly  
14      speaking, defined as the amount which is requested of  
15      the supplier, whether or not that request is met. So we  
16      might supply 100 but 120 had been asked for.

17           Then the third question was need, which was to say  
18      in an idealised situation, where each patient was  
19      receiving the best treatment to what were considered to  
20      be the best available standards, what would be the  
21      actual quantitative requirement in that situation.

22           Obviously, the concept of self-sufficiency leads one  
23      inexorably towards the belief that we should be able to  
24      achieve the third situation, which is absolutely the  
25      best for everybody, and that, I think, as you have

1 already implied, is a recipe for almost infinitely  
2 rising demand, or use, or production, or whatever. The  
3 quantities going into the population will tend to  
4 increase under that situation.

5 THE CHAIRMAN: I have to confess that I was hoping for  
6 a rather more basic notion than that, since interest in  
7 Scotland appeared to focus on PFC's capacity to produce  
8 what was the demand for the NHS product and its  
9 capacity, had it been asked upon, to meet the current  
10 need -- in other words, there was a balance that was  
11 being met elsewhere -- and trying to work out factors of  
12 that kind, rather than perhaps take the very detailed  
13 approach you are suggesting. Would I be wrong to think  
14 in those terms?

15 A. Sir, I wasn't suggesting that we should have taken this  
16 particular approach in Scotland; I was merely using it  
17 to try and illustrate.

18 If I could just respond briefly to your last point,  
19 yes, I think that was my understanding, but the problem  
20 is that every attempt to project the quantity that was  
21 going to have to be produced to keep everybody happy, if  
22 I can keep the language extremely neutral, was that the  
23 quantity went up every time. So the expectation was  
24 continuously -- the target was moving and it was always  
25 moving upwards over this period.



1 MS DUNLOP: Yes.

2 A. And that only changed at the point when recombinant  
3 product, concerns about CJD, HIV and everything, began  
4 to have a counter force.

5 THE CHAIRMAN: That is merely a change of product rather  
6 than a change of need, is it not? You didn't need human  
7 plasma any more but --

8 A. Yes, that was a change of product. And I'm not privy to  
9 what has happened to the pattern of supply since we went  
10 to recombinant Factor VIII, but I would be surprised if  
11 it hasn't continued to rise fairly inexorably.

12 MS DUNLOP: Can we go back to page 13, please? You say:

13 "The SNBTS could never have been confident that it  
14 would guarantee to meet a demand that was essentially  
15 open-ended despite the concerns raised by Dr Boulton."  
16 That's in the letter we have never found:  
17 "I think it would not have been for the SNBTS as  
18 a supplier of product to propose the withdrawal of other  
19 suppliers' products, when this may have led to  
20 a shortage."  
21 We know, Dr McClelland, that there was a lot of  
22 correspondence between Dr Boulton and Dr Ludlam about  
23 the supply of product for Dr Ludlam's patients and you  
24 will have been aware that there were some issues there,  
25 if I can put it like that. We saw your handwritten note

1 after the meeting in January 1983. You were going to  
2 speak to Frank and find out what had been going on. Is  
3 it reasonable for us to ask Dr Boulton about that?

4 A. I think entirely. I think there was unquestionably  
5 a degree of tension and I don't think that's necessarily  
6 particularly a bad or surprising thing; it was  
7 a difficult situation and we were, I think, all of us,  
8 trying to meet our different responsibilities as well as  
9 we could. Inevitably they clashed from time to time.

10 Q. Then you say, going on to the next page:

11 "I believe it was accepted by the SNBTS and the SHHD  
12 and considered as a factor of the professional  
13 independence of doctors that those responsible for care  
14 of the haemophilia patients should decide on the  
15 relative risks and benefits of continued use of  
16 commercial product versus reducing the total amount of  
17 treatment available in the event that supplies of  
18 indigenous product were less than the demand."

19 You were making these decisions in consultation with  
20 patients?

21 A. That's the way I thought haemophilia care had always  
22 worked and it's certainly the way it should work.

23 Q. Then finally heat-treated concentrates. You say:

24 "Heat-treated Factor VIII concentrates were licenced  
25 by the UK Medicines Control Agency in February 1985."

1           And you refer to heat-treated Hemofil T from Hyland  
2           being available from June 1983 in the Netherlands.

3           You supplied us with a short paper from the BMJ  
4           about a piece of work that was done, a study of 18  
5           patients in the Netherlands who were treated with that  
6           product, and we don't yet have that in court book but we  
7           will. For those 18 patients it appeared that Hemofil T  
8           did not transmit HIV. That is the outcome of that  
9           study. Is that correct?

10        A. That's my understanding.

11        Q. Because you say you don't know to what extent this  
12        product was available in the UK, I think the whole  
13        situation can be seen by looking at what Kenneth Clarke  
14        said about the licensing of heat-treated products in the  
15        UK. If you look at [\[SNF0013323\]](#). The first bit of this  
16        is the reference to the establishment of the Expert  
17        Advisory Group On AIDS, and we can see your name there.  
18        Then if we look on to the next page, Kenneth Clarke is  
19        making quite a long statement on what is being done as  
20        at that point, and he says -- and this has all been  
21        magnified for us on the right-hand side:

22                "Finally, imported heat-treated Factor VIII for  
23        haemophiliacs is already available for prescription by  
24        clinicians on a named-patient basis and we are  
25        considering urgently a number of abridged applications

1 for product licences."

2 So as at February 1985, heat-treated commercial

3 product in Britain looks to have been available but on

4 a named-patient basis. Do you see that, Dr McClelland?

5 A. Yes.

6 Q. We have had some evidence from Dr Winter about steps

7 that he took, and I think also Professor Savidge took to

8 get some heat-treated product for particular patients in

9 1984.

10 A. But it's just perhaps important to say that heat-treated

11 Factor VIII, which was shown subsequently to not

12 transmit HIV, was available in Scotland from the very

13 end of 1984.

14 Q. Yes.

15 A. All the supplies for Scotland were.

16 Q. It was just really in light of your reference to the

17 availability of Hemofil in the Netherlands in 1983.

18 I just wanted to try and put that in context for the UK?

19 A. Thank you.

20 Q. Yes. Right. Thank you, Dr McClelland.

21 A. Thank you very much.

22 THE CHAIRMAN: Yes.

23 MR DAWSON: I do have some questions, sir, I wonder whether

24 there is a requirement for a break at this stage.

25 (3.07 pm)

1 (Short break)

2 (3.21 pm)

3 Questions by MR DAWSON

4 MR DAWSON: Dr McClelland, from previous evidence to the  
5 Inquiry my understanding is that the position, certainly  
6 from the mid 1970s to the mid 1980s, which is really the  
7 period we are concerned with in this section, is that  
8 the SNBTS operated broadly on a regional basis. Is that  
9 correct?

10 A. Yes.

11 Q. And the idea was that each region would collect plasma  
12 for its own needs to the best of its ability. Is that  
13 broadly right?

14 A. Well, targets were set for each region. Yes, I think  
15 that's broadly right.

16 Q. Okay. Did you ever find in your period from 1979, as  
17 the regional director in the southeast, that you had  
18 a surplus of blood products?

19 A. We frequently had surplus of red cells because -- there  
20 is a very specific reason for that because the way that  
21 we obtained the plasma was by collecting whole blood and  
22 then after collection separating the plasma from the  
23 whole blood, which left us with the red cells in a pack  
24 by themselves. There was a period when the number of  
25 blood donations that we aimed to collect was driven by

1 the requirement for plasma, rather than the requirement  
2 for red cells. That meant that there was a surplus of  
3 red cells, which we, at periods, actually had an sort of  
4 non-commercial contract agreement with one of the London  
5 blood centres, which was always chronically short, so  
6 that we did everything we could to see that these red  
7 cells were not wasted.

8 Q. Does that period you have defined, the period during  
9 which the drive was for plasma, apply to the period that  
10 I have defined from the mid 1970s to the mid 1980s?

11 A. I think I would date the real drive for plasma from  
12 about 1975, at which time my predecessor, Dr John Cash,  
13 changed the operation of the Edinburgh centre so that it  
14 was almost exclusively -- sorry, let me say that again.

15 We were separating and collecting the plasma from  
16 almost all of the whole blood donations that were  
17 collected. The implication of that was that the  
18 surgeons and the people who were using red blood in bags  
19 were getting a concentrated red cell preparation from  
20 which most of the plasma had been removed, and that  
21 practical change -- it was a fairly fundamental change  
22 in the operation of the centre -- took place during 1975  
23 long before I joined the service, and I think probably  
24 marked the start of a drive to increase plasma  
25 collection very substantially, which was linked

1 obviously to the commissioning of the new protein  
2 fractionation centre.

3 Q. Did you ever find over that period that you had  
4 a surplus of cryoprecipitate or factor concentrates?

5 A. No, I wouldn't say we ever had a surplus. Obviously, we  
6 never had a surplus of the plasma collected for  
7 fractionation because we shipped it all to the PFC, and  
8 they could use any amount that we could supply.

9 Cryoprecipitate. We maintained a relatively small  
10 stock of cryoprecipitate because, while it can be stored  
11 frozen, it's bulky and there is no point in having vast  
12 amounts of it in refrigerators. So we tended to produce  
13 cryoprecipitate, which is a labour-intensive thing to  
14 do, sufficient to maintain a comfortable buffer stock in  
15 the region, and we would not produce more than we needed  
16 because that made it non-available. Once we had  
17 processed a unit of plasma into cryoprecipitate, it was  
18 no longer suitable obviously to send to the  
19 fractionation centre to make Factor VIII.

20 You also mentioned surpluses of coagulation factor  
21 concentrate. The way that the blood bank worked, which,  
22 if you like, was the sort of retail distributor of the  
23 Factor VIII concentrate, it ordered periodically,  
24 regularly, from the fractionation centre and attempted  
25 to maintain again, a reasonable level of stock, we hoped

1           would be sufficient to meet the sort of surge in demand  
2           which could and were created by an individual patient  
3           who had had an injury or had to have surgery or  
4           something like this; because one patient could use  
5           a very large amount of material over a short period of  
6           time.

7    Q.   Who was responsible for the management of that stock?

8    A.   I think the routine sort of maintenance of blood bank  
9           stock levels and the calling off of further stocks from  
10           the fractionation centre was the responsibility of the  
11           manager of the blood bank, who would have been one of  
12           the technical staff. But we always had one of our  
13           medical consultants who had specifically delegated  
14           authority to supervise the blood bank. For much of the  
15           relevant period that was Dr Frank Boulton, who was  
16           himself a fully qualified haematologist and had been  
17           a consultant level haemophilia treater in Liverpool  
18           before coming to work with us.

19   Q.   You mentioned in your earlier evidence that you had  
20           close contact with Dr Ludlam during your period as the  
21           regional director. I understand that Professor Ludlam  
22           arrived in 1980. Is that correct?

23   A.   Yes. Professor Ludlam had trained in Edinburgh and  
24           I had known him in various other incarnations, as we  
25           were training, and I think he took up his consultant



1 post very shortly after I was made director in  
2 Edinburgh.

3 Q. Indeed, and before that, I think, as has been referred  
4 to, his predecessor was Dr Howard Davies, to whom you  
5 have made reference, as somebody you worked under, on  
6 the front page of your statement.

7 A. Yes.

8 Q. On the front page of your statement you give  
9 a description of Dr Davies' attitude towards the kind of  
10 product he thought should be used in haemophilia  
11 treatment. Would it be fair to summarise that as  
12 basically being that he preferred to use cryoprecipitate  
13 rather than Factor VIII concentrate?

14 A. Yes.

15 Q. That he preferred to use local products rather than  
16 imported product, and that the reason for that was that  
17 he thought that approach would be the best way to  
18 minimise the possibility of infection?

19 A. Yes, absolutely. I think his view was as a sort of  
20 matter of fairly elementary biology: the more, as it  
21 were, different donors' blood samples contributed to the  
22 dose that one received as a patient, arithmetically the  
23 risk of getting something nasty was increased, and the  
24 further afield the blood came from, there was  
25 a certainly incalculable but reasonable grounds to

1           expect that something new and different and unfamiliar  
2           to the indigenous population might be in that blood. So  
3           those were two separate and complementary arguments  
4           which led him to precisely the conclusion that you have  
5           stated.

6   Q.   And the practical manifestation of that in the 1970s was  
7           that Dr Davies preferred to treat his patients with  
8           cryoprecipitate. Is that correct?

9   A.   As I say, I had a rather brief -- I was a very junior  
10          doctor. It was my first job after graduation and of  
11          course, you know, as the junior dogsbody doctor you have  
12          to deal with all the consultants. But the reason  
13          I mention this in my statement is because it left at  
14          that time a strong impression with me of something that  
15          seemed to me then, and seems to me now from one  
16          perspective, to make a great deal of sense. From the  
17          perspective of a patient with haemophilia, it doesn't  
18          make a great deal of sense if you are plagued by  
19          repeated bleeds and you have to deal with this, probably  
20          have to come into hospital every time you need a dose.

21                 It could be seen as a highly patient-focused view in  
22          one sense but in another sense, actually very difficult  
23          from a patient's point of view.

24   Q.   I think, as I understand the timing, you became the  
25          director in 1979 and as I think you have said, Dr Ludlam

1 arrived as the haemophilia director shortly thereafter  
2 in 1980. Was there a change in philosophy at that time  
3 as regards the way in which patients in Edinburgh were  
4 to be treated?

5 A. I can't tell you about philosophy because I don't know.

6 Q. Was there a change in practice as regards the  
7 requirement for products?

8 A. There was certainly a change in practice, which is not  
9 surprising with a young consultant coming in who had  
10 done much of his training in another part of the country  
11 where there was an authority in haemophilia,  
12 Professor Bloom, who I'm sure Dr Ludlam had, you know,  
13 developed a lot of his thoughts about good patient  
14 treatment from that experience and was up-to-date, read  
15 all the literature and felt that the patient's  
16 requirement for better control of their bleeding  
17 disorder was something that he had a real responsibility  
18 to try and provide for them, and I think that was a very  
19 understandable view.

20 Q. So presumably --

21 A. That inevitably had a number of consequences. I believe  
22 initially Dr Ludlam was actually quite keen -- and this  
23 is maybe a misremembering on my part -- to continue  
24 Dr Davies' policy of working with cryoprecipitate, but  
25 fairly early on I think began to feel that he had to use

1           concentrate and from that point on, the requirement for  
2           use of concentrate for patients in Edinburgh did  
3           increase really quite rapidly.

4   Q.   Did he communicate to you in some way, at the time of  
5           his arrival, what his attitude towards requirements for  
6           products would be likely to be?

7   A.   I honestly can't remember. It is quite possible that he  
8           did but I have no recollection of that.

9   Q.   The Inquiry has access to certain data showing the use  
10          of products in Edinburgh and I have focused on the  
11          period from 1980, at the time of Professor, Dr Ludlam  
12          then, his arrival. It certainly seems to be the case  
13          that that information reflects the impression that you  
14          had, that there was still a fairly large use of  
15          cryoprecipitate in the region of about 40 per cent in  
16          1980, when he arrived, and that then there was a gradual  
17          decline in the amount of cryoprecipitate being used.

18                 The question I have is: would it have been  
19                 practically possible in 1980, given that in that year  
20                 the amount of cryoprecipitate used of the total used in  
21                 the treatment of Haemophilia A patients was 40 per cent,  
22                 to maintain Dr Davies' commitment to the use of  
23                 cryoprecipitate in a longer term sense, had that been  
24                 Dr Ludlam's preference?

25   A.   Would it have been possible to produce cryo for

1           100 per cent instead of --

2   Q.   Well, to stick to a Dr Davies-type philosophy of using  
3        as much cryoprecipitate as possible?

4   A.   It would have been possible but it probably would not  
5        have been possible -- in fact, I can confidently say it  
6        would not have been possible in the facilities that we  
7        had then.  It was actually, I think, in retrospect,  
8        probably we shouldn't have been producing  
9        cryoprecipitate at all on the grounds of the safety of  
10       the staff, because the process involved a lot of alcohol  
11       fumes and all sorts of things that probably exposed our  
12       staff to unacceptable hazards.  We would have had to  
13       have access, immediate access, to new premises were we  
14       to do that, but I don't think that it's a question that  
15       ever arose.  Almost from the start of my appointment  
16       I was separately trying to find new premises, that was  
17       not the factor that was driving it, as I recall.

18  Q.   So obviously my question is a hypothetical one because  
19        that wasn't Dr Ludlam's view in the longer term  
20        certainly, and there was a move towards factor  
21        concentrate use, but your position is that even if it  
22        had been his view, there would have been practical  
23        difficulties with maintaining a reliance on  
24        cryoprecipitate.

25  A.   There would have been practical difficulties but if we

1 had been in a position, if the situation had been that  
2 we considered that it was a clinical necessity to do  
3 that, we would have done what we always did, which was  
4 to go and, you know, beat the drum with the department  
5 or the Common Services Agency or whatever, and do our  
6 level best to extract some money from somewhere to get  
7 the appropriate facilities.

8 So your first question was: would it have been  
9 possible? I think if we felt that the clinical need was  
10 sufficiently strong, it would have been possible. Not  
11 possibly immediately but in the time course of a year or  
12 something like that.

13 Q. Again, on my analysis of the figures provided by the  
14 UKHCDO, as I think you have said yourself, the  
15 dependence on cryoprecipitate declined in the first half  
16 of the 1980s to the point where we get to 1983 there is  
17 less than 15 per cent of the product being used in the  
18 treatment of Haemophilia A coming through  
19 cryoprecipitate. I think that's entirely consistent  
20 with what you have suggested. Would it have been  
21 possible by that point, had it been deemed clinically  
22 necessary to revert to cryoprecipitate as the main  
23 product in use for such treatment? That's in 1983,  
24 I should say.

25 A. It's really the same answer. It would be possible at

1 any time -- well, it wouldn't be possible now because of  
2 the restrictions on the use of plasma, but it would have  
3 been possible at any time to make a fairly modest  
4 investment into a bit of premises somewhere, equip it  
5 and make large quantities of cryoprecipitate.

6 Q. Thank you very much.

7 Could I just ask you a question about a phrase that  
8 you used in your evidence in response to questions from  
9 counsel to the Inquiry. This was in the context of  
10 describing the importance amongst haemophilia doctors of  
11 keeping abreast of developments in terms of infection,  
12 and you used the expression that their patients, being  
13 haemophilia patients, were experts. Could you just  
14 explain a little bit what you meant when you used that  
15 expression?

16 A. Well, it's very simple. Many patients with severe  
17 haemophilia -- all patients with severe haemophilia  
18 require regular treatment, not just with Factor VIII but  
19 the whole gamut of treatments that deal with the  
20 physical and often psychological problems that are  
21 associated with a very severe disabling chronic  
22 condition. They have -- many of them, almost  
23 constant -- very frequent contact with their providers  
24 of care in hospital and out of hospital and so on, and  
25 many of them take a great interest in their treatment

1 for very obvious and sensible reasons. And they acquire  
2 a great deal of information about it. In the early days  
3 it would be not infrequent, you know, when I was on-call  
4 for the BTS, we would occasionally have professional  
5 visitors who happened to be haemophiliacs, and these  
6 individuals would very often have a very specific --  
7 their own specific, personal views about which product  
8 they had chosen to be treated with.

9 There were some individuals who would only accept to  
10 be treated with cryoprecipitate, even accepting all the  
11 inconvenience. There were some who would not accept  
12 treatment with imported Factor VIII. There are some who  
13 had a very strong preference for particular products and  
14 it would be quite wrong, I think, to say that these were  
15 idiosyncratic preferences. These patients almost  
16 certainly had extremely good reasons, which they could  
17 probably explain very articulately in many cases, why  
18 they chose a particular approach to their own treatment,  
19 and my recollection is that that was evident among some,  
20 not all, but some of the haemophilia patients early on  
21 in my career.

22 Q. Would it be fair to say that the expertise, which you've  
23 attributed to the patients, related to their perception  
24 of the effectiveness of the different products?

25 A. In the broad sense -- well, it depends how you define



1 "effectiveness". Strictly speaking, I would define  
2 clinical effectiveness as essentially describing the  
3 balance of benefit and disbenefit. So safety is  
4 actually, in that sense, part of effectiveness, but it  
5 may be easier to separate them out and say were they  
6 concerned about the safety, which, if you think might  
7 be: what will this do to me in the long-term? Will  
8 I get something nasty in two, five, ten years' time? As  
9 opposed to: will this stop my bleed and control my pain  
10 now, better than other products?

11 And of course, the third factor that to some  
12 patients mattered a lot, is inconvenience. Will it take  
13 me an hour fiddling around with syringes and needles and  
14 jars of salt water and other things to get my dose, or  
15 can I go to the fridge take it out, stick a syringe in  
16 and that's it? All those factors and many others would  
17 have influenced their choices.

18 Q. How do you imagine patients would have become experts as  
19 regards matters of safety in the products?

20 A. I think the patients fairly early on had -- in my  
21 impression, and this is only, to a large extent,  
22 second-hand or anecdotal impressions because I have  
23 never, as I have emphasised, had a personal clinical  
24 involvement with treating these folks.

25 I mean, I think you may have seen the other day the

1 television programmes World in Action. Those were  
2 filmed, I think, in the north, in Newcastle or  
3 somewhere. I'm not exactly sure when, but I was very  
4 impressed watching those, with the common sense  
5 knowledge that a lot of the patients and some of the  
6 parents expressed about the infection risks, and both  
7 safety infection and effectiveness of the products.

8 I think they probably learned in a whole variety of  
9 ways. They all learned from discussion with the people  
10 who were sort of caring for them clinically. They will  
11 have learned from the Haemophilia Society, which very  
12 actively communicated with its members, from press in  
13 pre-Internet days. I suspect not many of them would  
14 have had access to medical journals but they had  
15 a number of ways of acquiring information, not  
16 necessarily systematically but quite a lot of it.

17 Q. Is the reality not that that expertise as regards safety  
18 came exclusively from doctors upon whom they were  
19 relying for the purpose of giving them information as to  
20 how safe the products were?

21 A. I honestly don't think I can answer that. I think  
22 possibly directly or indirectly, that might be the case.  
23 The Haemophilia Society, for example, which I have  
24 already mentioned, I think there is quite a lot of  
25 archived material, which I am sure the Inquiry has,

1           about their communications with the patients, and they  
2           were clearly attempting to filter out the best advice  
3           from whatever sources they could get it.

4           It may be that most of the sources of advice that  
5           they used were doctors, I can't really answer that. But  
6           I think there were probably nurses involved in  
7           haemophilia care fairly early on who may have had a  
8           view. I mean, yes, it would primarily have been from  
9           the medical care system, I would think, in one way or  
10          another.

11        Q. Okay, thank you.

12           Could I ask you a few questions about the use of  
13          commercial concentrates. Firstly just a few practical  
14          questions. Obviously, as I have demonstrated, there was  
15          use of commercial products in Edinburgh in, say, the  
16          early 1980s, even although there was generally an  
17          attempt, it would appear from your evidence, to try and  
18          use domestic products where possible. Who would be  
19          responsible for ordering commercial products in your  
20          region?

21        A. Well, I would have to try and cudgel my brains a bit to  
22          remember the very start of this. I think the best I can  
23          dredge up, and there is a little factual information  
24          around this that I have seen, the Inquiry, I hope has  
25          more -- I think I inherited a system which had been

1 negotiated by my predecessor, probably with the Scottish  
2 Home and Health Department, that where commercial blood  
3 product -- this I should say, was in the run-up to the  
4 full commissioning of the PFC, where there was, I think,  
5 an attempt being made to sort of begin to change  
6 clinical behaviour towards the use of blood products.

7         What I remember with clarity was that in the blood  
8 bank in the Royal Infirmary -- my blood bank, if you  
9 like -- the first couple of years I worked there, we  
10 held stocks of albumin, which was definitely made by a  
11 commercial supplier, and I remember the reason for that  
12 was because the PFC had not yet reached full production  
13 and couldn't meet the requirement that had been created  
14 slightly prematurely in the expectation of the PFC  
15 coming through.

16         We, secondly, held stocks of a product called FEIBA,  
17 Factor VIII inhibitor bypassing activity. Which is  
18 a plasma product made by a German company specifically  
19 for the haemophilia patients with inhibitors and has  
20 never been made, as far as I know, by any other company.  
21 Certainly was never made by SNBTS or the BPL. It  
22 appears that we also had some commercial Factor VIII at  
23 that period, that was presumably part of the same  
24 original -- whether it was a written agreement or an  
25 informal agreement, I don't know -- between

1 Professor Cash and the department -- and it was  
2 reflected in the meeting that counsel to the Inquiry  
3 took me through this morning; there clearly was  
4 a concern -- presumably it was a concern on my part but  
5 I really can't remember -- that there was perhaps more  
6 commercial Factor VIII being purchased than there should  
7 be or than we had realised.

8 Your specific question was: who was ordering it?  
9 It's clear that the material which had to be stored in  
10 a cold room was being held in the BTS, in the blood  
11 bank, and I'm certain that if it was held there, its  
12 actual mechanical issue to individual patients will have  
13 been recorded by the blood bank. The critical thing is  
14 probably who decided what product was to be ordered --

15 Q. I think the critical thing is who decides what  
16 product --

17 A. I can't answer that but I'm jolly sure it wasn't ever me  
18 because whether Dr Boulton had an involvement in that,  
19 I really don't know. He would have been competent as  
20 a haemophilia treater to make a choice. I would never  
21 have felt competent to choose a product but I have no  
22 recollection -- it is also quite possible that the  
23 orders were actually created or the instructions to  
24 order a particular product could have been created by  
25 Dr Ludlam and passed to the BTS who then converted it

1           into, you know, an actual order document. But I'm  
2           sorry, I don't have those mechanics available to me.

3    Q. You were asked earlier about a series of correspondence  
4           between Dr Ludlam and Dr Boulton, which, as I understand  
5           it, illustrated perhaps a slight tension between the two  
6           of them. As I understand, the nature of that tension --  
7           and please correct me if I am wrong about this -- is  
8           because Dr Ludlam is obviously asking for there to be  
9           more and more product for his needs, and Dr Boulton is  
10          saying that it might be difficult to meet that demand.  
11          Is that an accurate representation of the correspondence  
12          as you understand it?

13   A. I actually can't answer that without reviewing the  
14          correspondence.

15   Q. Would it be fair to say that there was a tension of that  
16          nature between the haemophilia department and your  
17          department at the time when you were there?

18   A. I would think it would be fair to say I would be quite  
19          surprised if there wasn't because it was a difficult  
20          situation and it is also possible -- and this is  
21          something that Dr Boulton may or may not wish to comment  
22          on, but it is also possible that there may have been  
23          some sort of medical professional tension between them,  
24          because they were both experts in treating haemophilia  
25          patients and experts frequently don't agree about

1 things. But Dr Ludlam had the authority for treatment  
2 at that time and Dr Boulton clearly did not.

3 Q. Was it the case that commercial concentrates were kept  
4 in stock, if you like, to meet any shortfall there might  
5 be in domestic product?

6 A. I really can't answer that. I really don't know.

7 Q. Right. Could I just ask you about a comment that you  
8 make on page 13, and perhaps it would be good to have  
9 this up. It is [\[PEN0150307\]](#). This is page 13 of your  
10 main report on this topic. I'm looking at the second  
11 last paragraph at line 4 and this is in the context of  
12 the matter that you discussed earlier with counsel to  
13 the Inquiry about the definition of the word "demand".  
14 You say there in line 4 that:

15 "The decision to administer larger or smaller  
16 amounts of Factor VIII is, in most cases, not a life and  
17 death decision but a choice about levels of quality of  
18 life."

19 Could you explain a little bit about what that  
20 means?

21 A. Yes, sure, and if there was a haemophilia doctor present  
22 among us, he might strongly disagree with my statement.  
23 I think actually it probably should have said "in many  
24 cases" rather than "most cases" because, as written,  
25 I think on reflection it gives a slightly wrong

1           implication.

2           If a patient with haemophilia had a intracranial  
3           bleed, the patient will probably die or be gravely and  
4           permanently disabled if they don't get the most  
5           intensive and rapid treatment. If they have to have  
6           orthopaedic surgery, it is absolutely essential to  
7           maintain the amount of Factor VIII going round in the  
8           patient's blood at a level that will guarantee effective  
9           blood clotting for the period until that surgery has  
10          completed and the joint has healed. Failure to give  
11          a big enough dose in those situations can either be  
12          life-threatening or limb-threatening or have very  
13          profound and irreversible medical consequences.

14          Where I think the situation, in my limited  
15          understanding of haemophilia treatment, becomes where  
16          there is more room for manoeuvre, more room for  
17          balancing priorities, is in the questions of  
18          prophylactic treatment or the provision of, as it were,  
19          home therapy; where the patients actually have the  
20          material in their own refrigerator and can treat  
21          themselves when they feel they need it. And that,  
22          I believe, leaves the situation open for patients to  
23          make their own judgments about the clinical signals or  
24          other signals that will lead them to decide to give  
25          themselves another dose of therapy.



1           For example, if you are the parent of a child with  
2           haemophilia and the child wants to go and play football  
3           and you know there is a risk therefore of them injuring  
4           their knee joints, there is a choice. You can say to  
5           the child, "No, I don't want you to go and play  
6           football," which is limiting the child's quality of life  
7           but also will mean that that particular dose of  
8           Factor VIII may not be necessary. Nothing clever.  
9           That's all I was trying to say.

10    Q. Does it follow from the view you have expressed in that  
11       sentence that in many cases one could reduce the amount  
12       of Factor VIII a patient would require if the patient  
13       were prepared to make adjustments to the way in which he  
14       lived his life?

15    A. That's my understanding as a non-haemophilia treater.

16    Q. Thank you.

17    A. But I stress, as a non-haemophilia treater.

18    Q. While we are on that page, I would just like to ask you  
19       about one other comment there. This is actually going  
20       slightly back. This is in response to question 4.1. We  
21       don't need to flick back a page for this:

22                "Why was it necessary to buy commercial Factor VIII  
23       in early 1984?"

24                So you are being asked there about the necessity for  
25       the purchase of commercial products at that time. In

1 the paragraph above the paragraph we have just been  
2 looking at you say:

3 "The quantities of Factor VIII being used were  
4 increasingly due to increased patient demand combined  
5 with clinical enthusiasm for more intensive treatment  
6 and there would also have been the influence of active  
7 marketing by the commercial suppliers of Factor VIII  
8 concentrate."

9 What I wanted to ask you particularly was what you  
10 meant by your reference in early 1984 to the influence  
11 of active marketing by the commercial suppliers of  
12 Factor VIII concentrate.

13 A. Perhaps I didn't phrase my response terribly well.

14 That's the factor that is ever present. Nothing special  
15 about 1984.

16 Q. Right. To whom was that marketing directed?

17 A. Like all pharmaceutical marketing, directed at everybody  
18 who is potentially susceptible. So patients,  
19 clinicians, doctors, nurses, administrators, public  
20 health directors, policy-makers; you name it. It is  
21 hugely pervasive. And to single out any one group of  
22 recipients would underestimate the scale of the  
23 situation.

24 Q. I just wanted to ask you a little bit about NHS  
25 concentrates. I think you have touched on this already

1           so just have a couple of questions.

2           It has been mentioned by a number of witnesses who  
3           have given evidence in this section so far, that there  
4           might have been concerns in the early 1980s amongst  
5           haemophilia clinicians about the quality of the NHS  
6           Factor VIII concentrate product. In particular, there  
7           has been suggestion -- and I think you have maybe  
8           touched on this already but I would just like to get  
9           more of an explanation from you about your view on it --  
10          that, as opposed to the position with commercial  
11          products, the NHS concentrates may have been difficult  
12          to use on the basis that one could not rely on how much  
13          active Factor VIII protein was within them. Do you  
14          accept that proposition as at the early 1980s?

15        A. Not quite as you have expressed it. And again I would  
16          sort of defer in advance to my colleague,  
17          Dr Peter Foster. But my understanding is that the  
18          individual vials of Factor VIII were labelled with their  
19          content of Factor VIII, expressed in international  
20          units. So it's not correct to say that nobody knew how  
21          much was in them. But you did have to read the label,  
22          which is something that people find quite difficult.

23          But that was an inconvenience factor, and not  
24          a trivial inconvenience factor, because it meant that if  
25          you were giving guidance to the patient or the parent

1 was giving guidance to their child, instead of having  
2 some sort of rule of thumb that, "If you have a big  
3 bleed in your knee, in a clinical situation you should  
4 take ten vials," which, if the vial content was  
5 standardised at 250 units, that meant you were getting  
6 2,500 units in ten vials. If the vial contents varied  
7 between, say, 200 and 260 or something like that, then  
8 you actually had to do a little bit of arithmetic and  
9 get the right dose from that number of vials or  
10 alternatively just ignore the labelled dose and accept  
11 that the dose would be around about 2,500 units, but  
12 because you hadn't actually checked the individual doses  
13 it could be a bit more or a bit less. There is a reason  
14 for that labelling difference, which I can go into if  
15 you want to, but I think it is probably better left to  
16 Dr Foster because he can explain it with more authority.

17 THE CHAIRMAN: Mr Dawson, I wonder if you would bear in mind  
18 the time. I understand that those who have to travel do  
19 prefer to get away about now.

20 MR DAWSON: I really only have a couple more questions, one  
21 on this topic and one on other topic if that's  
22 permissible.

23 THE CHAIRMAN: I don't know if it is. It may be preferable  
24 to bring Dr McClelland back because there are other  
25 people to ask questions.

1 MR DAWSON: I would perhaps anticipate that Dr McClelland  
2 may be coming back at another time during the Inquiry  
3 anyway and I would be happy to address my questions to  
4 him then.

5 THE CHAIRMAN: I'm not happy to break the topics. What's  
6 the position?

7 MS DUNLOP: Dr McClelland is not in block 3, sir, but  
8 I think he will be coming back in the autumn, yes.

9 THE CHAIRMAN: That's not satisfactory. But I don't think  
10 that we can really keep going and make it difficult for  
11 the stenographer and the others to get the transcript  
12 right.

13 Could you come back --

14 MS DUNLOP: I'm wrong, he is in block 3. We can probably  
15 organise something in block 3.

16 THE CHAIRMAN: I am much more anxious to get your evidence  
17 fully than to push into short periods.

18 MS DUNLOP: It is obviously depending on what  
19 Dr McClelland's plans are. There wouldn't be anything  
20 wrong in just doing it on Tuesday morning. It is  
21 usually better to kind of finish before you start  
22 someone else.

23 THE CHAIRMAN: That is so.

24 MS DUNLOP: If that were possible, we can do that and just  
25 start Dr Foster an hour later or something like that.

1 THE CHAIRMAN: If it's an hour, then we certainly have to  
2 make changes.  
3 MS DUNLOP: I'm guessing.  
4 THE CHAIRMAN: Can you come next Tuesday.  
5 A. I can't.  
6 THE CHAIRMAN: When --  
7 A. I'm due to go to Switzerland to do a course and I have  
8 to get a plane.  
9 THE CHAIRMAN: You didn't refer to a horse there, a course?  
10 A. I wish.  
11 THE CHAIRMAN: I don't know what to do for the best but  
12 I think that getting the transcript right is extremely  
13 important and if we don't complete that exercise now,  
14 then, of course, it becomes more difficult to make  
15 corrections. I think we simply have to interrupt at  
16 that point and fit you in as best we can, as soon as  
17 possible.  
18 MS DUNLOP: Yes.  
19 THE CHAIRMAN: Right. Tuesday.  
20 (4.04 pm)

21 (The Inquiry adjourned until 9.30 am on Tuesday,  
22 10 May 2011)

23

24

I N D E X

25

1	PROFESSOR IAN HANN (sworn) .....	1
2	Questions by MS DUNLOP .....	1
3	Questions by MR GARDINER .....	60
4	DR BRIAN MCCLELLAND (continued) .....	81
5	Questions by MS DUNLOP (continued) .....	81
6	Questions by MR DAWSON .....	149
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

