

1 Thursday, 1 December 2011

2 (9.15 am)

3 PROFESSOR JOHN CASH (continued)

4 Questions by MR MACKENZIE (continued)

5 THE CHAIRMAN: Good morning, Professor Cash.

6 MR MACKENZIE: Thank you, sir.

7 Good morning, Professor Cash. I would like to  
8 continue with your C2 surrogate testing evidence,  
9 please. I think we had reached the letter in The Lancet  
10 of July 1987. I think we should next look at a letter  
11 from yourself to Dr Fraser of 8 July 1987, which is  
12 [\[SNB0113846\]](#).

13 THE CHAIRMAN: Mr Mackenzie, whilst that's getting up, is  
14 everyone aware of the altered times for breaks today?

15 MR MACKENZIE: I should perhaps say, sir --

16 THE CHAIRMAN: I count on you to make sure we manage it  
17 properly, in case I get so totally engrossed in what's  
18 happening.

19 MR MACKENZIE: We will stop at 10.30 for about ten minutes  
20 and then at 11.50 for about ten minutes.

21 THE CHAIRMAN: Very well.

22 MR MACKENZIE: I'm grateful.

23 Professor, this letter refers to a telephone  
24 conversation you had had with Dr Fraser and then you set  
25 out the following points:

1           "1. The SNBTS directors do not wish and currently  
2 have no intention of introducing NANB surrogate testing  
3 unilaterally.

4           "2. Current views, which as you know were  
5 crystallised last March, are being expressed to support  
6 our ... PES submission to SHHD for the next five years.

7           "3. We have no doubt that an important forum for  
8 the continued debate is indeed the BTS/NIBSC group(s)  
9 and the current NANB debate (which began some two years  
10 ago here), and the confused central management attitudes  
11 to the Medicines Act and product liability had much to  
12 do with driving me to seek the establishment of this  
13 joint enterprise.

14           "4. I really don't believe you should view The  
15 Lancet letter as any more than part of a debate, which  
16 was initiated in this journal's columns by our friends  
17 and colleagues at Edgware. It can also be viewed as yet  
18 another attempt to persuade central management (DHSS) to  
19 give renewed thought to the way the transfusion services  
20 interface with the Medicines Act and forthcoming  
21 legislation on product liability, and perhaps even to  
22 ways for improving the coordinated management of the  
23 transfusion services on a UK basis."

24           So professor, is it correct that we should consider  
25 the recommendation of the directors on 3 March 1987 to

1 introduce surrogate testing and the directors' letter in  
2 The Lancet of July in the context of the matters set out  
3 in your letter to Dr Fraser?

4 A. Yes, indeed, sir. That's quite a good letter, I must  
5 say.

6 Q. Thank you. We move forward to 1988. I don't think you  
7 have seen this before but it will perhaps give us an  
8 interesting insight into the thinking in the Department  
9 of Health at the time. Can we go, please, to  
10 [\[PEN0160216\]](#). At the top right-hand corner we can see  
11 this is a memo from Mr Harris in the DHSS to  
12 a Mr Bardwell and a Miss Stewart of 29 January 1988. We  
13 can see copies to various individuals, some names we  
14 recognise: Dr Harris, Dr Metters, Dr Smithies and  
15 others. It's headed "Testing blood donations for ALT."

16 It is worth just going through the memo. If we  
17 start with the summary, it states:

18 "We have a potential problem which could involve  
19 writing off £40 million of plasma stock, expenditure on  
20 imported blood products of £10 million and a recurrent  
21 bill to the BTS of £3 million per annum. There is  
22 a good chance this could be avoided if we can find  
23 £72,000 to fund a study by 2/3 RTCs."

24 Paragraph 2 sets out the background as regards the  
25 ALT test and the author states:

1            "It is not therefore a test which we would want to  
2            introduce into the NBTS es[pecially] as (a) it is not  
3            a good test; (b) our donor pool is likely to contain few  
4            carriers (a byproduct of eliminating those at high risk  
5            of AIDS); (c) it would cost £3.5 [million per annum]."

6            Paragraph 3:

7            "However, all major producers of blood products now  
8            use plasma from ALT tested blood."

9            Et cetera. Paragraph 4:

10           "This puts pressure on BPL (CBLA). They (rightly)  
11           fear that this development makes their product appear  
12           second-class. Not using ALT tested plasma could leave  
13           them vulnerable if an action was brought against them  
14           (albeit that they believe their heat treatment process  
15           does inactivate NANBH) under the new stricter product  
16           liability legislation (CPA 1987). Given the awareness  
17           amongst MPs and the media of haemophiliacs and AIDS, I  
18           have no doubt the Haemophilia Society could mount a very  
19           successful political campaign to get us to test for ALT.  
20           They may not do so, but if they or the clinicians  
21           treating them did so then the consequences would be  
22           grave. Achievement of self-sufficiency depends on BPL  
23           running down stockpiled plasma while RTCs build up to  
24           their collection targets. We cannot test this stockpile  
25           for NANBH. We would need to continue to input products

1 to the value of around £10 million, and write off the  
2 stockpile which is worth around £40 million.

3 "5. We could reduce the likelihood of pressure from  
4 haemophiliac centre directors and the Haemophilia  
5 Society by attempting to demonstrate (a) the low  
6 incidence of NANB carriers in the NBTS donor pool and  
7 (b) the low utility of the ALT test. Dr Gunson, CMO's  
8 consultant adviser, has put forward proposals for a  
9 study to do this. Such a study could, against all  
10 expectations, prove the need for the ALT test. Even so  
11 it would then have provided scientific justification for  
12 the resulting expenditure. Even having a study in train  
13 would give ministers a valid reason for not being  
14 'bounced' into accepting ALT testing.

15 "6. The R&D programme cannot find room for this  
16 study -- cost £72,000. In view of the serious financial  
17 consequences for the HCHS, can it be exceptionally found  
18 from the HCHS central fund?

19 "7. I feel that ministers would not thank us for  
20 failing to head off this folly."

21 As a matter of detail we see in paragraph 6 the  
22 author had stated:

23 "The R&D programme cannot find room for this study  
24 ..."

25 If we go back over to the first page, the

1 handwritten note, someone has written:

2 "Paragraph 6 overleaf is not entirely correct. The  
3 fact is DRC did not give this priority against the other  
4 bids."

5 I think the difference between not giving priority  
6 to something against the other bids and not finding room  
7 for this study is perhaps a subtle one, I think. I take  
8 it professor, you wouldn't have seen this memo before?

9 A. No, I haven't, sir.

10 Q. Were you aware of any of the matters set out in the memo  
11 before in terms of the thinking it indicates from the  
12 DOH?

13 A. I wasn't aware of the level of this detail but I was  
14 aware through Harold Gunson that -- and I don't know if  
15 you recall the last day we discussed all this -- that  
16 finally, eventually, Brian McClelland and Jack Gillon  
17 did put in, after a fair amount of pressure to our chief  
18 scientist chaps, their component bit of this trial, and  
19 the outcome was exactly what I thought would happen.  
20 And in fact to be fair, so did Brian. But its  
21 scientific content -- this is the Scottish Chief  
22 Scientist's office -- and we had been warned by  
23 Boyd Moir as well it wasn't going to run -- it fell and  
24 I thought it -- the study was deeply flawed, and I think  
25 one of the Scottish assessors used that very same word.

1           And in discussing all this with Harold Gunson, it became  
2           clear to me that -- it's very interesting they had set  
3           it a higher priority. My gut feeling talking to Harold  
4           was the CSO -- and they all worked together, these  
5           people -- the CSO people in London had actually come to  
6           the same decision as the Scottish team.

7           The fact that they put it in terms that it didn't  
8           reach priority and so on, this is a well-known -- you  
9           know, the MRC and so on, "Sorry, we haven't given you  
10          a grant," and so on and so forth. But in some of the  
11          assessors it was regarded as deeply flawed. So I was  
12          aware of that, sir.

13        Q.   Yes. It does seem that funds were eventually found in  
14          England for the English part --

15        A.   Not from the scientist's budget.

16        Q.   Indeed, from a different budget.

17        A.   From a political budget.

18        Q.   Yes. And the study then did proceed in England. Thank  
19          you.

20        THE CHAIRMAN: Do you recognise the handwriting on that  
21          document?

22        A.   No, sir.

23        THE CHAIRMAN: You do not?

24        MR MACKENZIE: Yes, it appears, sir, to be "JJM". We can  
25          perhaps speculate but I don't think I can go beyond that

1 today.

2 THE CHAIRMAN: I think we would all speculate to precisely  
3 the same effect.

4 MR MACKENZIE: The next document, please, professor -- we  
5 will come back to Scotland and the Scottish directors --  
6 is [\[SNB0027321\]](#). The minutes of a directors' meeting on  
7 12 April 1988. Can we go to page 4, please? I'm simply  
8 here continuing the chronology of surrogate testing.

9 A. Yes, sir, I understand.

10 Q. We can see paragraph (e):

11 "Surrogate testing for NANB."

12 If we go to the fourth paragraph down, we see:

13 "It was confirmed that it had been agreed not to  
14 introduce ALT testing in Scotland until it had become UK  
15 policy, but directors wished to reserve their position  
16 on this matter in the light of reports of the  
17 commencement of ALT testing in at least one E/W RTC."

18 I think we had asked you, professor, whether an  
19 England centre had commenced surrogate testing. I think  
20 you said you were unsure. It may simply have been  
21 rumours.

22 A. On reflection, I'm almost certain the rumour was it was  
23 Birmingham, the director of which was a close personal  
24 friend of mine. The director of which was then  
25 summarily removed as chairman of the Advisory Committee



1 on Transfusion-transmitted Diseases, so it stacks up,  
2 I think, fairly well.

3 Q. The reference to "UK policy", that may become, I think,  
4 clearer when we look at another document shortly.

5 The next document, please, is [\[SGH0028027\]](#). This is  
6 simply an extract of minutes of a directors' meeting on  
7 27 September 1988, which I don't, I am afraid, have the  
8 full minutes of this meeting. This now, of course,  
9 post-dates the Chiron news release in May 1988 of their  
10 test and discovery, and we can see under "ALT  
11 Technology" in the third paragraph:

12 "The NIBSC/UK BTS working party were recommending  
13 that ALT testing of blood donations should begin in  
14 England and Wales."

15 I think I may have put that to Dr McClelland who  
16 I think said he didn't know what that referred to. Are  
17 you able to help us with what this recommendation  
18 related to?

19 A. No, I can't, sir, to be honest. I don't think I was  
20 there at the time, but you will recall just a few  
21 minutes ago in my letter to Iain Fraser, I draw his  
22 attention to the fact that the whole of this debate --  
23 not the whole but some of this debate was now being  
24 considered by an independent group that was masterminded  
25 by NIBSC. I think you already know I have a great

1           respect and time for the NIBSC, the whole aspect.

2           So I wasn't there and I don't know how it arose. To  
3           be honest, it came as a surprise to me. I have probably  
4           just forgotten -- seeing it there that the NIBSC -- they  
5           were a pretty conservative bunch.

6           Phil Minor who is a name that appears frequently, he  
7           was the director of the biology section of the NIBSC and  
8           it came as a great surprise that they reached a point  
9           where they said, "We think you should introduce ALT,"  
10          because they are very close to government. Jeremy  
11          Metters was lurking around in NIBSC on many occasions.  
12          I used to bump into him.

13        Q. And also presumably, the NIBSC would have a majority of  
14          scientists working there so it would perhaps seem odd if  
15          a scientist would recommend ALT testing if the  
16          scientific data from the UK wasn't really there to  
17          support it.

18        A. I find it fascinating.

19        Q. I'm not sure --

20        A. I can't help, I am afraid.

21        Q. I'm not sure we can add to what's set out in the minutes  
22          there.

23        A. I can't help.

24        Q. Then, please, further down the next paragraph we see  
25          a reference to:

1            "It was confirmed that Scotland was awaiting  
2            reaction to the request for funds and the PES bid for  
3            89/90."

4            In the next paragraph, too:

5            "Specific antibody testing ..."

6            The purpose of this is me taking you to the minute.  
7            We see a few lines down reference to the Ortho test:

8            "The test was not imminent and the data presented  
9            had been inconclusive ... It was agreed not to plan any  
10           medium term policy on the successful introduction of  
11           Chiron technology and ALT would remain the test of  
12           choice meantime."

13           So at least as at September 1988, the focus was  
14           still on ALT.

15          A. Yes.

16          Q. We know that at that stage the scientific details of the  
17           Chiron discovery had not yet been published.

18          A. Sure. Thank you.

19          Q. Thank you. Finally, to complete this part of the  
20           Scottish chronology, could we go, please, to  
21           [\[SNB0027350\]](#)? Again a minutes of a directors' meeting  
22           on 13 September 1988. Could we go to page 4, please?

23          A. I note Rosalind Skinner is an SHHD doctor.

24          Q. Yes. And page 4, please. You see the top of the page:

25           "Donation testing for NANB."

1           Could we go down to the fifth paragraph, which  
2           I think may be in bold type:

3           "JDC confirmed that Scottish directors would not  
4           commence surrogate testing until the Department of  
5           Health and SHHD supported and funded the project, which  
6           would be a task for the national advisory body ... to  
7           consider."

8           I think the reference to "national advisory body" is  
9           probably what became known as the "Advisory Committee on  
10          Transfusion-transmitted Diseases", because if we go back  
11          two pages, please, to 7351, under "Discussion (b)",  
12          "AIDS", the second last paragraph on the page states:

13          "After discussion it was agreed that UK Blood  
14          Transfusion Services should establish a group to advise  
15          the departments of health on policies."

16          So I think that's probably a reference to what  
17          became known as the "Advisory Committee --"

18    A.    I have almost lost touch with the confusing number of  
19          committees. I do apologise. I'm sure that's right.  
20          I don't know.

21    Q.    Back please to page 4, 7353, when you, professor, stated  
22          or confirmed at this meeting that:

23          "Scottish directors would not commence surrogate  
24          testing until the Department of Health and SHHD  
25          supported and funded the project."

1           Had that been your position at the outset or was  
2           that you adopting a new position?

3   A.   No, I mean, it's a fundamental truism that we couldn't  
4           have done it anyway because of the funding situation.  
5           And that applied to Hepatitis C and so on and so forth.  
6           So it is true we were engaged in a public debate saying,  
7           "We think we should do that, we think we should do  
8           that". Whether we did it or not would be totally  
9           dependent on an instruction from the Scottish Office.

10   Q.   Yes. So is it just funding or is it in addition needing  
11           approval or instruction from the SHHD?

12   A.   Well, "funding" means approval, sir.

13   Q.   I see.

14   A.   And there were many situations in relation to our PES  
15           submissions on other topics. I would be rightly hauled  
16           into the department to discuss them with the medics  
17           there and so on and the non-medics as well. So there  
18           was an iterative process going on over the years about  
19           bits that we had put in and explaining to them why we  
20           needed it and so on and so forth. So funding -- and  
21           I vaguely remember seeing Mr Macniven's statement here.  
22           He was fairly senior up in terms of the approval of  
23           something. Then he put it into the treasury people. So  
24           it was all one and the same thing as far as we were  
25           concerned.

1 Q. I understand and hypothetically speaking, if the SNBTS  
2 had received funding for something which, for whatever  
3 reason, wasn't required, so there was then spare funds  
4 for the SNBTS, do you consider you could have used those  
5 funds for a different purpose, ie for surrogate testing,  
6 or would you have considered you would have to go back  
7 to the SHHD for approval?

8 A. I don't think I could answer this question but I can  
9 tell you very clearly that there was a long period of  
10 time -- I don't know when it changed -- in relation to  
11 funding that we were -- we put in our PES and down from  
12 on high came, "Yes, you have got four pence to do that,"  
13 and this was clearly ring-fenced and the CSA -- so we  
14 had to account for this money being used for the  
15 consideration that the department have said, "Yes, you  
16 can do that".

17 Similarly, at some point in the 80s -- I can't  
18 honestly remember -- that changed and the allocations  
19 were lump allocations to the CSA, and if you go into  
20 your archives, you will see there is fairly buzzy  
21 correspondence between myself and my old friend  
22 Jim Donald, because I took the view that the department  
23 were giving us the money and the CSA were pinching it to  
24 do other things, the ambulance service or whatever. So  
25 the whole business of budget control and funding control

1 is an interesting area, sir, which -- that's as much as  
2 I can tell you now -- I would need -- if you wish to get  
3 into much more detail --

4 Q. I understand.

5 A. But all these years certainly, I would think up to 88,  
6 they were ring-fenced and if we didn't spend it, it went  
7 back, or we had to ask permission to use it for other  
8 things.

9 Q. I think Mr Macniven's evidence, when he was in post, was  
10 that there were lump sum allocations, albeit  
11 exceptionally some particular items may be ring-fenced,  
12 but it may just be --

13 A. I think there were lump sums in terms of well -- for  
14 instance, they might say, "You are buying that many  
15 blood bags each year. You have been doing this for  
16 yonks. The price has gone up by whatever it is, so  
17 there you are." But when it comes to what we used to  
18 call "new developments", like surrogate testing and so  
19 on, like HCV, that was very strictly controlled.

20 Q. But presumably the question is just that hypothetical  
21 because the sums required to start surrogate testing,  
22 they wouldn't be found elsewhere. They would so  
23 significant that they would have to be really  
24 specifically provided for.

25 A. Yes.

1 Q. Thank you. For completeness, we should perhaps pick up  
2 the reference to "product liability" and "product  
3 licensing". The minutes state:

4 "JDC had repeated at the last meeting the need for a  
5 clear policy statement and intention of priority from  
6 the SHHD. Mr Panton, who undertook to investigate this  
7 situation at the SHHD, hoped to make a definitive  
8 statement next time."

9 I suppose what's not clear from the minute,  
10 professor, is whether this relates to the Consumer  
11 Protection Act which was already in force by this  
12 time -- it came into force in March 1988. This meeting  
13 is December 1988 -- and/or it related to the European  
14 Community directives in respect of the licensing of  
15 blood products. So that's simply unclear from the face  
16 of the minutes, I think.

17 A. I think so. It was probably both, sir, I would think.

18 Q. I understand. Thank you.

19 That finishes the set of directors' minutes. We  
20 should, I think, look at one or two of the PES funding  
21 applications just to see when funding for surrogate  
22 testing was sought. Could we start, please, with a 1982  
23 document, which is [\[SGH0018873\]](#)? We can see, professor,  
24 the title "SNBTS forecast development estimates 1984 to  
25 1986". Go to the bottom of the page. We can see,



1 bottom left-hand corner, "February 1982" and bottom  
2 right-hand corner "JDC/CSA-82/1".

3 Do you know, professor, what was the purpose of this  
4 document and to whom it was sent? It doesn't seem to be  
5 a formal PES but can you help us with its purpose?

6 A. Yes, I hope so, sir. Sitting very ineffectively, as far  
7 as we were concerned, above us was the CSA Blood  
8 Transfusion Service subcommittee, and on this committee  
9 were two SHHD folk. So it was well represented in  
10 members of the management committee of the CSA. And  
11 I felt it would be helpful as an aside -- in my view it  
12 was a complete waste of my time, but I thought it would  
13 be helpful if there was a background note that those  
14 interested on the BTS subcommittee could read in  
15 relation to many things, and in your database you will  
16 find me producing briefing notes on all sorts of things,  
17 self-sufficiency and what not.

18 And this is in relation to the PES, background  
19 information in terms of the operational stuff. I would  
20 send this document, sir, to the secretary at that time,  
21 1982, John Mutch. And John Mutch would ensure that (a)  
22 his senior colleagues in the CSA had a good look at it  
23 and had an opportunity if they wished, to come back to  
24 me. More importantly he would see that copies got into  
25 the Scottish Office. That's to Graham Scott in

1 particular and the undersecretary at the time, 1982,  
2 would be John Walker. They got a quick advance look at  
3 it as well. And then, when the papers came out -- the  
4 subcommittee -- every member had a copy.

5 So that was what this was all about. It's about  
6 background briefing in relation to anything, and this  
7 happened to be forecast development estimates.

8 Q. So am I right in thinking, professor, this document is  
9 really advance notice or warning of likely expenditure  
10 or issues in the future, rather than a present  
11 application for funding?

12 A. I can't say. Almost certainly it's a briefing note and  
13 we tried to produce each year a briefing note for --

14 Q. I understand. Can we go to page 6, please? It's 8878.  
15 We will see a reference to hepatitis. In paragraph (d)  
16 we see:

17 "New hepatitis testing developments."

18 I take it, professor, you would have drafted this  
19 document.

20 A. I regret I'm responsible.

21 Q. "It is anticipated that technical developments --"

22 A. I should say, that said, it was discussed by the  
23 directors. I mean, they had to say, "Yes, okay, carry  
24 on, Cash". I was responsible for that.

25 Q. Thank you. And you stated --

1 A. Sorry --

2 Q. "It is anticipated that technical developments will have  
3 reached a point within the next five years that the  
4 introduction of the testing of all donations for non-A  
5 non-B Hepatitis markers or associated markers will be  
6 mandatory."

7 When you say "markers" or "associated markers", is  
8 that a reference to a direct test or perhaps a surrogate  
9 test or allowing for both?

10 A. Yes, indeed. Brian McClelland and Ruthven will have  
11 told you that they had Dow and Bob Hopkins busy looking  
12 for secret markers. So this was always a possibility --

13 Q. You go on to state -- and it's underlined:

14 "The BTS subcommittee may wish to note this probable  
15 development."

16 Which is again perhaps consistent with it being  
17 a briefing paper.

18 A. Yes.

19 Q. We can see what is said there for ourselves, and I think  
20 you estimate the cost of such testing as being in the  
21 region of £150,000 per annum. You also say:

22 "The recent published studies would indicate that  
23 a figure of £300,000 is likely to be more realistic (two  
24 further tests on each donation)."

25 So obviously in 1982 you were certainly alive to the

1 possibility of --

2 A. Just watch this space really.

3 Q. Yes, I understand.

4 We can then go to what I think is the first PES,  
5 where a formal bid for funding for surrogate testing is  
6 actually made. It's in 1986. It's [\[SNB0112637\]](#). If we  
7 see this is the SNBTS PES 1986 programme narrative,  
8 bottom right-hand corner "JDC/CSA/5/86/1", and someone  
9 has handwritten on "1/5/86". Do you know, professor,  
10 when this document is likely to have been drafted?

11 A. That handwriting is me.

12 Q. Is it likely to have been drafted --

13 A. Almost certainly that date, rather than when it finally  
14 reached the CSA. I can see now Elizabeth Porterfield,  
15 my PA, typing it. It must have been -- that "1/5/86",  
16 I suspect is the time at which she typed it up.

17 Q. Yes. I think we know that PES 1986 would relate to  
18 funding sought for the next year for April 87?

19 A. That's correct, sir.

20 Q. So the document is likely to have been drafted in 1986?

21 A. I'm certain of that, sir, yes.

22 Q. I'm grateful. If we can go to what is said on surrogate  
23 testing, please, at page 2640, we can see table 1.

24 We can see table 1 we can see a column of items and  
25 columns for various years, 86/87 and then 87/88 and then

1 88/89, and then 89/90. And under item 5(g), we see  
2 "Non-A non-B Hepatitis testing", and the sum of £810,000  
3 being sought in the year 87/88. And then the year  
4 88/89, £836,000 being sought, and we can see some  
5 discussion of such testing, please, at page 2649. Under  
6 4, "Additional donation microbial screening". Under (b)  
7 "NANB", you stated:

8 "Despite the absence of specific tests to detect  
9 donations which transmit non-A non-B Hepatitis, there is  
10 increasing evidence that both in Europe and  
11 North America formal moves will be made, within the next  
12 12-18 months, to introduce surrogate testing of all  
13 donations."

14 I think that, as it turned out, was absolutely  
15 right, at least as far as the USA was concerned.

16 A. Yes.

17 Q. You go on to state:

18 "Current studies in the States have costed this  
19 exercise at \$7 per donation. For the SNBTS this would  
20 be approximately £1.5 million per annum (using current  
21 exchange rates). There would be additional capital  
22 monies required and the US costings do not include  
23 a significant revenue cost for subsequent counselling of  
24 donors. Provision has been made for this development to  
25 commence in 1987-88 (part year)."

1 I couldn't reconcile the figures, professor, in  
2 stating that:

3 "For the SNBTS this would be approximately  
4 £1.5 million per annum."

5 And then the actual figures being 810,000 and  
6 £836,000.

7 A. I am afraid it's such a long time ago -- perhaps  
8 I should say that it was well-known in the SNBTS that  
9 I had virtually no mathematical facilities whatsoever  
10 and -- it's my responsibility but a wonderful guy called  
11 John Francis was our finance director and he spent a lot  
12 of his time -- he was well-known to all the directors  
13 and their teams -- and so he generated -- I mean, that  
14 table looks very impressive. I can tell you I would  
15 have great difficulty in understanding half of it  
16 because John produced the data.

17 Q. I speculate --

18 A. If this becomes an issue, then he is still alive and  
19 well and I'm sure he will explain.

20 Q. He is just waiting for our call?

21 A. Yes. Poor old John, yes.

22 Q. I speculate it's possible the £1.5 million may have been  
23 a reference to dollars. I suppose this may have been  
24 back in the happy days when we used to get \$2 to the  
25 pound. I'm not sure.

1 A. It does say using current exchange rates. There were  
2 bits of these briefings that other people wrote and  
3 I was so relieved that they did it but I take  
4 responsibility.

5 Q. Thank you. The next document, please, is the 1987 PES,  
6 which is [\[SNB0113743\]](#). We can see that's what it is  
7 from the front page, and in the bottom right-hand corner  
8 again your initials on it and I think then drafted in  
9 1987. Perhaps June 1987?

10 A. Yes.

11 Q. Yes. And if we can go, please, to page 7, which is  
12 3750.

13 THE CHAIRMAN: Just before you leave it, where it says  
14 "CSA6" on the first page and then "87/1", is that the  
15 first CSA paper of June dated in June 1987 or is there  
16 some other explanation for this?

17 A. No, I think it's a date, sir, ie 1 June. What's  
18 worrying me is I didn't type this, Elizabeth did it, was  
19 it 6 January 1987?

20 THE CHAIRMAN: No, I think that --

21 A. Yes.

22 THE CHAIRMAN: It was June 1987. The only issue is whether  
23 it's the first document of a series or whether it's the  
24 actual date.

25 A. It is the date.

1 Q. You think it's June?

2 A. I'm pretty certain about that. That could be checked,  
3 Elizabeth is alive and well.

4 THE CHAIRMAN: Because that would have fitted with the last  
5 PES as well.

6 MR MACKENZIE: Yes. Thank you.

7 Could we go, please, to page 3750? Table 1, with  
8 a similar layout. Item 5(f) we see "Non-A non-B  
9 Hepatitis testing". Under 88/89 the sum of 300,000  
10 sought, and 89/90 105,000 sought.

11 Firstly, professor, again it's hard to reconcile  
12 that the previous year about £800,000 was sought and now  
13 it's £300,000.

14 A. Yes. Again, I must refer you to dear old John. I have  
15 a suspicion that what this is about is that when we got  
16 allocated whatever, that would be a recurring sum. When  
17 we came the next year, we were asking the question, did  
18 we simply want to recur that or did we want to top it up  
19 in some way, and I suspect these are a series of top-ups  
20 that were added on to the original figure.

21 Q. I see.

22 A. And I do wonder if it was 800 -- yes. That's all I can  
23 honestly suggest.

24 Q. So there may be accounting reasons which aren't obvious  
25 to you, for some of these --



1 A. That's right.

2 Q. -- differences?

3 A. I mean, just seeing it, why do you need less than you  
4 did last year? These are not fixed. These are  
5 recurring -- when you get into the game of surrogate  
6 testing or HCV, you are on a recurring -- you have got  
7 to keep going. So I suspect these are top-ups.

8 THE CHAIRMAN: I don't know how far you want to go,  
9 Mr Mackenzie, but the first item is the revenue  
10 baseline, which appears to carry forward from the year  
11 before an aggregate figure, which is then  
12 inflation-linked and then one has a series of other  
13 items. I just do not know whether it's worth looking at  
14 it to compare.

15 MR MACKENZIE: I don't think we have to, sir, but it may be  
16 enough for me to know that perhaps one shouldn't look at  
17 a single PES in isolation. One may have to refer to the  
18 previous years and so on.

19 A. Certainly if you are looking -- you are looking in the  
20 wrong direction if you are looking at me.

21 Q. Thank you, professor. We should also look at page 12,  
22 which is 3755. We are back here to words, professor,  
23 which I certainly find easier than figures. We see:  
24 "NANB surrogate donation testing."  
25 This is now a PES drafted after the directors'

1 recommendation of 3 March 1987 to introduce surrogate  
2 testing. And we can see what's stated:

3 "The SNBTS directors have now decided that in the  
4 light of the advent of new product liability laws in  
5 1988 and an emerging unchecked private sector blood  
6 collection services, it would be prudent to plan to  
7 commence this programme in the financial year 1988/89.  
8 The costing are estimates only and it is proposed that  
9 we plan to ensure the financial burden covers two  
10 financial years but begin in July 1988 (the date new  
11 product liability legislation will be introduced)."

12 Pausing, professor, the reference to "an emerging  
13 unchecked private sector blood collection service" or  
14 "services", what relevance did that have to the issue of  
15 surrogate testing?

16 A. You may recall that in one of the documents I produced  
17 I drew your attention to the fact that I was  
18 commissioned by the Northeast Thames Regional Health  
19 Authority to have a look at their blood transfusion  
20 services and when I got down there -- that was into  
21 London -- and when I got down there, I found myself in  
22 some huge -- which at those times I was not used to --  
23 huge private hospitals, looking at their blood stuff.  
24 And in the discussions I had with very pleasant people  
25 who were running these shows, it became very clear to

1           them -- and that was probably one of the reasons I was  
2           down in this study -- that they were not being delivered  
3           enough blood from the local transfusion service -- it  
4           happened to be Marcela Contreras' centre -- enough for  
5           what they wanted for the workload they had, and it  
6           became very clear that they were thinking very hard  
7           about setting up their own blood transfusion service,  
8           their own donors and so on, that they paid and so on and  
9           so forth.

10           It became very clear that this wasn't just a sort  
11           of -- they had been in touch with senior politicians and  
12           so on and so forth, and I became quite concerned about  
13           this and there came a moment, a year or so later, when  
14           a good doctor in Gloucester, I think it was, announced  
15           he was going to -- he had had enough of all these  
16           people, he was going to set up his own blood transfusion  
17           service because they were not getting enough blood.

18           And I tell you, there is a whole section in the  
19           archives that you have -- probably not in the court  
20           book -- in the archives -- of me expressing great  
21           concern about this to the Scottish Office and so on and  
22           so forth, and asking the Scottish Office, would  
23           ministers in Scotland declare -- over their dead body  
24           would private blood transfusion services be developed.  
25           And I said this because partly in my discussions in

1 London the boys were saying, "Well, from a marketing  
2 point of view, we will get there because we will just  
3 introduce ALT testing".

4 So these people were in a position in the  
5 United Kingdom, if they were let loose, in an economy  
6 that thrived in market principles -- they in fact  
7 would -- they could add tests as they wished -- we saw  
8 this in the States -- whether it was needed or not, it  
9 was a marketing advantage.

10 Q. I understand --

11 A. So that's what it's all about.

12 Q. We had seen reference previously to there being --  
13 pressure may have been put on the SNBTS to introduce  
14 surrogate testing because the manufacturers of blood  
15 products --

16 A. And the Haemophilia Directors were beginning --

17 Q. And this is really a similar position but in respect of  
18 blood components?

19 A. These were people producing red cells, platelets, and so  
20 on.

21 Q. I understand.

22 A. They never got off the ground.

23 Q. Professor, I think I'm right in thinking that this  
24 paragraph really comprises the SNBTS's formal submission  
25 following the recommendation of 3 March 1987,

1 essentially to SHHD, in support of surrogate testing.  
2 I don't want to be too critical, professor --  
3 I appreciate the difficulty you had in the lack of data  
4 from the UK because of the lack of prospective study; it  
5 was perhaps quite hard to make the case in a way one  
6 would have wished if the data was there -- but can  
7 I suggest this to you, that, even with the lack of UK  
8 data on the prevalence of non-A non-B post-transfusion  
9 and whether there was a correlation in the UK between  
10 surrogate markers and donors and post-transfusion  
11 hepatitis recipients -- even against that background of  
12 a lack of data, with the benefit of hindsight, could the  
13 case have been made perhaps a bit more strongly by the  
14 SNBTS, perhaps by listing a number of factors, including  
15 at least the apparent correlation in the USA from their  
16 studies -- listing the potential seriousness of NANBH,  
17 perhaps suggesting that surrogate testing at least  
18 offers the potential of increasing the safety of blood  
19 and, perhaps most importantly, perhaps stressing that if  
20 a prospective study of recipients was not to be carried  
21 out, then ministers should really err on the side of  
22 patient safety and introduce such testing, or do you  
23 think that --  
24 A. Actually I think we have had this conversation before,  
25 you and I. I think I will repeat that now, looking

1 back, we certainly could have done probably a better  
2 job. If you ask the question, "Why do you think you  
3 didn't?" It's not only a question of not having the  
4 data, you have to ask who stopped us getting the data?  
5 We have had problems here with the word "deliberately"  
6 or "knowingly" before but there is absolutely no doubt  
7 whatsoever that the people to whom we would be putting  
8 this case that you are suggesting we should, were the  
9 very people that in fact had prevented us from doing  
10 what we thought we should do so that we could make this  
11 balance sensible. We could make it all together, this  
12 balance sensible decision.

13 Looking back, I suspect that I really felt that to  
14 some extent all we could do was simply flag it, signal  
15 it. You could argue that McClelland in his submissions,  
16 which all went to the Department of Health, were fully  
17 well-known in the Scottish Office -- his detailed  
18 submissions for a prospective study. You could argue  
19 that Harold Gunson -- we didn't agree with all the data.

20 I said this to you before, the other day.  
21 Harold Gunson's paper, excellent paper -- I don't agree  
22 with all the numbers -- excellent paper in which he made  
23 an effort to look at the clinical impact which he  
24 thought might be happening in the United Kingdom, the  
25 department had all these.

1           So maybe that was the reason why I, sitting in my  
2           position, developing PES estimates, didn't go into  
3           detail. Do I regret it? If you pursue me, yes, I'm  
4           sure I do, but I can think of good reasons why I felt  
5           that this one -- and later we will see in Hepatitis C,  
6           there was a period of time when we felt we were just  
7           bashing at a door that was shut.

8    Q. Thank you, professor. I certainly understand your  
9           position that one shouldn't perhaps look at this  
10          paragraph in isolation. There is the wider context --

11   A. There is a whole --

12   Q. -- and other papers which were available.

13   A. That our good friends in the Scottish Office were well  
14          aware of.

15   Q. Thank you. And then the next PES, please, is 1988.

16          It's [\[SNB0033078\]](#). This is the last one I will look at.  
17          I think it's of interest for two reasons, firstly in  
18          respect of funding for screening but also in setting out  
19          problems with the blood supply at this time, which we  
20          will come on to look at in turn.

21          Firstly looking at funding, if we could, please, go  
22          to 3103, thank you. We can see under "Safety of blood  
23          donations", "Microbial donation testing". We can read  
24          the first sentence for ourselves and then the third  
25          sentence:

1           "Future candidates include NANB (surrogate testing  
2           is currently widely practised and Chiron Corporation  
3           have recently announced they are close to introducing  
4           a specific NANB test system to detect antibodies which  
5           will be marketed by Ortho Diagnostics) ..."

6           We should then look over the page, please, under  
7           paragraph (iv). We can read for ourselves what is said  
8           and you really make the point that:

9           "In the context of current and impending  
10          legislation, there is a need to consider whether the  
11          introduction of a new (specificity) donation screening  
12          test in the SNBTS is a policy matter outside the  
13          provenance of CSA policy."

14          The reference to a "policy matter outside the  
15          provenance of CSA policy", who would be responsible for  
16          such a policy matter?

17        A. The Scottish SHHD.

18        Q. I think one can understand the common sense of that. It  
19          would be a matter of national importance?

20        A. Absolutely. Not a problem, sir.

21        Q. Then we see again reference to some figures under  
22          1989/89; we see "ALT screening of donations: £85,000."

23          Under 1990/91 we see "ALT screening of donations:  
24          £25,000". But in the item below "NANB screening of  
25          donations: £300,000."



1           That's a reference to the Chiron test, I suppose.

2   THE CHAIRMAN:   The £25,000 is a negative figure.

3   MR MACKENZIE:   I'm grateful, sir, thank you.

4   THE CHAIRMAN:   This reflects the fact that there is a basic  
5           figure carried forward and these are adjustments.  We  
6           can do a quick bit of arithmetic, Mr Mackenzie, even  
7           given the limitations --

8   A.  I wouldn't dare.

9   MR MACKENZIE:   The other point perhaps to note, if we look  
10           under the total for 89/90 of £118,000, I just ask that  
11           we bear that in mind when we come to look at another  
12           document.

13           That's the funding but this PES is also, I think, of  
14           interest for setting out concerns about blood supply at  
15           the time.  So could we, please, go to page 3089?  Of  
16           course, one of the difficulties with surrogate testing  
17           is that the service would have lost perhaps 3, 4,  
18           5 per cent or whatever of donations.

19  A.  Absolutely, sir.

20  Q.  We see under this page headed "Blood collection  
21           programme":

22           "There has been a sustained decline in support of  
23           the SNBTS by the public since 1985.  This has become  
24           more evident in the last 18 months."

25           There is a reference to a figure.  And if we then

1 look at the total donor attendances for the years 78 to  
2 88, we can see that from 86 onwards, the total donor  
3 attendances start to decrease. And then we can read for  
4 ourselves what's then set out. Over the page, please,  
5 again, we can read for ourselves at the top of the page,  
6 the paragraph culminating in the sentence:

7 "Self-sufficiency in plasma products cannot be met  
8 with this level of routine blood collection."

9 And the proposals for which funding is sought are  
10 set out, including appointment of a national recruitment  
11 and programme manager and a permanent TV/radio campaign.  
12 And the total sum sought is 221,000. So quite  
13 significant sums and then a separate but related matter  
14 is then:

15 "Escalation in clinical demand for blood products."

16 It's set out:

17 "There has been a significant and substantial  
18 increase in the clinical demand/use of SNBTS blood and  
19 blood products over the last decade. This escalation in  
20 demand is now considered to be out of control."

21 Various table and figures given. Go over the page,  
22 please, to see the proposal to address that. We can see  
23 under "Proposal":

24 "The establishment of an academic department of  
25 transfusion medicine, whose primary raison d'être is to

1           develop research directed towards defining the  
2           appropriate treatment of disease using blood and blood  
3           products."

4           Over the page again, please, the sum sought there is  
5           about 73,000. And in a final separate yet related item,  
6           "Supply/Self-sufficiency", it was stated:

7           "The major difficulties which have now emerged for  
8           Regional Transfusion Centres in meeting supply centre,  
9           primarily on the provision of platelet concentrates and  
10          supporting the fresh plasma needs of PFC."

11          We can see what else is said. Can we go then,  
12          please, on two pages? 3095 at the top states:

13          "The concern at the present time is that further  
14          significant increases in fresh plasma for PFC cannot be  
15          obtained from the existing blood donation input (which  
16          is falling in any event) because this option was fully  
17          explored in the period 1982-87. It seems certain then  
18          that the major contribution to any planned increases in  
19          plasma will be by a mixture of plasmapheresis and  
20          optimal additive solution."

21          We can go to page 3098 to see the proposals and the  
22          costings for that. We will see they are quite  
23          significant. We can see a third of the way down:

24          "The broad proposals are as follows ... "

25          Under the last one:

1            "Funding is initiated at RTCs to commence OAS and  
2            plasmapheresis programmes."

3            We can see in the figures given for the year 89/90  
4            under "RTC plasma procurement", a sum stated of  
5            £400,000, which I assume would include the cost of their  
6            starting plasmapheresis. Would that be correct? You  
7            are nodding, professor.

8            A. Yes.

9            Q. Would that include purchasing new equipment and training  
10            staff in how to use it?

11            A. Yes, automated equipment but I suspect the biggest cost  
12            is OAS.

13            Q. What's OAS?

14            A. Sorry, optimal additive solutions.

15            Q. What's that in a sentence or two?

16            A. Instead of taking 200 mls of plasma from an ordinary  
17            donation, you take 300 mls. That's the whole lot. You  
18            now have something like a thick syrup that doesn't run  
19            into patients very quickly but what you do is you add  
20            the optimal additive solution, which is good for the red  
21            cells. It provides them food but crucially it lowers  
22            the viscosity. So in an acute shock patient you can run  
23            it in fast and we get 100 extra mls of plasma from that  
24            donation.

25            Q. We can see the total sum sought under that proposal for

1 89/90 is £650,000. So the funds sought for screening,  
2 certainly surrogate testing in that year, is really  
3 vying with these other quite considerable sums.

4 A. Oh, yes.

5 Q. We can leave that document, I think. This letter,  
6 I think, is also of some interest. Can we go, please,  
7 to [\[SNB0114790\]](#). This is a letter of 25 July 1988 from  
8 yourself, professor, to Mr Donald at the CSA and it's  
9 headed "PES 1988: SNBTS priorities". The first  
10 paragraph states:

11 "In response to your recent communication of this  
12 topic, I have had a brief discussion with  
13 Duncan Macniven and we are agreed that it would be more  
14 helpful if I provided a prioritised list which conveyed  
15 my own opinions. The list is as follows:

16 "Priority A (self-sufficiency)."

17 I think we can see items 3 and 4 include  
18 "Supply/self-sufficiency", the sum of £470,000. I think  
19 that relates to items we have just looked at. Item 4  
20 "Blood collection", £221,000. I think that relates to  
21 the permanent media campaign, the appointment of a blood  
22 collection manager, et cetera.

23 Under "priority B", going down a level, under 3,  
24 "Safety blood donations/microbiology". I think that  
25 would include the figure for ALT testing for 89/90

1 because we find again the figure of £118,000, which is  
2 a figure I asked us to bear in mind a few minutes ago.

3 If we go over the page there is also set out  
4 priority C, and perhaps from the point of view of the  
5 taxpayer, it's nice to see that the 50th anniversary  
6 celebrations are under priority C, which may be a bit  
7 unfair.

8 Over the page you set out:

9 "Perhaps it would be helpful to add that within the  
10 categories A, B and C, I have further prioritised the  
11 list with 1, 2, 3 et cetera."

12 Going back to page 1, please, not only is ALT  
13 testing at this stage under priority B, it's item 3 of 4  
14 in this priority. And a question really, I think, comes  
15 to this professor: given the difficulties in blood  
16 collection in the second part of the 80s, would it  
17 really have been feasible to introduce surrogate testing  
18 in any of the years 1987, 1988, 1989, 1990?

19 A. I think that's an extremely good question and I find it  
20 a little difficult to give you a commonsensical  
21 response. What has not emerged -- I mentioned it  
22 before. What has not emerged in this Inquiry thus far,  
23 although I have mentioned it before, is that in 1987 we  
24 had a catastrophe that affected our blood collection  
25 programmes.

1           I think you saw in the graph it just went straight  
2 down and that catastrophe was engineered by the  
3 Scottish Office, poor chaps, in that I think I told you  
4 before they announced that the government was going to  
5 support the building of a very large private hospital on  
6 the Clydebank.

7           Now, one of the reasons I felt, after that initial  
8 decline since 1985, there -- was a man, a wonderful  
9 man -- we had awful troubles with him -- called  
10 Mr Brunton. The dear chap has now departed. He was a  
11 Scotsman journalist and he had a passionate view about  
12 the way the SNBTS -- we didn't know him otherwise but he  
13 kept writing articles -- was supplying blood to the evil  
14 private sector. And we got into all sorts of hassles  
15 with him and that is well documented in your archives,  
16 and when -- we had this from 83/4 from Mr Brunton and  
17 I was very twitchy about this -- there is a lot of  
18 documents -- and went and spoke to him and wrote to him  
19 and so on and so forth, but we couldn't move him and  
20 when it became apparent in 1987, the Clydebank hospital  
21 development, Mr Brunton went into fifth gear and we  
22 had -- Ruthven -- if you got Ruthven Mitchell back, they  
23 were reporting -- I don't know how accurate they were --  
24 a 25 per cent drop, they thought, in the West of  
25 Scotland donor panel.

1           So severe was all this, and there is a lot of stuff  
2           in the archives, that I and Jim Donald went over to  
3           Clydebank one afternoon -- much to the anxiety of our  
4           friends in the Scottish Office, as you might imagine --  
5           to see if we could talk them through all this and  
6           explain to them that, you know, we were in control and  
7           so on and so forth.

8           So when you say, you know, you had everything, all  
9           this, going on, this Clydebank thing hit us acutely.  
10          I won't go into the appalling situation in which  
11          I became aware of it just reading the Scotsman. We had  
12          not been briefed at all and it hit us -- so we had this  
13          acute effect and there is no doubt at the end of 1987,  
14          if you had asked me, "What about non-A non-B," I would  
15          have said, "Go away".

16          You are absolutely right, that's a fair point.

17    Q.    Even though in March 1987 the directors had agreed  
18          surrogate testing should be introduced?

19    A.    Yes, I think in March -- I think you will find the HCI  
20          thing was midsummer. In fact we were all on holiday, or  
21          a lot of people were on holiday when it was announced,  
22          but, yes, I mean, we were trundling on but we did not  
23          appreciate what was going to happen. So as I say, you  
24          are right, by the end of the year, I suspect we would  
25          have said, "Look, forget it in the meantime".



1 Q. We know that the March 1987 recommendation was to  
2 introduce surrogate testing in 1988. So looking at  
3 matters this way, if surrogate testing had been in place  
4 in 1988, 1989, 1990, is that likely to have had  
5 a knock-on effect in terms of the supply of blood to  
6 hospitals and supply of plasma to PFC?

7 A. It might. I mean, I think you all know that we were  
8 running on a high surplus of red cells in Scotland.  
9 From time to time there were troubles in the West. We  
10 eventually sorted this all out, and if you ask  
11 Jack Gillon, "What's your input now?" it's hugely down  
12 from what it was in our day and they are managing very  
13 fine.

14 In other words, I think better management of our  
15 resource -- you have already referred to my view that we  
16 were out of control in terms of the use. And  
17 Brian McClelland was later to -- I persuaded him to set  
18 up this thing, which he did for about 10 or 15 years,  
19 which had a major impact on the way we actually --  
20 clinicians were using the red cells and so on. So  
21 I think you have got a good point and I suspect in  
22 1988/89, we would have been struggling a little but  
23 having said that, we were making by then -- this is  
24 before David McIntosh arrived. We were making by  
25 then -- we got people like Ruthven and so on to come in

1 and we were passing data around to each centre giving  
2 stocks so that we could move stuff around.

3 Q. Thank you, professor.

4 Sir, that may be an appropriate place to take  
5 a break.

6 THE CHAIRMAN: Yes.

7 (10.31 am)

8 (Short break)

9 (10.44 am)

10 MR MACKENZIE: Thank you are, sir.

11 Professor, I finished looking at the documents  
12 I wished to take you to but I should now go to your  
13 statements. I can deal with them quite shortly because  
14 we have covered most of the ground. The first statement  
15 is [\[PEN0171741\]](#).

16 If we go through a few pages, we can see we asked  
17 you the same questions we asked the other witnesses.  
18 Could we go to page 6, please? I think it's the first  
19 substantive response, which is 1746. We asked:

20 "Why did the SNBTS first seek funding from SHHD in  
21 1986 for the introduction of surrogate testing in 1987."

22 And you say that:

23 "As far as I can recall, during the preparation of  
24 the PES submission for 1986, I was requested (for the  
25 first time) to include a component which looked five

1           years ahead."

2           Who were you requested by?

3   A.   I don't remember, sir, but almost certainly a chap  
4       called John Morrison, who was the CSA treasurer.

5   Q.   I see. We can see a reference there again to consulting  
6       with European colleagues, and you told us a little about  
7       that yesterday, I think.

8           Then over the page, please, I think the other  
9       questions and answers we will just take as read because  
10      the answers are fairly short and as I say, we have  
11      explored matters in much more detail in your evidence.

12          Question 10 we asked:

13          "Why was surrogate testing of blood donors for NANBH  
14      not introduced in Scotland."

15          We can again read for ourselves your answer.

16      I should perhaps say, when you say:

17          "Reference to Dr John Wallace ..."

18          And the question of requiring agreement of SHHD,  
19      I think that's a reference to events back in 1975, which  
20      we covered in topic C1, when Dr Wallace sought to  
21      continue using a more sensitive Hepatitis B surface  
22      antigen test. And people can go to the evidence in the  
23      C1 topic if they want to follow that up.

24          I think we should just then, professor, take the  
25      rest of your statement as read. We also then asked some

1 additional queries and you provided us with an  
2 additional statement, [\[PEN0171885\]](#). There is a summary  
3 in various bullet points set out. I should for clarity,  
4 professor, say, of course, this summary is drafted by  
5 the Inquiry team, not by you.

6 A. Indeed.

7 Q. So people are aware of that.

8 A. Thank you, sir.

9 Q. I should also ask: do you think the summary is  
10 a reasonable one or do you think it contains any  
11 material errors or omissions?

12 A. No, without being too congratulatory, I had been knocked  
13 out frankly, throughout the whole of this inquiry, in  
14 terms of the quality of documents.

15 Q. Okay, thank you. Over the page we will see the  
16 supplementary questions. Query 1 related to:

17 "Should a large-scale prospective study have been  
18 carried out?"

19 Your position, we know, is yes. In your answer 2,  
20 we see what you say. I think in short, we have all the  
21 records we are going to get on the matter and we also  
22 requested a statement from Dr Moir on this point. I'll  
23 refer the chairman to that in the final wash-up at the  
24 end of this topic but in short Dr Moir can't help us.

25 Over the page, please, supplementary question 2.

1 The question we asked:

2 "If such a large scale prospective study had been  
3 carried out in the UK, to what extent is it likely to  
4 have met its objectives?"

5 And you stated:

6 "I see no reason why a properly resourced and  
7 supported UK group could not have achieved parity of  
8 performance with the US TTV study group."

9 I take it that remains your view?

10 A. Absolutely.

11 Q. And then you say in answer (b), you always felt that the  
12 size of the proposed study, 600 patients, may have been  
13 rather small to achieve all of the objectives. The  
14 reference to 600 patients, I think, comes from  
15 Dr McClelland's original proposed protocol?

16 A. Indeed.

17 Q. I suppose against that -- I think we heard from  
18 Professor Leikola yesterday that the Finnish study, I  
19 think, involved about 650 patients and it appeared to  
20 provide meaningful results but --

21 A. I think I would merely add -- I don't think it's  
22 important, sir -- that I think item (c) was a look at  
23 the long-term. So you needed a decent cohort of  
24 patients that had got it to see how serious it was and  
25 to be followed up over a long period of time. That's

1 all.

2 Q. Presumably the difficulty with item (c) --

3 A. The Finns didn't do that.

4 Q. With item (c):

5 "To investigate the natural progression and

6 seriousness of the disease ... "

7 Given we now know that it may take over 20 or

8 30 years for cirrhosis, that probably wasn't an

9 achievable objective for such a study, unless it was

10 going to go on for 20 or 30 years, which seems unlikely.

11 A. I think Professor James would say you need a decent

12 cohort to study.

13 Q. Okay. Question 3, the work of Drs Dow and Follett. We

14 see your answer there and we have examined Dr Dow in

15 some detail on this.

16 Over the page, please, in question 4, relating to

17 SHHD medical officers. Again, we can see what you say

18 in your answer.

19 Question 5, we asked the hypothetical question:

20 "If surrogate testing of blood donors ... had been

21 introduced in Scotland, what percentage of donors are

22 likely to have been deferred?"

23 You answered on the next page:

24 "I have always believed it would have been between 1

25 to 3 per cent."

1           We also asked:

2           "Could a sufficient blood supply have been  
3 maintained?"

4           You answered "yes" but I think that must be  
5 qualified by your evidence today?

6   A. Absolutely, yes.

7   Q. Question (c):

8           "To what extent are cases of post-transfusion  
9 Hepatitis C likely to have been prevented?"

10          And you stated:

11          "I believe I judged at the time that the benefit  
12 would have been significant but the costs high, and the  
13 impact on individual donors and on the robustness of our  
14 donor panels had, because we lacked relevant UK data,  
15 not been carefully considered."

16          So we are back to the question of the lack of UK  
17 data?

18   A. Yes.

19   Q. Thank you, professor.

20          You then go on in a footnote to refer to further  
21 matters, which I'm not going to go into in detail, save  
22 to say in respect of footnote (a), the relevant  
23 documents are 1 and 2, which you list over the page in  
24 your references, and we have in our inventory full court  
25 book numbers for them.

1           In short, under footnote (a) the question of ALT  
2           testing of plasma products and the Medicines Commission  
3           allowing commercial manufacturers to state their  
4           products had been so tested, I think it does seem to be,  
5           I think, accepted that it's unlikely that ALT testing  
6           would have materially increased the safety of the plasma  
7           products made from large pools of plasma. Do you agree  
8           with that?

9   A. Very large pools.

10 Q. Yes, Factor VIII/Factor IX.

11 A. I'm not sure about Scotland. It would have been very  
12       interesting. I think the other important point -- and  
13       it's on record in your files -- is that the clinicians,  
14       the Haemophilia directors, were beginning to say --  
15       I used to get quite distressed by this -- "The reason we  
16       are buying commercial stuff," which I thought was very  
17       dangerous -- "is because you are not doing all the  
18       tests". It was just awful.

19           So there was not only pressure from the  
20       Haemophilia directors, there was an actual belief that  
21       that was the right thing to do and we would opt for  
22       a product that did that, and in the total context --

23 Q. I understand.

24           In respect of footnote (b), this concerns in short,  
25       proposals in England in 1990 and again in 1994, that



1 plasma going to BPL for the manufacture of blood  
2 products be surrogate tested, ALT tested. And again you  
3 have provided a list of references for this issue, and  
4 we have the signature court book references, but I'm not  
5 going to ask you any questions on this for four main  
6 reasons.

7 Firstly, it concerns events in England, rather than  
8 Scotland; secondly, I think it seems quite clear from  
9 the documents the proposals were made for commercial  
10 reasons, rather than to increase safety; thirdly, by  
11 this time in Scotland at least Factor VIII and IX  
12 products had been heat-treated to inactivate  
13 Hepatitis C. And lastly, it's unclear whether in fact  
14 the proposals were implemented in England.

15 So I can quite see, professor, why you mention it as  
16 part of the background but it does perhaps seem to be  
17 just that: background. So I'm not going to take up time  
18 at the hearings in going over it in detail. Thank you.

19 That's that statement, thank you.

20 There is another short statement I would like to go  
21 to, please. It's [\[PEN0172767\]](#). We will see this  
22 statement is headed "Resignation as Consultant Adviser  
23 to SHHD, 24 March 1986". The background to this,  
24 professor, is that the Inquiry team had noticed that you  
25 had resigned as consultant adviser to the SHHD and

1 I simply asked you why that was and in response you  
2 helpfully provided this statement, which I'm going to  
3 take as read, subject to asking you one question at the  
4 end and also subject to giving our reference numbers for  
5 your five references at the back.

6 Our reference numbers for reference 1, [\[PEN0172790\]](#),  
7 reference 2: [\[PEN0172789\]](#); reference 3, [\[SNB0112544\]](#);  
8 reference 4, [\[SNB0131559\]](#); and reference 5:  
9 [\[LIT0010343\]](#).

10 The one question I'm going to ask you is this,  
11 professor, and with reference to this other document.  
12 Could we go, please, to your job description as national  
13 medical director, which is [\[SGH0012619\]](#). We can see  
14 that this document is headed "Blood Transfusion  
15 Service -- National Medical Director. Job Description."

16 At the bottom of the page we will see the date  
17 is April 1977. Item 5, one of your duties:

18 "He will advise the SHHD on national policy  
19 questions affecting the development of the BTS."

20 And the question is simply this, professor: was your  
21 resignation as consultant adviser to the SHHD consistent  
22 with item 5 in your job description?

23 A. I think that's a very good question.

24 All I can tell you is that having been appointed  
25 national medical director, I was asked to go and see

1           Graham Scott, who formally invited me to become their  
2           consultant adviser, and the Scottish Office -- I know,  
3           DHSS, they have got lots of consultant advisers in  
4           various specialities and if I said yes, said Graham,  
5           I would have the handsome reward of £275 a year.

6           So I have always been under the impression -- and  
7           I think that's right -- that of course my item 5 as  
8           national medical director -- I spent a lot of time  
9           advising and cajoling and so on, but the consultant --  
10          but my understanding was a consultant adviser to the  
11          departments of health, you are supposed to sit back, not  
12          be defending the national medical director -- to sit  
13          back and respond to questions in relation to the  
14          broadest international blood transfusion and so on. And  
15          it was that role that I ultimately felt I should leave  
16          because of what was about to happen.

17        Q.   Yes.  If the SHHD had sought your advice on transfusion  
18          matters after your resignation as consultant adviser,  
19          would you have given that advice freely?

20        A.   Absolutely.  My resignation on the second occasion was  
21          really, I felt, morally obliged.  Because I was about  
22          to, I thought -- it took longer than I thought -- I was  
23          about to seriously criticise the Department of Health in  
24          London and I thought this would be a severe  
25          embarrassment to my mates in the Scottish Office and

1 I felt that I should get out of the way. You know, it  
2 would not be appropriate for me. But on the other hand  
3 at any time -- and they did. And in fact, Hamish Hamill  
4 in 1990 asked me to come back and advise them. You have  
5 got documents to confirm that. So there was no problem.

6 Q. I suppose, professor, on one view, the better question  
7 may be the other way around: was item 5 of your job  
8 description consistent with you being consultant adviser  
9 to the SHHD, in that there may be occasions when, as  
10 national medical director you felt you had to speak out  
11 against the government or whatever, which may then place  
12 you, as it did, in a difficult position?

13 A. Yes, extremely difficult, I can assure you.

14 Q. I understand.

15 Finally, professor, there are two letters I would  
16 like to briefly take you to and put one question to you.  
17 Can we go, please, to [\[SNB0059240\]](#). I think you have  
18 seen this letter again relatively recently, professor?

19 A. Oh, yes.

20 Q. A letter from yourself to Mr Hugh Morison of  
21 21 August 1986. I don't need to take you through it  
22 because you have seen it, I think. Then also for  
23 completeness, the response, [\[SNB0132880\]](#). Which is  
24 a letter by Dr MacDonald, 8 October 1986 to yourself.

25 Really my question is this, professor, that, while

1 one can quite understand that this correspondence may be  
2 part of the background to the topics under consideration  
3 by the Inquiry, on the face of it, this correspondence  
4 does not appear to be of central importance to topic C2,  
5 surrogate testing, because firstly, the main trigger for  
6 the letter appears to have been the Sandoz incident,  
7 which is not a matter of direct relevance to the Inquiry  
8 and secondly, and while this is ultimately a matter for  
9 the chairman, it does appear from the C2 documents and  
10 oral evidence that surrogate testing was not supported  
11 within SHHD because they were not persuaded that there  
12 was a good case on the merits, rather than SHHD's  
13 position having been decided on issues of personnel,  
14 personalities, or relationships?

15 Do you have any response to that suggestion,  
16 professor?

17 A. Yes, I am happy to go with it but as you well know, if  
18 you look carefully at John Forrester's contributions to  
19 the surrogate testing debate, I think it has to be  
20 said -- briefed the -- his colleagues pretty heavily  
21 against the SNBTS and specifically at one point myself.  
22 But I don't -- the notion that that had any material  
23 effect on the decisions that were made, I disregard and  
24 I don't think it's very important.

25 Q. Thank you, professor.

1 THE CHAIRMAN: Mr Mackenzie and Ms Dunlop, how do we move at  
2 this stage? Should I ask the other parties?

3 MR MACKENZIE: I think it may be better for the other  
4 parties to ask questions on C2, I think.

5 THE CHAIRMAN: We will deal with it as two quite distinct  
6 chapters.

7 MR MACKENZIE: I think so.

8 MR DI ROLLO: Mr Dawson on C2.

9 THE CHAIRMAN: Mr Dawson?

10 Questions by MR DAWSON

11 MR DAWSON: Thank you, sir.

12 Professor Cash, I would like to ask you first of all  
13 some questions about the 3 March recommendation, and  
14 Mr Mackenzie has taken you through the documents  
15 relating to that but I would like to focus on the  
16 reasons why that recommendation was made at that time.

17 Would it be correct to say, by way of background,  
18 that the SNBTS position throughout the first half of the  
19 1980s and really into 1986 had been to support the  
20 concept of a large prospective, local study?

21 A. Absolutely right, sir.

22 Q. And in 1987 in March, that there was a change in the  
23 attitude from that position?

24 A. I think -- I could answer that both ways, sir, honestly.  
25 I could say, no, there was no change but the world had

1           gone past us in the night and we would have strongly  
2           supported in 1987 a study. But we felt it was too late.

3    Q. Was it not the fact at that stage that, given what had  
4           happened at WPTAH in November 1986 and the fact that  
5           they had recommends a study which focused on donors  
6           only, that you knew full well in early 1987 that your  
7           previous ambition was never going to be realised?

8    A. Absolutely.

9    Q. Okay, thank you.

10           Would I be correct in saying -- I think you have  
11           confirmed this already but I just want to be absolutely  
12           sure -- that the person who was leading on this issue in  
13           SNBTS was Brian McClelland?

14   A. Very much so.

15   Q. I would just like to take you to some of the evidence --

16   A. Perhaps I should for accuracy --

17   Q. Of course.

18   A. I think at a stage, and you have already heard it, Brian  
19           began to slip a lot of the responsibility to  
20           Jack Gillon, and in fact the seminal meeting in which  
21           they said, "Yes, we will do this trial," that you have  
22           referred to, Brian was there. In the minutes it says  
23           Jack was looking after his interests but over the long  
24           period it was Brian.

25   Q. I think in your evidence, earlier in the week, you said

1           that you were perhaps not as familiar with this whole  
2           area as Dr McClelland and that you very much left it to  
3           him to get on with. Is that right?

4    A. Yes, that is right. When I say -- I mean, I need to be  
5           careful but if you had asked me some of the detailed  
6           figures of the incidence of the American publications,  
7           I would have been rushing off to the library, whereas  
8           Brian had them in his head. But I was extremely  
9           interested in what was going on.

10           Furthermore, Harold Gunson, who I interrelated with,  
11           I think you will have guessed, quite a lot, was  
12           passionately interested in this area and I picked up  
13           a lot of stuff from Harold as well. But it's true, I  
14           did not have the expertise that Brian had by any means.

15    Q. I would like to just take you to some brief passages  
16           from Dr McClelland's evidence in relation to this topic.  
17           This is certainly my understanding of his position as  
18           regards why it was in March 1987 the decision was made  
19           that the recommendation should be put forward. Could  
20           I just get up on the screen some of these passages.  
21           It's the transcript for 15 November 2011.

22           That's Day 63, sir.

23           I'm looking first of all at page 143. It's right  
24           down at the bottom of that page and this is a passage  
25           where Mr MacKenzie was asking Dr McClelland some



1 questions about this very topic, why it was that the  
2 recommendation was made, and he was looking specifically  
3 at The Lancet letter slightly later in the year, and he  
4 was asked the question:

5 "At this time in July 1987 ... "

6 Which is when the Lancet letter was published:

7 "... to what extent was patient safety a factor in  
8 your consideration?"

9 To which he answered:

10 "It was the factor in my consideration."

11 If I could just take you to another passage, which  
12 is slightly earlier in the transcript, on page 141. We  
13 see there at line 13 -- again this is Mr Mackenzie  
14 asking some questions, he said:

15 "Question: What was the main or the determining  
16 factor or factors which led you to recommend that  
17 surrogate testing should be introduced?

18 "Answer: Well, I felt there was -- even in the  
19 absence of a proper -- you know, a definitive prospect  
20 of randomised controlled study to provide a real answer,  
21 that there was sufficient evidence -- the evidence which  
22 had convinced the Blood Products Advisory Committee of  
23 the FDA, that surrogate testing needed to be introduced  
24 and led to the decision in the United States was, while  
25 not complete and not definitive, very, very difficult to

1 ignore, and I had no conviction that the epidemiological  
2 situation, the sort of prevalence, the amount of  
3 Hepatitis C -- or non-A non-B Hepatitis infection in the  
4 UK was really that much less than it was in America, in  
5 1986, because, you know, commercial paid donors had  
6 stopped. They had introduced similar changes in donor  
7 selection in relation to AIDS that we had, and I felt  
8 if, in the light of, you know, those two major changes,  
9 the United States felt it had to introduce this testing,  
10 we were in a very, very poor position to not follow suit  
11 in the UK, unless we had convincing evidence that it  
12 really genuinely wasn't a problem."

13 I would just like to take to you a third passage,  
14 which is a little bit further on, on page 147. This is  
15 a passage in the same body of evidence when Mr Mackenzie  
16 is trying to elicit Dr McClelland's understanding, and  
17 he says in relation to some questioning about UK studies  
18 that were available at this time:

19 "As I recall, the only studies that looked at  
20 surrogate testing and concluded that it didn't have any  
21 effect, if you look carefully at them actually, the  
22 number of patients enrolled was very small and probably  
23 not sufficient to draw any conclusions from at all as a  
24 statistical basis."

25 I would like to take you to one other passage on

1 a different day, but so far we have Dr McClelland saying  
2 patient safety was the consideration, that he had become  
3 convinced by this stage that certain weight could be  
4 placed on the American data and the American position  
5 and that he was not dissuaded from that view by the UK  
6 studies. Are you following this so far?

7 A. Just, I think, sir.

8 Q. Could I just move you on to what seemed to me to be the  
9 last of the main props, I think, to Dr McClelland's  
10 position. For that I need to go to the transcript for  
11 the next day, which is 16 November, Day 64. I'm looking  
12 at page 116 of the transcript.

13 This was a passage in which I was asking some  
14 questions of Dr McClelland about something he had said  
15 the day before and he was talking about the material  
16 that had been produced by Harold Gunson at the working  
17 party group meeting in November.

18 A. The big paper.

19 Q. I think you have already referred to it yourself,  
20 professor.

21 A. I think I understand that.

22 Q. I asked him:

23 "I think in your evidence yesterday you said that  
24 this document in particular was one which had been  
25 persuasive as regards the development of your thinking

1 towards recommending introducing surrogate testing. In  
2 particular I think you said that the numbers that were  
3 being used in this document had been influential. Is  
4 that correct?

5 "Answer: That is correct, yes."

6 If one looks over the page at 117, I asked for a bit  
7 more explanation as to why that was. In summary he says  
8 at line 20:

9 "I think seeing those numbers, as it were in cold  
10 blood, probably was a factor in my trying to push it on  
11 a bit more."

12 So it seems to me from Dr McClelland's evidence,  
13 these are perhaps the four main planks of his argument  
14 as to why he had changed his view about surrogate  
15 testing.

16 I'm not so much interested in looking in detail at  
17 the data but I'm quite interested in exploring with you  
18 why it was that the judgment was exercised by the  
19 directors at that time to make the recommendation.

20 I hope you follow these reasons, professor, because  
21 I would like to know whether, as far as you are  
22 concerned, these were the reasons why the SNBTS  
23 directors made the recommendation in March 1987?

24 A. I can't honestly remember but my gut feeling would be  
25 no. What I would be interested in would be to have my

1 old friend Brian sitting next to me instead of looking  
2 at the transcript of something you have said in the very  
3 recent past.

4 Can you enlarge upon that for me because when you  
5 say he had changed his view, one of the problems I have  
6 with a lot of this stuff -- not Brian or myself -- is  
7 that you start seeing stuff in this Inquiry and you  
8 begin to say, "Oh, I didn't know that happened," and so  
9 on, and you can begin to drift and change your view from  
10 what it might have been years and years and years ago.

11 And I'm not suggesting that has happened here but he  
12 is now saying he has changed his view. I certainly have  
13 to tell you I was not aware of that at the time. And  
14 what changed that produced the decision was Brian  
15 suddenly appearing with a letter that -- a draft letter  
16 that we subsequently published saying, "Look, it's too  
17 late". I do not recall -- I must be absolutely honest  
18 with you, I do not recall Brian saying, "We need to  
19 introduce it". He was saying, "It's too late to do  
20 a study", apart from the fact the study on the table was  
21 not worth the paper it was written on. Even if you --  
22 he was saying to us, "Even if at this stage we do  
23 a prospective study, it will be too late", because he  
24 took the view it would take three to four years before  
25 we had an answer. And we all felt, "Oh, crumbs. If

1           that is correct Brian -- and you are the expert -- we  
2           know from what's happening in Europe and what had  
3           happened in the States, the whole world is moving on."

4    Q.   What I'm just trying to get from you, Professor Cash, at  
5           this point, for whatever reason, be it because it's too  
6           late or be it because it's not going to be funded, the  
7           prospective study is not going to happen. Is that  
8           right?

9    A.   That's correct.

10   Q.   Against that background and with that consideration put  
11          out of your mind, the recommendation was made  
12          in March 1987. What I want to know is: was it made for  
13          these reasons?

14   A.   I'm honestly repeating myself and I think the notion  
15          that never, ever would a proper study -- in other  
16          words -- be conducted. I don't think that was in our  
17          mind.

18                 The study on the table at that point we regarded as  
19                 not being helpful at all. And Brian had reached  
20                 a point, I think, of weariness, in which the notion of  
21                 pursuing yet again -- I have to say, this view was  
22                 shared by Harold Gunson -- he was very unhappy himself  
23                 about this. The view that we should try again to get  
24                 a proper prospective study, the view was that it was  
25                 a waste of time and I think -- I'm thinking about what

1 discussions -- I think the major reason was --

2 I think -- the time -- it's too late.

3 Q. But surely in answering the question about patient  
4 safety, which was the first page I took you to,  
5 Dr McClelland was asked, "Was patient safety a factor in  
6 your consideration", and he said:

7 "It was the factor."

8 A. I wouldn't dispute that. And without being too  
9 colourful, and at times I have great difficulty with  
10 this, if, for instance, the word got out that we were  
11 shedding donors, large numbers of donors, into oblivion  
12 and a very serious matter where there was no  
13 confirmatory testing, families were struggling -- you  
14 have heard all this before. If in fact this began to --  
15 and the word got out -- a number of occasions in the  
16 Inquiry the worry was: would the donor panel hold up if  
17 the word got out we were fingering people in this way?

18 The dominant beneficiaries of the blood we were  
19 supplying were people that were not getting -- so if you  
20 are talking about patients, there is a vast -- thousands  
21 of them out there that if the donor panel had collapsed  
22 and we were not -- I'm not exaggerating these things to  
23 be honest -- they would be in serious trouble. So the  
24 notion that it was all about the patients that actually  
25 got the non-A non-B was only part -- certainly mine and

1 I'm certain Brian's -- concern about patients.

2 Q. Obviously there are considerations with donors which  
3 were no doubt part of --

4 A. I'm not talking about just donors. I'm talking about  
5 the impact of what that might have on the collection of  
6 blood in the years ahead.

7 Q. No doubt --

8 A. If we had gathered the prospective studies and we got  
9 the figures, just like I was saying the other day with  
10 aspirin, with oral anticoagulants, we would have sat  
11 there and said, "Whatever the figure, can we afford in  
12 fact to do this? Are we content?" And I'm sure what we  
13 would have done, if we got into that position, ie we had  
14 the patient data, we would have sent people like Jack  
15 over to the States, because they will have been at it  
16 for some time, to talk in very great detail about the  
17 impact it may or may not have had on our donor panel and  
18 on theirs.

19 Q. Perhaps if I just get to the proposition I wish to make  
20 and see if you agree with me or not. Do you agree with  
21 me that the recommendation was made due to the fact that  
22 you had reached the view on the available evidence,  
23 which was not the ideal or the complete evidence that  
24 might be available, because you didn't have the study,  
25 that matters had reached a point where you were



1           satisfied as a group that such a measure would have  
2           a material benefit on preventing post-transfusion non-A  
3           non-B Hepatitis in patients?

4   THE CHAIRMAN:   Just a minute, I'm not sure that I follow  
5           what such a measure is.

6   MR DAWSON:   Such a measure as the introduction of surrogate  
7           testing, sir.   Sorry.

8   THE CHAIRMAN:   Do you follow it, professor?

9   A.   I do.

10   MR DAWSON:   I could perhaps break it down.

11   THE CHAIRMAN:   I think you have to be careful at this point.  
12           I have already heard Professor Cash's views, which I may  
13           be inclined to accept.   So if you are now putting  
14           propositions that are different, I would rather you did  
15           it in a way that he can respond to.

16   MR DAWSON:   Absolutely.

17           To look at the evidence that you had at this time,  
18           the position, as I think we have clarified, is that  
19           there was no prospective study; there wasn't one on the  
20           horizon.   So the reality is that although that might  
21           have been ideal to have that evidence, you didn't have  
22           it.   Is that right?

23   A.   That's correct.

24   Q.   And you did have, however, some other evidence, which  
25           might not be ideal because it was from abroad, and

1 obviously there is an emphasis on the importance of  
2 local evidence in this matter. But as you said  
3 yourself, you had some information coming from your  
4 European colleagues and also there was the American  
5 information that Dr McClelland appeared to be relying on  
6 to a certain extent. Is that right?

7 A. I'm not sure to what extent he was relying on it.

8 Q. Yes, but that information was available?

9 A. It was in the public domain, very much so.

10 Q. Do you think that that information was material in you  
11 reaching the decision to make the recommendation as  
12 a group?

13 THE CHAIRMAN: That's the recommendation in March 1987  
14 specifically?

15 MR DAWSON: Yes.

16 A. I think we were persuaded with the notion if you looked  
17 at the American data, there were very substantial  
18 variations in the figures in terms of -- that were  
19 geographically related.

20 The notion that this could all be put down, as  
21 I think you have rightly said, to paid donors, is  
22 nonsense. Nevertheless, it appeared there were big, big  
23 differences. Those of us who knew New York Blood Centre  
24 quite well, you could imagine that, compared to the  
25 leafy glades of Wisconsin and so on.

1           And the real question, I think, in our minds was to  
2           what extent should we move to accept this American data,  
3           when in actual fact, if we did our study ourselves, we  
4           were much closer to Wisconsin or Helsinki where  
5           Jussi Leikola came from. And if that was so, would that  
6           influence the UK decision to go or not go? And --  
7           I mean, I think it's in that context that we  
8           instinctively backed off in March and said, "We really  
9           must continue to pursue the notion of a study". But  
10          later Brian came up and said, "It's not on, we are too  
11          late".

12         Q. When you say "later", was that by the July?

13         A. Yes, by July.

14         Q. By July, okay.

15         A. I'm sorry if I'm not being very clear.

16         Q. No, it's very difficult to understand.

17         A. You are really picking some really very interesting  
18          nuances that my memory is struggling to stay with.

19         Q. I think you have pointed out, and I think this is quite  
20          plain, that, for various reasons, the American data was  
21          not ideal, for reasons you have pointed out, and also  
22          that it was not necessarily immediately applicable to  
23          Scotland. Far from it.

24                 So we have established that the data was not ideal  
25          for your purposes. But at this stage, had you made the

1 decision that, though it's not ideal, given the fact  
2 that we were not going to get ideal data, it is  
3 sufficient for us to make a recommendation that  
4 surrogate testing --

5 A. I honestly don't think we would have. I honestly don't.  
6 But I really don't think we would have at that stage  
7 because I think we -- on the one hand there were these  
8 great anxieties about all blood supply and on the other  
9 hand we hadn't the faintest idea really as to the impact  
10 of what we were doing on the patients.

11 I mean, let me explain. I said the other day those  
12 people an aspirin or oral anticoagulants, it is known,  
13 the numbers are out; it is known, you know, the extent  
14 of the risks involved and individual doctors then have  
15 to make a judgment as to whether, when they see their  
16 patient, they are going to put them on these various  
17 drugs. We really didn't have that data -- I'm repeating  
18 myself. And I think instinctively this may be about the  
19 medical profession. I do not know. Instinctively,  
20 I don't think we would have been inclined to say, "Well,  
21 let's just accept the Americans". The fact of the  
22 matter -- I don't know whether it is Wisconsin -- if we  
23 had taken that column and said, "Let's look at that on  
24 the table", I think a lot of people would have said it's  
25 not worth a candle.

1 Q. Was the recommendation made because the directors  
2 thought that the implementation of surrogate testing  
3 would be materially beneficial for patients?

4 A. I can't remember but I have already said my own view was  
5 the introduction of surrogate testing would have had  
6 some benefit, right?

7 Q. Some benefit?

8 A. Yes.

9 Q. Do we get to the stage of material benefit?

10 A. No, no -- "material" means you know the numbers, for me  
11 anyway. But the notion that it would have had some  
12 benefit, I certainly don't dispute at all. I would  
13 accept that completely. The real question is: what do  
14 we mean by "material"? What is the real odds-on bet  
15 here that's worth putting your money on when you know --  
16 you have already got a pretty good -- not very good --  
17 handle on the cost. I'm not talking about money.

18 Q. So just to be clear, the position is that you thought --  
19 or as a group you thought it would have some benefit but  
20 you were not in a position to be able to quantify what  
21 benefit it would have?

22 A. Absolutely right. I'm sorry it has taken this long.

23 Q. Not at all.

24 Can I just move on from that area, which is the  
25 reason why the decision was made, or the recommendation

1 was made, to the issue which we have covered to some  
2 extent, which is to do with the communication at that  
3 stage with SHHD. I think you have already accepted in  
4 your evidence that the communication to SHHD of the  
5 reasons why you were making the recommendation was not  
6 ideal. Is that fair?

7 A. Yes, I think so, sir, yes.

8 Q. And do you also accept that you did not communicate  
9 clearly to SHHD the reasons why you thought that the  
10 study being proposed by the working party was, in your  
11 words, "a mistake"?

12 A. I can't answer that. I can't honestly remember.  
13 Certainly I had some fierce conversations with poor old  
14 Harold Gunson who chaired the committee. So he knew  
15 very well --

16 Q. I'm obviously talking about the communication of your  
17 views about the study, which you had obviously discussed  
18 with Dr Gunson, to SHHD?

19 A. I appreciate that but it was my experience that anything  
20 I said to Harold was in the SHHD within half an hour.  
21 I'm exaggerating but I don't think that was a serious  
22 problem. If you say, is there any documented evidence  
23 that I actually stepped in and communicated on this with  
24 SHHD, to the best of my knowledge the answer is no.

25 Q. There is certain documentation, which I don't want to go

1 into in detail, which suggests that throughout 1987  
2 there were people within SHHD who were very much focused  
3 on signing up to the study, and it doesn't really seem  
4 from that documentation that they had as sophisticated  
5 an understanding of the shortcomings of the study as you  
6 have articulated already. Do you think it was your  
7 responsibility to communicate to them your views on the  
8 shortcomings of that proposal?

9 A. Yes. I can't remember now in our directors' -- you  
10 would need to look, to be honest, at the directors'  
11 meetings, which John Forrester attended, along with one  
12 of his administrative colleagues, the point at which we  
13 discussed all this but, yes, I would accept your point  
14 and I'm absolutely sure in my mind that John Forrester  
15 was pretty clear as to my views on this. But, I mean,  
16 I would leave it to John to respond to that.

17 Q. Right. If you didn't clearly set out the reasons why  
18 you were making the recommendation, and you didn't  
19 clearly explain why the study was a mistake, why do you  
20 think that Dr Forrester understood clearly what the  
21 position was?

22 A. Because he had attended our directors' meetings and  
23 listened to the debates going on to and fro.

24 You could well argue that one of the -- it was  
25 a weakness that they were sitting in with us but

1 I purposely arranged this years and years -- in the  
2 early 80s, when I started, that SHHD colleagues joining  
3 us in the directors' meeting so that they were briefed  
4 and indeed could engage in the discussion if they so  
5 wished.

6 Q. I could turn it round the other way in fairness to you,  
7 Professor Cash. Did they ever come to you and say, "We  
8 are not too sure why it is you are making this  
9 recommendation. Could you explain it a little more  
10 clearly, please?"

11 A. Yes, I think that's a fair point but I wouldn't wish to  
12 pursue it.

13 Q. When Dr MacDonald, who you will recall was the chief  
14 medical officer at this time, gave some evidence on this  
15 topic, he suggested that the working relationship  
16 between SHHD and SNBTS at this time was a little  
17 difficult. This was in a late 1986, into the first half  
18 of 1987. Would you agree with that?

19 A. Completely.

20 Q. Do you think that the difficulties in the working  
21 relationship had an impact upon the effectiveness of the  
22 communication between SNBTS and SHHD on this issue?

23 A. Yes, it is probable, but I mean, I think wherever you  
24 get communication problems on all the issues, there is  
25 a potential for difficulty. But I wouldn't particularly



1           single out this one. I wouldn't, anyway. I realise you  
2           are pursuing this particular ...

3   Q.   Could I just ask you about a couple of the comments that  
4           you have made in your evidence on this topic already?  
5           Really just for the purpose of clarification.

6           Could I have a look, please, at the transcript for  
7           29 November, which is Day 70 of the evidence at  
8           page 169.

9           This is a passage again where you are being asked  
10          about your views at various different times. In  
11          particular, I think, Mr Mackenzie was asking you here  
12          about the position at the end of 1986, and he was  
13          examining this issue of how there had been perhaps  
14          a change from 1986 into the beginning of 1987, and you  
15          said at line 8:

16          "So I would have -- even if it had cost --  
17          I wouldn't have been happy with just going ahead and  
18          doing it. We eventually decided that we were going to  
19          be forced into this. The market was going and we had no  
20          control whatsoever. But that came later."

21          Just to be clear, you are talking about late 1986 at  
22          this stage and you are making reference to some later  
23          period. What I want to just be clear on is what you  
24          meant when you say that eventually you were going to be  
25          forced into this. Of course, you are talking about the

1 introduction of surrogate testing there. By whom would  
2 you have been forced into it?

3 A. Well, I discussed with you this morning the potential  
4 development of private blood banks and blood collection  
5 agencies, one. Two, if you asked Dr -- Dame  
6 Professor Marcela Contreras what she was doing in 1994,  
7 which astonished me, talking about the introduction of  
8 ALT testing because they wanted to sell intravenous  
9 immunoglobulin into Europe. When I saw it, I couldn't  
10 believe what I was reading. So pressures were put on  
11 some old friends of ours -- these old friends having  
12 vociferously opposed our thoughts that we were going to  
13 be driven by market forces in that direction -- there  
14 they were a few years later actually going down that  
15 track.

16 So when you say we would be forced, I don't think  
17 anybody is beating us on the head. There would be an  
18 inexorable drift, my concern was -- in 1994, if these  
19 things were implemented. But some of my good friends  
20 and colleagues were actually talking about exposing  
21 a lot of donors to potential -- being rejected, and  
22 anxieties and worries. Why? So they could sell the  
23 products that these donors were giving voluntarily.  
24 I found that quite difficult.

25 So there were potential pressures and I think we

1           were just alluding to this. That's all, sir.

2   Q. As I understand it, the pressures you mentioned there  
3       really are two. One was the potential private blood  
4       banks.

5   A. Who were going to up the ante.

6   Q. I follow that. And the other one was the suggestion  
7       being made from Professor Contreras.

8           It's interesting, I think, is it not, that those two  
9       things were things that were happening in England at  
10      this time. Were they realistic pressures on you in  
11      Scotland?

12   A. Oh, I don't know. I really don't -- I honestly don't  
13      know and I don't wish to be cynical or speak out of  
14      turn, but when we saw what went on in 1987 with the  
15      Clydebank hospital, in the context of profit and  
16      government interest in markets, you know, it rocked us,  
17      to be honest. Not that they shouldn't do that but when  
18      the Scottish Office mates of ours claimed that they had  
19      consulted carefully -- when this man Brunton moved into  
20      the fifth gear, our Scottish Office colleagues publicly  
21      went on the record to the media to say, "We have already  
22      discussed this in great detail with our colleagues in  
23      BTS and they are fully supportive". They had done no  
24      such thing.

25           So politics and all sorts of things. Public sector

1 organisations are inevitably -- and rightly -- very  
2 dependent on these movements. And I think to predict  
3 that they won't ever happen, and to say, "That was  
4 England. It couldn't happen in Scotland," I don't  
5 believe a word of it.

6 Q. So in any event, they were influencing your thinking?

7 A. No question.

8 Q. I accept that.

9           Could I just again go to a passage that I just  
10 wanted to get some clarification on. This is a passage  
11 in the same transcript, Day 70, but at page 175.  
12 Perhaps we should actually just have the end of page 174  
13 first.

14           You will remember this passage no doubt,  
15 Professor Cash. This is when you were talking about the  
16 meeting that you had had at the beginning of 1987,  
17 I think, and you had talked with your various European  
18 colleagues, the Vox Sanguinis meeting.

19 A. Yes.

20 Q. They had been saying to you, and you quote at the  
21 bottom:

22           "It's all happening."

23           Over the next page you say:

24           "So in that period you have asked what changed me, I  
25 began to get the jitters that once again in the UK we

1 had gone to sleep, we were off the ball, and I felt that  
2 I had a duty as national director to advise my  
3 colleagues that we should get in an application for  
4 money in the event -- knowing that in the event of the  
5 Department of Health saying, "Yes, okay, go," at least  
6 the budget was there to get down to the detailed  
7 difficulties of doing it."

8 So you mention there that after this conversation or  
9 discussion you had with your European colleagues, you  
10 had the feeling that, "Once again in the UK we had gone  
11 to sleep". Who did you mean by "we"?

12 A. Me, Brian, Harold Gunson, the corporate whatevers. It  
13 had just, you know -- I felt, I think, at the time --  
14 it's difficult to remember. It just seems to have gone  
15 off the ball, a bit off the agenda. And I think  
16 Brian McClelland would say that he just getting nowhere  
17 and he was getting very little support. Yes.

18 Q. Okay. Thank you very much, Professor Cash.

19 Thank you, sir. I have no further questions.

20 THE CHAIRMAN: Mr Anderson?

21 MR ANDERSON: I have no questions, sir.

22 THE CHAIRMAN: Mr Johnston?

23 MR JOHNSTON: Mr Sheldon will cover this topic, sir.

24 THE CHAIRMAN: Mr Sheldon.

25 Questions by MR SHELDON

1 MR SHELDON: Professor, we have heard quite a bit about the  
2 directors' meeting of 3 March 1987, as a result of which  
3 the directors recommended the introduction of surrogate  
4 testing. I think we understand there was a discussion  
5 at that meeting about surrogate testing and that some  
6 directors were against that proposal or that move. Is  
7 that correct?

8 A. If you are referring to what I think you are referring  
9 to, when Brian McClelland produced this proposal -- am  
10 I correct? Is that the meeting?

11 Q. Sorry, perhaps it would help just to go to the minutes  
12 of it. Bear with me. It's [\[SGH0016653\]](#). If we move  
13 forward, please, to the item about non-A non-B  
14 testing -- sorry, I don't have a page number for that,  
15 I am afraid.

16 A. I think this is the meeting when Brian McClelland  
17 proposed -- put his paper, his letter up. That was the  
18 letter that we fiddled with a little and then everybody  
19 signed and it went off, and it was published in July.

20 Q. Ultimately published in The Lancet in July, yes.

21 A. I'm content to talk on that basis.

22 Q. I think we understood that albeit that the ultimate  
23 decision was unanimous, there were some directors who  
24 were uneasy about the idea of surrogate testing.

25 A. I said yesterday, I think, that all of us, certainly

1 including myself, but all of us were very uncomfortable  
2 with finding our position -- and we were not in that  
3 letter recommending the introduction; we were saying,  
4 "It's too late. We are going to be forced into doing  
5 it." But none of us wanted to go down that track and  
6 I think it is quite important that I make that very  
7 plain, sir.

8 Q. Yes. I'm sorry, we have now moved on from the relevant  
9 passage, but I think we can see from page 1 that  
10 Dr Forrester was there from SHHD; is that right?

11 A. Yes, if it's on the minute.

12 Q. Can we just see page 1 briefly again? So we see  
13 Dr Forrester is the SHHD representative?

14 A. Yes, indeed. John is there.

15 Q. So he presumably would be aware from the discussions of  
16 the unease that was felt about that?

17 A. Yes.

18 Q. And we ultimately have the recommendation. We have The  
19 Lancet letter. Could you look, please, at [\[SNB0113846\]](#),  
20 please? I think we have looked at this before. I don't  
21 think we need to detain ourselves very long on it but  
22 this is your letter to Dr Fraser at the Bristol BTS,  
23 really, I think responding to a concern about the SNBTS  
24 recommendation. You say, point 1:

25 "The SNBTS directors do not wish ... [to introduce

1           NANB surrogate testing unilaterally].

2           "2. Current views ... crystallised last March, are  
3           being expressed to support our PES bid."

4           Three, that this is part, I suppose, of a continued  
5           debate about the Medicines Act and product liability,  
6           and indeed that The Lancet letter is no more than part  
7           of a debate initiated by our friends and colleagues at  
8           Edgware and can be viewed as yet another attempt to  
9           persuade central management at the DHSS to give renewed  
10          thought to the way that transfusion services interface  
11          with the Medicines Act.

12          So you give a number of reasons perhaps there why  
13          the recommendation was made, and can we look, please,  
14          now at [\[SGF0012085\]](#)? If we look to the foot of this,  
15          that appears to be a memo, I think, from Dr McIntyre,  
16          21 July 1987, to Mr Macniven, dealing with the question  
17          of surrogate testing. Do we see about a third of the  
18          way down with a little "x" beside it, there is a note in  
19          The Lancet for 4 July:

20          "Professor Cash and the SNBTS regional directors set  
21          out a case for starting testing, claiming that it's  
22          inescapable and cost-effective."

23          Then if we look further down the letter, we see,  
24          I think, two paragraphs further on:

25          "Professor Cash has assured Dr Fraser of Bristol



1 NBTS, in a letter dated 8 July, that he will not  
2 institute testing unilaterally."

3 Reading short to the next paragraph, we see:

4 "DHSS have expressed their concern and dismay at the  
5 letter by Professor Cash ... and have interpreted this  
6 as being SHHD policy. We have attempted to reassure  
7 them that is not so."

8 Does it appear from this memo at any rate that  
9 Dr McIntyre had seen your letter to Dr Fraser, or at  
10 least been informed of its content?

11 A. I don't know the answer to that. All I know is that  
12 John Forrester would have had a copy of the draft and it  
13 would have been into McIntyre by lunchtime. That's all  
14 I can be sure of, sir.

15 Q. Yes. So would it be fair to say that really in terms of  
16 the recommendation to introduce surrogate testing, the  
17 need for surrogate testing, SHHD at this time were  
18 getting what might be described as "mixed messages" from  
19 SNBTS?

20 A. No, not at all. And I think you keep -- all of you keep  
21 saying we recommended it. We just simply said, "It's  
22 inevitable. It's going to happen. We are going to be  
23 caught here and we need to plan for that eventuality."

24 I can't -- I've already said to you, sir, if I may  
25 say, we did not -- we were all very unhappy about this.

1 We were not saying, "This is excellent, let's go for  
2 it". We were saying, "We are caught". But all this  
3 inactivity that we have had since 1980, we still in  
4 1986/87 do not know where we are, and we thought -- I'm  
5 repeating myself. The whole thing -- please, we did not  
6 recommend that we started it. We simply said, "The  
7 writing is on the wall, we think, as best we can judge".

8 Q. Right. Moving on then to a slightly different topic,  
9 I think you perhaps suggested that the reason why  
10 studies didn't go ahead really was because you were  
11 prevented from doing studies, you didn't get funding to  
12 do studies by the SHHD/Department of Health.

13 I just wonder if that's right, professor. Perhaps  
14 we can look briefly at what Dr McClelland said about  
15 that matter. It's Dr McClelland's evidence Day 63. At  
16 pages 85 to 86, I think. Can we go on to the next page,  
17 please? And down, please.

18 I'm sorry, I may have the wrong reference.

19 I think perhaps if I can simply summarise what  
20 Dr McClelland said about this on Day 63. He said that  
21 really, if the members of the Hepatitis working party  
22 had put their shoulders behind a proposal for a large  
23 scale prospective study, then something would have  
24 happened?

25 A. Which working party are you referring to?

1 Q. The UK Working Party On Hepatitis.

2 A. Right.

3 Q. Do you accept that characterisation of matters?

4 A. I honestly -- he is speculating that if the working  
5 party had said X, that funding would be made available  
6 and that's, I have to say, a complete speculation.

7 Q. All right.

8 A. You then have to look very carefully at who was on the  
9 working party, and when I tell you that two of them were  
10 civil servants, Smithies -- Alison and John Forrester.  
11 Another two were Harry Zuckerman, who for ten years had  
12 steadfastly and very consistently opposed the investment  
13 of money in this exercise; and the other, I think, was  
14 Howard. There was no English director apart from  
15 Harold Gunson. I could well imagine the department  
16 people saying, "This is not --" if they had said, "We  
17 strongly recommend it," I think the department could  
18 well have said, "This doesn't really represent the  
19 people who have major concerns about safety of blood".  
20 So you are asking me to speculate, and if you want me  
21 to, I would say that if that working party had  
22 recommended strongly a prospective study, it wouldn't  
23 still have been funded.

24 Q. All right. So you would disagree with Dr McClelland in  
25 that respect?

1 A. Yes.

2 Q. All right. I'm just thinking that taking that a little  
3 bit further, would you accept that as the smaller  
4 department, SHHD might look to DHSS to fund what would  
5 have been a pretty expensive study?

6 A. Absolutely right, sir. I should, however, mention that  
7 great discussions had been going on. £8 million a year  
8 for surrogate testing. I think that's a figure that was  
9 bandied around. You needed about £1 million a year,  
10 maximum, to do this proper study. I thought, if you had  
11 set up the study and told the clinicians out there that,  
12 "We are really doing this very seriously," over a period  
13 of three or four years, you would have spent 3 or  
14 £4 million, come up with some serious data compared to  
15 introducing it at £8 million, I think it would have been  
16 very economic indeed. And I don't understand why that  
17 was not seen. I really don't.

18 Q. I think the final area that I would like to ask you  
19 a little about is your comment about -- and I think  
20 I have to ask you little about this -- Dr Forrester, who  
21 you said at one point had been briefing against SNBTS.  
22 I really just wonder if that's a comment that you would  
23 stand by and if so, really what you mean by that or if  
24 you have any particular examples in mind.

25 A. Yes, I can. I don't want to get -- I'm reluctant to get

1           into personalities. If you look at the information that  
2           has been brilliantly gathered together by the team here,  
3           you will come to a point -- I'm sure you will recall  
4           this -- in which Dr Forrester, in briefing -- I think it  
5           was Archie McIntyre -- is describing the work of  
6           Brian Dow and his -- the Glasgow studies, and he  
7           actually says -- I don't want to take -- time has gone  
8           by -- that the results of the Dow study were not  
9           welcomed by Professor Cash.

10    Q. All right.

11    A. As though Professor Cash is gunning away here to  
12           introduce surrogate testing and Dow and Eddie Follett  
13           have said, "It's a complete waste of money," that  
14           somehow I was unhappy with this. Aside from the fact  
15           that I didn't happen to think the Glasgow studies, as  
16           a scientist, were as helpful as they might have been,  
17           that's completely set aside. The notion that I actually  
18           was belting to get surrogate testing introduced is  
19           a nonsense. You have to ask -- I don't think you have  
20           to, but in the context of the question you have asked:  
21           why did John say that?

22    Q. All right. We may have to try to find that particular  
23           memo, professor. I'm not sure I'm aware of that  
24           particular reference.

25    A. I've got it marked in my book.

1 Q. Can we look, briefly at a different memo. This is  
2 [\[SGH0028137\]](#).

3 This is a memo from Dr Forrester, I think dated  
4 1 December 1986, reporting on the UK Working Party on  
5 Transfusion-associated Hepatitis, and I think we have  
6 looked at this briefly already with you, professor.  
7 Just looking at the second page, if we may, we had  
8 looked at this final paragraph:

9 "The position explicitly reached at the meeting is  
10 to recommend research of no great significance or  
11 scientific interest."

12 I think in essence, when you appeared here on  
13 Tuesday, professor, you really agreed with that?

14 A. Yes.

15 Q. And --

16 A. John, who is on the committee, he was the committee --  
17 a member of the committee who produced a project that he  
18 says is of no great scientific interest.

19 Q. Well, if we can just look on the first page, please. So  
20 this is a report of the working party. Do you say that  
21 Dr Forrester would have had an influence, a decisive  
22 say, if you like, on what this committee, this DHSS  
23 committee, was doing?

24 A. I wasn't there, sir.

25 Q. All right.

1 A. I really don't know. You need to ask Brian McClelland.

2 Q. All right.

3 A. If you look at the list, as I have got, you will see  
4 that of the six members that attended, Dr Alison  
5 Smithies, DHSS, John Forrester, SHHD are listed as  
6 members, not as observers. I don't know whether that's  
7 a typo or not, sir.

8 Q. All right. If we just look briefly at this first  
9 page --

10 THE CHAIRMAN: Are you going to go into it in some detail?

11 MR SHELDON: I think not, not if I can avoid it.

12 THE CHAIRMAN: Because we are breaking the morning up in  
13 rather a different way, it's 11.50. I count on you to  
14 exercise your judgment.

15 MR SHELDON: Perhaps I can simply ask Professor Cash now  
16 whether this memo shows any signs of briefing against  
17 SNBTS, and leave the professor to look at the memo over  
18 the break and we can come back to that.

19 THE CHAIRMAN: Yes. Perhaps you might see if you can give  
20 further information about the memo that you do remember  
21 yourself.

22 Right. We will have a break now.

23 (11.53 am)

24 (Short break)

25 (12.05 pm)

1 THE CHAIRMAN: Yes, Mr Sheldon.

2 MR SHELDON: Thank you, sir.

3 Before the break, professor, we were looking at this  
4 memo, 1 December 1986, and it was really just to put to  
5 you the question whether this shows any sign of briefing  
6 against SNBTS in the sense of demonstrating antipathy,  
7 hostility towards SNBTS in any way.

8 A. You asked me to look at the paper you supplied, sir.

9 Q. Yes.

10 A. I have done that. The answer is none.

11 Q. All right.

12 A. Would you like me to refer you to the paper I was  
13 referring to?

14 Q. I think it might be helpful.

15 THE CHAIRMAN: I think you should do that.

16 MR SHELDON: Just to have a look at that.

17 A. [\[SGH0028141\]](#). This is a memo from Dr Forrester to  
18 Dr Scott.

19 Q. Yes.

20 A. Copied to Murray and McIntyre. I'm looking at the third  
21 point in this memo:

22 "Dr Cash is pressing for the English BTS to seek  
23 a start of this ..."

24 That's surrogate testing:

25 "... apparently on the grounds that the UK are



1 lagging behind 'other parts of the world'. The  
2 initial -- and very prudent -- response is likely to be  
3 a call for research."

4 I agree with that:

5 "Some has already been done last year in Scotland  
6 ..."

7 This is Brian Dow and Follett:

8 "... but turned out discouraging for Dr Cash's  
9 purposes."

10 I'll leave to you --

11 Q. How do you say that's briefing against SNBTS or against  
12 you, Dr Cash?

13 A. Well, what we knew was that the department was opposed  
14 to this and Dr Forrester is signalling that I am for it,  
15 and as a consequence of which I had no interest in the  
16 Dow/Follett study. Forgive me but I regard that as  
17 briefing against me.

18 Q. All right. So you took this as a sign that Dr Forrester  
19 was in some way against you?

20 A. I didn't take it too personally, I have already said.  
21 This was an incident. If you want evidence in the C2  
22 topic of a certain unhappiness, I'm simply saying here  
23 is an example. Given a lot of time, I think I might be  
24 able to find some more but this, I think, is the biggest  
25 one that I'm aware of.

1 THE CHAIRMAN: I don't want you to go too far and you know,  
2 it's for me, Mr Sheldon, to decide whether this is  
3 a disparaging comment or not.

4 MR SHELDON: Indeed, sir. I'm content to leave it there,  
5 sir.

6 Those are all my questions. Thank you.

7 MR MACKENZIE: I have no further questions, sir.

8 Ms Dunlop will now conduct the C4 examination.

9 THE CHAIRMAN: Very well.

10 Questions by MS DUNLOP

11 MS DUNLOP: Hello again, Professor Cash.

12 A. Hello.

13 Q. As would be expected, we have a statement from you  
14 relating to this topic as well, topic C4. The number of  
15 that statement is [\[PEN0172094\]](#). Could we have it on the  
16 screens please? There it is.

17 We are really starting with news of the Chiron  
18 breakthrough here, professor.

19 A. Yes.

20 Q. And we made some progress, after we published the  
21 preliminary report, in matching up some of the  
22 documents. The first paragraph refers to our having  
23 obtained the correspondence which demonstrates you  
24 firing off some letters at the beginning of July. You  
25 wrote to Chiron, you wrote to Ortho in the United States

1 and you wrote to, let's call them "British Ortho", in  
2 High Wycombe. And the response that you had from Ortho,  
3 the British Ortho, which we are not going to go to but  
4 it is [\[SNB0083586\]](#), I thought was slightly deflating.

5 You had written saying, "When can we get our hands  
6 on some testing kits, please?" And Mr Follett, no  
7 relation I have been told?

8 A. No.

9 Q. Mr Follett wrote back and said that they had a lot of  
10 work to do still and that it was likely to be towards  
11 the end of 1989 before the kits would be available.

12 I wanted just to look at a document, [\[SNB0024411\]](#),  
13 which is one of several announcements of the Chiron  
14 breakthrough, and we can see the same sort of  
15 information being communicated, we have already seen in,  
16 I think, it's Science and Nature and so on. This is  
17 Blood Bank Week.

18 I was going to ask you if this was your underlining,  
19 which is not quite as impossible to answer as it sounds.  
20 Do you see that in the top right-hand corner, item  
21 3e(iv) of 14.6 -- this is going to be 1988. I can take  
22 you to a minutes of a directors' meeting on that date.  
23 14 June 1988, that's [\[SNB0027333\]](#).

24 Maybe we will just keep the Blood Bank Week open.  
25 Look at the directors' meeting, 14 June 1988,

1 [\[SNB0027333\]](#).

2 As so often in the Inquiry, professor, I think  
3 I know what happened and that can be very dangerous but  
4 it looks to me as though you decided this was something  
5 that should be discussed at the directors' meeting. If  
6 we look at the minutes, if we look at page 2, we can see  
7 the start of item 3, which was "Matters Arising", from  
8 the minutes of the previous meeting, no doubt, and then  
9 page 4, section e "Donation Testing" and then on to the  
10 next page, we can see item (iv), it's a perfect match  
11 with the little typed note at the top of the Blood Bank  
12 Week extract. So do you think it was your underlining?

13 A. Almost certainly, yes. I would think so.

14 Q. Yes.

15 A. And I should say that the Blood Bank Week is not the  
16 most prestigious journal in the world and I have  
17 a serious submission that my mates didn't get it, that  
18 I had chased this up through other American channels.  
19 Yes, it looks awfully like my pen and everything else,  
20 yes.

21 Q. Right.

22 A. Guilty.

23 Q. It may not have been the most prestigious journal but it  
24 does have something very well worth knowing in it,  
25 presumably, which is the last paragraph?

1 A. Yes.

2 Q. When it says:

3 "The Times ..."

4 It's presumably meaning the New York Times?

5 A. I presume so, yes.

6 Q. So the New York Times is quoting Harvey Alter as having

7 said that:

8 "The identification of the non-A non-B Hepatitis

9 protein is what we have been looking for for ten years.

10 One has to be sceptical but the data I have seen looks

11 very good."

12 A. And he is heavy weight.

13 Q. Yes, so that was a very worthwhile endorsement for the

14 publication to include.

15 A. Indeed.

16 Q. I'm sorry, we rather prematurely left the minutes. Can

17 we just look back and see that page 5 of [\[SNB0027333\]](#)?

18 THE CHAIRMAN: Could we just get the date of the blood bank

19 into the notes, please?

20 MS DUNLOP: Yes. I'm told it's on the next page, in fact

21 there is a date there. Thank you. 13 May 1988. So

22 very much the same sort of time as the other

23 publications that we have already looked at with this

24 announcement.

25 Right, so back to the minutes:

1            "... the statement in a recent issue of Blood Bank  
2            Week that Ortho would soon market an ELISA test for NANB  
3            antibody. JDC would contact Ortho Diagnostic Systems to  
4            enquire about the availability of the test in the UK."

5            There you are in the right-hand column, which we  
6            know is the initials of the person to take some action.

7            A. Yes.

8            Q. So that explains to us the background to those letters.  
9            I think it takes us into the next part of your  
10           statement, so if we could return to the statement,  
11           please. Actually, no, I'm sorry, I want to go back to  
12           the minutes again. Can you keep the statement,  
13           obviously just go back to those minutes?

14           Can we go to page 3? Right. I also wanted to  
15           highlight the penultimate paragraph on page 3 because  
16           this is taking us into the next part of your statement  
17           and it introduces us neatly to the two groups issue, if  
18           I can call it that:

19           "There was a need for microbiological operational  
20           advice specific to blood transfusion services and it was  
21           important this should be uniform throughout the UK.  
22           EAGA could offer advice only as to policy, having no  
23           infrastructure to execute policy. JDC would discuss the  
24           possibilities with Dr Wagstaff."

25           I was interested, professor, in that reference to

1 the difference between policy and operations. I think  
2 we understand that but the implication of this seems to  
3 be that you were envisaging a group which did both. Is  
4 that right?

5 A. I can't honestly remember, to be absolutely honest with  
6 you, but it makes a lot of sense, doesn't it? I mean,  
7 that would be an excellent proposition. But we know --  
8 and eventually knew very clearly -- that that was not  
9 what DHSS had in mind.

10 Q. So it would have been a UK-wide group that would have  
11 been responsible both for the formulation of policy and  
12 for issuing instruction to implement that policy?

13 A. Well, yes, but the instructions come via ministers and  
14 so on, in terms of ... but, yes, the dream originally  
15 was to have a group which was heavily represented with  
16 people from transfusion centres who actually knew the  
17 game in terms of donation testing, both the technology  
18 and the science, and would include virologists, would  
19 include departmental people.

20 But, yes, that said, I did not have any problem with  
21 the notion of the two, providing the one -- that's the  
22 advisory group on the viral safety of blood -- was open  
23 and transparent and had effective representation on it  
24 in terms of the science, as it related to donation  
25 screening.

1           So I wouldn't see this splitting of two in any way  
2           sinister from our dream of one. If we could have got it  
3           to work, you might argue that having two, if they really  
4           worked closely together and there was transparency and  
5           everybody knew what was going on, would actually be  
6           a more effective use of resources.

7   Q. Right. So whether one group or two groups, the  
8           operational dimension would be decided upon by a UK-wide  
9           body, which would then report to the respective  
10          ministers as to the practical steps that required to be  
11          taken and the ministers would then issue appropriate  
12          instructions?

13   A. Yes.

14   Q. Is that the sort of vision you are describing?

15   A. Yes, that was the original vision.

16          The key to this -- and poor old Harold Gunson got  
17          very -- I hate to use word -- the "shambles" that  
18          developed with HIV and that we were determined that that  
19          wouldn't happen again, and indeed Jeremy Metters and his  
20          colleagues moved to do something about that.

21   Q. Right. We will come to HIV in just a moment, professor,  
22          but that vision that's articulated there, of possibly  
23          having the one body that could do both, doesn't ever  
24          seem actually to have been got up and running with  
25          either of the groups that was formed.



1           If we look at [\[SNB0061923\]](#), this is the terms of  
2           reference for the Transfusion-transmitted Diseases  
3           Committee, and we can see that that's really quite  
4           policy-focused. As first formulated at the start of  
5           1989, it's quite policy-focused. You keep up with our  
6           transcripts, I know, so you perhaps --

7   A. I try.

8   Q. You are perhaps aware of some of the information, some  
9           of the documentation from that period, that is the  
10           second half of 1988 and the early part of 1989, which  
11           might suggest that there was a bit of an accidental  
12           quality to the establishment of the two groups.

13           When we look at the directors' meeting for  
14           13 December 1988, it does look as though you and  
15           Dr Gunson were saying that a group needed to be formed  
16           because nothing was coming from government.

17   A. I think that's right. It's difficult to remember but  
18           there was also, I remember vividly, very great concern  
19           that the Metters committee, as it eventually was called,  
20           had many of the deficiencies, aside from the secrecy --  
21           had many of the deficiencies, of the problems, that we  
22           had with the small group that advised DHSS for HIV. And  
23           both Harold Gunson and I were concerned about this.  
24           Harold particularly, because Harold, as I think I have  
25           said in some statement, felt very vulnerable on that

1 Metters committee to the praying mantises, he said, of  
2 the virologists, the academic virologists. I wasn't on  
3 it so I couldn't see it.

4 And Harold felt very concerned that there needed to  
5 be -- and I totally agreed with him -- a broader church,  
6 an involvement of people who were really in the game,  
7 that they could advise Harold in some way such that  
8 he -- and I think I have said it in my statement --  
9 could take it up to the Metters committee. I think it  
10 started off as the Ed Harris committee.

11 Q. It did.

12 A. Yes.

13 Q. There are a number of references, professor, to the  
14 virologists on ACTTD?

15 A. Yes.

16 Q. And you were on that?

17 A. Yes, I was.

18 Q. I just wondered, so that we are clear, who were the  
19 virologists on ACTTD?

20 A. I would need some notice but I think Phil Minor, Richard  
21 and Philip Mortimer.

22 Q. On the ACTTD?

23 A. Yes, I was going to go on --

24 Q. We will have a look at the minutes of ACTTD in a moment.

25 A. That's the non-BTS virologists. I mean, John Barbara

1 eventually came on. He was an excellent addition.  
2 Eddie Follett, as I recall, came on as well.

3 Q. It struck me, professor, that at least from the  
4 membership at its inception, the only two who would  
5 qualify for the description "virologist" on that  
6 committee would be Dr Mortimer and Dr Follett.

7 A. Thank you. I'm mixing up, no doubt, for what may have  
8 happened later, I can't remember, but I think you would  
9 find my old friend Richard Tedder sneaked in eventually.  
10 I know this because we had some --

11 Q. I think all I wanted to establish was am I correct that  
12 you would see both of these individuals as virologists?

13 A. Yes, absolutely.

14 Q. Right. But you would draw a distinction in whatever  
15 epithet you would apply to them, you would see them as  
16 transfusion virologists, rather than academic  
17 virologists?

18 A. Not Phil. I mean, he was PHLS. He is an outstanding  
19 laboratory diagnostic, hugely important to the hospital  
20 services, as a reference centre. But Phil wasn't  
21 experienced in large-scale screening, as, for instance,  
22 John Barbara was, who came from North London.

23 Q. North London, yes.

24 A. Eddie Follett was in a sense identical to Phil because  
25 he came from a regional virus reference laboratory,

1 Ruchill. If you asked the Scots, who then would be  
2 their best person to have the knowledge in terms of  
3 donor screening, aside from Ruthven -- and I think we  
4 often forget that Ruthven Mitchell was a superb  
5 laboratory guy and understood and had an great empathy  
6 for the work, but he had working for him a man called  
7 Mr Archie Barr.

8 Q. Yes.

9 A. Who was, to be honest, a legend in this field.

10 Q. Right.

11 A. He was a technician, an MLSO, very senior.

12 Q. Right. Can we go back to Professor Cash's statement,  
13 please, and I did note the mention you make of HIV. It  
14 seems to me, however, Professor, that there are some  
15 important differences between this story -- that is the  
16 introduction of screening for Hepatitis C -- and the  
17 screening aspects of HIV. The first is that there was  
18 no will we, won't we phase with HIV screening, it was  
19 really taken as a given from the start that screening  
20 had to be introduced. Would you agree with that?

21 A. Yes, and that because it was triggered by EAGA.

22 Q. Right.

23 A. That's absolutely right. Which was the CMO that chaired  
24 EAGA. I should just say this, and I'll tell you because  
25 I was on EAGA, politically Mrs T and cabinet were

1 extremely anxious about HIV, and rightly so, and so  
2 there was no question of "Shall we or shall we not?"  
3 You are absolutely right. That's one of the  
4 differences.

5 Q. Yes. The other is that you mention a lack of urgency  
6 but it is perhaps worth reminding ourselves that test  
7 kits began to become available for use around  
8 about April 1985 and screening was introduced  
9 in October 1985, so it does look to have been  
10 a reasonably expeditious process.

11 A. I think in my statement -- I don't know -- is it B? --  
12 Whatever it is, I think the performance with HIV was  
13 creditable but there was -- there were some problems.  
14 I'm just looking at this moment at a document that you  
15 referred me to at about half past four in the B4, of  
16 that big clinical study, and there were some real  
17 problems there.

18 Q. I think we established --

19 A. But compared to HIV -- HCV, in the context of urgency  
20 and focus, different as chalk and cheese. I agree with  
21 that.

22 Q. Yes. Right.

23 Thinking about ACVSB, can we look, please, at  
24 [\[SGH0031265\]](#)? Just to remind ourselves that this is the  
25 minute from Dr Harris, the then DCMO, dated

1 14 July 1988, which kicked off the thinking that led to  
2 the establishment of the VSB committee. It does seem  
3 that this was happening around the time when people were  
4 anticipating that something big was about to happen with  
5 non-A non-B Hepatitis, and we have looked at the  
6 directors' minutes from 14 June, so all around about the  
7 same time, that this is perceived as being on the  
8 horizon. There has been a Chiron announcement, the  
9 endorsement from Harvey Alter.

10 A. Yes.

11 Q. And the other thing to note is that it does seem to have  
12 sprung, in some sense or another, from EAGA, that there  
13 possibly had been discussion at EAGA and recognition  
14 that EAGA would not be the appropriate body.

15 A. Indeed. That was very specifically -- that's AIDS.

16 Q. Yes, absolutely. And we have looked at this document  
17 before and there are some interesting features of it,  
18 including the reference on the second page under the  
19 discussion of the CBLA to the wish that they had to  
20 market products and intermediates overseas, which seems  
21 interesting; they obviously saw themselves as having  
22 a market beyond England and Wales.

23 And in fact at the very end, we can see the  
24 reference -- and we have looked at this before -- about  
25 non-A non-B, and in fact on to the final page, that

1 Dr Harris is hoping to bring the group together shortly.

2 So when in your statement you say that:

3 "ACVSB had been conceived by DHSS officials partly  
4 in response to criticisms ..."

5 You had made:

6 "... of the way officials had managed the HIV/BTS  
7 interface."

8 I take it you will accept that a number of things  
9 came together in the summer of 1988?

10 A. I'm merely quoting what Harold wrote to me and said,  
11 "You have contributed --" but no more than that -- "your  
12 moaning had some sort of impact, so stop moaning now,"  
13 as it were.

14 Q. Yes.

15 A. I think Brian McClelland, I saw in the transcript, lays  
16 claim to discussions with Harold to the -- but I'm sure  
17 that's right. I doubt whether my moaning had much  
18 effect.

19 Q. Another point you make in the answer to question 2  
20 concerns the secrecy that surrounded the deliberations  
21 of ACVSB.

22 A. Absolutely. Yes, an absolute disaster.

23 Q. I just wanted to follow that strand with you. If we  
24 look at [\[SNB0024517\]](#). This is a directors' meeting held  
25 at the headquarters of SNBTS on 29 September 1989, and

1 if we look at the top of page 2, we can see that the VSB  
2 committee was discussed as an issue and we are told that  
3 it is to be in order for Dr Perry and Dr Mitchell --  
4 members of that committee -- to report its discussions  
5 and recommendations to their fellow directors.

6 Ms Corrie is to obtain this assurance in writing  
7 from Mr Panton and to say she hoped the transfusion  
8 directors could have copies of the minutes.

9 As you would expect, there is a bit of to-ing and  
10 fro-ing, which we are not going to look at, but the end  
11 of the story seems to be [\[SNB0024627\]](#).

12 Going to page 2, please. This is the directors'  
13 meeting 13 February 1990, so the to-ing and fro-ing has  
14 taken from September until the following February, and  
15 we have the final answer:

16 "It is to be in order for Dr Perry and Dr Mitchell  
17 to report the discussions and findings of the committee  
18 to fellow directors but the minutes could not be copied.  
19 They could, however, be passed around and discussed at  
20 directors' meetings informally. Dr Gunson confirmed  
21 that the same position applied in the NBTS."

22 In light of that, professor, is it fair to refer to  
23 a strict code of secrecy?

24 A. I think you would have to ask what happened then. I can  
25 tell you I had a pretty tough time with Archie McIntyre



1 on one occasion and he made it very clear to me that he  
2 sat on the committee and that he would advise me, when  
3 he believed there were things that I should be told.  
4 But the notion of us influencing the agenda, like us  
5 having a chat and saying, "Could we get this discussed  
6 on the agenda," was unacceptable and I think  
7 Bob Perry -- I need to -- I mean -- I'm absolutely  
8 certain that both Robert Perry and Ruthven Mitchell  
9 found themselves in a very, very difficult position  
10 and -- I mean, David McIntosh, just used to blow -- and  
11 rightly so -- blow his top up about this.

12 So we were not having minutes handed round, we were  
13 not being regularly briefed and I think they would say  
14 they were being regularly briefed by the chairman of  
15 that committee not to say things.

16 Q. So are you saying that this didn't happen? Are you  
17 saying that Dr Perry and Dr Mitchell didn't show you the  
18 minutes?

19 A. No, we have got evidence that on rare occasions it did  
20 happen and we will be talking about HCV donation testing  
21 and Bob leaking to me that he and Harold Gunson had  
22 attempted at the committee and failed at a particular  
23 point. And when I raised this with Harold months  
24 later -- it was in March 1991, when we had these awful  
25 phone calls -- he had grave objection that Bob Perry had

1 broken the confidentiality and spoken to me. He didn't  
2 know that this had taken place and we got all very upset  
3 with each other.

4 So, yes, I would say that in my experience -- and  
5 certainly I know David McIntosh -- we, as managers of  
6 the SNBTS, were not properly briefed at all.

7 Q. Right. That sounds a bit of a guddle, professor,  
8 because if the formal position was that Dr Perry and  
9 Dr Mitchell were allowed to report the discussions to  
10 fellow directors and Dr Gunson is confirming that the  
11 same position applied in the NBTS, why did Dr Gunson get  
12 steamed us because that had happened?

13 A. Very good question. I need to look at the date of this.  
14 How long had the committee been in action?

15 Q. This is February 1990. So it had been meeting for ten  
16 months.

17 A. I think we will come to this later. In the 1991 debacle  
18 with the HCV donation testing, we did not know precisely  
19 what was going on. We will come to that.

20 Q. Okay. It's just that you say in your statement that you  
21 had no mechanism by which you could have an input on the  
22 construction of the agenda, submit briefing papers or  
23 have access to meeting minutes.

24 A. I know what you are saying.

25 Q. You understand the point I'm making?

1 A. I appreciate that but I have to tell you that my  
2 memory -- and I'm sure Bob Perry would confirm --  
3 whatever is there didn't, for some reason or other,  
4 happen.

5 Q. Right, and of course you could write to the secretariat  
6 at any point --

7 A. There are some records which I wrote to the chairman  
8 saying, "I wonder whether you could consider --" I think  
9 actually the surrogate testing, the C2 topic --  
10 "I wonder whether you would be prepared to consider  
11 that."

12 I recall very vividly on that occasion not getting a  
13 reply and then seeing, not until a few weeks ago in this  
14 Inquiry, that in fact it was discussed.

15 Q. Can we turn to the next page, please? You say that:

16 "The ACTTD was the brainchild of Dr Gunson."

17 Would it be fair to say though it was the brainchild  
18 of Dr Gunson and you? You are reported at the minutes  
19 of the directors' meeting --

20 A. Yes, probably, yes.

21 Q. Yes.

22 A. But again, just as DHSS gave the lead to SHHD, Harold  
23 considered himself the senior partner. And in terms of  
24 population, he was dead right and -- yes, I'm sure I was  
25 involved because we discussed his worries about

1 the Metters committee. So, yes -- but Harold -- that  
2 committee was the property of Harold.

3 Q. The ACTTD?

4 A. Yes.

5 Q. Right. Just so that we have the sequence of events  
6 accurate, we will just have a look at these minutes  
7 from December 1988, [\[SNB0027350\]](#) at page 2. This is  
8 a directors' meeting which was also attended by  
9 Dr Gunson.

10 A. Yes.

11 Q. It's actually headed up "AIDS" but I think it goes more  
12 widely than AIDS, and this is the basis for my  
13 suggestion that at least at that time you all thought  
14 nothing was happening. That's how it reads:

15 "Dr Pickles of the Department of Health had  
16 indicated some nine months ago that the department would  
17 take an initiative but this had not happened and  
18 meanwhile certain problems needed to be addressed."

19 So there was a discussion, and then:

20 "It was agreed that UK Blood Transfusion Services  
21 should establish a group to advise the departments of  
22 health on policies. It was noted that the matter was  
23 urgent."

24 In fact there is a reference to HTLV-I:

25 "HG agreed to liaise with Dr Pickles as soon as

1 possible."

2 So I just wanted, I think, perhaps to correct an  
3 impression that ACTTD was formed in response to ACVSB.  
4 It seems to have been formed when there was a perception  
5 of a vacuum?

6 A. Yes, this is all coming under the documents you are  
7 showing me, AIDS. And I have to say my best memory --  
8 and one needs to look at the first meeting minutes of  
9 ACTTD -- I have no doubt you have got -- my best memory  
10 is that in fact the Advisory Committee on  
11 Transfusion-transmitted Diseases was established after  
12 the establishment of the Metters committee, as we called  
13 it, just after, and was in response to that but you may  
14 say, "You are wrong, your memory is wrong," and that  
15 wouldn't be the first time.

16 Q. Well, it's a long time ago but that's not quite how it  
17 reads; it does read as though the initiative for the TTD  
18 committee comes from this sort of sentiment, that  
19 nothing is happening and a group is needed and needed  
20 urgently. And really that group is formed very  
21 efficiently because it's having its first meeting two  
22 months later, in February 1989.

23 A. I think in advance --

24 Q. Yes, meanwhile the group mooted by Dr Harris  
25 in July 1988 is being put together and there were

1 various minutes and memoranda which no doubt at the time  
2 you weren't aware of and then letters inviting various  
3 people to serve, but it doesn't have its first meeting  
4 until April 1989.

5 A. I wouldn't wish to make a major -- but Harold knew what  
6 was going on with the Harris committee and in terms of  
7 the nature of it, in terms of the professional  
8 interests -- and I have always assumed that that's how  
9 we got into discussions in which the TTD was -- but you  
10 may say that's not quite right. I wouldn't wish to  
11 argue, to be honest.

12 Q. Fine. Just to go back to your statement then, please,  
13 this is one of the references to the different kinds of  
14 virologists. If we look at line 4, you say:

15 "Dr Gunson wished to encourage the ACVSB academic  
16 virologists to dialogue with the UK BTS virologists."

17 That's why I was asking you that earlier. I was  
18 just wondering who you had in mind but I think we have  
19 really covered that.

20 Can we just look at the minutes of the first meeting  
21 of the TTD committee? That's [\[SNB0061975\]](#). You are  
22 right that in that gap between December 1988 and  
23 24 February 1989 Dr Gunson appears to have acquired some  
24 more information because he says that:

25 "The Department of Health were in the process of

1 forming a group but its brief would be wider than blood  
2 transfusion medicine, embracing transplantation and  
3 other aspects of disease transmission."

4 So not so much a policy/operational distinction but  
5 a distinction being drawn because the remit of one group  
6 is to be very broad and the remit of the other is to be  
7 more narrow. That's how that reads.

8 A. Yes, I think -- I mean, it's interesting you see it in  
9 these terms. For me the Harris committee reported to  
10 ministers and the Advisory Committee On  
11 Transfusion-transmitted Diseases -- and this became  
12 a very hot contentious issue -- actually reported to  
13 Harold Gunson.

14 Q. Right.

15 A. And later an event happened which was very unfortunate,  
16 in which a newly appointed chairman of the TTD committee  
17 believed strongly that it should be reporting and  
18 advising the Metters committee or the Harris committee  
19 and that was put down.

20 Q. Right. Certainly --

21 A. So it was a bit messy. I think I refer in my statement  
22 there were tensions that developed.

23 Q. Yes.

24 A. Because Harold had written the remit of the -- the remit  
25 of his committee and I don't think that would have been

1 fully agreed by Ed Harris.

2 Q. Right.

3 A. These things can happen.

4 Q. Yes. Certainly we can see there an ambition for this  
5 committee, that it would be providing advice to the  
6 departments of health. That's at the end of  
7 paragraph 2.

8 A. Absolutely. That was the ambition.

9 Q. Yes, but certainly by the meeting of ACVSB in April 1990  
10 that was being adjusted so that ACTTD were really  
11 tucking in behind ACVSB.

12 A. Very much -- yes, "We will consult you when we wish. We  
13 do not wish/require any of your papers, thank you very  
14 much, we will control --

15 Q. Subordinate in fact?

16 A. Very much.

17 Q. The other thing that's interesting about this is  
18 paragraph 4:

19 "It was also agreed that, whilst decisions of the  
20 committee would be subject to consultation with regional  
21 transfusion directors, any dissent would require good  
22 reasons."

23 Whose proposal was that?

24 A. I have no idea. I like that stuff.

25 Q. Slightly Stalinesque.



1 A. Isn't it? It couldn't have possibly been mine.

2 Q. Let's move on. Can we go back to the statement, please?

3 We asked you about how the membership was determined and

4 you have answered that. I think we are slightly better

5 informed now, so that our question about Dr Perry,

6 whether he was nominated by SHHD, in fact he was

7 approached directly by the Department of Health, so

8 I think we were wrong about that.

9 Then you said that you proposed Dr Mitchell for the

10 TTD committee and you have explained your grounds for

11 doing so.

12 Right --

13 A. I think it's in this context that Stan Urbaniak's name

14 appears.

15 Q. It does, yes. I wasn't going to return to that but if

16 you have some information on that.

17 A. Just to say he was not well and we all thought, "Stan,

18 relax." And Ruthven stepped into the breach.

19 Q. It would have been a very long journey for him at

20 a practical level, if he had to travel --

21 A. I don't think that would have worried Stan.

22 Q. It wouldn't?

23 A. Oh, no.

24 Q. Okay. Can we turn on to the next page, please? We

25 asked a little bit about the early minutes of ACVSB and,

1           unsurprisingly, you said, since you weren't a member,  
2           you are not able to deal with these questions.

3           Question 6. You proceeded with your intention to  
4           arrange testing of the Ortho assay. In fact Ortho beat  
5           their own prediction; they had their kits out before the  
6           end of 1989, as you know.

7   A. Yes.

8   Q. And there was an English evaluation begun and also  
9           a Scottish study. We asked if the Scottish study, which  
10           we have looked at before -- and we don't need to go to  
11           it again, I don't think, but the reference is  
12           [\[SNB0061596\]](#), and that's a report from October 1989. We  
13           asked if that was the equivalent of the English study  
14           and you thought it was, but it is fair to record that  
15           the Scottish one actually had nine different objectives?  
16           So it was quite a wide-ranging study?

17   A. Yes. I'm clear on that now. It was a separate study  
18           that we -- we did not know, to be honest, that Harold  
19           was at it. We were jumping the gun, you see. If you go  
20           back to HIV, you will, I'm sure, remember that  
21           Archie McIntyre banned the involvement of Ruthven's team  
22           with HIV kits. It was to all be done centrally  
23           controlled.

24           We, unbeknown to Archibald or anybody else, set  
25           up -- and this time with HCV -- that we would do a quick

1 look at some kits or whatever kit we could get hold of,  
2 and our obsession -- and it relates to surrogate  
3 testing. Our obsession was not actually at the time  
4 will it pick up all the positives, our obsession was are  
5 we going to have a huge background noise so we will lose  
6 a lot of donors and cause a lot of problems, because  
7 when we started, the prospect of a confirmatory test was  
8 bleak. So we did our own thing and when I phoned Harold  
9 he said, "Yes, and we have been doing our own thing,"  
10 and the stuff sort of gelled.

11 Q. Right. Looking at your answer (b), which is on the  
12 screen now, you tell us that, in initiating this work,  
13 you were seeking to avoid the difficulties you had had  
14 in 1985.

15 A. Yes, that's what I have just been saying.

16 Q. That comment that you anticipated that once again SHHD  
17 would insist on the primacy of the DHSS, does that refer  
18 to the incident you have just mentioned, Dr McIntyre  
19 saying that he didn't want --

20 A. Yes, with HIV -- I'm sure you remember --

21 Q. I do remember.

22 A. -- I went thundering into him saying, "We are thinking  
23 of doing a kit test for HIV; we think we can get hold of  
24 some stuff," and so on and so forth, and Archibald  
25 poured water over this pretty heavily and it was then it

1           became very clear, for the first time for me, that these  
2           matters, they had devolved to DHSS.

3    Q.   Right.  It's just that it did seem that in your answer  
4           you are going slightly further than saying that it was  
5           just that exchange about who was going to be looking at  
6           kits because you say that you anticipated that:

7                 " ... SHHD would insist on the primacy of DHSS with  
8                 respect to the timing of introduction of HCV donation  
9                 screening."

10                Obviously, we are going to come back to this but are  
11                you saying that you thought that you would be dictated  
12                to by SHHD about when screening would be introduced for  
13                Hepatitis C?

14    A.   I don't think -- I mean, the answer to that is yes,  
15           I have always thought that and still do, but I don't  
16           think that was heavy -- I mean, the thing that concerned  
17           me was that in the assessment, the evaluation -- at this  
18           time, when we moved into the evaluation of kits, before  
19           we even think about timing of starts, the Scots had  
20           a place in the team, the UK team, that was being  
21           involved.

22                If you look at HIV, that did not take place, and  
23                that was not by accident.  All I'm saying -- there is no  
24                doubt about that.  All I'm saying is that we wanted to  
25                use this as a lever to get Ruthven and his team, that

1           were quite outstanding by international standards, into  
2           any UK game that was being played, which we were certain  
3           would be run by DHSS. And that's how it transpired.

4   Q. All right.

5   A. And we were successful with this one.

6   Q. Can we look at the next question? I don't think that we  
7           really need to explore this with you because we seem to  
8           have had our answer, which is that the samples of  
9           special interest were included in the study that I have  
10          just mentioned; that is the study involving Dr Dow and  
11          others, which was first reported in October 1989.

12  A. Brian Dow had a lot of very good samples for study.

13  Q. Right. Can we go to the next page then, please? Here  
14          we are in July 1989 and we referred to a view expressed  
15          by Dr Mortimer that the Ortho tests were reliable. We  
16          asked about whether there was a prevailing sense of the  
17          timescale within which testing might be introduced and  
18          we asked about the possibility of ACVSB commissioning  
19          its own evaluation of the tests.

20                You talk about communings in the summer of 1989, and  
21          I think we should look at some of this information. Can  
22          we look firstly, please, at [\[SNB0061580\]](#)? This is you,  
23          on 3 August 1989, writing to your fellow directors on  
24          the subject of NANB testing, and I think this bears out  
25          your observation, or your recollection, that you were,

1 as a group of directors, believing that donation  
2 screening could be commenced between April and June 1990  
3 because you have this comment that, although you had no  
4 idea when you would start:

5 " ... I'd back the horse with 'some time  
6 after April 1990' on its nose."

7 One of the salient points you make is that:

8 "The decision to commence testing will be a UK one  
9 and will be made by the UK departments of health."

10 But then you say in paragraph 2:

11 "The start date ... will, as with HIV-1, also be  
12 a matter for central government decision, with, of  
13 course, appropriate consultation with the UK BTS  
14 directors."

15 And then some more practical considerations are  
16 addressed in paragraphs 3 and 4. Then, if we look on to  
17 the next page, please, you say you have started a battle  
18 with Ortho on confirmation testing, and we can see from  
19 a number of different items of documentation from around  
20 this time that that was a concern of yours and others  
21 from very early on.

22 In your statement you make reference to a letter  
23 from the following day, which -- sorry, this is not on  
24 my list, but SNB0043897. Sorry, that's the wrong  
25 document. That comes later. I think this is one of

1 your briefing notes, which you refer to -- I may have  
2 the wrong one -- you refer to as one of your own  
3 references in your statement.

4 Yes, I'm sorry, to look at it now would be to take  
5 it out of order. Can we put the briefing note back for  
6 the moment and go back to the statement, please? I'm  
7 confusing myself thoroughly here. You are referring to  
8 this to vouch your recollection that in October 1989 you  
9 advised SHHD that the SNBTS directors believed donation  
10 screening could be commenced between April and June.

11 So, yes, sorry, we should look at it.

12 A. Yes, that's right.

13 Q. I wanted to give you the opportunity of referring to  
14 your own reference. That's the document we just had,  
15 [\[SNB0043897\]](#). This is actually one of these briefing  
16 notes for the Common Services Agency. You discussed the  
17 general concept with Mr Mackenzie earlier this morning  
18 and this is quite a full note for the members of the  
19 Blood Transfusion Service subcommittee. It's  
20 actually November 1989. But you give them quite a lot  
21 of background.

22 A. I think they found all this too full.

23 Q. I'm sorry --

24 A. They found much of this too full.

25 Q. Too full? Right. Can we go on to the next page,

1 please? There we are. "Post-transfusion viral  
2 hepatitis". Explanation of Hepatitis B and non-A non-B  
3 and then a complicated scientific breakthrough you  
4 explain as being something that has happened with the  
5 aid of chimpanzees and genetic engineering:

6 "The position has changed dramatically. Ortho has  
7 announced its intention to make test kits in the last  
8 three months. They have distributed the first kits for  
9 evaluation and WBTS [West of Scotland Blood Transfusion  
10 Service] is evaluating the test."

11 Then on to the next page, please. A bit more  
12 explanation of some of the science. Then go down  
13 through it and then on to the next page, please.

14 Interesting to note that again you are pointing  
15 out -- and this is number 8 -- the difficulty of there  
16 being no confirmatory test and then your prediction  
17 there is to be a meeting in London on November 11.  
18 I think in fact it was November 6th, not a material  
19 difference. You were expecting that advice for the  
20 minister would be formulated at that meeting and it  
21 seemed probable that the advice would be positive and  
22 that the UK blood transfusion service would introduce  
23 routine HCV donation screening in mid-1990.

24 So I understood, when I looked at this, professor,  
25 that you were referring to it to illustrate that in 1989



1 that was your expectation about timescale.

2 Can we go back then, please, to the statement? We  
3 are at 2097. You say that you were advised that DHSS  
4 did not move to promote HCV kit assessment  
5 until January 1990 and that the anticipated  
6 deliberations on this topic by ACVSB were deferred  
7 until April 1990.

8 I think, for the record, professor, we should note  
9 that that meeting, ACVSB on 6 November 1989, did decide  
10 on a pilot study and that that was carried out and was  
11 before the committee in January 1990. So it's perhaps  
12 not quite as your recollection has it --

13 A. I think I'm recalling a conversation with Harold, which  
14 may be quite wrong. I apologise. But there was some  
15 deferral because I remember hounding poor old Harold  
16 about this.

17 Q. Certainly --

18 A. I don't want to make an issue of it.

19 Q. Certainly from the minutes of these meetings -- and  
20 these are important meetings -- November 1989,  
21 January 1990, April 1990 and July 1990, all meetings of  
22 ACVSB -- one can detect the members of the committee  
23 approaching the possibility of taking a decision in  
24 principle and then perhaps receding slightly from it.

25 So in a general sense I think we understand what you

1 mean by perhaps deferral but I don't think they were  
2 deferring discussion of kit evaluation.

3 The other point that has been made to us, which  
4 I think you would accept as fair, was that a number of  
5 members of the ACVSB were either themselves involved in  
6 separate evaluations or knew about other evaluations, so  
7 there might have been an element of duplication --

8 A. Yes.

9 Q. Yes -- if ACVSB had begun at that point commissioning  
10 more widespread studies?

11 A. My concern was that much earlier than this we were  
12 advising the CSA that we had enough data in Scotland to  
13 make this thing -- this was on. As I recall -- and  
14 I think you have mentioned it -- Philip Mortimer said,  
15 "Hey, I think this kit's a runner," and against that  
16 background I think he said that, you know, soon after or  
17 around when we made our comments, and my impression was,  
18 and still is, until you sought me out that, it really  
19 was quite some months and months before the Metters  
20 committee said, "Right, we are going to have a proper  
21 study here." There was a -- there seemed to me -- and  
22 what was very clear to us was until the Metters  
23 committee had done whatever they wished to do, we were  
24 going nowhere in terms of a decision about testing and  
25 so on and so forth.

1 Q. Right.

2 A. And I think maybe my assumption that there was some  
3 delay may be wrong but I do remember hounding Dr Gunson  
4 about. You know, "Why aren't they getting ahead and  
5 then, if they want to assess it, why aren't they going  
6 on and getting on with it?"

7 Q. Sir, I think that would be a good point at which to  
8 pause.

9 (1.06 pm)

10 (The short adjournment)

11 (2.00 pm)

12 MS DUNLOP: Thank you, sir.

13 Could we go back to Professor Cash's statement,  
14 please? That's [\[PEN0172094\]](#), and we are now at 2097.  
15 Thank you.

16 Professor, before lunch we looked at the genesis of  
17 the two different committees and we looked at some of  
18 the early evaluations of the Ortho kits that were taking  
19 place, and we are really still in 1989. I wanted to  
20 look next at what appear to be some early indications of  
21 how the decision was going to be reached. So trying, if  
22 we can, to look at what the understanding was of those  
23 who were involved as to who was making the decision and  
24 how.

25 If we look at paragraph 9, we mention a letter you

1 sent, dated 28 July 1989, and that mentions the  
2 decision-making process. I think we will just have  
3 a look at that to orientate ourselves. It's  
4 [\[SNB0082603\]](#).

5 You are writing to Dr McIntyre saying that the major  
6 concern at that time was:

7 "The considerable marketing pressure being exerted  
8 on us by Ortho Limited to introduce full routine Chiron  
9 NANB donation screening."

10 You are putting on record the position following  
11 a telephone conversation you had had with Dr McIntyre in  
12 the preceding week.

13 You go on to say in your letter that:

14 "The decision to commence routine donation testing  
15 using the Ortho (Chiron) test throughout the SNBTS would  
16 be made by SHHD and that it would not be appropriate at  
17 this time for senior SNBTS managers to liaise with Ortho  
18 Limited with respect to arranging supplies of tests for  
19 routine donation testing. Such discussions should not  
20 take place until instructions are received from SHHD."

21 And you are asking him to confirm this position.

22 If we go back to the statement, we hazarded a guess  
23 that this letter might almost be reflecting that you  
24 wanted something from SHHD that you could show to Ortho  
25 to relieve the pressure that they were putting on you.

1 You say that the answer to that is no. I just want to  
2 look at the next two questions before I ask you for your  
3 response, because really they all belong together.

4 In question 10 we mention Dr McIntyre's reply and we  
5 say that:

6 "Dr McIntyre's reply suggests that the principle of  
7 introducing a further test had not yet been determined."

8 We also refer to Dr McIntyre mentioning that any new  
9 test would be introduced simultaneously throughout the  
10 UK.

11 Then in question 11 we referred to correspondence  
12 between you and Dr Gunson about the timing of screening  
13 and the desirability of Scotland and England moving  
14 together on the matter. More correspondence. And  
15 again, asking about your understanding at that time of  
16 the timescale involved.

17 Can we look then at Dr McIntyre's reply. That's  
18 [\[SGH0028026\]](#). So Dr McIntyre is replying to you,  
19 referring to the existence of the ACVSB and saying that:

20 "If it is considered desirable to introduce  
21 a further routine screening test for blood donors,  
22 I understand that this will be done simultaneously  
23 throughout the UK, as was done in the case of the  
24 current HIV test."

25 And that letter is being copied to Dr Metters.

1           We switch now to your understanding and your  
2           position. Can we look at [\[SNB0061574\]](#)? This is around  
3           the same time. Dr Gunson is writing to you by a letter  
4           dated 26 July 1989. He is pleased to hear that you are  
5           doing a study, saying that he is having some  
6           difficulties with Ortho who are wanting to know when,  
7           not if, they are going to introduce routine testing and  
8           how many tests they wish to order, referring to the  
9           meeting in Rome and in fact saying:

10            "My view is we should not move until we know what  
11           our European colleagues are doing. For the UK it is  
12           important that the SNBTS and the NBTS act in close  
13           collaboration since I can foresee difficulties if one of  
14           us introduces the test unilaterally."

15            You replied promptly to that letter. So that's  
16           [\[SNB0082606\]](#). 28 July 1989. You thank him for his  
17           letter and mention that in fact you are not doing 5,000  
18           donations, you are doing 3,000, and mention the  
19           interesting samples. Dr Mitchell was going to Rome  
20           instead of you, and you say:

21            "We will not move unilaterally unless instructed to  
22           do so by SHHD, thus close collaboration seems certain.  
23           A wonderful idea if we could act in union with other  
24           European countries but doubt we have that corporate  
25           level of understanding and trust."

1           Then you tell him that you have taken a very hard  
2 line with Ortho.

3           I wanted to suggest to you, professor, that the  
4 whole tone of this correspondence is that the two of you  
5 were going to be working together on the introduction of  
6 screening and that was what you wanted?

7 A. Absolutely.

8 Q. Right. So you were perfectly happy with that, indeed  
9 you saw that as the best course?

10 A. Yes, absolutely.

11 Q. Right. Good. Can we move back then to the statement?

12 Question 12. I don't think we need to spend a lot of  
13 time looking at that. Dr Mitchell refers to figures and  
14 we asked if they were from the ongoing work of Dr Dow  
15 and others, and the answer to that is yes.

16           Then question 13. We asked about the  
17 decision-making process again. You said you never had  
18 any doubt that:

19           "... although the decision for Scotland would  
20 finally be taken in Scotland, the SHHD operational  
21 policy on this issue was to defer totally to the primacy  
22 of DHSS and that Scottish ministers would fall in line  
23 with their London-based colleagues. I was further  
24 advised that this position had been conveyed to the  
25 CSA."

1           But really everybody, whether at the policy level,  
2           if you are thinking of the elected politicians, and at  
3           the operational level, yourself and Dr Gunson, everyone  
4           was speaking of moving together. So it wasn't really  
5           that a position was being foisted upon you with which  
6           you didn't agree, it was what you wanted as well?

7   A. No, no -- well, can I just say that the way  
8           Harold Gunson and I would be working together with our  
9           teams would be in the evaluation of the kits.

10 Q. Right.

11 A. I was never sure, to be absolutely honest -- I was  
12           absolutely sure about myself, that I had no locus  
13           whatsoever in terms of the timing, dates that were going  
14           to be decided, put to ministers and so on.

15           So the working -- us closely working to the -- we  
16           would have been delighted to have been sat down together  
17           and said, "Let's work out a time that suits us both",  
18           and so on, but the truth of the matter is that was very  
19           much -- I was not allowed to be involved with that. But  
20           the evaluation of kits with my right-hand man,  
21           Archie Barr and Ruthven Mitchell, we were very much  
22           involved, working with Harold.

23 Q. Well, I think it goes a little bit beyond that, doesn't  
24           it, because as a matter of principle there is going to  
25           be a decision taken at some point on what the date is to



1 be?

2 A. Yes.

3 Q. It doesn't matter what that date might end up being but  
4 it is being communicated to you that the date will be  
5 the same for Scotland and for England and Wales and  
6 Northern Ireland.

7 A. Indeed.

8 Q. At this point you have no problem with that because  
9 that's what you think is right, too.

10 A. I have no problem with the principle as long as we get  
11 on and produce the science from which a decision can be  
12 made.

13 Q. Right. So if we are taking a snapshot of the position  
14 in the summer of 1989, you are signed up to the idea of  
15 simultaneous introduction?

16 A. Yes, no question about that, rightly or wrongly.

17 Q. Okay. Moving on to question 14, we note that this  
18 refers to confirmatory testing and we know that you and  
19 others had a letter in The Lancet in 1989 making the  
20 point about how important it was to have a satisfactory  
21 confirmatory test, and we understand that.

22 Then on to question 15, which is about Rome, you say  
23 that you remember this as the beginning of a period of  
24 much unhappiness and frustration. You were putting  
25 pressure on Dr Gunson to reveal why the ACVSB

1           secretariat had deferred considering the existing kit  
2           evaluation data until April 1990.

3           We have, to some extent, already covered this,  
4           Professor Cash, but I don't think there is any sign from  
5           the minutes that they deferred considering data on kit  
6           evaluation from their January meeting to their April  
7           meeting. If you want to look at the minutes, we can do  
8           that.

9    A. I'm happy to take --

10 Q. You are happy to take --

11 A. Oh, yes.

12 Q. Right. Then you say that you discovered, after the  
13       meeting of ACVSB, which actually I think was  
14       24 April 1990, that both Dr Perry and Dr Gunson had  
15       argued in favour of a recommendation there and then in  
16       principle to introduce screening, and you say you shared  
17       that view. But Dr Gunson and Dr Perry's views had been  
18       rejected and instead the committee agreed to mount its  
19       own HCV kit evaluation exercise.

20       I think by this point actually, professor, what we  
21       are talking about is Ortho against Abbott, so the fact  
22       that there was an Abbott kit coming on the scene?

23 A. I think so but it was the first generation.

24 Q. Yes.

25 A. That's the key thing, I think.

1 Q. Yes, but it was seen as important --

2 A. And it was a big one, it was thousands.

3 Q. In 1990 it was seen as important that there would be an  
4 assessment of Ortho against Abbott.

5 Then can we look on to the next page, just for the  
6 record, what was envisaged at the April meeting was  
7 a really, very large study and then, given the change of  
8 circumstances in two important respects between April  
9 and July, that comparative study was toned down or  
10 reduced in scale.

11 We are now looking at 16 and you say that you are  
12 deferring to Dr Mitchell and Dr Dow on this matter but  
13 we were asking about the events -- and this is going  
14 back a little bit -- in September 1989, where there had  
15 been the evaluation by Dr Dow and his colleagues.

16 I just wanted to have a quick look again at these  
17 minutes. We have looked at them already but on  
18 a slightly different point. Can we look at  
19 [\[SNB0024517\]](#)?

20 Can we go to page 3, please? Just to note again  
21 that the directors, yourselves as a collective body, are  
22 recording the same understanding that I have been  
23 rehearsing with you and you have agreed, a common  
24 understanding that any routine testing would be on a UK  
25 basis, on a date to be determined by the Department of

1 Health, following the advice of ACVSB; which would be  
2 meeting next on 5 November. I think it's actually  
3 6 November. It doesn't matter.

4 Then the directors go on to record points with which  
5 we are familiar, crucial importance of a satisfactory  
6 confirmatory test, implications for donor management,  
7 and various financial points and then some practical  
8 issues as well.

9 Can we go back then to the statement and to 17?  
10 Taking the narrative on a bit, Ortho pressing ahead with  
11 their confirmatory test. We asked a bit about the  
12 defining characteristics of a satisfactory confirmatory  
13 test. I don't think we need to revisit that. I think  
14 we have a rough understanding of the difference between  
15 a confirmatory test, properly so-called, and  
16 a supplementary test?

17 A. A supplementary test, yes.

18 Q. Then 18. These letters, which we have looked at before,  
19 [\[SNB0061560\]](#) is the letter to you of 27 November saying  
20 that Ortho now have an export permit and then 1561, also  
21 from Ortho but this time Ortho in the USA, talking about  
22 the prototype RIBA tests.

23 Then some further questions. Again, you are  
24 deferring to Dr Follett and Dr Dow about the different  
25 techniques involved in confirmatory testing.

1           Then 20, the final report of the SNBTS evaluation  
2           was produced and we have covered what "dev kit" means.  
3           Then 21 on the next page, please. Repeated references  
4           at meetings to the need for the Ortho test kit to be  
5           approved by the FDA for use in screening in the  
6           United States.

7           We asked why it was necessary to tie introduction of  
8           the test in the UK to approval by the FDA. And you said  
9           that you remember this being regarded as important, as  
10          a general view that the scientific processes of  
11          assessment of these diagnostics kits by the FDA were  
12          more rigorous and independent of political/commercial  
13          influences than in many countries, including the UK.

14          I thought it would be interesting to remind  
15          ourselves of the relevance of this factor in the  
16          assessment of HIV kits. Could we just do that by  
17          looking back at [\[DHF0027101\]](#). This is a minute by  
18          Dr Alison Smithies dated 21 January 1985. She says in  
19          the second paragraph:

20                 "We also discussed whether or not any reference  
21                 should be made to tests not being accepted in the UK  
22                 unless they had FDA approval and decided that such  
23                 stipulation might not act in Wellcome's best interests  
24                 in the short term. FDA approval was, in any case, one  
25                 of the factors to be considered in any evaluation."

1           So not something that I think we are really in  
2           a position to probe but just to note that FDA approval  
3           perhaps didn't have quite such a dominant role in the  
4           HIV story?

5   A. Well, particularly when Wellcome were in the game, and  
6           the odds are on Wellcome might not be quickly licensed.  
7           That was not in Her Majesty's Government's interests.

8   Q. Anyway, we have reminded ourselves of that slight  
9           difference. Perhaps we can go back to the statement  
10          again, please, at page 2101. And we are coming close to  
11          the hornet's nest.

12   A. Yes.

13   Q. You presumably know that we have a little bit more of an  
14          understanding of this now?

15   A. My heart sank and I thought that was me but I have now  
16          discovered, thank goodness, it wasn't. I don't know  
17          what it's all about. Still.

18   Q. I'm sorry if the question implied that in any way you  
19          were responsible for a hornet's nest. That wasn't the  
20          intention.

21   A. I thought you would say, "That's a typical Cash  
22          statement".

23   Q. We understand that on this occasion it was Dr Mitchell,  
24          who, however unwittingly, had brought back this hornet's  
25          nest from the United States and it was a set of

1 guidelines prepared by the American Association of Blood  
2 Banks, the American Red Cross and the Council of  
3 Community Blood Banks and dated 8 February 1990, and it  
4 related to forward planning for the introduction of  
5 screening in the United States?

6 A. Right, thank you.

7 Q. The statement was sent to the Department of Health by  
8 SHHD and that, I think, was where the hornet's nest was  
9 stirred up.

10 A. I can imagine.

11 Q. And the comment was made by someone called Pam Reenay  
12 from the Department of Health. Our speculation is that  
13 the hornet's nest was that it brought into very sharp  
14 focus the likelihood of the United States introducing  
15 screening in early course, and therefore being possibly  
16 slightly at odds with what was happening in the  
17 United Kingdom.

18 We have also been looking, Professor Cash, at  
19 another event in February 1990, which was a symposium  
20 actually organised by Ortho and occurring in London,  
21 also on 8 February, I think, 1990, and we know that  
22 a number of very leading figures in the area came and  
23 spoke at that symposium and they were speaking about  
24 Hepatitis C and in particular about the testing kits.

25 We have come across a letter that you received from

1 Dr Boulton, who was one of those who attended the  
2 symposium and I thought it would be good for us just to  
3 have another look at it. We looked at it yesterday.  
4 It's [\[SNB0141644\]](#). Have you seen this again recently?

5 A. No, I haven't.

6 Q. Just to let you have a look at it.

7 A. Oh, I remember, yes.

8 Q. Yes.

9 A. Yes, I'm remembering it.

10 Q. Right. So he is saying --

11 A. "Get on with it".

12 Q. In a nutshell, he is saying the test isn't perfect but  
13 he feels very strongly that the screening of donors  
14 should be introduced at the earliest possible  
15 opportunity, not because of the "science", but because  
16 there appears to be little doubt that people have  
17 contracted HCV as a result of transfusions, which they  
18 would not have received had those transfusions been  
19 screened for HCV antibody.

20 Put like that, it sounds quite simple. You would  
21 presumably have agreed with Dr Boulton's view?

22 A. Yes, and that was where I was after the very first  
23 Glasgow study that we did on our own, that we were  
24 passionately concerned, as I said, overwhelmingly, with  
25 the specificity, and to our delight and surprise --



1           because there was great worries about this -- it was  
2           fantastic and it didn't get much better than that over  
3           the years. We recognised that with the Ortho, there may  
4           be an odd missing one in terms of a positive control,  
5           but something -- the view I took something was better  
6           than nothing at that stage. And I think this is what  
7           Frank is doing later.

8   Q. Yes so --

9   A. This chase for the Holy Grail of a perfect test kit,  
10       it's an illusion.

11   Q. So he is reporting to you on 21 February.

12   A. Yes.

13   Q. I wondered if you could remember what, if anything, you  
14       did with this report. There is a five page report of  
15       the symposium that goes with it, I should say.

16   A. I can't honestly remember, unless it appears, you are  
17       going to tell me, in a minute.

18   Q. Sorry, I don't have any rabbits in the hat on that.

19   A. Very disappointing. I honestly don't know, I can't  
20       remember, sorry.

21   Q. So the answer may be that you just regarded it as being  
22       in harmony with your own views --

23   A. More fuel to beat poor old Harold, who was the only  
24       person I could actually beat over the head in this  
25       particular context because he sat on the Harris/Metters

1 committee.

2 Q. Yes. Right. Please can we go back to the statement?

3 We referred to some other events in the spring of 1990,  
4 including the April 1990 meeting and Dr Perry and  
5 Dr Gunson feeling that a decision should have been taken  
6 at that point, and we have obviously asked Dr Perry  
7 about that.

8 Then Dr Young, looking for a paper for the  
9 Common Services Agency. 25, on the next page, please,  
10 that is dealt with. Dr McIntyre's response. And then  
11 26. This is a letter we have looked at already too and  
12 we don't really need to look at it again, but because in  
13 the interval between the meeting of ACVSB on 24 April  
14 and Dr Metters' letter, two things have happened, the  
15 FDA have approved the test for routine use in the  
16 United States and the confirmatory tests are out, the  
17 decision is being taken to advance the next meeting, so  
18 it is being brought forward to 2 July.

19 It's perhaps in that regard slightly surprising that  
20 a clear decision wasn't taken on 2 July. But just to  
21 look at your answer, I wondered about this comment you  
22 make that the deputy CMO advised Dr Perry in June 1990  
23 that the time had come for ACSVB to consider not when to  
24 start HCV screening but rather whether it needed to be  
25 done at all.

1           Actually I'm not sure that I have followed that  
2           reference, Professor Cash.

3    A.   I was going to say, I hope that reference is correct and  
4           that's the right interpretation.  Earlier we had had  
5           Archie McIntyre saying -- going on about all this,  
6           "John, we are not actually sure we are going to  
7           introduce any test at the moment".  And I have obviously  
8           at some point picked up that in many respects the  
9           letter -- the DCMO letter to Perry in some respects  
10          backs up what Archibald is saying.

11   Q.   So what you meaning to refer to at that point is the  
12          letter from the DCMO to Dr Perry?

13   A.   Yes, indeed.

14   Q.   I wonder if we could have a look at that, [\[SNB0020245\]](#).

15   A.   Maybe it's a misquote.

16   Q.   I was just a bit puzzled by your answer, Professor Cash,  
17          and if you could explain it to us, I think that would be  
18          helpful.

19                Do you think there is something in this letter that  
20                suggests that the committee might be asked whether  
21                screening needed to be done at all?

22   A.   It wasn't that the committee -- well, yes, in the sense  
23          that -- I have interpreted something somewhere -- and  
24          I may be quite wrong -- that DHSS are not yet of a mind  
25          that a new test is needed.

1 PROFESSOR JAMES: Line 2, paragraph 3.

2 A. Thank you.

3 MS DUNLOP: Is it not possible that what Dr Metters is  
4 meaning is that decision time is here in terms of  
5 actually making the positive decision in principle to  
6 recommend the introduction of screening? I don't think  
7 he is really canvassing as a realistic option that the  
8 UK may decide not to do any screening at all.

9 A. I interpreted it as meaning what you first said, that  
10 they were saying, "Look, we need to consider now then  
11 the introduction of testing". That's -- that was my  
12 interpretation. I just felt, if that's the  
13 interpretation, it's very late in the day for us to  
14 reach that decision. That's all.

15 Q. Yes, I think there is not much of a difference between  
16 us, professor, it's just that you have read more into  
17 the letter that I have.

18 A. That's highly probable.

19 Q. I read it in a slightly different manner. I had  
20 understood it as meaning only that, "No decision in  
21 principle having been taken yet, now may be the time  
22 when we have to take the decision in principle"?

23 A. Yes.

24 Q. But you have seen in this some sort of canvassing of the  
25 option of deciding not to do it at all? Do you still

1 think that was a realistic --

2 A. That may be a bit hard. I was using it in a sense to  
3 give support to Archie McIntyre's comment much earlier:  
4 "Stop running before you can walk, John. We haven't  
5 yet made a decision that that's where we are going.  
6 That's not necessarily the direction we are going."  
7 That really is all.

8 Q. Yes. I think if we read the progression of the minutes  
9 from November 1989, there does seem to be a direction of  
10 travel, and it is that at some point a decision in  
11 principle to recommend the introduction of screening is  
12 going to have to be taken and the only debate is whether  
13 it can be decided yet, if you like.

14 A. It's just when he said, "We need to consider whether  
15 donations should be screened for Hepatitis C", I just  
16 felt, "Blimey," at that time, after we have been at it  
17 "This seems very odd". That's all. I wouldn't wish  
18 to --

19 Q. All right.

20 THE CHAIRMAN: Does the annex help, Ms Dunlop?

21 MS DUNLOP: The annex is the list of questions. I'm very  
22 happy to look at that.

23 THE CHAIRMAN: It goes beyond whether or not we should have  
24 testing. I think that's the only point that I'm  
25 interested in.

1 MS DUNLOP: I can't remember if it's in this version of the  
2 letter or if it has a separate number. Is there another  
3 page after this? Yes, there we are, thank you.  
4 [\[SNB0020247\]](#)  
5 It's actually quite a detailed list of questions  
6 that are going to be considered at the meeting.  
7 A. You know, it was just item 4:  
8 "If testing were to be introduced ..."  
9 Let me say that's very rhetorical.  
10 MS DUNLOP: Well, yes.  
11 THE CHAIRMAN: Maybe what a very picky civil servant  
12 would actually set out.  
13 A. Absolutely, sir.  
14 MS DUNLOP: Just to finish looking at the annex, I don't  
15 know who but someone in the Department of Health has put  
16 together this list of questions which are presumably to  
17 shape the discussion at the meeting.  
18 A. I'm sure that's right.  
19 Q. If we look, I think there is another page, isn't there  
20 or is that it? Yes, there is. Here we are. There is  
21 not much between us, professor, you are probably reading  
22 more into the use of the conditional than I am. Perhaps  
23 it's a civil servant being very careful to recognise  
24 that no decision in principle has been taken.  
25 A. Yes, and I'm naturally paranoid.

1 Q. Oh, right. If we just look back at the letter, so the  
2 first page of this. Yes, the other point to note is, of  
3 course, that the previous meeting, the 24 April 1990,  
4 has decided that there is going to be this large study,  
5 whether it was to be up to 50,000 or up 100,000 samples  
6 isn't very clear but on any view quite a large study,  
7 and the letter is saying that there probably isn't time  
8 for that. So the issue is urgent?

9 A. That's encouraging, yes.

10 Q. Yes.

11 A. Events are moving fast.

12 Q. So it's not really that the climate is, "We may be able  
13 to decide not to do this at all"?

14 A. No, no.

15 Q. The climate is: "We probably have to decide to do it."

16 A. There were things in the papers which says, "If we have  
17 to do this, X, Y and Z", and I thought -- I'm repeating  
18 myself, I apologise.

19 Q. Fine. I think we have reached a common understanding.  
20 I hope so. Let's look back at the statement. Some  
21 further questions which I think are not really directly  
22 matters for you.

23 27, 28, on to the next page. Then 29:

24 "The ACVSB meeting of 2 July did recommend that  
25 screening be introduced but not before the results of a

1 comparative study of Ortho and Abbott was completed."

2 We asked about this comparative study and I think  
3 the point that seems to strike a number of those who  
4 have commented is that it would be possible to introduce  
5 screening straight away and, as long as you had some  
6 centres using Ortho kits and some centres using Abbott  
7 kits, you were going to get the same sort of data on how  
8 well they performed in relation to each other.

9 A. Yes, yes. I say that hesitatingly because I don't know  
10 about today but right until I left in 1997, the  
11 different kits, you get these circles in which there is  
12 good overlap but there are some outriders. In other  
13 words, if you are a donor in Glasgow and you give your  
14 blood in Edinburgh, you may find that Glasgow says you  
15 are positive -- this is screen positive -- and Edinburgh  
16 says "Rubbish", because they are using different tests.  
17 This was a chronic problem which, as I recall, at some  
18 point exercised us very greatly.

19 Q. But you actually cast your vote in favour of the  
20 proposition that we put, that the decision was taken in  
21 principle but implementation was deferred. We suggested  
22 that that was actually rather a waste of time because  
23 the conclusion of the study was that any one centre  
24 could use either of the two kits.

25 A. Sure.



1 Q. So as it turned out, not a lot of progress was made.

2 A. That's correct.

3 Q. Not everywhere agrees that the time was wasted.

4 In question 30 we asked whether Dr McIntyre sent an  
5 internal memo after the meeting of 2 July as appears to  
6 have been his practice because there are matching  
7 reports of VSB meetings on other occasions, but we don't  
8 seem to have one for this meeting and we can't really  
9 take the matter much further, other than to say that the  
10 Scottish Government have advised us that no memo of this  
11 description remains on the branch file. So whether it  
12 ever existed, we don't know.

13 Then 31, onwards. We are coming on to events  
14 towards the end of 1990. So the meeting on  
15 21 November 1990, deciding that screening should be  
16 introduced as soon as practicable and Dr Gunson saying  
17 then that a six-month period to set up testing would be  
18 excessive.

19 We actually obtained that mention of the  
20 1 April 1991 being the realistic start date not from the  
21 minutes but from Dr McIntyre's report of the meeting.  
22 So actually not in the formal minutes.

23 A. Interesting.

24 Q. And can we just read on through 31 and 32 before we come  
25 to your input. This is a question about the submission

1 going to the Scottish Health Minister and we know that  
2 the submission didn't go until 24 July 1991.

3 Can we look, please, at [\[SNB0053696\]](#)? This is just  
4 to start this chapter of the story. Dr Mitchell  
5 obviously thought that the meeting in November 1990 was  
6 sufficiently important that he had to write to you and  
7 say what had happened?

8 A. He did and it's an example of where he did, you know, he  
9 did communicate, it wasn't secret, absolutely right.

10 Q. For current purposes it's important for us to note  
11 paragraph 3(a), that the decision, which had been made,  
12 was:

13 "... to introduce testing for anti-HCV using either  
14 the Ortho or the Abbott test, depending on local  
15 circumstances and experience of individual RTCs. The  
16 exact date of introduction would be at the earliest  
17 practical moment but it was reiterated that the UK would  
18 proceed in unity."

19 Then I think the letter deals with more practical  
20 matters. But just to complete the examination of it, we  
21 can turn on to the next page, please.

22 A. I think the important thing there is the penultimate  
23 paragraph.

24 Q. Yes.

25 A. Hugely important.

1 Q. Yes. The second generation test coming from Ortho and  
2 one anticipated from Abbott.

3 That comment about the UK proceeding in unity,  
4 I haven't been able to find anything in the minutes of  
5 the ACVSB meeting of November 1990 that discusses the  
6 position of Scotland at all. So I take it from what  
7 Dr Mitchell is saying in his letter that there must have  
8 been some discussion about all the different parts of  
9 the United Kingdom moving together but it doesn't seem  
10 to be clearly minuted.

11 A. No.

12 Q. Anyway. Can we go back to the statement, please? At  
13 this point I think it would be helpful for us to go  
14 through the succeeding months by looking at our extended  
15 narrative. It saves us looking at too many documents.  
16 So could we have that in front of us, please? It's  
17 [\[PEN0172165\]](#).

18 This does take us from November 1990 to the point  
19 where screening is introduced. So what we hope are the  
20 significant events and the significant documents are  
21 highlighted in it.

22 I do want to look at the first letter.  
23 [\[SNB0052555\]](#). This is the letter that you sent to the  
24 other directors on 27 November 1990. This all fits  
25 together, Professor Cash. Obviously you have had this

1 letter from Dr Mitchell.

2 A. Yes.

3 Q. And you are sharing the information with everybody else?

4 A. I hope so.

5 Q. "We are a wee bit nearer to D-Day and we both believe it  
6 would be to our corporate advantage to take a further  
7 step forward along the planning route."

8 I just wondered whether you could expand for us that  
9 term "corporate advantage".

10 A. In the context of sticking together?

11 Q. I just wondered what you were meaning when you were  
12 using it there.

13 A. I think no more, to be honest, than I was very anxious  
14 that we all, as a team, stayed as a team. That's all at  
15 that stage.

16 Q. Right. And that underlining in the second paragraph?

17 A. What?

18 Q. The underlining of "simultaneous start date". That must  
19 be your underlining?

20 A. Yes, I would think so, or my typist's, Elizabeth.

21 Q. So you would usually tell the typist you wanted  
22 something underlined?

23 A. These were the days when I wrote everything out  
24 longhand, and bless her ...

25 Q. Really? You wrote it out longhand?

1 A. Yes, yes.

2 Q. I was imagining you with a Dictaphone?

3 A. You can imagine if I did that, she would produce ten  
4 pages for me just to say "good morning".

5 Q. Fine. Right.

6 So you are talking about a simultaneous start date  
7 and we can deduce from the underlining of that that to  
8 you that was extremely important?

9 A. Yes, and I sensed it was important to everybody.

10 Q. Right. So this is a UK simultaneous start date?

11 A. Yes.

12 Q. Right. And they were actually asking for some concrete  
13 information. You are asking at the end  
14 of November 1990, so within a matter of days after the  
15 meeting of ACVSB, what's the earliest start date each  
16 centre could manage and also some practical matters  
17 about which kit they would all choose and so on.

18 Back to the narrative then, please. We do know that  
19 for Edinburgh and Southeast Scotland, the reply that  
20 came said that they could start on 25 February.

21 Can we move on through this narrative, please, and  
22 on to the following page?

23 This note of discussions at a meeting of the  
24 NBTS/SNBTS liaison committee records a number of points.  
25 Importantly, the first is a concern on the part of

1 Dr Gunson that the Department of Health has still not  
2 decided on a start date. Is that a start date for  
3 England and Wales or a start date for the whole UK?

4 A. No, I think they were -- as I understood it, just as I  
5 had gone out to our team and said, you know, "If the  
6 wind is behind you, when do you think you could start,"  
7 so we can get a consensus as to where we were as a team.  
8 I think Harold had done something pretty similar and  
9 then I think he suddenly released -- and this became  
10 a huge problem -- that it wasn't as easy south of the  
11 border, because in Scotland there were going to be top  
12 sliced money made available from the Scottish Office for  
13 us to get on and do it, whereas in England it was going  
14 to be left for regional health authorities to fund, and  
15 already -- and I think Harold told me this -- this  
16 became a bitter, long, entrenched battle apparently.  
17 The RHAs were saying, "We will but give us the money  
18 first," just as they were doing in Scotland, and there  
19 was a sticking point and it became a very big issue  
20 indeed.

21 Q. You see, you say, Professor Cash, that you had written  
22 to your fellow directors and asked, "How quickly could  
23 you manage?" and you think Harold had done something  
24 similar. The thing is he hadn't, at least not as far as  
25 we can tell, because he doesn't send a memo to the

1 directors of England and Wales until 22 January. So  
2 that's slightly puzzling.

3 I think what we are having difficulty in following  
4 is whose decision it was to fix the date? Was the date  
5 going to be stated from the health departments and then  
6 you would all try to achieve it or were you going to  
7 suggest a date to the government departments and they  
8 were going to endorse it? How was it to happen?

9 A. My understanding was that I would have been letting  
10 Harold know that I had consulted the team up here and  
11 that was the best we could do in terms of -- when I say  
12 "start date", there is actually some correspondence  
13 about that. When would you be in a position that  
14 everything on your shelf was dinky dory and tested. To  
15 get to that position -- and I always understood that was  
16 the key thing. To get to that position, different  
17 centres may have to actually start at slightly different  
18 times. I think that was acceptable.

19 So we were in a position and we were trying to find  
20 out, you know, (a) if we just said "Go for it", what  
21 dates would come out from the Scottish boys and we would  
22 pass this on to London or via -- to London via Gunson,  
23 copied into the Scottish Office.

24 My understanding -- and I may be quite wrong -- that  
25 the dates would emerge from the Metters committee --

1           that was unquestionably my understanding.

2   Q.   Hang on.  You said something there which I want to pick  
3        up.

4   A.   Yes.

5   Q.   I understand the point that I think you are making in  
6        paragraph 3 in this note.  We are in 9.248.  Just at the  
7        top.  That you asked for a more definitive operational  
8        description for a start date.  So I think what  
9        I understand that to mean is what do you mean by "start  
10       date"?

11  A.   Absolutely right.  I think I just said that.

12  Q.   Does it mean the day you unwrap the first kit from the  
13        box?

14  A.   Yes.

15  Q.   Or does it mean the date on which you say everything we  
16        have has been tested for HCV antibody?

17  A.   That's correct.

18  Q.   Right.  And you seem to suggest in the answer you just  
19        gave that you were comfortable with different centres  
20        opening their kits on different dates and beginning  
21        their testing on different dates.

22  A.   If they said to me that in Inverness, "Because of our  
23        particular circumstances, to reach 30 January or  
24        whatever, to get everything on the shelf, we have looked  
25        carefully at this and we will have to start then --" if



1           Edinburgh said, "We can do it," and there is something  
2           slightly different -- I mean, we are talking about  
3           slight differences but it is recognising that different  
4           centres have got different logistic problems and some of  
5           the problems are very different -- were very different  
6           indeed. So that's all.

7           I'm not talking about, which we will come to later,  
8           the sort of Newcastle exercise, where you are months and  
9           months and months in advance of any date that has been  
10          given.

11         Q. So are you saying that what mattered to you was the  
12          date -- what can we call it? The inventory date, which  
13          is --

14         A. That to me -- yes. I don't know -- and I was saying to  
15          Harold, "What does the Department of Health think about  
16          this?" But, yes, my desire, rightly or wrongly, is for  
17          a minister to be able to say that on 30 January or  
18          whatever it was, every unit that's sitting on the shelf  
19          and waiting for patients in the UK has been tested.

20         Q. So your goal was that that should be the same around the  
21          whole of the United Kingdom?

22         A. That that date -- yes, if it was a runner, that would be  
23          kind of nice.

24         Q. And you were relaxed about different centres opening up  
25          their packs of kits --

1 A. Yes, as long as it was -- yes.

2 Q. -- and starting testing on different dates.

3 A. Yes.

4 Q. And that's how you felt at the time?

5 A. Yes.

6 Q. Right. It does seem from this meeting that you were  
7 a little unclear actually about what was meant by "start  
8 date". So rather than having an understanding that what  
9 you were all aiming for was a common inventory date, you  
10 were further back than that and you were asking, "What  
11 do we mean by 'start date'?"

12 A. Yes, I was. I was going back to Harold and saying, "We  
13 have talked about start dates. What could we actually  
14 mean? Do you mean on the shelf or do you mean that's  
15 when centres start testing?"

16 Q. I accept that you were asking that question but what I  
17 haven't noticed is any communication from you at the  
18 time saying, "It doesn't matter when different centres  
19 start testing as long as we all have our inventory  
20 tested by a certain date".

21 A. Yes, I'm sorry I haven't got a bit of paper that  
22 convinces you. I apologise. And I'm just -- but you  
23 have specifically asked me would I be worried if  
24 Edinburgh started on Wednesday and Inverness started on  
25 Friday of that week? No, I wouldn't. If you said what

1           about Edinburgh starting three months in advance of  
2           Inverness, I would have been very worried.

3   Q.   There isn't surely very much room for manoeuvre, is  
4           there, because is it not the red cells that have the  
5           shortest shelf life? So there is only ever going to be  
6           quite a short difference. I mean, if people are going  
7           to start --

8   A.   That is absolutely correct.

9   Q.   -- testing the red cells, those dates have to all be  
10          very close --

11  A.   But if you discovered it was three months, then there is  
12          something wrong.

13  Q.   Right. But you are communicating that you had  
14          a flexibility in your view which would accommodate  
15          different start dates, in the sense of the commencement  
16          of testing?

17  A.   Yes, slight differences.

18  Q.   Slight differences in terms of commencement?

19  A.   I think you would find Brian will say that the average  
20          shelf life of red cells in Edinburgh was much shorter  
21          than that in Glasgow because of the high rate that was  
22          coming in. In other words, they could discard much  
23          earlier.

24  Q.   Right. Okay. Let's move on through 1991.

25                 We are going down through 249, 250 and then we see

1 the reference to Mr Tucker's memorandum. Mr Tucker  
2 records that in a conversation with Mr Canavan of the  
3 Department of Health, he has suggested it might be  
4 better to set a target of 1 April as the earliest  
5 possible date but leave it to blood transfusion centres  
6 to come in line thereafter, since to delay for the  
7 slowest could mean a long wait.

8 That was common sense, was it not?

9 A. Yes.

10 Q. Right. What would have been wrong with saying, "The  
11 target date is 1 April", and just hoping that as many  
12 centres as possible would be ready and knowing that the  
13 setting of the target would make people hurry up?

14 A. I don't think -- you are catching me -- I don't think  
15 anything is wrong.

16 Q. Right.

17 A. The notion of sitting on and delaying for the slowest is  
18 something that I wasn't comfortable with, and if there  
19 were clearly very slow centres -- if the data came back  
20 saying we couldn't start until wherever, and it was very  
21 slow indeed, important questions need to arise. And  
22 I would be content -- we wouldn't need to ask them in  
23 Scotland because I'm quite certain this wouldn't have  
24 arisen.

25 Q. Well, Mr Tucker, in a broad sense, was right in

1 predicting that to delay for the slowest could mean  
2 a long wait because as it turned out, some centres took  
3 longer to get themselves organised and get ready than  
4 others, and I emphasise I'm not meaning any criticism  
5 because for some centres there were different issues  
6 that had to be resolved. But waiting until those  
7 issues, some of them quite major, were resolved, did  
8 mean a long wait or at least a longer wait, did it not?  
9 A. Yes, if you are thinking in the context of second  
10 generation and so on.  
11 Q. No, actually I'm thinking of waiting for the English  
12 centres to get their finances sorted out.  
13 A. Yes, absolutely.  
14 Q. Right.  
15 A. Absolutely and that, as I have said earlier -- it became  
16 a major issue, one on which I briefed David McIntosh.  
17 Q. You see, Mr Tucker is not, I think, in this comment in  
18 favour of waiting for the slowest. He sees that as  
19 a disadvantage. If you wait for the English centres to  
20 get their funding sorted out, that could mean a long  
21 wait and he sees that as a disadvantage.  
22 A. So do I. I mean, I don't think -- the real question is  
23 what did Mr Tucker do about it.  
24 Q. You think it was for Mr Tucker to take active steps?  
25 What do you think he should have done?

1 A. What do I think he should have done? He should have  
2 called a meeting and said, "We have reason to believe  
3 there are some significant problems south of the  
4 border." David McIntosh would have briefed him, because  
5 I briefed him, that "Yes, we have reason to believe,  
6 from Harold Gunson, that the overriding problem is  
7 funding and it's a complex problem that we are not  
8 familiar with and it's a battle between the Treasury and  
9 regional health authority finance officers", and the  
10 question then arises -- I mean, this will take us soon  
11 into David McIntosh's statement. The question then  
12 arises: are we going to sit then and us be delayed  
13 because there is an administrative fiscal problem and  
14 it's not technical, and so on and so forth. And I would  
15 have argued at that time, "No, we shouldn't be delayed.  
16 Tell the chaps to sort themselves out." And Harold  
17 knows this and he became very anxious. He knew of my  
18 view there and he became very anxious about it. Which  
19 we will come to later.

20 Q. So who would have been at the meeting Mr Tucker should  
21 have called?

22 A. I think the first thing -- who should have been at the  
23 meeting?

24 Q. Yes.

25 A. The undersecretary, his ultimate boss.

1 Q. That's Mr Forsyth?

2 A. No, no, no.

3 Q. Sorry, the Civil Service undersecretary?

4 A. Yes.

5 Q. Right.

6 A. I'm not sure. I think at that time it may have been  
7 Hamish Hamill. It may have been Hugh Morison, but the  
8 ultimate boss. Ultimately the CMO. The decision for us  
9 in Scotland -- as I think the CMO in his statements and  
10 oral hearings -- to go it alone, if the English can't  
11 keep up or whatever, was a big one. And so in my view  
12 it wouldn't have been a meeting that Mr Tucker had  
13 called; he would have been advising his senior medical  
14 and administrative colleagues to call a meeting.

15 Q. Are you saying that that step should have been taken  
16 in January 1991 or are you saying that --

17 A. For me it was March.

18 Q. Okay, well, less --

19 A. That's what I briefed David McIntosh on.

20 Q. Right. So you are not saying then that Mr Tucker,  
21 having recorded this train of thought in January 1991,  
22 was under some obligation there and then to arrange for  
23 a meeting to be called --

24 A. No, I'm not --

25 Q. -- to address the start date.

1 A. I'm not even saying he has an obligation. All I'm  
2 saying is that -- to get out if that is a real factor --  
3 that he is in fact saying that we may be running into  
4 problems with the slowest in England. Somebody needs to  
5 say, "Hang on a minute," in principle, "What is the  
6 problem in England?"

7 We had ascertained in evidence from Harold Gunson  
8 that we knew it, and I sought to persuade David to go in  
9 and talk to colleagues in the department because this in  
10 fact was very important. And for me that arose -- for  
11 me personally, the real, honest, open acceptance of this  
12 by Harold to me was this awful telephone episode we had  
13 in March.

14 Q. Okay. I think we are getting ahead of ourselves. Let's  
15 stick to the chronological approach.

16 A. But I couldn't speak with any great authority about  
17 Mr Tucker. He may have known something that I didn't  
18 know.

19 THE CHAIRMAN: Are we having a break?

20 MS DUNLOP: We will be having a break. I think I'm not  
21 aiming to go much past four, so we might as well have it  
22 about half way, which is now. Thank you.

23 THE CHAIRMAN: Very well.

24 (3.05 pm)

25 (Short break)



1 (3.25 pm)

2 MS DUNLOP: Right, Professor Cash, we were looking at  
3 paragraphs 9.250 onwards just before the break, and if  
4 we look at 251, we see what seems to be the equivalent  
5 of your letter of 27 November 1990. So you had written  
6 to your fellow directors asking when they could be ready  
7 and this, on 22 January 1991, is Dr Gunson going to his  
8 fellow directors asking the same question.

9 He is saying testing is to start simultaneously and  
10 is to be co-ordinated with Scotland, and asking to be  
11 advised of the earliest date. I hadn't planned to look  
12 at this but I think in view of what you just said, we  
13 should have a quick look at it. [\[SGF0012029\]](#), please.

14 Really paragraph 2:

15 "I have been asked to try and ensure that testing  
16 starts simultaneously in RTCs in England and Wales and  
17 that it is co-ordinated with commencement of testing in  
18 Scotland."

19 Looked at now, there could be a bit of a nuance  
20 there, couldn't there? Simultaneously with England and  
21 Wales and co-ordinated with Scotland.

22 A. I find after 30 years-odd, nitpicking over words I find  
23 not very inspirational to be honest.

24 Q. I completely agree with you. That's why we are just  
25 glancing at this to note that people didn't talk in

1 great detail about what they meant by "testing". The  
2 correspondence from this time talks about "testing" and  
3 that seems to me to mean opening up your box of kits and  
4 starting testing of blood donations you have  
5 collected --

6 A. I completely agree with you.

7 Q. Okay. Can we go back to the narrative, please? We are  
8 at 9.251. That's that memo we have just looked at and  
9 then there is a passage in italics, which we have added  
10 in because we hadn't, I think, fully appreciated the  
11 significance of the Gulf conflict or I think, as it's  
12 now called, "The First Gulf War".

13 A. Yes.

14 Q. We do know that that was absolutely contemporary, so in  
15 fact the aerial bombardment to expel the Iraqi forces  
16 had begun on 17 January, so it must have been very much  
17 in the news and obviously in your minds at that time?

18 A. What is not known is that 90 per cent of the blood that  
19 was made available for British troops came from  
20 Scotland.

21 Q. Right. You are correct. We don't know that. And it  
22 certainly is mentioned in several different items of  
23 correspondence from this period, that it was obviously  
24 understandably a major concern.

25 In fact you are writing to Dr Gunson and saying:

1            "We remain firmly committed to starting on the same  
2            day as our NBTS colleagues."

3            So as far as you were concerned, as national medical  
4            director of SNBTS, it was to be simultaneous for  
5            Scotland as well?

6            A. Sure.

7            Q. So perhaps an innovation on Dr Gunson's comment about  
8            simultaneous for England and Wales, co-ordinated with  
9            Scotland, as far as you were concerned simultaneous with  
10           England and Wales as well -- and no doubt  
11           Northern Ireland as well.

12           Can we move on, please. Dr Gunson replied to your  
13           letter on 28 January. Dr Gunson, I'm sure not really  
14           meaning that he has no sense of urgency. He is perhaps  
15           just trying to communicate to you a reassurance that he  
16           wasn't trying to suggest you should start within days.  
17           And mentioning the need to sort out financial provision  
18           in England and Wales.

19           So he seems to be saying -- I think quite apart from  
20           any Gulf War problems -- that centres in England and  
21           Wales wouldn't be in a position to start anyway because  
22           the finances hadn't yet been sorted out. Right.

23           So we move through February, nothing particularly  
24           significant, I think, and nothing I want to look at,  
25           until 15 February. So if we can move on to

1 paragraph 9.254, you are writing to Dr Gunson on  
2 15 February and again saying that you would very much  
3 like the SNBTS to stay in line with NBTS/BPL, and this  
4 time this is in relation to a definition of "start  
5 date". So you would like a common understanding of what  
6 "start date "means.

7 A. Yes.

8 Q. Can we move then through the next paragraphs and go next  
9 to 9.259 and we are now at the end of March.

10 A. Yes.

11 Q. This is you writing to Mr McIntosh and advising that the  
12 NBTS was struggling on a number of accounts to meet the  
13 1 July deadline. You thought that that had previously  
14 been agreed and you believe that the fundamental problem  
15 was one of financial resources.

16 I think we should have a look at that letter,  
17 [\[SGF0012026\]](#). What has now been agreed is that  
18 Dr Gunson is going to tell the Department of Health that  
19 the 1 July start date should be delayed until such time  
20 as evaluation of the new generation of tests has been  
21 completed.

22 And definition will be exactly as stated:

23 "The date when routine HCV donation testing will  
24 commence."

25 NBTS colleagues, your English colleagues, do not

1 wish to accept the original proposal that the definition  
2 of a "start date" would be that on that date, all RTC  
3 products issued would have been HCV-tested.

4 Then the next page, please. Copied to Dr McIntyre  
5 at SHHD. Can we go back to the first page, please? And  
6 in consequence of this being copied to SHHD, Mr Panton  
7 has written a note to Mr Hogg:

8 "This is worrying, please speak to Department of  
9 Health. We can't go to the minister until we know the  
10 start date."

11 So for whatever reason, people in SHHD thought that  
12 a submission couldn't be sent to the minister without  
13 a concrete start date in it.

14 A. Also, here is an example of a civil servant picking up  
15 there is a problem here. That's the funding one. We  
16 really need to look at this as a matter of urgency.

17 Q. Well. Certainly Mr Panton is concerned. We can see  
18 that. But you suggest in your statement that the  
19 delay -- that is the postponement from 1 July -- was  
20 something that was determined by DHSS and that SHHD were  
21 consulted and agreed to that DHSS-inspired and  
22 unnecessary delay.

23 I'm not sure that that can be right, Professor Cash,  
24 because it looks pretty clearly as though the receipt of  
25 this copy letter on 28 March was the first that SHHD

1           knew about it.

2    A. We haven't got to, because it's further back, this  
3           extraordinary series of phone messages I had, that  
4           immediately pre-dated the Advisory Committee on  
5           Transfusion-transmitted Diseases. It comes later. And  
6           I think that meeting was on 25 March. These were  
7           telephone conversations I had with Harold Gunson. We  
8           can go into them if you like but Harold sought my  
9           support for the phase 2, second generation kit thing and  
10          I initially rejected it. I can go into much more detail  
11          if you want.

12                 The important point is in this debacle that Harold  
13           and I had and on which we fell out very, very badly, was  
14           a series of three phone calls. Harold kept insisting to  
15           me that SHHD are on side, and the side was the point --  
16           he wanted me to come on side with -- and that is to  
17           agree to a second generation, which meant a delay and it  
18           meant certainly that 1 July had gone. And I am afraid  
19           there is no paperwork for this. What there is  
20           paperwork -- and I can explain it -- is that both  
21           Ruthven and I -- you see (a) there -- supported this  
22           proposal, and getting to that point was a very painful  
23           exercise.

24    Q. I think it's important, Professor Cash, that we don't  
25          conflate two different things.

1 A. Yes.

2 Q. One is a need to postpone the start date because the  
3 English centres weren't going to be ready. That's the  
4 first point. And the second is the desire to do an  
5 evaluation of second generation kits.

6 It may have been presented that there was  
7 a postponement so that an evaluation of second  
8 generation kits could take place but I think we should  
9 try and stick to the first, which is that there appears  
10 to have been a difficulty in England and Wales in  
11 achieving the 1 July start date because of funding  
12 problems.

13 A. And I am saying -- and this is very important in my  
14 mind -- the two are totally linked. And that's the  
15 problem. If you were a top civil servant in London and  
16 you discovered there were major problems here that were  
17 not going to be resolved -- that's the funding ones --  
18 what on earth you could do to minimise the collateral  
19 damage, and we went through this with Harold in these  
20 phone calls. The obvious answer was why don't we delay  
21 then further and introduce the second generation test.

22 Already the same committee that ultimately did  
23 this -- they didn't actually, this was done by DHSS --  
24 had said, "There is no need for a delay, we can actually  
25 fit in looking at second generation tests as we roll out

1 the phase 1 thing". I'm saying to you that the two are  
2 linked and I know this -- well, I don't know it, I was  
3 told this by Harold.

4 Q. Well, you are saying that the English centres weren't  
5 going to be ready for the 1 July and that there was to  
6 some extent use of a pretext?

7 A. Yes, a device, yes.

8 Q. Right. That device being that there needed to be an  
9 evaluation of the second generation kits?

10 A. Yet another big study, yes.

11 Q. Right. You say that you and Dr Mitchell had supported  
12 the pushing back of the start date to September but if  
13 it was solely about the evaluation of the second  
14 generation kits, why would it not have been possible  
15 just to start testing using the second generation kits  
16 and begin to assemble evidence on how they performed?

17 A. You mean start testing using generation 1 and then  
18 incorporate generation 2 in assessments?

19 Q. Well, whatever kits you could get. If it was still  
20 generation 1 --

21 A. Absolutely. This is what I said to Harold and indeed  
22 Ruthven, if you look at his letter, which we have seen  
23 in one of the paragraphs he said -- and I pointed it out  
24 to you -- very importantly he said, "By the way, Ortho  
25 are just about to launch a second generation kit and I



1 have reason to believe Abbott are not far behind". We  
2 have seen that. But he said, "There is no need to  
3 worry. The Advisory Committee on Viral Safety of Blood  
4 has said, 'We will fit the assessment in of the second  
5 generation kits that are now appearing once we have got  
6 the first generation in'," and they are absolutely  
7 right, that could have been done very readily.  
8 I suspect that was done readily by half the world.

9 But, no, in the end no first generation, no nothing.  
10 We are going to go for a big other study on second  
11 generation. And I can only repeat what Harold made  
12 clear to me -- because I had a very tough time.  
13 I refused to accept it originally. It was very painful.  
14 It got very personal between us. Harold insisted that  
15 this was a device to give the Department of Health more  
16 time, more space, to resolve these very difficult  
17 financial problems that they had, and secondly, he  
18 insisted -- this became very heated -- that SHHD knew  
19 all of this and -- this is not saying the date -- this  
20 is about the second generation evaluation, and the  
21 moment you sign up to that, July has gone.

22 Q. Well, in the first place the suggestion that SHHD knew  
23 what the plan was seems to be contradicted by this note  
24 that Mr Panton has written on.

25 A. That may be so, all I can say is that Archibald,

1 Archie McIntyre, was very close, through Advisory  
2 Committee on the Safety of Blood, to this whole scene,  
3 and I, in my mind, on this occasion assumed that  
4 Archibald was fully briefed on this. I do not know  
5 because I didn't phone him.

6 Q. That's the first point about the note on that letter  
7 appearing to record first intimation of postponement,  
8 but the second point is to try to find out what your  
9 position was. You are hearing of problems in England  
10 and Wales.

11 A. That's correct.

12 Q. These problems do not apply to Scotland.

13 A. That is correct.

14 Q. Are you saying, "Sorry to hear it, we must now go on and  
15 do what we think is right," or are you saying, "We will  
16 do all we can, we won't start because we know that would  
17 be awkward for you"?

18 A. No, I was saying -- and I was saying to David McIntosh,  
19 and I see he doesn't remember this. I was saying to  
20 David McIntosh -- I wrote to him saying there are  
21 financial problems and we discussed this. I said, "You  
22 have got to get into the department and -- into here --  
23 and begin to say to them, 'Look, this is not of our  
24 making, we are all ready, we can go with generation 1,  
25 we don't need this'."

1 Q. So you were an advocate of what you later described as  
2 "going it alone"? You personally were advocating  
3 starting screening in Scotland and the English could  
4 sort out their own funding problems?

5 A. I was an advocate of doing what our masters, the  
6 Scottish Office people, said. They had made it very  
7 clear to us that we will do it on an all UK basis.  
8 I was very comfortable with that. But if we ran into  
9 situations in which -- we are not talking now about kit  
10 testing. We knew the kits were okay, we knew X, Y and  
11 Z, and we were into some internal English administrative  
12 problem, then at that point, I said to David, "I think  
13 you need to go and see -- ask the question, 'Do we need  
14 then to continue to hang in with the south of the border  
15 dates?'" and so on.

16 Q. Professor Cash, the thousands of documents in our  
17 database do not disclose you hanging back when there was  
18 a need to make contact with SHHD. In fact, quite the  
19 reverse; you were regularly and frequently yourself  
20 making contact with Dr McIntyre and others in SHHD. Why  
21 on earth would you have insisted that it was Mr McIntosh  
22 and not you who took that issue forward?

23 A. I can't answer that. I think the arrival of David,  
24 as general manager -- I just thought that -- I thought  
25 (a) he is a fresh face, doesn't have past problems with

1 colleagues in the Scottish Office but I -- I mean,  
2 I just made that decision and I thought David thought  
3 that was acceptable. In fact David was very keen to  
4 manage.

5 Q. Well, he is the general manager. But you are the  
6 national medical director, and surely this is about the  
7 safety of patients undergoing transfusion. Is it not in  
8 your patch?

9 A. Yes, I can't deny that but I mean, as things worked out,  
10 I was briefing David as to what was going on.

11 Q. You are asking the Inquiry to accept that you were  
12 firmly of the view that an approach needed to be made to  
13 SHHD to decouple the Scottish Transfusion Service --

14 A. To consider that.

15 Q. To consider decoupling the transfusion service in  
16 Scotland from the plans for England and Wales as far as  
17 HCV screening was concerned, you are asking us to accept  
18 that and yet it was Mr McIntosh you were expecting to  
19 take care of it?

20 A. To take us in -- I was -- I think in another statement  
21 I was very happy to go in with him as his expert medical  
22 adviser but to take it -- to get into the department, to  
23 get talking about it, yes, I was.

24 Q. Why did you not put anything on paper? I mean, we  
25 looked at your letter in the summer of 1989. You wrote

1 to Dr McIntyre, said you had had a phone conversation,  
2 and you thought it was important to put things in  
3 writing.

4 A. I agree.

5 Q. This is more important.

6 A. I wouldn't disagree.

7 Q. Why did you not put something in writing? So you didn't  
8 send a letter to Dr McIntyre?

9 A. No, no, I have no evidence of that.

10 Q. Right. Okay. Let's carry on with our examination of  
11 events in 1991.

12 Can we go back to the narrative, please? We are at  
13 9.260. This is, I think, not directly relevant, this is  
14 the Contreras study. We will then go on to 3 April,  
15 which is 9.262. This letter we will look at. This is  
16 Dr Gunson's letter to his fellow directors in England  
17 and Wales, dated 3 April 1991, and this is [\[SNB0044883\]](#),  
18 if we could, please.

19 So Dr Gunson is writing to the English directors and  
20 saying that he had previously suggested 1 July might be  
21 an appropriate date to commence anti-HCV screening but  
22 that now there is a need to do an evaluation of second  
23 generation kits and that can't be finished by 1 July.

24 It's all too difficult:

25 "It's difficult to state precisely a revised date

1 but I think we should aim to commence routine screening  
2 for anti-HCV by 1 September 1991."

3 Over the page, please. You are one of the  
4 recipients of a copy of this letter.

5 A. Yes.

6 Q. We see it actually also going to Dr Follett and  
7 Dr Mitchell.

8 Right. You replied and you replied quickly. You  
9 replied on 5 April. Can we go back to the narrative,  
10 please? Just to note in passing, that letter of  
11 4 April, Dr Gunson is writing to the procurement  
12 directorate and saying that the timing of the study --  
13 that is the comparison of Ortho and Abbott second  
14 generation kits -- has slipped because of the  
15 unavailability of test kits, and then you are replying  
16 on 5 April. Let's have a look at that, [\[SNB0063958\]](#).

17 You are telling Dr Gunson that:

18 "This most recent development leading to a start  
19 date in September 1991 has the SNBTS directors' fullest  
20 support."

21 In between 3 April and 5 April, had you canvassed  
22 your fellow directors?

23 A. I don't honestly know. I would doubt it but --

24 Q. I think we doubt it as well. So you probably wrote and  
25 recorded the support of your fellow directors without

1 specifically having asked them?

2 A. I think that's very probable.

3 Q. Right. And this is at a time when you say you had had  
4 difficult conversations with Dr Gunson and, what, to  
5 some extent had fallen out with him or is that putting  
6 it too highly?

7 A. No, it is not. We had fallen out badly.

8 Q. You had fallen out badly but you are extending to him  
9 the collective, fullest support of the SNBTS directors?

10 A. Yes.

11 Q. Why?

12 A. Because by the end of the falling out, we fell in again.  
13 It was over a weekend and I did, with some reluctance,  
14 what he begged me to do, and that was -- on the Monday,  
15 I think it was -- attend a meeting and not to object to  
16 the second generation study.

17 Q. So he had persuaded you against your will --

18 A. Yes.

19 Q. -- to go along with this plan to defer testing?

20 A. Absolutely right.

21 Q. Let's go back to the narrative, please? We then refer  
22 in 9.263 to communications in April, slightly more  
23 caution is being demonstrated in references to dates.  
24 It's now said simply that it's unlikely to be before  
25 1 September. Then on to 15 April. Those in the

1 Scottish Home and Health Department are worrying about  
2 when they should be sending up their submission.

3 Can we then move on through April. I don't think  
4 there is anything I want to ask you about in the next  
5 couple of pages. Then we go to 30 April, which is just  
6 at the end of 9.268. It's this meeting that's  
7 interesting, Professor Cash. This is a meeting of the  
8 SNBTS/NBTS liaison committee and we are going to look at  
9 the minutes of that. [\[SNB0101108\]](#).

10 At this point it has become known that there are  
11 developments in Newcastle. Can we go on to page 2,  
12 please? "Anti-HCV testing commencement date":

13 "It had been suggested that a commencement date of  
14 1 September 1991 UK-wide would be appropriate."

15 Then Dr Gunson is reporting that Newcastle  
16 Regional Transfusion Centre with Dr Hugh Lloyd in charge  
17 have commenced testing within the past week:

18 "No confirmatory testing was being undertaken and no  
19 information was available on donor counselling."

20 So Mr McIntosh is immediately telling SHHD about  
21 this development in Newcastle and Dr Gunson has already  
22 told the Department of Health:

23 "Dr Gunson hopes to establish multi-centre  
24 evaluation of second generation test kits with Newcastle  
25 as a participating centre. An SNBTS centre would



1 contribute to the evaluation."

2 I think that's the end of the discussion. Perhaps  
3 we should just check on the next page, if we could,  
4 please. Arrangements to be finalised between yourself  
5 and Dr Gunson, with Mr McIntosh kept informed.

6 Right, back to the narrative, please.

7 A. May I just interject?

8 Q. Yes.

9 A. It was David McIntosh, after those discussions, that  
10 insisted he would alert SHHD to the problem.

11 Q. I see that, yes.

12 These are vis a vis the Newcastle episode. Dr Lloyd  
13 actually sent a letter on 2 May to directors of  
14 transfusion services and I think we will get that on the  
15 next page. He says that because he was already set up  
16 for testing, he had decided to keep to the July date.  
17 His personal view was that not to test now would be  
18 indefensible under product liability legislation.

19 You and other transfusion directors wrote to  
20 Dr Lloyd expressing their opposition to Newcastle in  
21 inverted commas, "going it alone" and then we have  
22 a list of letters. The first one is from you, the  
23 second one is Dr Harrison. She was a London director,  
24 I think?

25 A. Yes.

1 Q. Dr Ala, Birmingham?

2 A. Yes.

3 Q. Dr Contreras, also London, North London. Then the last  
4 one is Dr Mitchell's. We have looked at Dr Mitchell's.  
5 It's quite a middle of the road sort of a letter.

6 I just wanted to ask you, the three letters that we  
7 have discovered, that is the Harrison, Ala and Contreras  
8 letters, they are all critical of Dr Lloyd. They are  
9 sent to him, expressing surprise and disappointment, to  
10 say the least, at what he has done. Why were they all  
11 copied to you?

12 A. I can't, for the life of me -- I don't know the answer  
13 to that.

14 Q. What was your profile that the writers of these letters  
15 from the English blood transfusion service all copied  
16 them to you? That's why we have them. They were all  
17 copied to you.

18 A. You asked what was my profile?

19 Q. Yes. You do not have a formal role in the English blood  
20 transfusion service.

21 A. Absolutely, none at all.

22 Q. Right. So why are they copying them to you?

23 A. No idea. We need to first check did I -- no, I have no  
24 idea, I have no idea. Did I copy my letter to Hugh --  
25 which I now regret, those letters to Hugh -- to them?

1 Q. Well, I tell you what, it's nearly 4 o'clock and I think  
2 it would be quite a good place for us to stop just by  
3 closing down the particular Newcastle issue.

4 A. Yes.

5 Q. We have seen a couple of letters, Professor Cash, that  
6 first one, [\[SNB0118726\]](#) is expressed in strong language.  
7 There is no doubt about that. I just heard you say you  
8 regret those letters.

9 A. Yes, I do.

10 Q. Do you want to say what your view is of them now?

11 A. Well, I don't -- I still regret very much what Hugh did  
12 but I very much regret that I was so tough on him.  
13 I actually liked Hugh Lloyd and I will not go on in any  
14 great detail. I went to see him in Newcastle and had  
15 some good chats with him later. But my explanation,  
16 which is not an excuse, but my explanation is those  
17 telephone conversations I had with Harold Gunson -- it  
18 may have been the second, I think -- he gave me an  
19 absolute assurance that systems were in place, that the  
20 NBTS directors would keep in line because I had made it  
21 very clear to him that I was very worried about my  
22 colleagues up here, that they would accept this further  
23 delay. And he gave me assurance that they would hold  
24 the line and there was no problem.

25 And in any event, he made it absolutely clear to me

1           that if anybody got out of line at all or thought about  
2           it, DHSS would come down on them like a tonne of bricks.  
3           And there was a period of 24 hours/48 hours, when we all  
4           sat waiting with bated breath to see if that would  
5           happen, and hence a whole series of things developed.

6           And looking back -- and indeed, I regretted it at  
7           the time and looking back I felt that letter of mine was  
8           far too belligerent and frankly, if I was extremely  
9           critical of myself, I shouldn't have sent it, period,  
10          full stop.

11        Q.   How quickly did you regret it?

12        A.   Fairly soon. I have got a hunch that there was a moment  
13          when Hugh was going to be up in Edinburgh anyway, or  
14          something -- Hugh Lloyd -- and I wrote, I think quite a  
15          silly letter saying, "Why don't you just pop in and  
16          apologise to the guys?" I think that was just pathetic.  
17          I think that letter is around. And soon after then  
18          I realised. So it was fairly soon.

19        Q.   Did it happen? Did he come and apologise?

20        A.   No, he did not.

21        Q.   We have been wondering that.

22        A.   No, he did not.

23        Q.   Right. I think --

24        A.   There was a reason for that.

25        Q.   Let's do things in order. What we haven't looked at are

1 a couple of letters in between. Dr Lloyd's letters to  
2 you, which is [\[SNB0045142\]](#). You wrote to him on 7 May,  
3 he wrote back on 9 May. He did thank you for your  
4 letter:

5 "Your views are graphically put, as I would have  
6 expected."

7 A. Characteristically generous of him.

8 Q. He said that he personally believed that to start HCV  
9 testing to the original schedule is the correct  
10 decision, even if it appears unpalatable to some. Then  
11 he says that to suggest that his action was mischievous  
12 was to impart motives which were not his. And then, as  
13 you say, there was some further communication between  
14 the two of you.

15 The next letter is [\[SNB0045732\]](#). By this time you  
16 have seen each other. Sorry, this is Dr Lloyd again,  
17 4 July 1991. He has seen you at a meeting in York.

18 A. York.

19 Q. Yes. And a hatchet has been buried. He does apologise  
20 to you for any problems that he has caused by starting  
21 testing in April. He is then articulating concern about  
22 the UK dragging its feet. And funnily enough,  
23 expressing thinking not that different from Mr Tucker's.

24 He feels that a risk is being run of accepting the  
25 lowest common denominator. He doubts that you would be

1 happy to accept the lowest common denominator. Then he  
2 goes on to say that the letter that you had sent is  
3 being circulated widely, had given rise to concerns  
4 regarding the situation of many of his staff.

5 A. Perhaps in fairness to Hugh, I would also point out the  
6 sentence:

7 "The attitude of the UK transfusion centres to  
8 plasma procurement [that's self-sufficiency] south of  
9 the border over the years, presents a very dismal  
10 picture."

11 I have to say, it was absolutely right. He was  
12 pretty down and you know, I felt for him because I think  
13 he was a genuine guy.

14 Q. The regret that you felt at sending the original letter,  
15 you said you thought you regretted it quite quickly?

16 A. Yes, I did. I think it was quite quick but it was at  
17 York when I sat down with him and we talked.

18 Q. Did you start to feel he had done the right thing?

19 A. No, I didn't. I have to confess.

20 Q. So you felt he had done the wrong thing?

21 A. I felt I had done the wrong thing by writing to him in  
22 those terms.

23 Q. What about his actions? Did you remain of the view that  
24 he had done the wrong thing?

25 A. Yes, I remained -- and I think people are entitled to

1           their different opinions and he respected mine and,  
2           bless him, he says here, "I have taken no offence of  
3           your letter."

4           I'm very surprised. Yes, I felt at the time and  
5           still feel that breaking ranks like that was not a good  
6           thing to do.

7   Q. Why?

8   A. Why? Because I think it's very important, if you have  
9           a national service, in which donors, ordinary, good  
10           folk, are coming out and donating freely for the rest of  
11           the community, that those of us who run the show should  
12           see that we are running it all together in terms of --  
13           as much as we can, but certainly safety.

14           And I have always felt in those terms and I don't  
15           think really I have changed.

16   Q. How does that fit with the distress you felt in your  
17           phone calls with Dr Gunson at the end of March, when you  
18           felt that the difficulties in England were taking the  
19           Scottish transfusion centres in a direction in which  
20           they shouldn't have to go? If you were all part of  
21           a corporate body --

22   A. Yes, but if in fact one discovered that there were  
23           sections of that corporate body, that going off in  
24           a completely different direction, through no fault of  
25           their own -- this was the fiscal system in which they

1 had to operate -- then the question arises: was there  
2 any overriding consideration that ought to be made? And  
3 I thought that's a fair approach.

4 Q. So the distinction, if I understand you correctly,  
5 between being willing to stick with Dr Gunson and his  
6 colleagues and not rock the boat by starting testing in  
7 Scotland, versus being critical of Dr Lloyd for starting  
8 testing in Newcastle, the distinction is that the former  
9 situation was through no fault of the English directors,  
10 whereas the latter situation, Dr Lloyd could and should  
11 have made a different decision? Is that the sort of  
12 distinction you are portraying?

13 A. Yes, I think so. I'm beginning to get rather confused  
14 but I think so.

15 Q. Right. Well, I think that we have your position.

16 The final letter, the letter that you sent to  
17 Dr Lloyd when you discovered he was going to be in  
18 Edinburgh, is [\[SNE0117806\]](#). We have looked at this one  
19 before, but just to remind ourselves that it makes very  
20 strongly the point about teamwork, that you are all --  
21 and I think by "all" we should understand the  
22 transfusion services of the United Kingdom -- one team  
23 and you found statements such as "accepting the lowest  
24 common denominator" to be deeply disconcerting:

25 "In our team we pick up the weakest and carry them



1           until such time as they have grown stronger."

2           So do you regret this letter?

3   A.   Not so much.

4   Q.   Right.

5   A.   It's the "mischievous" -- I regret that very much.

6   Q.   All right. You have told us he didn't accept the

7           invitation to come for lunch and make a collective

8           apology. We understand that. Do you stand by the views

9           that are expressed in this letter?

10  A.   That we should be operating in teams, you mean? And

11           that we should -- if somebody stumbles, the rest of us

12           should pick them up and keep going as a team? Yes.

13  Q.   Right.

14           Sir we are going to have to continue, and plainly

15           it's after 4 o'clock. I think particularly since this

16           is the last sitting day of the week, it would be

17           sensible to stop now. I don't have terribly much more

18           to cover but plainly my colleagues in the front row will

19           have some questions.

20  THE CHAIRMAN: Well, very well, we will do that.

21           Professor Cash, we are going to have another visit.

22           Is there a date when that's likely?

23  MS DUNLOP: We don't have a date, sir, yet. We have some

24           options which we will be offering to Professor Cash.

25  THE CHAIRMAN: Yes, I think this area of evidence is clearly

1 of some general importance and we should try and get  
2 a date fixed and announced as far as we can.

3 MS DUNLOP: Yes, indeed.

4 (4.10 pm)

5 (The Inquiry adjourned until Tuesday, 6 December 2011 at  
6 9.30 am)

7

8

I N D E X

9

10	PROFESSOR JOHN CASH (continued) .....	1
11	Questions by MR MACKENZIE (continued) .....	1
12	Questions by MR DAWSON .....	54
13	Questions by MR SHELDON .....	77
14	Questions by MS DUNLOP .....	90

15

16

17

18

19

20

21

22

23

24

25

