

1 Thursday, 8 September 2011

2 (9.30 am)

3 (Proceedings delayed)

4 (9.45 am)

5 THE CHAIRMAN: Good morning.

6 PROFESSOR JOHN CASH (continued)

7 Questions by MS DUNLOP (continued)

8 MS DUNLOP: Good morning, Professor Cash. Welcome back. We  
9 are going to be asking you some questions about our  
10 topic B3 today. On that topic you have provided  
11 a statement, which we will work through. That statement  
12 is [\[PEN0121912\]](#).

13 The first few questions referred to the period in  
14 the 1970s and research that was carried out in the  
15 1970s, so we should remind ourselves that you became  
16 National Medical Director of SNBTS in 1979. That's  
17 correct, isn't it?

18 A. Correct.

19 Q. And prior to that you were in the Edinburgh and  
20 Southeast Scotland Blood Transfusion Service?

21 A. I was indeed.

22 Q. So when you became the National Medical Director in  
23 1979, PFC will have been at Liberton; yes? And under  
24 the direction of Mr Watt, and they will already have  
25 been forging ahead with various research projects.

1           Can we turn to page 2, please?

2           Professor Cash you have helpfully reproduced the  
3           questions, so we don't need to revert to our separate  
4           questions document, but we can see that we did ask you  
5           a question about the MRC working party on  
6           post-transfusion hepatitis in February 1980, whether the  
7           representative from Edinburgh and Southeast Scotland who  
8           attended was Dr McClelland, and you have told us that  
9           Dr McClelland was a member of the working party and in  
10          fact Dr McClelland himself has unsurprisingly been able  
11          to go further and say, yes, it was he.

12          So question 4, we asked about the Behring work. You  
13          said in October 1980, you became aware of the  
14          development of an apparently hepatitis-safe Factor VIII  
15          by Behring, and we have discussed that in our  
16          preliminary report. As I understand it, that was the  
17          first international haemophilia conference. Is that  
18          correct?

19    A. I can't honestly remember. I have read Peter Foster's  
20          excellent documents and they have been a revelation to  
21          me. I can't honestly remember. Apparently I brought  
22          the news --

23    Q. You did. You brought the news from Bonn.

24    A. I have to say, it's nice to say that but I have no  
25          recollection of that at all, and I'm so grateful to

1 Peter.

2 Q. I don't think we need to go to it but you wrote a letter  
3 on 27 October 1980 to Mr Watt, basically communicating  
4 when you had learned about Behring's research, and we  
5 refer to it in paragraph 11.49 of our preliminary  
6 report. We also quote an extract from it. It says:

7 "Behringwerke are getting rather excited that their  
8 preparations of Factor VIII appear to be safe. The  
9 reason given is that they are heat treating the product  
10 for ten hours at 60 degrees in the presence of glycine  
11 and sucrose. Sounds unbelievable. Thought you might be  
12 interested."

13 A. I remember that well but I can't remember how I picked  
14 up that information.

15 Q. We now know that research on pasteurisation of  
16 coagulation products began in Scotland and it does seem,  
17 as we suspected, that that was in response to the news  
18 of what Behring had achieved.

19 Then in question 6 we asked you about the  
20 Factor VIII study group, which was established around  
21 about this time and had its first meeting on  
22 28 January 1982, and we can see that you gave a more  
23 substantive answer to question 6, which focuses on that  
24 study group.

25 Can we look first then at your answer,

1 paragraph 6.1. You said that:

2 "This group was actually established in order to  
3 provide an opportunity for all SNBTS centres to feel  
4 they were involved in the task of providing safe and  
5 sufficient Factor VIII for haemophilia patients in  
6 Scotland, and to emphasise to all that this task was  
7 a top national priority."

8 Would you agree that to some extent safety and  
9 sufficiency were in tension with each other? We have  
10 heard that some of the processes to make the product  
11 safer had a cost in terms of yield.

12 A. Yes, I think at that stage, when we started out, I don't  
13 think you would have said there was much tension. As  
14 things developed, however, huge tensions developed and  
15 I think I referred to these in, I think, a later part of  
16 this witness statement. That's right. But the primary  
17 reason I have given for the group -- but there would be  
18 another reason -- would be that in 1979 -- or should  
19 I say, as a young lad watching PFC open in 1975, what  
20 was absolutely clear to me in 1975, was that we had  
21 a wizard fractionation centre but we had no plasma.  
22 I don't mean no, but if we were going to go for the WHO  
23 self-sufficiency, it was plasma. And bringing all these  
24 people together -- the fractionators, the plasma people,  
25 the scientists related to these -- into this group

1           actually proved to be magic, and indeed tensions  
2           developed, not least with John Watt.

3   Q.   Well, we will probably come on to that but can we fast  
4           forward just for a moment, please, two pages in your  
5           statement to page 4 of [\[PEN0121912\]](#)? If we look at  
6           answer 9.3, you say:

7           "It cannot be over emphasised that for a small  
8           public service plasma fractionator such as the SNBTS,  
9           which exclusively relied on a fixed, indigenous,  
10          voluntary, unpaid donor base for its plasma source, and  
11          which in 1983 had achieved self-sufficiency but was  
12          expecting major new and escalating clinical demands, we  
13          were reluctant to encourage our PFC colleagues to pursue  
14          a heat treatment programme which led to high production  
15          losses."

16          So I'm not seeking to make any particular point.  
17          I think it's largely self evident, Professor Cash, but  
18          there is a difficulty of squaring the circle.

19   A.   Absolutely.

20   Q.   You want to introduce a new process to make the product  
21          more safe but that is going to result in there being  
22          less product, then that's going to be a different  
23          problem.

24   A.   Yes, they would have to buy it, which was very unsafe.

25   Q.   Yes. Can we return, please, to answer 6, which is on

1 page 1913? At the end of answer 6.2 you really,  
2 I think, refute any conclusion that concern about viral  
3 contamination of Factor VIII concentrate was in some way  
4 a low priority. I don't think we were trying to suggest  
5 that in the question at all; we were simply trying to  
6 find out what the factual position was and what it was  
7 people were mainly working on at that time.

8 Do you remember whether at that first meeting, on  
9 28 January 1982, you knew that some initial work on  
10 pasteurisation had begun at PFC? Or is that just  
11 impossible?

12 A. I honestly can't remember, I would like to think so,  
13 I can't remember.

14 Q. On that topic, Dr Foster has explained that the very  
15 early work was being done by Dr MacLeod and that it was  
16 essentially exploratory, he was simply trying to see if  
17 they could reproduce the work of Behring. And indeed,  
18 his first report on what he had been doing post-dates  
19 that meeting in any case.

20 Can we have a look at the minutes of the meeting,  
21 please? It's [\[SNF0013813\]](#). We see that that took place  
22 in the headquarters unit at Ellen's Glen Road. Was that  
23 where you were based?

24 A. That was my home.

25 Q. Right. If we look firstly at the report that was given

1 from the Edinburgh centre by Dr Prowse, this is the  
2 Edinburgh transfusion centre, I take it?

3 A. Yes.

4 Q. Yes. Actually, interestingly, and Dr Foster alluded to  
5 this yesterday, there is a mention of pasteurisation.  
6 Do you see that at the bottom of the page?

7 A. Yes.

8 Q. There is a heading, "Safer products, viral inactivation,  
9 pasteurisation, irradiation," and then "BPL", which is I  
10 guess probably beta propiolactone?

11 A. Yes.

12 Q. And UV radiation. Quite what Dr Prowse was meaning I'm  
13 not entirely sure but there is a reference. Can we then  
14 look at page 2, please? Go a little bit further down on  
15 the page. We see that there was a talk given by  
16 Dr Foster. He is really talking about research and  
17 development, I guess?

18 A. Yes.

19 Q. Yes. And he had some slides. Can we look on to the  
20 next page, please, and just scroll down page 3.

21 So Dr Foster is talking about yield and then he is  
22 talking about losses during processing, various quite  
23 technical details being imparted. If we just scroll  
24 slowly down we can get the general tenor, I think.

25 A comment that we recognise from Dr Foster's evidence

1 I suspect, that more work is to be done on  
2 cryoprecipitate continuous thawing?

3 A. That was very successful.

4 Q. Yes. I had some explanation of that. Can we then move  
5 on to page 4, please?

6 Dr Foster ended his talk with a resume of PFC, R&D,  
7 current project priorities, which were... And we can  
8 see that he did give a list of five particular  
9 priorities, but just to demonstrate that he doesn't  
10 actually mention what Dr MacLeod was doing, but I think  
11 we have his explanation for that, which was that it was  
12 at such a preliminary stage.

13 Can we look at page 6, please? We can see your  
14 personal contribution and then the division of the  
15 personnel involved into small groups. Group A to be  
16 working on assays, standards. Group B to be working on  
17 the regional transfusion centre quality of plasma. Then  
18 group C, on the next page, product development, to be  
19 headed by Dr Foster. And then group D to be working on  
20 safety, coordinated by Dr Pepper. And actually the  
21 example which is given of a possible technique by which  
22 to improve safety, an example which is given is  
23 irradiation.

24 So that was the first meeting at the end  
25 of January 1982.



1 THE CHAIRMAN: Ms Dunlop, I don't know whether you might  
2 want to remind Professor Cash of the meeting on 9 and  
3 10 February 1982, just before --

4 MS DUNLOP: I wasn't going to go there, sir, but I'm happy  
5 to if you would like to.

6 THE CHAIRMAN: The only reason for doing so is that there  
7 are references to pasteurisation.

8 MS DUNLOP: Right. I simply wanted to look at the minutes  
9 of the first meeting to show the set-up of the group and  
10 who was sitting in which subgroup and so on, but I'm  
11 happy to step into the meeting of 9 and 10 February.

12 THE CHAIRMAN: Possibly everything that needs to be looked  
13 at is in paragraph 1157 of the report and it's merely to  
14 provide that little bit of additional --

15 MS DUNLOP: Perhaps I can simply give the reference for it  
16 then and we won't specifically look at it.

17 A. I'm a bit deaf. I heard nothing of that.

18 THE CHAIRMAN: Nothing I say matters at all.

19 A. I'm sorry. I have a machine that I'll put on, sir.

20 THE CHAIRMAN: I only wanted you to have a reminder, as it  
21 were, that just a few days before, there had been  
22 a meeting of one of your action groups in the east here,  
23 at which explanations were given of the current work on  
24 viral inactivation --

25 A. That's right. I think I say in my statement that in

1 fact within days, that particular group was off with  
2 Duncan Pepper chairing it. Yes, that's right. The  
3 notion that it was -- if I may say so, the question was:  
4 was it not a high priority? I thought it was quite  
5 a high priority.

6 MS DUNLOP: I think the question was directed to the  
7 specific research, the pasteurisation project.

8 A. Oh, I see.

9 Q. And all that was suggested?

10 A. I thought it was about viral inactivation.

11 Q. No.

12 A. Okay.

13 Q. The question was: research on pasteurisation had begun  
14 in 1981; was it because this research was not  
15 a priority? That was all. It was simply an attempt to  
16 elucidate the prevailing circumstances --

17 A. I beg your pardon. I think I had misread that a little.

18 Q. But we do know that obviously the pasteurisation project  
19 became a major piece of work and plainly you will have  
20 learned about it in early course.

21 The chairman has drawn my attention to the fact that  
22 after that meeting, 28 January 1982, the subgroup, which  
23 was dealing with safety, did meet on 9 and 10 February  
24 of 1982 and that is set out in paragraph 1157 of the  
25 preliminary report. The minutes of that meeting are

1 [\[SNB0058387\]](#) but perhaps it's not necessary to look  
2 specifically at it.

3           There is also a second meeting. Again, I don't  
4 think we need to go specifically to the minutes of that  
5 but the safety action subgroup had a second meeting on  
6 30 March 1982 and there is a long extract from the  
7 minutes of that in the preliminary report also at 1162.

8           We mention that in our question 7. Could we go back  
9 to Professor Cash's statement, please, which is document  
10 [\[PEN0121912\]](#) at page 1914.

11           We then asked you about the Budapest conference.  
12 That's the ISH and ISBT conference in Budapest  
13 in July 1982, and we know that Dr Foster prepared quite  
14 a long report -- I think it's about a 30-page report --  
15 on that particular conference. At the conference  
16 Dr Foster procured a copy of a Behringwerke paper,  
17 published on 16 July 1982 and a copy of a typewritten  
18 paper on the Behring process, which he passed to you in  
19 or around April 1983. Perhaps we could have a look at  
20 your letter which you sent then. That's [\[SNB0073600\]](#).

21           Again, Professor Cash, I don't think we were  
22 suggesting anything at all in this question?

23 A. That's right.

24 Q. I mean, you said --

25 A. It's not for the first time I misread -- I apologise.

1 Q. Not at all. But you thought we were making some kind of  
2 point. I think we were just trying to tell the story.  
3 And the other interesting thing about the timing of this  
4 particular letter is the reference to Dr Ludlam's  
5 comments, and we saw yesterday with Dr Foster that  
6 around about that time Dr Ludlam was raising some  
7 concerns about -- I think we can just say neoantigens  
8 for shorthand?

9 A. Yes.

10 Q. And we looked at a trilogy of letters on that topic from  
11 around about that time. But what looks to have happened  
12 is that for some reason -- no doubt there was some  
13 conversation between you and Dr Foster or something --  
14 Dr Foster was sending on to you a copy of the Behring  
15 papers that he had.

16 A. I think he must have assumed I had picked one up out of  
17 the meeting and I was very grateful.

18 Q. But in any event both you and Dr Foster knew about the  
19 Behring research anyway because the information had been  
20 communicated in 1980?

21 A. Indeed.

22 Q. Yes.

23 A. But this, as I think I said -- and I may be wrong. My  
24 interpretation of the Budapest episode was the fact that  
25 they were, I thought, giving freebies away signalled to

1 me -- this didn't go down too well with my old friend  
2 John Watt -- that the pasteurisation process might not  
3 be the right way to go simply because of the appalling  
4 losses, but that isn't, at this point in writing --  
5 that's in my witness statement, where I talk about  
6 freebies. Behringwerke never give anything away --  
7 well, none of them do -- for free, if it's going to be  
8 of any value to us. That's for sure.

9 Q. Perhaps we could go back to the statement, please, just  
10 to where we were, at 1914.

11 Actually, Professor Cash, you did start a train of  
12 thought in my mind with your comments about the value of  
13 the Behring work at that point and your hypothesis that  
14 if they were giving away free papers about it, it  
15 perhaps wasn't that successful. It's interesting to  
16 note that there was a subsequent approval of a licence  
17 for a Behring product by the Committee On the Safety of  
18 Medicines in 1984 and moreover, and we are going into  
19 the next question and answer now, Behring, I think, did  
20 certainly, in collaboration with another company, go on  
21 to market a product, although after a significant period  
22 of time.

23 A. Armour later came on to the market with a pasteurised  
24 product but they never lasted, and I'm sure it's because  
25 they -- it was a fundamental problem of yield and that

1 actually would make them hugely expensive to make, and  
2 the question of what they charged, I don't know. But  
3 yield is a huge -- was actually a bigger problem for the  
4 commercial people than I thought. But it was a huge  
5 problem for us and a very sensitive one.

6 Q. Just to look at what has become a frequently resorted to  
7 reference on my part, an article by Kasper and others on  
8 various different products. Could we have a look at  
9 [\[SGH0021947\]](#). Can we scroll through this article,  
10 please to the tables?

11 I am afraid I haven't brought my hard copy of it  
12 today for some unaccountable reason but it's Armour. We  
13 can see that interesting footnote there, that Humate P,  
14 which received its FDA licence in May 1986, was  
15 manufactured by Behringwerke and that it is  
16 a pasteurised product.

17 A. That's correct.

18 Q. So there is that. Then we can also, if we go on to the  
19 Cutter table, please, see Cutter with their product,  
20 Koate HS, presumably meaning heated in solution,  
21 receiving its FDA licence in April 1986, it also being  
22 a product heated in solution. 60 degrees for ten hours.

23 Another reference just on this point about the fate  
24 of Behring's research in this area. Can we look at  
25 [\[LIT0010643\]](#), please? This is just one of these

1 articles that I noticed in my preparations as we do.  
2 It's an article on the use of pasteurised Factor VIII  
3 concentrate and if we look at page 2, there is a very  
4 interesting, perhaps, comment under the heading  
5 "Methods", where the authors say that:

6 "The pasteurised Factor VIII concentrate, Hemate P  
7 Behringwerke, has been commercially available since  
8 1980."

9 That's actually a slightly puzzling comment, given  
10 what we have heard so far about the research but perhaps  
11 that refers to Germany, I don't know?

12 A. Yes, I know some of the authors very well, particularly  
13 Piero Mannucci, and I would defer to Peter Mannucci in  
14 terms of what was available commercially because that's  
15 just about all we could get hold of in Italy, Milan. So  
16 if he says it was available at that time, I would tend  
17 to accept it. We really didn't know much about this.  
18 In fact a lot of this we now know about as a result of  
19 this Inquiry.

20 Q. Yes.

21 A. Peter has done all the research.

22 Q. Yes, I can imagine.

23 Can we go back to Professor Cash's statement now,  
24 please? That is [\[PEN0121912\]](#) at page 1915. We are  
25 still talking about the early days of the pasteurisation

1 project. That is 1982. We have already looked at what  
2 you tell us in paragraph 9.3 about the dangers inherent  
3 in launching a project which might consume large  
4 quantities of plasma but result in a lower yield. So  
5 that must have been very much in your mind at the time?

6 A. In my position, in which I was responsible for getting  
7 the raw material and (inaudible), if we didn't get that  
8 right, it would have resulted in patients having to be  
9 exposed to purchased commercial stuff. And so yield  
10 became a hugely important issue and a very, very lively  
11 and emotional one in the group, yes, between John Watt  
12 and I.

13 Q. Yes. In question --

14 A. I should just say, when Peter Foster and his guys said,  
15 "Can we have another 100 litres to run a batch for  
16 research?" for us that was -- you know, "We need it for  
17 the patients, please, and so long as you are successful,  
18 that's fine". But if they hit the rocks, which you do  
19 if you are researching, that was a complete write-off  
20 and loss. So there was great tension and a lot of  
21 patience on all our sides. It was fun.

22 Q. I didn't catch that?

23 A. It was fun.

24 Q. It was fun?

25 A. Yes.



1 Q. Right. In question 10 we tried to take a bit of  
2 a snapshot of the position in England at this time and  
3 you gave some information in your response about liaison  
4 between Scotland and England. You talk a bit in 10.2  
5 about relationships and you say that you had previously  
6 attempted to organise a joint meeting, and I want to  
7 come back and look at your efforts to do that in 1980 in  
8 a moment. Then you say in 10.3 that:

9 "Dr Smith acquired much of his early training and  
10 experience in plasma fractionation at PFC."

11 But of course he will have left and gone to England  
12 before you arrived in headquarters in 1979?

13 A. Absolutely.

14 Q. Then 10.4, we had asked about a particular letter from  
15 Dr Smith in which he said that, as of October 1982, BPL  
16 was doing only a little on heating Factor VIII. It  
17 would have been, I think, better if I had included the  
18 whole of his sentence in the letter because Dr Smith has  
19 explained the context of that comment, and perhaps we  
20 can just briefly look at the letter. That's  
21 [\[SNB0073267\]](#). The comment concerned is in the fourth  
22 paragraph. He says:

23 "We are doing a little on heating Factor VIII but  
24 only for the moment on the gentle conditions for  
25 fibrinogen removal."

1 Dr Smith is going to testify before the Inquiry --

2 A. I have read his --

3 Q. Yes. So I think you will be aware then, if you have  
4 read his material, that it wasn't that he was  
5 understating the work that was going on at BPL, it was  
6 that they were genuinely not working on viral  
7 inactivation; they were working on the precipitation of  
8 fibrinogen.

9 A. So that they then could heat it.

10 Q. Well, indeed. Can we go back to the statement, please?  
11 This is [\[PEN0121912\]](#) at 1916. We are at question 11.  
12 We asked about freeze-drying, I think, under a slight  
13 misconception because of a reference to freeze-drying in  
14 some of the correspondence at the time.

15 Then question 12, we asked about the meeting at BPL  
16 on 15 December 1982, and you said:

17 "There is no doubt that the meeting on  
18 15 December 1982 at BPL was a very difficult one."

19 If we look on to the next page, we can see that you  
20 have given us a very full narrative of events around  
21 about this time and the context in which the meeting was  
22 taking place. The first thing you tell us is that  
23 in December 1980 you had attempted to seek BPL's  
24 management support for a meeting, which would explore  
25 the issue of a joint BPL/PFC approach to the manufacture

1 and associated research of Factor VIII concentrates.

2 I wanted to have a look at your letter from that  
3 time, which is [\[SNB0043282\]](#). So you wrote to Dr Lane,  
4 who was really Mr Watt's counterpart. Is that right?

5 A. Indeed, that's Richard, yes.

6 Q. And he was a medical doctor?

7 A. He was, that's correct, and that's -- yes. That's an  
8 interesting point.

9 Q. It's interesting. Is it significant for our purposes?

10 A. I don't think so.

11 Mr Watt was a vet and he sometimes felt he was  
12 a little overwhelmed by medics -- I'm thinking of him in  
13 the Scottish context -- and was a little sensitive about  
14 that. But, yes, Richard was a medic.

15 Q. And we see your suggestion in paragraph 2:

16 "He wanted to arrange a workshop on fractionation  
17 aspects of Factor VIII concentrates."

18 Indeed, you were inviting everyone to come to  
19 Edinburgh. But it didn't happen. It seems from your  
20 answer, Professor Cash, that you later received some  
21 information on the topic from Dr Gunson. I just  
22 wondered if you want to explain a little bit what  
23 Dr Gunson told you.

24 A. Well, I was very distressed. I perhaps should very  
25 briefly say I was appalled when I was appointed to

1 discover this whole saga, that I knew very little about,  
2 of PFC fractionating for England plasma. I'm sure you  
3 are well aware of all of this.

4 Q. Yes.

5 A. And I was very distressed to hear this because I was  
6 absolutely certain in my mind that if in fact ministers  
7 had approved that and pushed that on, it would have  
8 brought a lot of relief for our colleagues south of the  
9 border and it would be the beginning of a UK  
10 fractionation, getting together and cracking some of the  
11 problems that we were already cracking.

12 So against that background, that -- and John Watt  
13 felt this -- which we will come to, I suspect later --  
14 very, very keenly indeed. Against that background  
15 I tried again, when I was now national medical director,  
16 and this was specifically about Factor VIII and I was --  
17 I mean, that's a fairly bland letter -- I was very angry  
18 that we couldn't get something going together. And if  
19 you look in your -- I think you call it "Court Book",  
20 I call it the "Inquiry archives" -- you will find a lot  
21 of correspondence of me pushing, of different people  
22 pushing, to get the BPL management to get us all  
23 together and so on. In the context of this -- this is  
24 Factor VIII -- I was extremely distressed because I felt  
25 that if we got together, at the time I felt we could

1 crack the problems quicker.

2 It didn't happen and you asked about --  
3 Harold Gunson was a dear friend and he was the DHSS  
4 adviser in blood transfusion and I was the Scottish Home  
5 and Health Department adviser, and we had one  
6 fundamental difference in philosophy. We were very  
7 close friends. One is he believed he should serve his  
8 master, and that was the Department of Health. I didn't  
9 actually ever accept that. I was there to advise and  
10 give the best advice I could and that did raise  
11 problems, and occasionally, Harold -- but only  
12 occasionally -- would reveal to me certain truths as he  
13 saw them. And as a consequence of that I took the view,  
14 because Harold had said this, that in fact one of the  
15 reasons -- and in fact it occurred time and time  
16 again -- why we couldn't get together with BPL -- that  
17 it did not enjoy the support of DHSS.

18 Now, there are other issues which I hope will be  
19 raised in the Inquiry in relation to things like NIBSC,  
20 the National Institute of Biologics and Control. We  
21 eventually won against the opposition, the very formal  
22 opposition of the DHSS. The first alert I got that  
23 I had a problem with one was Harold Gunson, and I went  
24 down to London to see the civil servants involved and so  
25 on. You asked how did I know it was DHSS; it was

1 Harold.

2 Q. You are right, we do have a lot of documents but we  
3 haven't found the actual reply to this letter. Did you  
4 get a knock back?

5 A. I have to say, I regret I don't recall. I have  
6 certainly not found a copy in my files either.

7 Q. Anyway, we know now that part of the background perhaps  
8 to the meeting in 1982 was that you had made this  
9 unsuccessful attempt to forge a kind of joint approach  
10 with BPL. Then --

11 A. I could just emphasise that Richard Lane and John Watt,  
12 I discovered, had fallen out in a huge way and it had  
13 become very personal. And I think I say in my statement  
14 that when I was appointed, I discovered that there were  
15 real problems there at the very personal level, many of  
16 which I didn't understand, and against that background,  
17 again, there is a background there, we tried to get  
18 going and started things again.

19 Q. Right. Can we go back to the statement, please, at  
20 1917.

21 So you say that as at December 1982 your view was  
22 that the efforts at bridge building had, before and  
23 after 1979, all come from the SNBTS and had been  
24 comprehensively rejected by BPL and DHSS. Then you tell  
25 us that you had, in the period 1980 to 1982, sought the

1 support of SHHD officials to use their influence to  
2 ensure the Committee on Safety of Medicines explored  
3 what could be done to enhance the safety of commercial  
4 coagulation factor concentrates imported into the UK.  
5 I just wanted to ask you what influence you thought they  
6 had on the committee?

7 A. Well, I have no idea and -- I have no idea because  
8 I never got any response, and I should add that  
9 John Watt was on that committee and I pursued poor old  
10 John, you know, to get in there and John made it very  
11 clear to me that it was quite inappropriate for him to  
12 do this, to take the message from Scotland, because he  
13 said that it's not for us, a public sector fractionator,  
14 to start pointing the finger at the commercial people  
15 about their safety and so on. And John made it very  
16 clear he couldn't tell me what would happen because it  
17 was all very confidential and they had to sign state  
18 secrets and goodness knows what. So I have no idea,  
19 whether my civil servant colleagues in the department  
20 actually pursued this or whether John did. I have  
21 assumed, to be honest, the answer is no.

22 Q. So --

23 A. But I don't -- the chairman of that committee would be  
24 the person, and I think at that time it was Joe Smith.

25 Q. Yes. Well, you mention Joe Smith, Joseph Smith, who was

1 from NIBS & C, I understand it was colloquially called,  
2 National Institute of Biological Standards and Controls,  
3 to give it its full title, I think. And of course, he  
4 was the chair of the biological subcommittee of the  
5 Committee On the Safety of Medicines.

6 A. He was.

7 Q. Yes, and then you mention also John Holgate of the  
8 Medicines Control Agency.

9 A. He was a doctor.

10 Q. Right. You think or you discovered that those two  
11 individuals seemed to be party to the proposition that  
12 UK clinical trials of commercial plasma products should  
13 be encouraged and that was a position with which you  
14 fundamentally disagreed?

15 A. Yes, as I recall -- and I am recalling -- I would need  
16 (inaudible) -- I think John and Joe were at the meeting  
17 at BPL.

18 Q. Well, can we have a look at the minutes, please? That's  
19 [\[DHF0030059\]](#).

20 A. Redacted.

21 Q. Yes. I think actually we do have an unredacted version  
22 somewhere but this is the version with which we have to  
23 work at the moment. So we will confirm your  
24 recollection after this. But just to look at the  
25 minutes, not perhaps terribly easy to follow for lay



1 people, or at least not terribly easy to get oneself  
2 into the mindset of the meeting, but interesting to note  
3 the recital on the first page that there seems to have  
4 been a suspicion of, I suppose, almost manipulation by  
5 the commercial companies in response to a drop in  
6 prices. Do you want to just have a look at that? It's  
7 suggested in these minutes that:

8 "Intense competition and unacceptably low prices is  
9 alleged to have resulted in the withdrawal of Hyland  
10 Hemofil II from the UK market and the threatened  
11 possibility of a second major company withdrawal in  
12 1983."

13 The minute then actually goes on to suggest that  
14 certain things may, therefore, happen in consequence.  
15 I'm not sure if the minute is suggesting that this is a  
16 deliberate strategy but in any event point 2 is  
17 interesting, that:

18 "Because of the withdrawal of certain products,  
19 there will be a clear field of entry for commercial  
20 hepatitis-safe Factor VIII which, by nature of its  
21 special product status (unproven), can command a price  
22 structure more in keeping with market expectations."

23 Do you remember any of this discussion at the  
24 meeting? It does look as though everybody at the  
25 meeting had quite a suspicious attitude to what was

1 going on on the part of the commercial fractionators.

2 A. I don't remember the detail. What I can tell you is the  
3 whole pricing structure and the market place in terms of  
4 cost of Factor VIII -- the whole of that decade is  
5 a major issue.

6 I don't know whether you have picked up, sir, but  
7 there was a point -- and you have got the documents in  
8 your archives -- in which in England the DHSS price  
9 set -- because they had moved into a market position --  
10 they called it "cross-charging". And the DHSS set the  
11 price for BPL Factor VIII and the commercial boys had no  
12 difficulty in coming in below it and they sold -- and as  
13 a consequence of which the haemophilia centres opted  
14 away from BPL to prefer the higher risk stuff on the  
15 basis that it was cheaper.

16 So the whole area of pricing, when you are in  
17 a marketplace, is very tricky and there was a lot of  
18 things going on between the companies.

19 Q. Right.

20 A. My concern about this meeting in that context was -- and  
21 I think I have said it in my statement -- I felt --  
22 I still recall the feeling that that meeting had been in  
23 a sense called by the commercial people and were using  
24 surrogate BPL and the Department of Health, John Holgate  
25 and so on, and Joe Smith to give it a stamp. And

1 particularly I was very upset to find it was chaired by  
2 my old friend Arthur Bloom, I really was.

3 Subsequently the whole notion of using British  
4 patients to clinically trial the commercial stuff fell  
5 flat on its face. I think I was reading a letter from  
6 Chris Ludlam the other day as part of the -- in which he  
7 would have nothing to do with this.

8 Yes, it was a bad meeting and I clearly behaved not  
9 very well.

10 Q. Well, perhaps we should just stick to looking at the  
11 minutes for the moment.

12 We need to look at page 2 because we notice that  
13 there is a loss of yield referred to which we should  
14 note in passing. Then in paragraph 3 the minute goes on  
15 to say:

16 "The above statement defines the need for  
17 centralised, fully controlled prospective trials of HS,  
18 hepatitis-safe materials, best operated through  
19 a properly executed national clinical trial lodged with  
20 the regulatory authority."

21 So the meeting then goes on to make certain  
22 proposals. We have looked at this before but the  
23 proposals are that:

24 "(a) Random exploitation of the haemophilia service  
25 by commercial organisations for the study of

1 "hepatitis-safe" products should be discouraged.

2 "(b) that the haemophilia services should create  
3 a formal basis for controlled clinical trial of alleged  
4 "hepatitis-safe" products in line with the requirements  
5 of Medicines Act.

6 "(c) that the haemophilia services, PHLS and NBTS,  
7 should combine resources in a manner likely to advance  
8 economic treatment of NHS haemophiliacs with safe  
9 products."

10 Was it not simply the case, Professor Cash, that the  
11 reality was that these products were around and some  
12 kind of strategy had to be formulated to deal with them?

13 A. Yes, that I don't doubt. The question is: why are we  
14 going to do the clinical trials in the UK? Why couldn't  
15 they be done -- Piero Mannucci would have leapt -- in  
16 Italy. Big centre in Milan. Louis Aledort in New York,  
17 a huge haemophilia centre. Why couldn't some  
18 reciprocity -- I'm repeating some of the discussions I  
19 had at the time. Was there not a reciprocity between  
20 FDA and the Medicines Control Agency, the subcommittee,  
21 that they could agree on these things?

22 My problem was, as I have said in my statement, that  
23 the number of patients in the UK that were either PUPS,  
24 previously ... or (inaudible) was in Edinburgh, had been  
25 on Factor VIII. They were not PUPS, they were older

1 haemophiliacs but they had never had anything but NHS  
2 stuff. The number of these that you could study was  
3 very small indeed, and my concern was that at a stroke  
4 they would be taken over by these people now  
5 contaminated with commercial stuff and when we came,  
6 which we anticipated at that time, within months, to  
7 say, "Hey, we have got some British stuff that needs  
8 clinically trialing," there would be no patients left.  
9 And I was simply batting along saying, "Go off to Italy.  
10 Go off to the USA," where these companies had huge  
11 markets. And there were a lot of patients, and  
12 ethically -- there wasn't an ethical/moral problem  
13 because these were patients in the States and in Italy  
14 that were getting these products in bulk anyway.

15 Q. Right. Can we go back to the statement then, please,  
16 still on 1917 and looking at 12.13.

17 You said that you had the feeling throughout the  
18 meeting that a decision in favour of this development --  
19 that is the introduction of clinical trials on UK  
20 haemophilia patients -- would somehow be an advantage to  
21 BPL and DHSS. Would it not be fair, however, to  
22 recognise, Professor Cash, that the situation on the  
23 ground in England was very different, that they were  
24 falling much shorter of self-sufficiency than you were  
25 in Scotland? So they were dependent on the commercial

1 fractionators to a greater extent and had to have  
2 strategies for dealing with them.

3 A. Yes, but I still feel that -- you know, I mean, as  
4 I think you know and I think I have said, we reacted  
5 after this meeting very positively and it was very  
6 interesting that the Oxford -- that's a big centre with  
7 Charlie Rizza as the director -- agreed they would come  
8 in and contribute to the Scottish study. They no doubt  
9 would have said the same when BPL came along.

10 So, yes, I completely agree. There was an issue for  
11 the licensing authority to get appropriate confirmation  
12 that what they had done in terms of viral safety in fact  
13 worked. I was simply saying that if you looked at these  
14 companies in a world market situation, they could have  
15 gone elsewhere, in which in no way were either the  
16 patients or the local fractionators threatened. And  
17 I have to say I was quite paranoid about that.

18 Q. I follow what you say, Professor Cash. I suppose that  
19 initially one might wonder, well, would it not have been  
20 all right just to think that these trials might take  
21 place in England, where the situation on the ground was  
22 different and that that wouldn't affect you, but I think  
23 you go on to deal with that.

24 Can we go on to the next page, please, of the  
25 statement, where you talk about previously untreated

1 patients or previously untransfused patients. You say  
2 that you were hoping, SNBTS was hoping, to seek access  
3 to some of the patients in England and Wales for trials  
4 as well.

5 A. Yes.

6 Q. And you have just --

7 A. Arthur Bloom promised us, you know, I can give you --  
8 yes.

9 Q. You have just told us that in fact that was possible,  
10 ultimately, with Oxford?

11 A. Yes. There is a record in the archives somewhere of  
12 Charlie Rizza saying, "Yes, you are on, we will come in  
13 on this". There is also a record, as I have said, of  
14 Chris Ludlam in Scotland saying, "We do not want to have  
15 anything to do with this".

16 Q. Yes. We have certainly looked at that letter and  
17 I guess we will look at it again, but you obviously  
18 travelled back from the meeting and felt that you wanted  
19 to send a letter.

20 A. As usual I was pretty upset with my performance in  
21 having lost the plot a little and it got heated and  
22 I thought I had better -- having tried to get on good  
23 terms with BPL, we had this meeting and Cash doesn't do  
24 too well and, yes, the letter was...

25 Q. The letter, whether it was an attempt to build bridges,

1 I don't know, but it does also seek to take forward your  
2 arguments.

3 A. Oh, yes, I wasn't backing off.

4 Q. [\[SNB0043163\]](#). At a very prosaic level we can see that  
5 Dr Lane had at least provided you with transport to and  
6 from the airport and you were grateful for that.

7 A. No, Richard, he was a gentleman.

8 Q. Yes, right. But you have been doing some further  
9 thinking and you need to help us with this,  
10 Professor Cash. You are now of the opinion that Arthur  
11 and Charles should not write a leader for the Lancet or  
12 even a letter.

13 A. Yes.

14 Q. So it had obviously been suggested that something should  
15 be penned for the Lancet on the topic. Was that  
16 supposed to be guidance about these --

17 A. I can't honestly remember, I regret because it is an  
18 issue but I can't remember.

19 Q. Right:  
20 "Nor do I believe you and Arthur should pursue John  
21 Holgate and Joe Smith."  
22 Which might suggest they weren't at the meeting but,  
23 as I say, we will need to check that.

24 A. Yes.

25 Q. "I don't believe it's in the best interests of the NHS



1           fractionation centres at this time to encourage the  
2           commercial manufacturers to undertake clinical trials  
3           with a view to obtaining product licences."

4           So whatever, even modest encouragement for the  
5           commercial fractionators might have been in the  
6           pipeline, you thought should be taken away?

7   A.   Hm-mm.

8   Q.   Yes.

9   A.   May I -- I mean, I'm surmising but I could well imagine  
10       in the DHSS, particularly in the medicines commission --  
11       this is John Holgate, for instance -- they could  
12       genuinely, for the very reasons you have given, in  
13       England say, "Look, we would really like to get on and  
14       get some trials done so we can give these people their  
15       product licences and let's get on". I can understand  
16       that. My argument, I'm not going to repeat it, but  
17       I was unhappy with that.

18  Q.   Yes. You were perhaps trying to think a little bit more  
19       long-term. Is that a fair comment?

20  A.   Yes, more long-term and -- I'm very biased. More on  
21       behalf of the patients.

22  Q.   You explain your reasoning in the fourth paragraph, the  
23       large paragraph there. I'm going to the end of your  
24       answer here. We actually wondered if there was a "not"  
25       missing in this --

1 A. I think that's right. I think I said, "Thank you very  
2 much --"

3 Q. And you thought there was and actually Dr Perry says --

4 A. I think re-reading it -- it's not for the first time  
5 that you read something I have written and you say,  
6 "What does that mean?"

7 Q. Well, Dr Perry, whose suggestion seems very logical, he  
8 says there isn't a "not" missing. So he is telling you  
9 what you were thinking.

10 A. Yes, I think he is right.

11 Q. Can we look at his suggestion at [\[PEN0121759\]](#), please?  
12 So the letter that was sent having said that it was in  
13 the British fractionator's interest to permit the  
14 commercial fractionators all the freedom they desire,  
15 can we go to page 1766 in Dr Perry's statement, please?  
16 He says:  
17 "The letter is correct as written."  
18 He thinks. He says:  
19 "My interpretation is that Dr Cash felt that our  
20 longer term NHS interests would be best served by not  
21 placing pressure on commercial organisations to conduct  
22 formal clinical trials of their so-called  
23 hepatitis-reduced products, using scarcely available UK  
24 patients so that NHS manufacturers would be able to  
25 access these patients for clinical trials of NHS

1 products when available."

2 So I think the logic that he is suggesting is that  
3 if you leave the commercial organisations free to do  
4 what they want to do, rather than subject them to some  
5 kind of list of requirements, that will probably be  
6 better for the UK fractionators than actually setting  
7 out a defined pathway for them through clinical trials  
8 by which they might eventually secure a United Kingdom  
9 licence.

10 So having looked at his suggestion, you think the  
11 letter is correct as written, do you?

12 A. I would need to just check that. Just read it again.

13 I think the notion that we should leave the commercial  
14 chaps to do what they feel is necessary -- I don't have  
15 a problem. I don't think we have any locus at telling  
16 them what to do. The notion that BPL, the other NHS  
17 fractionators, should be seen to be encouraging such  
18 a development, I was opposed to that.

19 Q. Yes, this looks to have been what was being discussed at  
20 the meeting, and you will have to correct me if this is  
21 wrong because you were there, but the personnel at the  
22 meeting are concerned that rather than some kind of  
23 haphazard use of these new products, perhaps on  
24 named-patient bases or something like that, that there  
25 should be properly controlled clinical trials. So they

1 are, as it were, countering one imagined problem by  
2 saying that things should be regulated, but the other  
3 point of view is that once you start regulating and  
4 insisting on formal clinical trials, you are making it  
5 easier for those companies to obtain a licence to market  
6 these products within the UK. Is that a reasonable  
7 summary?

8 A. It is, but I would like to emphasise that I didn't wish  
9 to stop them getting product licences. I wished to stop  
10 them using these valuable, valuable patients such  
11 that -- I'm repeating myself -- certainly it would  
12 prevent us from -- but I would be strongly supportive,  
13 and was, that everything should be done to ensure the  
14 data was generated on these products, to prove they were  
15 safe for the licensing purposes, so that you weren't on  
16 a named-patient basis. Yes, I was simply saying, "Would  
17 you go away and do that work, excellent stuff,  
18 elsewhere?"

19 Q. Can we go back to the statement, please, at 1919? We  
20 see that consistent with what you are saying today, the  
21 statement outlines that thinking in 12.142 and then  
22 12.143. You say you thought that the development in the  
23 UK was a sophisticated marketing exercise by US  
24 commercial fractionators rather than one directed to  
25 product safety. You say:

1            "I believed it was primarily designed to once and  
2            for all take out those irritating Scots with their pious  
3            public sermons proclaiming the sanctity of national  
4            self-sufficiency."

5    A.    Yes, it has gone again.    Sorry, what can I do now?

6    Q.    I was just wondering if you could help us with the logic  
7            of that.    What did you think was really going on?

8    A.    I thought, if we woke up one day and were told by  
9            Charlie Rizza and Arthur Bloom, Chris Ludlam, "Sorry, we  
10            have no patients for your trials, John Watt,  
11            Richard Lane, because we are using them all for these  
12            commercial guys" -- I was fairly close to some of the  
13            commercial guys.    I won't mention which.    And I saw this  
14            as a possible way of -- and again this may be  
15            paranoia -- of grievous damage to the position of  
16            Peter Foster and his crew and Richard Lane and  
17            Jim Smith.

18    Q.    When you say you thought it was "designed to take out  
19            those irritating Scots".

20    A.    Yes.

21    Q.    What you were thinking was that the commercial companies  
22            would gain such a head start that when you came to  
23            launch your product, there wouldn't be any previously  
24            untreated patients left and your product really would be  
25            doomed, which would result in --

1 A. I wouldn't use the word "doomed". We would still have  
2 Christopher Ludlam as our friend.

3 Q. I really mean the success of your product would be  
4 adversely affected?

5 A. Yes, we are not going to get on to this today, I hope,  
6 but the whole question of Crown immunity, licensing and  
7 so on and so forth, the departments of health could well  
8 say, "You don't need licensing. Your stuff is fine."  
9 But we couldn't validate it soon enough in any  
10 reasonable time and that's bad for the patients.

11 I can't emphasise that this was about patient --  
12 quality of patient care, and as for irritating Scots,  
13 they were exceedingly irritating to my mates, that  
14 I knew very well, in the commercial industry. I think  
15 I have already told you about Dr Eibl.

16 Q. We already remember that, Professor Cash. Six foot  
17 something in his socks?

18 A. There were others, but we were also irritating, I can  
19 assure you, as Scots, to the DHSS and that was really  
20 quite difficult.

21 Q. You go on in that paragraph 12.143 to say that you  
22 thought that this position would have found support in  
23 all the Scandinavian countries, France and the  
24 Netherlands. It would be of interest to obtain a  
25 non-redacted copy of [\[SNB0049164\]](#). Can we look at that

1           now please? I didn't want to leave a loose end,  
2           Professor Cash, because you are here referring to the  
3           European trial of Hemofil T?

4   A. Yes.

5   Q. By which we actually --

6   A. That's Mannucci's --

7   Q. About which we ourselves have been learning a bit in the  
8           past couple of days. But this document is a set of  
9           notes on a talk given by Dr Mannucci at a seminar in  
10           Cardiff which we know was towards the end  
11           of October 1984 or thereabouts.

12           So we are going a bit forward in time but at that  
13           seminar, Dr Mannucci was giving a report of the story so  
14           far and certainly I can see the gap to which you are  
15           alluding.

16           I thought that the document had been redacted in the  
17           second line. I'm not at all sure that it has. We don't  
18           have any copy of this which has the words complete or  
19           any mark that shows there has been redaction. I think  
20           it has possibly been left blank and the writer has meant  
21           to complete the text and never has, whatever. If we  
22           want to find out what countries were involved in the  
23           Mannucci trial, however, we can look at the final  
24           article on that, which is [\[LIT0010369\]](#). I think there  
25           is a big clue just in the list of authors. We can see

1           that Dr Savidge, Geoffrey Savidge.

2    A.   Knew him well.

3    Q.   Is one of the contributors.  And if we look at the

4           second page of the article, we can see under the heading

5           "Patients" that the haemophilia centres concerned were

6           those in Milan, Heidelberg, London and Paris.  I think

7           in fact it's clear from the article that the centre we

8           are talking about in London is St Thomas', which was

9           Geoffrey Savidge's.

10   A.   Yes.

11   Q.   So in fact, as it turned out, not an extensive

12           United Kingdom participation in this study but certainly

13           one centre taking part.

14   A.   I mean, if you want to explore that, you really need to

15           get Geoff up because he is an amazing guy.

16   Q.   Unfortunately Professor Savidge has recently died, so we

17           can't get any further information about that

18           participation.  But I did just want to answer the

19           question that you had posed in the statement about what

20           countries took part in the trial of Hemofil T and now

21           that you know that, that there was participation from

22           Milan, Heidelberg, London and Paris, how does that fit

23           with your thinking?

24   A.   Only that -- I mean, I know the London, which is what we

25           talked about, and that comes as absolutely no surprise.



1       Indeed, in your archives, you discover a letter from me  
2       to the general manager of SNBTS, that is much later,  
3       talking about Geoff and his attitude and so on and so  
4       forth, and he was an old friend but a very -- they used  
5       to describe him as a very robust character. So that  
6       comes as no surprise.

7             I'm quite surprised with Paris to be honest. But  
8       there will be all sorts of interesting things there  
9       that -- I mean, I would have said, for instance, under  
10      no circumstances would Netherlands, anything in the  
11      Netherlands, and Pim Van Aken was reminding me the other  
12      day that there was a centre in the Netherlands that was  
13      heavily committed to commercial use of products, which  
14      was very atypical.

15            So, you know, there may be somebody in Paris that  
16      was in some way, as Geoff was -- Geoff couldn't be doing  
17      with public sector, socialist manufacturers. There may  
18      be somebody in Paris with similar views, I just don't  
19      know, but I would have been, as I said, very surprised  
20      if in Finland, if in Sweden and Denmark, that they would  
21      be included. And I have some relief that they are not.

22    Q.    Right. Can we just, before we leave this article, look  
23      and see the results, headed fortunately "Results":

24            "21 patients were included in this study. 13 were  
25      followed up regularly as planned. Seven missed some

1 visits critical in the evaluation of post-transfusion  
2 hepatitis, and one that was followed up regularly for 37  
3 weeks then defaulted."

4 So in fact they only ended up with results on 13.  
5 You say in your statement that 70 per cent of the  
6 patients developed non-A non-B hepatitis. I think in  
7 fact it works out as 84 per cent. So it was even higher  
8 than you thought. Can we look at the next page, please?  
9 Yes, there we see the 84 per cent non-A non-B hepatitis  
10 developed in 11 of the 13 patients.

11 Right, can we go back to the statement then, please?  
12 Move to the next page.

13 Staying with the theme that there would be need for  
14 previously untreated patients in the United Kingdom on  
15 whom you could test your new product in due course,  
16 staying with that, you say that in 1982 you were  
17 uncertain that you had the support of DHSS, Medicines  
18 Control Agency, for this latter proposition:

19 "Nor, I regret to say, the SHHD."

20 I just wondered what support you might have sought,  
21 particularly from SHHD.

22 A. I think what I'm alluding to there is, I'm reasonably  
23 certain that if you take that date, on no occasion --  
24 and Peter Foster will shoot me down -- on no occasion  
25 historically has the SNBTS, PFC, got into the concept of

1 clinical trials. And I'm pretty sure about that but  
2 Peter usually keeps me right. And we were moving  
3 inexorably to a situation whereby first we were going to  
4 look for product licences -- and I don't want to get  
5 into the Crown immunity debate.

6 And that, the whole question of obtaining product  
7 licences, there was a period of time in that period when  
8 the Scottish Home and Health Department were very  
9 hostile, and notably the chief pharmacist -- doing their  
10 job. But they were very hostile. And if we were going  
11 to conduct clinical trials, and we did in 1988 and 1989  
12 and the 1990s, then a whole set of circumstances arise  
13 where you would need extra funding. So the notion of  
14 SHHD being involved and working with us was very  
15 important indeed and at that point I would have assumed  
16 that I would have thought it was quite difficult.

17 Q. When you say "SHHD were very hostile," you mean they  
18 were hostile to the notion of your moving towards  
19 product licences?

20 A. Oh, yes. You have got lots of paper that will tell you  
21 that. It became a very big issue in which CLO were  
22 involved, the CLO lawyers were involved and so on and so  
23 forth. Yes. And another issue that was, in a certain  
24 sense, not well resolved, but, yes, was a big issue.

25 Q. Sticking with the statement, you go on to say in

1 paragraph 12.2 that you feel an apology is due for the  
2 use of the word "furtive", and no doubt you understand  
3 that your apology has been communicated to the two  
4 individuals concerned. I certainly don't want to take  
5 up time talking about the use of this particular word.  
6 We should take it, should we, that it was on reflection  
7 perhaps just the wrong word?

8 A. Yes, I have no hesitation. I think the fundamental  
9 problem I had -- and it wasn't about Peter and  
10 Jim Smith -- it was about: how did the SNBTS as  
11 a whole -- this working group that we talked about --  
12 get engaged in the area of fractionation? And that was  
13 difficult because it was heavily controlled by John Watt  
14 and so on, and I felt that Peter and Jim were often in  
15 bed. So I didn't regard them as being furtive but --  
16 I don't want to pursue it. I'm delighted they know that  
17 and I have spoken to Peter...

18 Q. I just wondered what point you were seeking to make when  
19 you were instancing the collaboration between Dr Foster  
20 and Dr Smith and speaking of it in negative terms. What  
21 point were you making?

22 A. I was -- I think there is another statement in which, if  
23 that's all we have got, I was absolutely delighted that  
24 it was going on and there is no doubt in my mind, if it  
25 hadn't been for the fact that Jim Smith was a product of

1 PFC, had developed a lot of personal, excellent  
2 relationships, it wouldn't have taken place.

3 What is absolutely sure: it did not enjoy the formal  
4 support of the top managers of the institutions  
5 concerned. Not that they were necessarily opposed to it  
6 but it was something that -- it was furtive, it was out  
7 of sight of top senior managers. And I was, in  
8 principle, unhappy with that but I wasn't unhappy with  
9 Peter or Jim; I was absolutely delighted they were  
10 getting on with it.

11 Q. So we should take it, should we, that you thought that  
12 that collaborative relationship was a good thing?

13 A. Oh, yes. I have said in another statement something is  
14 better than nothing, and when you look at the something,  
15 as Peter -- that they delivered, these two, it was  
16 fantastic.

17 Q. Can we go then on to question 13? We did look at --

18 THE CHAIRMAN: Do you want to do that yet?

19 MS DUNLOP: I was thinking perhaps we could just get to the  
20 end of the meeting and its aftermath but I'm happy to  
21 stop if --

22 THE CHAIRMAN: No, no, not at all.

23 On one view of what you have been telling us so far,  
24 the only practical way of getting real cooperation would  
25 be to have furtive meetings since disclosure would have

1 brought down the wrath of the gods.

2 A. Well, I'm not -- you see, I'm not actually sure about  
3 the wrath of the gods, sir. We just couldn't do it.  
4 And the thing that terrified me was -- it did terrify  
5 me -- the good luck that Jim Smith and Peter Foster were  
6 close personal and professional friends. I'm very --  
7 I was very disturbed at running an outfit, which was  
8 about patient care, on good luck.

9 What we know is that the people handling IVIGG  
10 development in England and Wales didn't have this close  
11 association with PFC. As a consequence of which, IVIGG  
12 availability in England was three, four, maybe five  
13 years behind PFC. And I personally took a view that was  
14 a serious indictment of what we had failed to do at the  
15 top level, but as far as Factor VIII and IX were  
16 concerned, lucky us. That's not a good way to run  
17 a business.

18 Q. I think nowadays it would be referred to under the guise  
19 of succession planning. So you have to have a system  
20 which will survive the departure of the individuals  
21 involved, as I understand it, and I think the point you  
22 are making is that this maybe wouldn't?

23 A. No. If dear old Jim or Peter had fallen under a bus,  
24 we'd have been pretty good because we had Ron the  
25 Mackintosh. But without Jim, I think we would have been

1 in some difficulty. I really mean that. And it was  
2 very personal. Jim is still at heart a Scot, although  
3 he lives down south. As you will discover.

4 Q. I'm trying not to ask any questions about who is a Scot  
5 and who is not, because it all seems to me to be a bit  
6 jumbled up. I think we will stay away from that issue.  
7 But there was a response. Dr Lane wrote back to you.  
8 That's [\[SNB0043160\]](#). You say yourself in your  
9 statement:

10 "It was a pretty formal response."

11 You take issue with any implication that you changed  
12 your position because you say you made your position  
13 very clear at the meeting.

14 A. Yes.

15 Q. Yes. So Dr Lane is saying that he thought there was an  
16 agreement that Professor Bloom and Dr Rizza would inform  
17 the haemophilia directors about their right to know the  
18 proper basis supporting manufacturers' claims of safety  
19 for products in connection with hepatitis-reduced  
20 Factor VIII. In other words, because it's a little bit  
21 delphic that, but in other words, moving in the  
22 direction of clinical trials, but there was also to be  
23 advice taken from medicines division. So I suppose he  
24 is saying, "We did decide to do something" and you are  
25 saying, "Really, we shouldn't be doing anything"?

1 A. With the commercial.

2 Q. With the commercial companies, yes. Yes, you wrote  
3 back, [\[SNB0043159\]](#).

4 I think 3159 is in transit. So that, sir, is  
5 definitely a good place to stop. It's not quite in  
6 Court Book yet. So we will look at that, I hope, after  
7 the break.

8 THE CHAIRMAN: I can't quite envisage the transit process.

9 MS DUNLOP: I can't either but I certainly believe it when  
10 I'm told.

11 (11.07 am)

12 (Short break)

13 (11.30 am)

14 THE CHAIRMAN: Yes?

15 MS DUNLOP: Thank you, sir.

16 Professor Cash, just before the break we were going  
17 to look at the letter which you sent back to Dr Lane,  
18 which is [\[SNB0043159\]](#).

19 So it does look from your letter back to Dr Lane  
20 that you were very receptive to any suggestions about  
21 the form in which communications should take place but  
22 you were adhering to the substance of what you were  
23 trying to say.

24 A. Indeed.

25 Q. Is that a reasonable way of putting it?



1 A. Yes, I think that's fair.

2 Q. Yes. I think, to conclude this little chapter, we  
3 should also look at [\[DHF0030892\]](#). That seems to have  
4 been connected to the meeting. Confusingly it's dated  
5 11 January 1982 but we have already been through quite  
6 a tortuous process of looking at surrounding documents  
7 and we think it was probably 11 January 1983. So it's  
8 one of those letters that people write in January and  
9 forget that there has been a New Year because this looks  
10 to have been a circular letter sent out really dealing  
11 with the same subject matter.

12 Have you seen this recently, Professor Cash?

13 A. I don't recall, no. I'm sorry.

14 Q. I'll just give you a moment to look at it.

15 A. Please. (Pause)

16 Could you remind me who wrote this. This is  
17 Charles, is it? Charlie?

18 Q. Yes, Messrs Bloom and Rizza are the signatories of the  
19 letter.

20 A. Okay.

21 Q. I'm not sure if this particular letter bears their  
22 signatures but we do have somewhere a copy that has  
23 their names on it. Can we just check the second page,  
24 I'm not sure but I think this may be a redacted copy  
25 because it is a "DHF" reference. It has gone from the

1 Oxford Haemophilia Centre, which is a bit of a clue.

2 A. That's what made me think it would be Charles.

3 Q. Yes. (Pause)

4 So if this is the outcome of these discussions that

5 we know were going on in December 1982, it does look as

6 though what happened was rather more along the lines of

7 what the other people at the meeting wanted, which is

8 formal clinical trials. But if we go back to your

9 statement, please, [\[PEN0121912\]](#) at 1920, it does

10 actually look as though the UK participation, as judged

11 from the final article on the Hemofil trial at least,

12 was limited.

13 A. Yes, my memory is that the majority of people didn't

14 react terribly well to Charles and Arthur's letter.

15 Q. Right.

16 A. I had no ...

17 Q. You tell us in 13.3 that in February 1983 you did

18 actually make contact with the directors of the

19 haemophilia centres in Oxford, Edinburgh and Glasgow in

20 order to stake an SNBTS claim on access to their

21 patients. Who made that contact?

22 A. Me.

23 Q. You?

24 A. Yes. I think I wrote to them all.

25 Q. Certainly such information as we have about the trials

1 of commercial products doesn't seem to reveal the  
2 participation of any Scottish patients or Scottish  
3 haemophilia centres. Does that accord with your  
4 understanding?

5 A. Yes, but I really don't think we would have been  
6 informed.

7 Q. Yes?

8 A. Yes.

9 Q. Yes. Moving on and looking at question 14, we are  
10 talking about the first half of 1983. You said in your  
11 answer that:

12 "The development of tests to eliminate potentially  
13 fatal thrombogenic episodes in patients receiving  
14 certain batches of Factor IX concentrates were first  
15 conceived and developed by an SNBTS team."

16 Connected to that, I think, is your 1975  
17 publication. I thought we should look at that. That's  
18 [\[LIT0010959\]](#). This is work that you did when you were  
19 at the Southeast Scotland blood transfusion centre?

20 A. Yes, indeed.

21 Q. Could you just tell us in a very lay-friendly way what  
22 it is that makes Factor IX dangerous from the point of  
23 view of thrombosis?

24 A. I think in 2011 I would have to say I really can't  
25 remember and don't know. This is purely science but

1 I think in general terms to the layman, it became  
2 evident -- and to the best of my knowledge it was  
3 Piero Mannucci that first alerted the world -- that  
4 there were patients receiving Factor IX concentrates  
5 that were going on to have massive strokes, myocardial  
6 infarction. In other words they were thrombosing up in  
7 their arteries. And the question arose, could we  
8 develop -- and if asked why, it could be that the  
9 Factor IX was activated in some way. It wasn't in its  
10 benign, non-activated state. Or it could be that there  
11 were actually thrombogenic materials contaminating the  
12 Factor IX concentrates.

13 I suspect in 2011 they have the answer, ie they  
14 produce high pure IXs and there is no problem. So it  
15 was contaminated. I don't know. However, it was  
16 a major, serious problem that -- and it was significant  
17 in the sense that after we had developed this -- and we  
18 started this work -- batches of material were  
19 demonstrated beyond peradventure to be potentially  
20 highly dangerous.

21 Q. Yes. The context of this article is that the team was  
22 really examining some new-ish products that would be  
23 prepared, some new Factor IX products. Is that right?

24 A. I honestly can't remember. I'm pretty sure we used old  
25 ones as well. We got stuff from Peter Foster. But as

1 I recall, at some point -- and I'm not sure -- I think  
2 I should emphasise that the paper headed by Cash, the  
3 key guy was actually Roger Dalton, the vet, my good  
4 friend Roger, and I'm not sure whether the work using  
5 this basic technology -- I mean, I made the observation  
6 with this team here and then handed it over to the likes  
7 of Jim Smith or the PFC and so on, and I'm not entirely  
8 sure whether the newly developed products of IX were  
9 done by Roger Dalton and I.

10 Q. You certainly seem --

11 A. The high purity ones.

12 Q. I'm sorry?

13 A. Sorry.

14 Q. I was just going to say it certainly seems from the  
15 material that we have looked at from time to time about  
16 Factor IX, that there wasn't any great difficulty in  
17 getting dog studies carried out. You seem to have  
18 enjoyed the cooperation of various different vet  
19 schools. This one, it was the Glasgow vet school?

20 A. This one was Edinburgh.

21 Q. There is another one where it's the Glasgow vet school.  
22 Another one at the time of the heat treatment of  
23 concentrates, some studies were done in Cambridge and so  
24 on?

25 A. Right. Because the Glasgow lassie moved to Cambridge.

1 She became a senior lecturer.

2 Q. I see. Could we go back to the statement now, please,  
3 at 1920? We are going on to talk about events  
4 in March 1983 and thereafter.

5 Question 16, you referred to the working group  
6 meeting on 22 March 1983 and your answer, about whether  
7 there was even then some sort of read-across from  
8 discussions about heat treatment to this new problem of  
9 AIDS, your answer is that in March 1983, a specific link  
10 between the two -- that is between heat treatment  
11 research and the newly arrived threat of AIDS -- would  
12 have been taken for granted. But you say:

13 "The assumption was later shown to be simplistic."

14 In what sense was the assumption simplistic?

15 A. Oh, I think -- I think I'm referring to the notion that  
16 different heat treatments -- and Peter Foster has gone  
17 into this at great length. Different heat treatments  
18 will do different things because different viruses  
19 are -- that's really all.

20 Q. It's not that there is going to be some magic bullet  
21 that will deal with the whole problem of viral  
22 contamination?

23 A. That's right.

24 Q. Then question 17 focuses on a memorandum written by  
25 Dr Foster in May 1983. We have looked at this

1 memorandum and Mr Watt's letter to you and your letter  
2 back. I don't think we need to look at the memorandum  
3 because we are pretty familiar with it, but I would like  
4 to look at the letter that Mr Watt sent to you, which is  
5 [\[SNB0073638\]](#). Have you seen this letter again recently?

6 A. Yes, I have, thank you. Yes.

7 Q. So it looks that Mr Watt is telling you that, as  
8 a result of the pilot scale work that has been going on,  
9 there are some batches ready for trial. We can see that  
10 if we look on to the second page. He says:

11 "The non-heated material, 760, had failed its  
12 laboratory release criteria. There was an associated  
13 lot of heated product."

14 So I think we can understand that it would be most  
15 logical to take one lot, as homogeneous as possible, and  
16 then to split it and to heat-treat one part of it and  
17 not heat-treat the other?

18 A. Yes.

19 Q. We learned from Dr Foster that this would be standard,  
20 that if clinical trials were to be carried out, you  
21 would become involved because you would be asked to  
22 arrange it. Is that right?

23 A. That's right.

24 Q. That's what Mr Watt seems to be asking of you. He says:

25 "I believe it is sensible to get some clinical

1 experience of lot number NY761 as part of the overall  
2 process introduction."

3 Then on to the last page of the letter in the last  
4 paragraph. He slightly changes tack because he goes on  
5 to talk about the possibility of accelerating the heat  
6 treatment programme and he says that colleagues,  
7 presumably within PFC, are costing expedited heat  
8 treatment. Then he goes on to say:

9 "In case public opinion rather than science may  
10 dictate the best course of action."

11 Dr Foster's interpretation of that was that Mr Watt  
12 was not so much meaning that the Blood Transfusion  
13 Service would simply bow to public opinion, more that  
14 the science might be missing or might not yet be  
15 complete?

16 A. Yes, I think I share Peter's view.

17 Q. Have you read the transcript of Dr Foster's evidence?

18 A. No.

19 Q. No, right. But you would agree that that's a reasonable  
20 interpretation of what Mr Watt is saying?

21 A. Yes.

22 Q. Right. Then your letter, which is [\[SNB0073708\]](#). So you  
23 replied to Mr Watt on 1 June and he had already made  
24 some contacts with a view to getting NY761 put into  
25 patients. I think we know that in fact it went to



1 Dr Forbes and Dr Ludlam for clinical trials. Is that  
2 right?

3 A. I think that's right, yes.

4 Q. You go on to say that you would regard the last  
5 paragraph of the letter to be the most important and you  
6 are particularly pleased that Dr Foster and his  
7 colleagues are currently engaged in a costing exercise.  
8 So you were very much behind any idea of moving quickly  
9 on the heat treatment programme, were you?

10 A. Yes, absolutely.

11 Q. Professor Cash, we found the next paragraph slightly  
12 delphic. You say:

13 "We must conclude that with the existing set of  
14 instructions the agency has received from SHHD with  
15 regard to the way it is to spend its development monies,  
16 and noting the reaction of the deputy chief medical  
17 officer to the concept that heat-treated Factor VIII is  
18 related to the interests of the Medicines Inspectorate,  
19 then there are no funds available in 1983 to 1984 for  
20 your proposals. However, in the light of the current  
21 pressures, (AIDS, et cetera), the department may wish to  
22 reconsider its instructions to the CSA and/or find  
23 additional monies (less likely)!"

24 The deputy chief medical officer we are to think of  
25 here is Dr Scott. Is that right?

1 A. Graham, yes.

2 Q. Professor Cash, we have done a bit of digging around  
3 this period to try and find out what the position was  
4 about funding. So I would like just to put some  
5 documents to you, so that, I hope, we can enlighten  
6 ourselves as to what the situation actually was.

7 Can we look firstly, please, at [\[SGH0019251\]](#)?

8 This is a Common Services Agency document. I think  
9 from its tone it looks to be a paper for a meeting of  
10 the Blood Transfusion Service subcommittee on  
11 25 May 1983. Can we remind ourselves of structures  
12 here. We know that, by statute, a statutory provision,  
13 it's the Common Services Agency which was responsible  
14 for having a blood transfusion service?

15 A. Yes.

16 Q. Is that right?

17 A. Yes, indeed.

18 Q. And that the Common Services Agency had a subcommittee,  
19 the Blood Transfusion Service subcommittee?

20 A. That's correct.

21 Q. Whose job was, as you would see it?

22 A. Dear me. That's a very big question. Whose job was to  
23 supervise --

24 Q. Oversee?

25 A. That's a good word.

1 Q. Is that a better suggestion?

2 A. Coordinate, you name it. Yes, I would be content with  
3 that.

4 Q. And if there was a need for money for some new proposal,  
5 was it the case that you would put your proposal firstly  
6 to this subcommittee? Is that how it worked?

7 A. Yes, yes. Often in -- often, having briefed the  
8 Department of Health -- the SHHD, that we were going to  
9 do this -- to give them as much -- because ultimately it  
10 would land on their desks. But, yes, the proper  
11 procedure was it would be the CSA, on our behalf, who  
12 would make bids for money.

13 Q. I see. And they would make their bid to SHHD?

14 A. They would indeed. And SHHD would assume that the CSA  
15 had carefully vetted these bids and that they had the  
16 agency's support.

17 Q. Right. Can we look at -- I think it's the last page of  
18 this document. Number 7, I think, is the paragraph of  
19 interest.

20 You see that there was a pot, as it were, possibly  
21 going up to £650,000, expressly for the purpose of  
22 meeting the cost of developments arising from the  
23 recommendations of the Medicines Inspectorate. And the  
24 intention was that that would be made available in the  
25 course of the year:

1            "... on the department being advised that specific  
2            and costed proposals have been set in hand."

3            So that's the background position, if you like, as  
4            at May 1983.

5            A. Yes.

6            Q. Then can we go, please, to [\[SGH0019769\]](#)? Here we have  
7            the Blood Transfusion Service subcommittee. They are  
8            meeting on 25 May 1983 and perhaps one of the  
9            interesting things to note is that Dr Scott is present.  
10           So was he actually a member?

11           A. You bet. In his first witness statement Graham declares  
12           that he served on the subcommittee and had some  
13           significant influence. Absolutely right, he did.

14           Q. Right. And --

15           A. And John Walker, I should say, J Walker is the  
16           undersecretary.

17           Q. Okay. I recognise Mr Ruckley, that's Vaughan Ruckley.  
18           He is a vascular surgeon?

19           A. Yes.

20           Q. Perhaps you had better tell us who the others were.

21           A. Bob Wallace was a lay member from Inverness-shire. Nice  
22           man. A Bell you know. He was the SHHD medic.  
23           Mr Duncan was a very interesting man. He was  
24           a professional trade unionist, a layperson. David Horn  
25           was a chest physician. J F Kirk. I don't know who --

1           it escapes my memory. Vaughan Ruckley of course you  
2           know. Graham Scott, deputy chief medical officer. Sir  
3           Simpson Stevenson. Almost certainly I think, Sir  
4           Simpson at that time was chairman of the CSA itself.

5   Q.   He had a background with Greater Glasgow Health Board?

6   A.   Yes, indeed.

7   Q.   Yes?

8   A.   And John Walker was the undersecretary in the  
9           Scottish Office, with responsibility for transfusion.

10  Q.   Right. So as well as the members, we can see that there  
11           is quite a batch of people in attendance. We recognise  
12           a lot of the names. At the stage we are at, we probably  
13           recognise just about all of them but anyway.

14  A.   Yes.

15  Q.   Can we look at page 2, please, of these minutes? At the  
16           bottom. We note firstly the mention of the £650,000 pot  
17           or kitty and looking at the bottom:

18           "The subcommittee decided that those items in  
19           appendix 1 marked with an asterisk should be submitted  
20           to SHHD as an bid against the provision of up to  
21           £650,000 which was available to meet the cost of  
22           developments arising from the recommendations of the  
23           Medicines Inspectorate."

24           So those items marked with an asterisk are to be put  
25           forward as items which should be funded in order to

1           comply with the recommendations of the  
2           Medicines Inspectorate?

3    A.   Correct, against the pot that we had been given.

4    Q.   Yes.  Can we now look at page 7, please?

5           There we see with an asterisk "pilot stage of heat  
6           treatment of Factor VIII".

7    A.   Yes.

8    Q.   So it looks from the minutes as though funding for the  
9           pilot stage of heat treatment of Factor VIII was to be  
10           requested as a step which was necessary to comply with  
11           the recommendations of the inspectorate.  We can see  
12           that the committee has approved this in principle.  
13           That's that column on the right-hand side.  And there is  
14           the asterisk showing what the nature of this expenditure  
15           is seen to be.

16           This is a sequence of meetings and correspondence  
17           and the next document is [\[SNB0037641\]](#).  Actually, in our  
18           database it says this document is unreadable.  I'm not  
19           sure it's quite that bad.  But it's a letter from  
20           Mr Wooller.  This is Clive Wooller, is it?

21   A.   Yes, Clive.  A great chap.

22   Q.   He was the general administrator?

23   A.   Yes, a great man.

24   Q.   General administrator of the Common Services Agency?

25   A.   Yes.

1 Q. Right. He is writing to Mr Murray at the SHHD:  
2 "Dear Murray ..."  
3 We can see from the heading this is to do with  
4 revenue allocations and the recommendations of the  
5 Medicines Inspectorate. And he is referring to a letter  
6 of 14 March 1983 from Robertson, the Scottish Office  
7 finance division, which intimated the revenue  
8 allocations for 1983 to 1984 for the  
9 Common Services Agency:  
10 "I'm writing to request that additional provision is  
11 made to the agency for the purpose of ..."  
12 I'm not sure if it is "meeting the cost". I think  
13 it might be "meeting the cost":  
14 "... of developments in the Blood Transfusion  
15 Service arising from the recommendations of the  
16 Medicines Inspectorate. The specific costed proposals  
17 are set out in the annex to this letter from which you  
18 will note the total additional provision being requested  
19 is ..."  
20 And I can't actually make out the figures. It looks  
21 like it might be 400,000-odd?  
22 THE CHAIRMAN: 447,000.  
23 MS DUNLOP: All right, well ...  
24 A. Recurring.  
25 THE CHAIRMAN: And 165,000 non-recurring.

1 MS DUNLOP: Certainly from the hard copy. Anyway, we have  
2 the order of the figures:

3 "Proposals have been approved in principle by the  
4 management committee. I should be grateful if early  
5 confirmation of the level of approved funding could be  
6 given to enable the developments to be set in hand,  
7 although it's appreciated that the department will wish  
8 to give further consideration to certain of the  
9 proposals, including their eligibility for funding from  
10 the source requested. I'm copying this letter to  
11 Robertson."

12 So that's the chap in the finance division. That's  
13 6 June.

14 Professor Cash, I couldn't possibly describe this as  
15 a question because it's a long narrative but there will  
16 be a question at the end.

17 The next letter is from you, [\[SNB0111207\]](#).

18 Actually, I'm sorry to jump about but before we look  
19 at 1207, I wanted to look back at Professor Cash's  
20 letter again, [\[SNB0073708\]](#). It looks, really, from that  
21 letter as though what you were saying was that it had  
22 been suggested that the funding of heat treatment of  
23 Factor VIII was related to the recommendations of the  
24 Medicines Inspectorate and that the deputy chief medical  
25 officer had not liked that suggestion?



1 A. That is correct.

2 Q. That does look to be what you are saying in your letter?

3 A. Yes.

4 Q. But what's slightly surprising about that then is the  
5 fact that the expenditure related to heat treatment  
6 features in the minutes of the meeting of 25 May with an  
7 asterisk; in other words, it was to be --

8 A. I completely agree and Graham was there.

9 Q. Yes.

10 A. I am afraid I can't give you much information but I'll  
11 do my best to answer the last question.

12 Q. Yes, I know. I think when you see the next letter it  
13 might help a bit. It's [\[SNB0111207\]](#). You are writing  
14 to Mr Wastle?

15 A. John, yes.

16 Q. Is that the correct pronunciation?

17 A. Yes.

18 Q. Yes. So he was within the SHHD and he would have, what,  
19 some responsibility for passing on the funding bid?

20 A. Yes, yes. He was part of what I used to call the  
21 "serious civil servants", the non-medical chaps, and he  
22 would liaise with the treasury and other senior civil  
23 servants, yes.

24 Q. You called them the "serious civil servants"?

25 A. Yes, I don't wish to say -- but medics, scientists in

1           general in government are really rather -- you must know  
2           this -- second-class citizens within the Civil Service.

3   Q.   Right.

4   A.   And you will find that Graham Scott and the chief  
5           medical officer defer to the secretary.

6   Q.   I see.

7   A.   And there were a number of occasions we had in our work  
8           in which the medics had to defer to the administrative  
9           folk and that's the way it has always been, I think.

10   Q.   Presumably, though, Professor Cash, it would have been  
11           a question of the nature of the topic.  If the topic  
12           related purely to a medical matter?

13   A.   But even there on occasions a non-medical civil servant  
14           may go elsewhere to get a medical opinion.  I mean, I  
15           don't understand it.  I think it's all about who is  
16           really responsible closely to ministers.

17   Q.   Well, be that as it may, when we look at your letter,  
18           you do record -- and this is against number 1 --  
19           considerable concern, which seems to have been expressed  
20           at that meeting of 25 May, as to whether all the items  
21           listed as related to the Medicines Inspectorate were  
22           a legitimate interpretation of the inspectorate's  
23           concern for good manufacturing practice.  That is  
24           abbreviated as "GMP" within the transfusion service.

25           You are writing this letter, you say, to brief

1 Mr Wastle and then you say that the subcommittee had  
2 also approved, in principle, certain proposals which  
3 were not Medicines Inspectorate-related. And the third  
4 paragraph, you say that there were several items of  
5 non-Medicines Inspectorate expenditure which were  
6 concerning you and one of those was the pilot stage of  
7 the heat treatment of Factor VIII. You say that:

8 "The relevance of this to the Medicines Inspectorate  
9 was hotly debated by the subcommittee."

10 Importantly, for our purposes, you say:

11 "Perhaps I should simply say that these collective  
12 proposals are designed to produce a Factor VIII product  
13 which is safer -- with respect to hepatitis and possibly  
14 AIDS."

15 So I don't know if this is jogging your memory,  
16 Professor Cash, but around this time were you trying to  
17 secure funding for particular projects by linking them  
18 to this pot of money that you had been told was  
19 available?

20 A. Yes, I can't honestly remember that. What is absolutely  
21 certain, I do recall that my good friend,  
22 Dr Graham Scott, took a view at the meeting that some of  
23 these things on the list were not related to  
24 Medicines Inspectorate and should be excluded. And I'm  
25 not aware of consciously fiddling and so on and so

1       forth. I was simply aware that the heat treatment  
2       programme was critically important.

3               The other one, which was the optimal additive  
4       solution, that provided us, with the OAS solutions, with  
5       the extra plasma we needed to allow Peter and his  
6       colleagues to do their tricks. But I'm not aware -- but  
7       I'm not aware of deliberately -- but -- and I actually  
8       haven't seen my submission -- I mean, it has appeared in  
9       the asterisk. That's the treasurer of the CSA with the  
10      asterisk. And I can't be sure that I put that in that  
11      list, I regret to say.

12   Q. Well, Professor Cash, "fiddling" is your word, not mine.

13   A. Yes.

14   Q. All I'm suggesting --

15   A. That's what Graham Scott --

16   Q. Well, all I'm suggesting is that for somebody in charge  
17      of a public body, who is trying to secure funding for  
18      a project they consider to be extremely important, it  
19      seems logical to try and access money which has been  
20      earmarked for that public body in some connection or  
21      another. So not necessarily fiddling, Professor Cash.

22   A. No, but I just make the point -- and we may get to this  
23      at another stage of the Inquiry. This was the period of  
24      time when the Scottish Home and Health Department  
25      officials -- and they were, in terms of writing,

1 medically qualified people -- reacted very strongly  
2 against the Medicines Inspectorate, what they were  
3 doing, what authority they had, what control and so on  
4 and so forth. And it was a very difficult period for  
5 everybody and I'm not -- I can't be sure, unless I see  
6 what I actually submitted, the document I submitted to  
7 the treasurer, whether I included it in this pot.

8 I take your point that, "There is some money, go and  
9 get it". I take your point and maybe I did, when we  
10 look at it. On the other hand, it may well be that  
11 people genuinely took the view -- and I would be with  
12 them -- that this was about safety of product and the  
13 medicines inspectors are about safety. It's operating  
14 within the Medicines Act and so on.

15 What I do recall vividly is Graham Scott implying --  
16 whatever word we use -- that I was trying to extract  
17 money under false pretences, you know, putting things  
18 in, you know -- into lists that aren't appropriate, and  
19 I honestly, without seeing what I actually did, wouldn't  
20 be able to comment on that. I take your point.

21 Q. I think we should just try and perhaps look at events  
22 over the ensuing months because it's perhaps important  
23 to separate out two points: one, is a proposal connected  
24 to the recommendations of the Medicines Inspectorate?  
25 And, two, even if it's not, should it be funded? These

1 are not necessarily connected.

2 A. Yes, indeed.

3 Q. So can we look at the end of this letter? You are  
4 actually asking for some flexibility. So you really  
5 wanted an instruction which advised the CSA to regard  
6 the Medicines Inspectorate items as a high priority but  
7 not an exclusive priority?

8 A. Yes, indeed.

9 Q. Right.

10 A. Indeed.

11 Q. Then a bit of a gap but if we look at the next letter in  
12 this chronology, [\[SNB0111251\]](#). This is the reply to the  
13 supposedly illegible letter. That is the one which  
14 Clive Wooller sent to Mr Murray on 6 June. This is  
15 Mr Wastle replying on 20 September 1983. He is  
16 apologising for not replying earlier. And recording  
17 that the department has had to consider whether there is  
18 a connection between some of the development proposals  
19 and the recommendations of the medicines inspector.  
20 They are willing to make available for the year 1983 to  
21 1984, £71,285 recurring expenditure and £30,000  
22 non-recurring. Then he goes on to deal with heat  
23 treatment. He says:

24 "The department does not accept that the heat  
25 treatment of Factor VIII arises from the recommendations

1 of the medicines inspector but it is prepared to  
2 consider this matter further."

3 The entry on page 3 of the annex to your letter  
4 seeks:

5 "£74,000 non-recurring for equipment and £13,400 for  
6 recurring revenue implications."

7 Then there is perhaps a bit of an accountancy point  
8 about -- the chairman will guide us on this -- whether  
9 the equipment costs should be a charge on capital. They  
10 possibly should.

11 THE CHAIRMAN: Yes. I'm just wondering whether you and the  
12 department are wholly out of tune with each other  
13 because they are applying the strict government  
14 accounting rules that only the purposes for which money  
15 is voted can receive the benefit of that money. And no  
16 doubt there would be a supplementary vote at the end of  
17 year to cover the Medicines Inspectorate. And the  
18 auditor general wouldn't be pleased, Dr Cash, if things  
19 weren't (a), allocated to the right head and (b),  
20 distinguished as to capital and revenue.

21 A. I have no problem with that, sir, they had a tough job.

22 MS DUNLOP: I think one of the things which is slightly  
23 surprising is the reference to this being pilot scale  
24 funding, because actually it's very close to the same  
25 level that is subsequently sought for the full-scale

1 project. But I think that may be just a terminological  
2 difference rather than anything different.

3 It does look as if what is being sought is funding  
4 for the heat treatment programme.

5 Then if we look at you again, writing back to  
6 Mr Wooller on this topic on 4 October, [\[SNB0037646\]](#). We  
7 are obviously missing a memo of 27 September but you  
8 write back and -- have you seen this letter recently?

9 A. No.

10 Q. No, right. I'll give you a minute --

11 A. Oh, maybe, yes.

12 Q. I thought it was perhaps one of the ones --

13 A. Yes.

14 Q. -- passed to you --

15 A. Rather late at night, I am afraid. They came through  
16 very, very recently. Yes.

17 Q. Yes. So there was a bit of detail about different items  
18 of expenditure?

19 A. I had been long out of the job.

20 Q. If we look at the second page, looking at the  
21 allocations made against a known £550,000 available but,  
22 I mean, I'm not sure about the reason for the  
23 discrepancy. We know that the pot was originally 650.  
24 It seems to have been. But you say you have:

25 "... reached a point where there is a major



1 difference of opinion between professional colleagues in  
2 SHHD and those at operational management level in the  
3 SNBTS with regard to their respective views on good  
4 manufacturing practice."

5 So there is obviously some debate going on?

6 A. At the very least.

7 Q. Yes. Perhaps rather understating it. But you certainly  
8 didn't want to hold up the implementation of the  
9 approved expenditure. You conclude by saying that:

10 "You may wish to draw the intention ..."

11 This is Mr Wooller:

12 "... may wish to draw the attention of SHHD  
13 colleagues to the fact there are several other items of  
14 importance to the operational management of SNBTS which  
15 have not been forwarded to SHHD because they were not  
16 considered to be related to the Medicines Inspectorate  
17 reports. These matters, I would submit, are now of  
18 relevance in view of the nature of the department's  
19 reaction to heat-treated Factor VIII."

20 I think what we should take from that paragraph is  
21 that you understood that it wasn't essential that  
22 suggested expenses be linked to the  
23 Medicines Inspectorate, that there was another avenue  
24 through which you could pass your bids?

25 A. Yes.

1 Q. Or along which you could pass your bids?

2 A. Yes. And I think this was the beginning of the problem  
3 I had in which I discovered that having spent a long  
4 time with the directors arguing the toss about the bids  
5 and so on, they didn't go on to the department, and  
6 I got very concerned that they stuck at the CSA -- just  
7 a matter of principle -- and that our departmental  
8 colleagues didn't have sight of some of the sort of  
9 things that were developing. I think that is the  
10 reference there.

11 Q. Right.

12 A. They were not forwarded to SHHD by the treasurer and ...

13 Q. Just to conclude this section of narrative, can we go to  
14 [\[SGH0019496\]](#), please?

15 This is the Blood Transfusion Service subcommittee  
16 meeting again, on 23 November 1983. I think in fact  
17 there was a meeting in between in August. Did it meet  
18 quarterly? Is that about right?

19 A. It did indeed.

20 Q. This seems to be another of these background papers,  
21 I think, if you look at it.

22 A. Yes.

23 Q. It specifically relates to the Medicines Inspectorate in  
24 the context of funding. I think it's paragraph 1 that's  
25 more important. It's reminding the subcommittee that

1           there is money available to meet the costs of  
2           development arising from the recommendations of the  
3           inspectorate and that that money would be made available  
4           when the department, SHHD, was advised that specific and  
5           costed proposals had been set in hand. Annex A gives  
6           details of the developments for which the department has  
7           agreed to made additional provision.

8           If we turn over the page, there is annex A. We can  
9           just see that at the top right-hand corner. But it's  
10          really the note at the bottom that I think is most  
11          interesting:

12          "Heat treatment of Factor VIII. While the  
13          department does not accept that this item arises from  
14          the recommendations of the Medicines inspectorate, it is  
15          prepared to consider this matter further on receipt of  
16          a new proposal and details of estimated expenditure  
17          requirements in 1983 to 1984 and subsequent years."

18          So it looks, Professor Cash, as though the position  
19          towards the end of 1983 was that, whatever suggestion  
20          had been made, this money should be made available for  
21          heat treatment because of the Medicines Inspectorate,  
22          that might not have worked but that you were being  
23          invited to put forward --

24          A. Yes, I think that was in John Wastle's letter actually.  
25          There had obviously been a mess-up and they finally came

1 back and said, "Look, for goodness sake, in terms of  
2 heat treatment, let's have a separate submission outside  
3 the Medicines Inspectorate and see where we go from  
4 there". That's my understanding, yes.

5 Q. Right. We do know that Dr Perry coordinated the  
6 preparation of a costing for the heat treatment  
7 programme and I don't think we need to look at it. In  
8 round terms it's about £90,000 and he sent it with  
9 a covering letter. If we look on to see what happened  
10 to that bid, firstly [\[SGF0011986\]](#).

11 This is a memo from Dr Bell, which we gather is all  
12 that survives of a particular finance file from SHHD.  
13 But it's advice from Dr Bell to Mr Murray and it  
14 concerns heat treatment, obviously, heat-treated  
15 Factor VIII. The CSA case for funding the production of  
16 heat-treated Factor VIII seems to have been based on  
17 a paper that they had put to the BTS subcommittee  
18 in February 1984. And the BTS subcommittee had approved  
19 it on 22 February. Have you seen this memo again  
20 recently?

21 A. Yes, I think it was probably one of those -- I'm just  
22 looking at it again. (Pause)

23 Q. Perhaps, Professor Cash, this memo does illustrate the  
24 respective territories of the medically qualified civil  
25 servants and the non-medically qualified civil servants,

1 because Dr Bell says at the end:

2 "It is not for me to say how this development should  
3 be financed but I can say that it is a genuine  
4 technological advance and a failure to bring it about  
5 would be very difficult to defend publicly."

6 Actually we can see some of the reasoning. What  
7 Dr Bell describes as the "policy case". He gives  
8 a little bit of factual information about the situation  
9 concerning non-A non-B hepatitis. He goes on to  
10 highlight the fact that the commercial manufacturers are  
11 beginning to produce heat-treated products.

12 A. That's right.

13 Q. The potential threat to self-sufficiency really. So not  
14 that different from the view you yourself had been  
15 taking.

16 A. No, in the whole of this area, at this time, Bert Bell  
17 was one of the -- not strong supporters, he was  
18 a Department of Health man and he was immensely  
19 supportive, and you see, he attended every directors'  
20 meeting --

21 Q. Yes.

22 A. -- religiously, absolutely religiously, with his friend  
23 Bob.

24 Q. I'm sorry, I didn't hear that?

25 A. With his friend Bob Roberts, Mr Roberts. And he wasn't

1 necessarily involved in the discussion but was listening  
2 to them and after the meetings would often phone me for  
3 clarification and so on and so forth. Yes, it doesn't  
4 come as a surprise, this letter, at all to me.

5 THE CHAIRMAN: Bob Robertson was the serious civil servant,  
6 was he?

7 A. He was indeed, sir. He was the minder for Dr Bell.

8 MS DUNLOP: Right.

9 A. A very nice gentleman too.

10 Q. So Dr Bell very much in support, May 1984. Can we then  
11 look at [\[SGH0019972\]](#), please? Sorry, it is going back  
12 to time.

13 This is just so that we know that the proposal was  
14 approved at the Blood Transfusion Service subcommittee  
15 in February 1984. We have the minutes of that as well.

16 Can we just scroll through that, please? We can see  
17 the Medicines Inspectorate is still on the agenda but if  
18 we keep going, we will find the heat treatment  
19 reference:

20 "Heat-treated Factor VIII concentrate, item 2001."

21 If that's right. So that's the approval in February  
22 and we have an exchange of letters in the summer,  
23 showing the formal authorisation of the £90,000  
24 required. I don't think it's really necessary to go to  
25 them but just to give the references, to show that that

1 did happen in the summer, [\[SNB0074523\]](#) and [\[SNB0074527\]](#),  
2 please? So formal authorisation to the expenditure of  
3 a total of £90,000 on equipment will be issued to  
4 Dr Cash in the next few days. So August 1984, Clive  
5 Wooller is telling Dr Perry that the money is coming  
6 through.

7 THE CHAIRMAN: Can you give me the date of 4523?

8 MS DUNLOP: We can look at that too. I thought there was  
9 a problem with court book but there wasn't, it was my  
10 mistake. So [\[SNB0074523\]](#). Dr Perry has actually sent  
11 what I think is a reminder letter really. Dr Perry has  
12 sent to Mr Wooller a kind of reminder letter.

13 A. Then I think Clive Wooller's response is --

14 Q. Pretty swift. So that was a bit of a lengthy excursus  
15 but just to try to follow through, what happened about  
16 funding for the heat treatment programme, Dr Foster gave  
17 a one-line answer, which was that issues of funding  
18 didn't delay the heat treatment programme. But just so  
19 that we could check that out, we have now looked at the  
20 correspondence and the authorisation of the money.

21 Would you then share that view?

22 A. I would share it on no recollection or memory but my  
23 view is that Peter was so close to the -- if he is  
24 saying that, yes, I would instinctively share it and  
25 respect his view.

1 Q. Can we go back, please, to your statement. That's  
2 [\[PEN0121912\]](#) at 1922?

3 We come now to the departure of Mr Watt. I should  
4 say, I'm skipping over these questions where you say we  
5 should be asking Dr Foster. We have and we know about  
6 the contact with Professor Johnson over the 1983/1984  
7 period.

8 But coming to Mr Watt's departure, I think it might  
9 be useful for us to look at a letter written by him,  
10 [\[SNB0111214\]](#). You have plainly seen this letter before,  
11 Dr Cash. Have you seen it recently?

12 A. No.

13 Q. I think perhaps we should just take a moment so that we  
14 can read it. I am afraid we hadn't found it until quite  
15 recently. (Pause)

16 A. Is there a date on this?

17 Q. Yes, I'm sorry, I think it's 4 July 1983.

18 A. Okay, thank you.

19 Q. Look at page 2. Thank you.

20 When you first heard of his resignation,  
21 Professor Cash, was it a surprise?

22 A. A colossal surprise, yes. He walked into my room and  
23 said, "I'm leaving," and I laughed. I was surprised and  
24 very dismayed, yes.

25 Q. Right. You prepared some notes, I think. Can we look



1 at [\[SNB0111217\]](#)?

2 We can see that this document dates from August 1983  
3 and it's a "strictly confidential" document. But it  
4 does just seem to be your thoughts on the situation that  
5 now presented itself, with Mr Watt leaving.

6 A. I haven't read this for a very long time, I am afraid.

7 Q. Right. (Pause)

8 I don't think we want to go through all 11-pages of  
9 this, Professor Cash.

10 A. Excellent.

11 Q. But the document is there as a record of what looks to  
12 have been a profound effect that the news had had on  
13 you?

14 A. Absolutely.

15 Q. Yes, and a sense on your part of a lot of analysis and  
16 planning which needed to be done before a successor  
17 could be recruited. Really, in a nutshell, about the  
18 way forward from here.

19 A. Yes, if you had asked any people in this business,  
20 finding top directors of fractionation centres in the  
21 world is exceedingly difficult, and indeed, dear old  
22 Bob Perry, I had to twist his arm and do all sorts of  
23 things to get him to act up initially. Very reluctant.

24 So the loss of John Watt in terms of the total  
25 organisation was a very severe blow because we were at

1 a time in particular of great change, great strides  
2 forward, and the market didn't deliver lots of people  
3 that had the experience and they were able to have  
4 confidence, the people that were working under them.

5 So, yes, it was a very severe blow and I have to  
6 confess I did my very best to get him to change his  
7 mind.

8 Q. Right. I did actually notice, in preparing for today,  
9 Professor Cash, a document from around the time --  
10 I think it may even be early 1984 -- which records that  
11 Dr Perry will not be applying for the job. So it's  
12 something of a surprise to discover that it was Dr Perry  
13 who succeeded Mr Watt.

14 A. Yes.

15 Q. There must have been a bit of arm twisting, as you say.

16 A. I could bore everybody by giving you the details, but  
17 yes. A lot of lunches.

18 Q. There isn't anywhere specially close to  
19 Ellen's Glen Road for lunch, is there?

20 A. No, it was Costorphine.

21 Q. We do also have a letter -- I'm not going to go to it,  
22 but we have the letter that Mr Watt sent to

23 Professor Johnson telling him of the decision and  
24 describing it is "multifactorial" -- that's

25 [\[SNB0073794\]](#) -- that spawned the question that we put to

1           you.

2           So can we go back to the statement, please,  
3           [\[PEN0121912\]](#), that Mr Watt had said in his letter to  
4           Professor Johnson that his decision was multifactorial.  
5           There are plainly a lot of interpersonal issues involved  
6           here, Professor Cash, and our only purpose in looking at  
7           the issue is to try to analyse, if we can, whether it  
8           had any effect on the heat treatment programme. You  
9           gave the answer that you think it had a profound effect,  
10          Mr Watt's departure had a profound impact on the morale  
11          of PFC staff, but you have some doubt that it impacted  
12          adversely on the continued development of PFC's heat  
13          treatment programme.

14          Dr Foster doesn't really think it affected the heat  
15          treatment programme and I think, as you have said  
16          before, he should know. Is that right?

17        A. Yes, I have said the same thing, and the prime reason  
18          there was that Peter Foster, the solid rock, was still  
19          there, as far as that programme was concerned.

20        Q. You do say in the last sentence on that page that you  
21          have always believed that the departure of key PFC  
22          engineering staff to Mr Watt's consulting company proved  
23          in due course to be detrimental to PFC. Dr Foster told  
24          us that only two people left and that they were at  
25          senior technical level; they were section managers.

1 A. But one of them was a wizard in the engineering area and  
2 there is no doubt that that became a problem later on.

3 Q. Can we just go over the page, please? One of the issues  
4 which cropped up or became focused in the ensuing months  
5 seems to have been the question of line management for  
6 the director of PFC.

7 A. Yes.

8 Q. Right. In this connection can we have a look at  
9 a letter that you wrote on 5 January 1984. This is  
10 [\[SNB0111346\]](#). You mention this letter yourself.

11 A. Yes.

12 Q. This is you writing to Mr Mutch, the secretary of the  
13 Common Services Agency, and you are itemising various  
14 decisions which may be required. We certainly note  
15 there that there are some references to heat treatment.

16 Can we go over the page, please? I think by this  
17 point you had reached the view that the replacement for  
18 Mr Watt had to be directly responsible to you. That is  
19 what you wanted to happen, isn't it?

20 A. Yes, I did, I did, I did. I wasn't terribly worried  
21 about myself, I was more worried that one of John Watt's  
22 problems was his immediate superior was a charming chap  
23 called John Mutch, who was the secretary, and he was  
24 responsible to Mr Mutch. Mr Mutch, I don't think had an  
25 O level in biological science, so he was not

1 a scientist. He was a very charming man. And it became  
2 very evident to me, after John Watt left, that Mr Mutch  
3 was very unfamiliar with what was going on, and I could  
4 well understand that and appreciate it, and I became  
5 frankly alarmed that we were going to reappoint somebody  
6 who would hang there, not clearly responsible to  
7 somebody that could have an empathy, and so on and so  
8 forth.

9 So, yes, I reckoned that there needed to be a better  
10 management structure, to ensure the PFC director had the  
11 support he really needed.

12 Q. We did investigate this circumstance further,  
13 Professor Cash --

14 A. Yes.

15 Q. -- the proposition that there was a flaw in the line  
16 management arrangements for Mr Watt. Can we look,  
17 please, at [\[PEN0121742\]](#)? You can see the enquiry that  
18 was made in May of this year. We did ask in the  
19 first instance the Scottish Government for information  
20 on this but they suggested that we should go to the  
21 Central Legal Office in view of their connection to the  
22 Common Services Agency. And that's what this is, it's  
23 the response from the Common Services Agency, or on  
24 behalf of the Common Services Agency, as was.

25 We can see the two bullets. We asked:

1           "The underlying reasons as to why Mr Mutch was  
2           Mr Watt's line manager and whether Mr Mutch was an  
3           appropriate person to supervise Mr Watt. We understand  
4           in this respect that Mr Mutch may not have had  
5           a scientific background and would not necessarily have  
6           had an understanding of certain of the operational  
7           aspects of the PFC."

8           Then, if we look at the response, the response  
9           details the establishment of the CSA management  
10          committee and recommendations which were accepted by the  
11          CSA management committee, 1978, those being  
12          recommendations from an ad hoc committee on the  
13          management of the blood service.

14          I think the important one is, if we look at the  
15          passage over the page:

16          "There shall stand referred to the Blood Transfusion  
17          Service subcommittee the control of the establishment of  
18          staff within the Blood Transfusion Service and the  
19          appointment and dismissal of staff, with the exception  
20          of the National Medical Director ..."

21          That's you:

22          "... regional directors, other consultant medical  
23          staff and the scientific director of the Protein  
24          Fractionation Centre."

25          So it does look, Professor Cash, as though the line

1 of the responsibility went, not to Mr Mutch, but to the  
2 committee, doesn't it?

3 A. Well, it does there, yes, but -- I mean, that document  
4 clearly indicates this and you then have to say how are  
5 you responsible, in terms of line management, to  
6 a committee.

7 Q. So the committee is to be line managing you, the  
8 regional directors and Mr Watt, essentially?

9 A. I presume so, yes.

10 Q. Yes.

11 A. Even then I felt my position was anomalous in terms of  
12 people who I could report to that had an understanding  
13 and knowledge of what we were on about and that's where  
14 the medics in the Scottish Office, in my view, played,  
15 or certainly could have played, a very important role  
16 indeed.

17 But it's difficult and if you take -- I mean, a good  
18 example of the area in this morning is, for whatever  
19 reason -- and I can't remember what -- I got the wobbles  
20 about pasteurisation, as to whether it was going to be  
21 a runner, and the real question is John was heavily  
22 supportive (inaudible), so was Peter, and, as an  
23 organisation, we didn't have the management structure to  
24 seriously consider changing, you know, tack or  
25 considering that. It was seen, as far as John was

1 concerned -- and I respected him -- as a threat to his  
2 responsibility, and so his position, and that raised its  
3 own problems.

4 I mean, the management issue -- and I don't know  
5 whether you have got the documents that exist, in which  
6 I get a letter back, eventually, from Mr Mutch telling  
7 me that really -- because we are now in the position of  
8 appointing Bob Perry, or moving towards that -- if,  
9 I was told, Bob was to report to me, the salary that  
10 could be paid -- and if we read the document, the salary  
11 that could be paid would be lower than it had been  
12 hitherto, and (a) I felt that's dreadful, that's  
13 unacceptable -- but it really is managerially  
14 unacceptable. You should pay a guy what he is worth.  
15 However, I apologise.

16 THE CHAIRMAN: Not at all. I wonder if we could look at  
17 this in perhaps a technical way, as a management  
18 structure, Dr Cash. As you know, I have been concerned  
19 from time to time about the implications of autonomy as  
20 among the several directors of various branches of the  
21 service. If we look at paragraph 5 on page 2 of this  
22 document, can you help me to understand it? The control  
23 or establishment ... is to lie with one structure and  
24 then excepted are national medical director, each of the  
25 regional directors, other consultant medical staff and



1 the scientific director of PFC, all of whom appear to be  
2 answerable directly to a committee.

3 A. That's right.

4 THE CHAIRMAN: Is that the way it was intended to work?

5 A. I have no idea, sir.

6 THE CHAIRMAN: Is that the way it worked?

7 A. In 1974 a letter was written by the Scottish directors  
8 to say that the bringing in of the CSA and what we see  
9 will be very bad news indeed. So they foresaw this, and  
10 it was in 1974 this was created.

11 THE CHAIRMAN: I think you know that I have seen that letter  
12 but in terms of strict managerial structures, this  
13 appears, on one view perhaps, almost to be the  
14 antithesis of a management structure.

15 A. Indeed.

16 THE CHAIRMAN: In respect that it's a series of individual  
17 cords with no interconnection at all.

18 A. Yes. I should add, Professor James, in 1974 also came  
19 out the edict that all consultants in the NHS are equal  
20 and the notion of having a chief in a ward is to be  
21 abandoned, and there is no doubt whatsoever that  
22 created prob -- that all the consultants in the SNBTS,  
23 including the directors, were on an equal footing  
24 managerially, and from a management point of view it  
25 didn't make any sense at all. I tried.

1 MS DUNLOP: Can we go back and perhaps turn to a different  
2 topic? Go back to your statement, [\[PEN0121912\]](#) at  
3 page 1923. We went on to ask you about what was  
4 happening in England. There was more attention,  
5 apparently, being paid to dry heat treatment.

6 A. Sorry, where are we?

7 Q. We are just at the very bottom of the page.

8 A. Good. Thank you very much.

9 Q. Yes. So we recorded a finding on our part of a paper  
10 from the Central Blood Laboratories Authority on heat  
11 treatment, that they thought pasteurisation was more  
12 homogeneous and efficient and, to satisfy reliability in  
13 manufacture, was to be preferred. So it looked to us as  
14 though there was a sense in England of dry heat  
15 treatment being the second choice technically but,  
16 because of the pressure in haemophilia care, it was the  
17 one that had to be pursued.

18 Just again to tie off another loose end, you found  
19 it difficult, you said, to answer the question because  
20 you didn't have Dr Gunson's letter of 26 June -- it's  
21 actually 29 June -- to which Dr Walford's letter is  
22 a reply. Well, here it is, [\[DHF0014561\]](#).

23 If nothing else, this letter, which is from  
24 Dr Gunson to Dr Walford -- we know that. But, if  
25 nothing else, this letter shows us how much uncertainty

1           there was about heat treatment, and AIDS in particular,  
2           in the summer of 1983. The part of relevance is in the  
3           second paragraph. He says:

4           "I was told last week, (I think by [redacted] ... "

5           I don't know but somebody:

6           "... but so many people have spoken to me about AIDS  
7           recently, I can't be sure!) ... "

8           So, obviously, there were a lot of things going on  
9           in the summer of 1983:

10          "... that some of the chimpanzees had developed  
11          hepatitis ... "

12          So this was back to Travenol and their trial of  
13          Hemofil. Also concerns about cost, and then a reference  
14          to the meeting of the Committee on the Safety of  
15          Medicines on 13 July. It's actually the biological  
16          subcommittee. Anyway.

17          So I think it was our suggestion that the reference  
18          to dry heat treatment not being encouraging was based on  
19          news about the chimpanzees developing hepatitis. That's  
20          simply speculation, Professor Cash, but certainly it  
21          seems that that news was around at the time, and you  
22          went on to talk slightly more generally about attitudes  
23          to plasma products in the summer of 1983.

24          Can we go back to the statement, please, at 1924?  
25          You thought it was interesting that Dr Walford was

1 suggesting that the introduction of clinical trials may  
2 need to be considered to prevent what she describes as  
3 unjustifiable demands by clinicians.

4 I suppose we should really look at Dr Walford's  
5 letter. We looked at it several times before but let's  
6 just look at it again. I'm sorry, it's not on my list.  
7 [\[DHF0025668\]](#). She knows about the chimpanzees as well.

8 A. Yes. It's the last sentence in paragraph 2, I think.

9 Q. Yes. The sentence immediately before it is interesting  
10 too, though:

11 "The possible cost implications of the introduction  
12 of heat-treated Factor VIII into this country will not  
13 be material to the committee's deliberations, which one  
14 would expect to be confined to the matters relating to  
15 the quality, safety and efficacy of heat-treated  
16 Factor VIII and other coagulation concentrates."

17 She is not expecting to be at the meeting on  
18 13 July.

19 Just one other factual matter, Professor Cash. You  
20 said in your statement that we should note that  
21 Dr Walford was a member of the Committee on the Safety  
22 of Medicines. With respect, I don't think that's quite  
23 right. Can we have a look, please, at [\[MIS0010291\]](#)?

24 This is a partially de-redacted set of minutes of the  
25 meeting held on 13 July 1983 and I think that the

1 members are the people listed on the left. This is in  
2 fact the subcommittee on biological products, but it was  
3 the subcommittee on biological products which dealt with  
4 coagulation factor concentrate.

5 So we can see the members there, including Dr Lane  
6 and Mr Watt, certainly outnumbered by the column on the  
7 right, who were also present, and then there are the  
8 attendees, I think, under Mr Watt's name. I think that  
9 probably tells us that these people were in attendance,  
10 and then on the right there are the people who were also  
11 present.

12 So would it not have been the format for something  
13 like this that there would be civil servants in  
14 attendance, not least to provide secretarial services  
15 and clerking services, and then there would also be  
16 invited guests, perhaps to speak on a particular topic  
17 that was on the agenda? That would be the sort of  
18 structure of a body like this, would it not?

19 A. I don't know this body. I know the Expert Advisory  
20 Group on AIDS and I don't think you could necessarily  
21 conclude in that way. First of all a column of this  
22 size you wouldn't need taking notes, I think, of the  
23 meeting. So the real question is: who were they and  
24 what were they doing? The notion that somebody,  
25 a senior civil servant, who is not technically a member

1 of a committee, in my experience didn't really  
2 necessarily mean that he or she could (sic) have a major  
3 influence on the agenda and the conduct of business and  
4 so on and so forth.

5 So I apologise if I have implied that Dr Walford was  
6 a member, but I was aware that she was in attendance,  
7 and if you look again at Harold Gunson's letter -- he is  
8 saying, "Are you going to be there?" -- there is a lot  
9 of cross fertilisation going on.

10 Q. Just to be completely clear about your position,  
11 Professor Cash, the thrust of what you were saying was  
12 that, just because a senior civil servant is not  
13 technically a member, it does not necessarily mean that  
14 he or she could not have a major influence on the  
15 agenda. There is a lot of "nots" in that but I think  
16 one of them might have been missed out in the  
17 transcript.

18 Your point is that, without even being a member,  
19 a senior civil servant could still influence the  
20 deliberations and the discussions?

21 A. Yes, sure, and I'm not uncomfortable with that, I think  
22 it just needs to be recognised. They are reporting to  
23 ministers after all.

24 THE CHAIRMAN: Ms Dunlop, do we have an equivalent list for  
25 the CSM itself, as distinct from the subcommittee?

1 MS DUNLOP: No, I don't think so, sir. This being the only  
2 meeting that we have really examined, the decisions  
3 about the factor concentrates appear to have been taken  
4 by the Subcommittee on Biological Products, which then  
5 provided its formal recommendations to the CSM.

6 THE CHAIRMAN: Yes, I think I understand that but, of  
7 course, Professor Cash's comment relates to the CSM.

8 The other thing I would like to ask Professor Cash  
9 is this: might it be that membership of the committee  
10 was rather more inhibiting in the exercise of power than  
11 merely attendance with a supervisory function outside of  
12 it?

13 A. It might.

14 THE CHAIRMAN: So perhaps not being a member makes the  
15 person even more powerful?

16 A. Indeed.

17 THE CHAIRMAN: Yes.

18 MS DUNLOP: We can certainly look into the membership of the  
19 CSM.

20 THE CHAIRMAN: Actually, does it matter terribly?

21 MS DUNLOP: Right.

22 THE CHAIRMAN: I think on any view we would be treating  
23 Diana Walford as a very important person, with  
24 a considerable amount of influence, and perhaps  
25 membership of the committee is not of primary

1 importance. I don't want to take up time doing things  
2 that aren't going to count, as it were.

3 MS DUNLOP: I think there can be -- and I'm as guilty of it  
4 as anyone else -- a bit of inexactitude in speaking  
5 about the CSM, and for our purposes I think what we  
6 really need to look at is the Subcommittee on Biological  
7 Products because that seems to be the decision-making  
8 body of relevance. I had thought that Professor Cash  
9 was suggesting that Dr Walford was a member of that. So  
10 that's really why we are looking --

11 A. No, I take the point. These committees were supposed to  
12 be totally independent of government -- they were  
13 supposed to be -- and therefore the notion that you  
14 would find a distinguished civil servant actually  
15 a member, in my experience, of any of the committees  
16 I served on wouldn't apply. They would be there,  
17 however, and, as I know, they would influence,  
18 particularly the chairman.

19 Q. Certainly, Professor Cash, we have, in block 2 actually,  
20 looked at a lot of paperwork to do with this particular  
21 meeting, and there is a sort of background paper, quite  
22 a lengthy background paper, which does seem to deal in  
23 advance with the issues which are going to be discussed  
24 at the meeting and even perhaps to head in the direction  
25 of suggesting some conclusions. So perhaps that chimes



1 with the wider point you are making?

2 A. Yes. When you come to look at HCV donation testing kit  
3 evaluation, you will see a repeat of that phenomenon:  
4 decisions being made within the Department of Health,  
5 and when it comes to the committee that's supposed to be  
6 responsible, we know from the documents the cat is out  
7 of the bag, it's all over.

8 So these members, as the chairman is actually  
9 implying, that you think have the authority, they don't.

10 THE CHAIRMAN: Well, perhaps those of us who have some  
11 experience of being provided, not just with an agenda,  
12 but with draft minutes for such a meeting might  
13 sympathise --

14 A. In advance.

15 THE CHAIRMAN: -- with that, with your point of view.

16 MS DUNLOP: I think, sir, that's an appropriate point at  
17 which to break.

18 (12.57 pm)

19 (The short adjournment)

20 (2.00 pm)

21 THE CHAIRMAN: Yes, Ms Dunlop?

22 MS DUNLOP: Thank you. Professor Cash, we are going to go  
23 back to your statement and just finish the last few  
24 pages of it. Could we then return to [\[PEN0121912\]](#) at  
25 page 1924.

1           In question 26 we asked about the trial -- I think  
2           it's actually the trial of batch 761 -- and we saw that  
3           batch mentioned in the correspondence as a batch that  
4           was ready for trial. The next part of the story on  
5           that, I think, is that it went out to Dr Forbes and  
6           Dr Ludlam.

7           Could we look first, please, at [\[SNB0015188\]](#)? This  
8           is the haemophilia and blood transfusion working group,  
9           which met on 14 November 1983. You were there and  
10          Dr Forbes, Dr Foster, Dr Ludlam, and we can see  
11          a heading there "Heat-treated Factor VIII concentrate".  
12          Both Dr Ludlam and Dr Forbes were asked to report on  
13          their clinical evaluation of the trial batch.

14          Dr Ludlam is reporting that he had used his supply  
15          to treat one patient on three occasions over a period of  
16          one to three weeks. The product seems to have given  
17          good results, but the patient experienced minor adverse  
18          reactions on each occasion and had become anxious:

19          "It was not clear whether or not the product was the  
20          only cause of his upset."

21          Dr Forbes had just received a supply of material  
22          actually. It's from a different batch. I'm wrong about  
23          saying it was the same batch. From a different batch  
24          and was about to put it to trial.

25          So we have that experience that Dr Ludlam is

1 reporting and that's November 1983. Can we look next,  
2 please, at [\[SNB0015311\]](#).

3 On the same topic, Dr Ludlam wrote to you on  
4 11 January 1984 and this is his letter. He says he is  
5 writing to let you know the outcome of infusing the  
6 heat-treated Factor VIII and this is batch 761. He  
7 describes the patient's response, the reaction that the  
8 patient experienced, that those reactions were  
9 significant and unacceptably adverse reactions, and you  
10 have marked that and written -- I think it says "Agreed,  
11 JDC," does it?

12 A. Yes, correct.

13 Q. In your question 26 we just asked about those two  
14 documents, firstly the minutes of the meeting  
15 in November and secondly the letter. Can we go back  
16 then to the statement, please? It was simply that we  
17 saw a bit of a discrepancy, and I see we have Dr Ludlam  
18 here and we will be able to ask him about it tomorrow.  
19 But it seemed to us that there was a little bit of  
20 a difference between the description at the meeting and  
21 the letter. The letter seems to describe a more serious  
22 problem than the report at the meeting. We really asked  
23 two things: whether there was an explanation for the  
24 apparent difference and whether the letter was written  
25 at your request?

1           You say in your answer that you do not think you  
2           asked Dr Ludlam to change his mind. I suppose implicit  
3           in that answer is that you see a bit of a discrepancy as  
4           well?

5   A. Oh, yes.

6   Q. Yes?

7   A. But I can't imagine how you thought I had written to  
8           Dr Ludlam saying, "Hey, could you just send another  
9           letter that kills the product". I couldn't see that.

10   Q. I suppose it might have been the case, Dr Cash, that you  
11           would just want Dr Ludlam to put the report in writing  
12           so that you could perhaps show a letter to somebody  
13           else.

14   A. No, but I didn't -- okay, I didn't in fact communicate  
15           in any way, and I interpreted the question you were  
16           asking as though somehow I was encouraging Chris to give  
17           a much worse picture and I do apologise. I wasn't and  
18           I don't recall asking him. I'm not sure, if I asked,  
19           Chris would respond. He is a man in his own right. He  
20           is the director of the haemophilia centre. He would do  
21           what he thought was right.

22   Q. So it wasn't, for example, part of putting together  
23           a case for funding or something like that?

24   A. No, I could have used the minute of the meeting, you  
25           know, in terms of a reaction.

1 Q. Let's move on.

2 Can we go to the next page, please? You refer to  
3 dry heat experiments, which took place at PFC at the end  
4 of 1983 and we have been told that actually  
5 Dr Cuthbertson was responsible for these or certainly  
6 involved in them, so we are proposing to ask  
7 Dr Cuthbertson about that.

8 A. Yes.

9 Q. Then there is a series of questions which you think  
10 should be directed to others or you don't recall.

11 29, we asked about the advent of hepatitis-reduced  
12 products in general, and then 30 is connected to funding  
13 and we have already looked at Dr Bell's minute.

14 Then 31, we mention the meeting in Cardiff  
15 in October 1984 and we have already referred to that as  
16 well and referred to one document which summarises what  
17 Dr Mannucci had said.

18 Then we make a reference to the plasma fractionation  
19 conference in Groningen attended by Dr Foster.

20 Just so that we are accurate about this, I think the  
21 question is probably not very well worded, but can we  
22 have a look at Dr Foster's report from Groningen,  
23 please? [\[SNB0086528\]](#). I don't think we are at odds,  
24 Professor Cash. Can we just go to the next page,  
25 please? Thank you.

1           We see that at the bottom of that page there is  
2           a report of a report on heat inactivation studies and  
3           Dr Foster has written "probably by Cutter". Over on to  
4           the next page and Dr Foster has told us that there is  
5           a mistake in the first temperature shown there. It  
6           should be "60 degrees wet heating (German method)" and  
7           then "68 degrees dry heating".

8           So it seems that the information imparted at that  
9           conference was in relation to dry heating at 68 degrees  
10          for one hour, which is shown as having a considerable  
11          effect. So that's the information with which Dr Foster  
12          returns from Groningen.

13          Then the other information is from the Mannucci  
14          paper, or the notes of the Mannucci talk, which perhaps  
15          we should just look at again actually. That's  
16          [\[SNB0049164\]](#). If we could look at that, please.

17          This is the Mannucci Hemofil trial. Can we just  
18          scroll through it, please and on to the next page:

19          "He [that's Mannucci] also commented that as far as  
20          the AIDS antibody is concerned, using LAV antibody  
21          tests, there is apparently no seroconversion of any  
22          patient after one year."

23          So I think all that we were trying to focus on in  
24          the question is that these strands of information were  
25          emerging towards the end of 1984. You thought that we

1           were reading the documents differently. Can we go back  
2           to the statement, please. I don't think we were.

3           You explain that:

4           "The importance to SNBTS of the Groningen  
5           information was that the sensitivity of HIV to heat was  
6           confirmed and the type of product and heat treatment  
7           given by Cutter was very similar to ours and there did  
8           not appear to be any immediate adverse clinical  
9           reactions.

10        A. I think there are two hugely important things and one  
11        I'm sure you will be looking at later is the data on HIV  
12        in terms of the kill, in terms of heat treatment, was in  
13        vitro after spiking. In other words, they weren't  
14        heat-treating it and banging it into patients and saying  
15        it was all right.

16                It's in vitro technology, and as you will see to  
17        come, there was a major problem we had in introducing  
18        that fundamental technical knowledge here in Scotland.  
19        The second thing that's missing is closest to my heart.  
20        I was very impressed, like Peter and Bruce Cuthbertson,  
21        with the spiking in vitro. What really impressed me,  
22        because I knew when it happened I would have to face --  
23        what really impressed me was that the patients who  
24        reported didn't drop off the needle. In other words,  
25        there was a product -- as I recall it was Cutter -- that

1 was very similar to ours, dry-heated, that actually  
2 patients had no reactions and there was -- and that for  
3 me -- and it will emerge later -- was the most important  
4 thing of all.

5 We came to a conclusion: therefore, our product is  
6 safe.

7 Q. Right. I can understand the second point you make,  
8 Professor Cash, that that would be very reassuring but  
9 I think we might need a bit of help with the first  
10 point, that there was a major problem, you say, in  
11 introducing that fundamental technical knowledge here in  
12 Scotland. Can you elaborate on that a little bit,  
13 please?

14 A. If I may, but I will be guided by you, this emerges in  
15 another witness statement with the full list of  
16 references. It was a problem with the Scottish Home and  
17 Health Department and not simply of funding. They  
18 were -- we were doing spiking studies. I think  
19 Bruce Cuthbertson, who ran the show from about late  
20 82/83 -- but we were using what we called "duff  
21 viruses", you know?

22 Q. Yes, Mumps being one of them, I remember that.

23 A. It doesn't matter --

24 Q. Yes.

25 A. Then we came -- as we approached in 84/85, we wanted to



1 put actually HIV, which is what these people did and we  
2 ran into serious problems and --

3 Q. Right.

4 A. In brief the Scottish Office chaps said it is not safe  
5 to introduce HIV into PFC and do these spiking  
6 experiments. We took the view, it's coming in the back  
7 door in terms of plasma every day. There was a major --  
8 another major problem and you will not miss it. It  
9 appears in another witness statement with lots of  
10 references.

11 Q. Right. Is this into 1985?

12 A. Yes.

13 Q. That episode, right.

14 A. We didn't resolve that, I think, until late 86/87.

15 Q. I see. Then we went on to refer, in paragraph 32 and  
16 thereafter, to the infections in Edinburgh and you make  
17 some brief responses there --

18 A. Yes, I can't remember.

19 Q. -- but I think don't have anything particular to  
20 contribute. Thank you.

21 Then can we look at question 36, please? This was  
22 our final question.

23 We asked about the possibility of moving to dry  
24 heat-treated product at the beginning of 1984 instead of  
25 at the end and you have suggested that it would be more

1           productive to invite Drs Perry and Foster to respond to  
2           this question. We have, but you have given some  
3           thoughts. You point out that the 12-month period  
4           between dry heating experiments in 1983 and the  
5           introduction of dry heat-treated product in 1984 is  
6           quite short, and indeed we have looked at a table in  
7           Dr Foster's paper showing how swiftly Scotland was able  
8           to move to wholesale production of heat-treated product.

9           Then you say, in your second paragraph, that the  
10          batch was processed in the first week of November 1983,  
11          almost certainly before the first experimental  
12          dry-heated batch:

13          "It follows that if my recollection is correct, your  
14          proposition is a non-starter."

15          I think what we were really not spelling out --  
16          perhaps we should -- but we were imagining that all the  
17          same events as happened in December 1984 had just  
18          happened earlier and that would have had to have  
19          included recall of product as well.

20    A. Can I say -- and it is -- if we hadn't gone to Groningen  
21          and listened with our own ears, we might not have been  
22          issuing our heat-treated stuff for many months after.  
23          It was that crucial meeting and talking -- for Peter and  
24          the guys to be talking with the scientists involved. We  
25          reached a point, I think, in September 1983, before

1           that, between November -- I beg your  
2           pardon, September 1984. Before that period we were into  
3           all sorts of hassles with Dr Joan Dawes saying, "I think  
4           I can see damaged neoantigens", and there was a real  
5           problem of the technology here and I was chairing all  
6           these meetings and we were just terrified that we might  
7           do something damaging.

8                        So the one year was remarkably short. It would have  
9           been actually in my view -- I don't know what  
10          Peter Foster said -- it would have been much longer if  
11          we hadn't gone to the Netherlands.

12    Q.    Right. Then in 36.13 you record some more  
13          recollections, I think, from that period. The same  
14          point really, that there was great concern among the  
15          clinicians that any form of heating might be associated  
16          with protein denaturation.

17    A.    I don't know whether Peter -- there were people writing  
18          in the Lancet and BMJ:

19                        "Under no circumstances give this stuff to these  
20          patients."

21    Q.    And we know that --

22    A.    As the poor old national medical director of the  
23          Scottish service this was -- and one of the authors, as  
24          I recall, was an ex- Edinburgh immunologist, a great  
25          chap.

1 Q. This is the letter by Bird and others that was in the  
2 Lancet in January?

3 A. Yes.

4 Q. Yes. Before that even, we have a handwritten letter  
5 from Dr Hann at Yorkhill, protesting --

6 A. The UK haemophilia directors, there are guys getting up  
7 there, saying, "This stuff is dangerous, do not use it".  
8 I mean, it was a pretty heated and, I think, we owe  
9 a lot not only to Groningen but to Professor Ludlam, and  
10 some of these guys who were prepared to do it.

11 Q. Do you remember that time, November/December 1984, quite  
12 clearly?

13 A. Yes, I do actually.

14 Q. Yes.

15 A. At least the panic and alarm and the sweat and the  
16 terror and the loneliness of it, when the boys came in  
17 and said, "John, we think we should do this and this and  
18 this", and they are all looking at me. It is up to you,  
19 you are the medical director, to press the button. And  
20 there were two problems: were we going to accept the  
21 Groningen view that it was okay, our product was going  
22 to be okay? Point 1. The second was, which I think  
23 would be refused now: what's the legal position of  
24 pulling that product that has already been issued and  
25 heating it? And I can tell you, some weeks ago I took

1 back some excess heparin to the pharmacy, my local  
2 pharmacy, and they said, "Bin it. We are not permitted  
3 to take back --" once it has been issued, you cannot  
4 know that it has been kept safely. We took that risk.  
5 And I can only say, in my view we were very lucky.

6 Q. I didn't understand it to be the case that product that  
7 was recalled from patients was reheated and reissued.

8 A. It wasn't the patients, it was in the Edinburgh centre  
9 or the haemophilia centre.

10 Q. Right.

11 A. It was out, in other words, from our ken.

12 Q. You say in your answer that you found yourselves alone  
13 without active support from SHHD or the MCA. I wondered  
14 what you would have had them do?

15 A. I would have had them do what the chap called  
16 Dr Duncan Thomas, in NIBSC, did.

17 I asked Bob to phone Duncan. He was a good friend  
18 of the service. I knew him from my own research very  
19 well. He was the senior director of the coagulation  
20 section in NIBSC and I asked Bob Perry, "Will you give  
21 Duncan a ring and just chat over the whole thing". And  
22 what we were looking for -- Duncan kept saying it, "This  
23 is not official but in my professional opinion, Bob,  
24 it's okay". And he had no formal legal role in there.  
25 He was just giving us some moral support, and I had

1           hoped to get it and I understood the problems around  
2           medics and the Scottish Office.

3           I phoned Bert to see whether -- he said, "I hear  
4           what you say, yes, off the record", but he rightly  
5           wasn't going to comment and made it very clear.

6           Similarly, we felt -- and it may be quite wrong --  
7           that because we were in Crown immunity, it had been  
8           signalled very clear to us that our contact with the  
9           Medicines Control Agency, ie the inspectors, was not to  
10          be direct. It was to go through the CSA and, you know,  
11          Bob and his colleagues wanted a decision, like,  
12          yesterday to get on -- this was in December whatever it  
13          was, just before Christmas.

14          There was a complication, I remember, that PFC was  
15          shutting down some time early in 1985 and we were really  
16          boxed into a tight situation. So all I said was I felt  
17          a bit lonely and exposed. I didn't, stupidly, phone up  
18          my medical defence people.

19    Q.    Sir, before I conclude my questioning of Professor Cash,  
20          there is something I would like to go and look at. I'm  
21          sorry, therefore, that I will need to ask for a short  
22          break, if that's possible. We are certainly well ahead  
23          in terms of time. So if I can perhaps go and look  
24          something up?

25    THE CHAIRMAN: I don't think I should make it conditional on



1 go a little bit further down. You are saying:

2 "SHHD announced that the CSA/SNBTS would now operate  
3 under Crown immunity and thus outside the regulatory  
4 control of the Medicines Act 1968."

5 Although I think the product licences continued. Is  
6 that right?

7 A. No, the product licensing all lapsed but Bob Perry and  
8 his team decided as far as PFC was concerned, they would  
9 make an application for product licences for the new  
10 products as they came along. The issue arose, which  
11 I think is a little clearer now: how on earth can you  
12 have a product licence if you have not got  
13 a manufacturing licence? And I think that situation is  
14 not very healthy.

15 Q. Well, we do have information that NY was given a product  
16 licence in September 1978 for five years, and that that  
17 was renewed in September 1983 for a period of five  
18 years. And DEFIX, similarly, there was an application  
19 for a product licence for DEFIX in October 1978, and  
20 that was granted in July 1979 for a period of five years  
21 but that one was released under Crown immunity in the  
22 period between 1984 and 1989. So a slightly mixed  
23 picture with the Factor VIII.

24 A. But they actually lapsed, and if you take -- I mean, the  
25 leader, as far as I was concerned, was IVIGG, in which



1 Bruce Cuthbertson and his team did a huge amount of work  
2 to obtain a product licence in the same manner as the  
3 pharmaceutical industry would do. And I vividly  
4 remember a lorry coming to pick up the paperwork to go  
5 down to London for this. It was huge. And I think in  
6 one of the statements I have made, the people in  
7 medicines control area told Bob one day that all the PFC  
8 product licences were stored in a shoe box. I think  
9 I put this in one of my statements.

10 The second thing, in actual fact their validity --  
11 it was an excellent product. Their validity, we  
12 presumed legally, without a manufacturing licence, was  
13 in some doubt.

14 That's the only point I'm making here.

15 Q. I see. Can we look at section 2 of this response then,  
16 please? You say that particularly then, at that time  
17 in December 1984, there were a number of concerns about  
18 the heat-treated product which you were about to issue.

19 A. Yes.

20 Q. I think perhaps the key paragraph is 2.02. You say:

21 "Despite a request for SHHD support (through  
22 Dr AE Bell, SHHD), the responsibility to permit the  
23 release of the first PFC heat-treated Factor VIII was  
24 not shared by SHHD or CSA officials, notably the chief  
25 pharmacist and/or the medical officer with

1           responsibilities for regulatory matters, but it was  
2           shared by clinical colleagues and, through Dr Perry,  
3           informal support was obtained from a senior NIBSC staff  
4           member."  
5    A.   Dr Thomas.  
6    Q.   I see.  Is that Howard Thomas?  
7    A.   No, Duncan.  
8    Q.   Duncan Thomas, right, thank you.  
9    A.   Howard is a professor.  
10   Q.   I just momentarily wondered if he had had some spell at  
11        NIBSC.  Anyway, I think perhaps again, Professor Cash,  
12        when you say that about looking for SHHD support and it  
13        not being shared, the responsibility not being shared by  
14        SHHD or CSA officials, what did you have in mind?  
15   A.   I think you asked that question before our break.  
16   Q.   I did, yes.  
17   A.   And I would say much the same thing, that I would have  
18        liked what we got from Duncan Thomas, the NIBSC man,  
19        that he couldn't speak officially but as a professional  
20        he had listened to the data of Bob and his team, and  
21        said in his personal view he thought it was okay.  And  
22        I was looking for more of that from the wider group in  
23        the management team, the corporate management team,  
24        which included the Scottish Office.  
25   Q.   Right.  You go on to say, in 2.04, that you even had to

1 fight for money to send Dr Foster to Groningen in the  
2 first place.

3 A. Yes, it's true. I mean -- I won't go into that. That  
4 really was an awful episode for the blood transfusion  
5 subcommittee to see, and we were rescued by the  
6 Undersecretary letter.

7 Q. Right. As it turned out, Dr Foster did get to  
8 Groningen.

9 A. And two others.

10 Q. Yes. And plainly that was a key conference?

11 A. Absolutely.

12 Q. So on that, happily, the right thing happened and  
13 insofar as the much bigger question of potential  
14 liability for these products is concerned, again  
15 everything appears to have turned out better than you  
16 had feared in that there actually wasn't a comeback  
17 against you for any issue of these products?

18 A. Thus far.

19 Q. Right. Thank you very much, Professor Cash.

20 MR DI ROLLO: I have no questions.

21 THE CHAIRMAN: No.

22 MR ANDERSON: Sir, for my part I have no questions for  
23 Professor Cash arising out of the question of counsel  
24 for the Inquiry, but I understand that my learned friend  
25 Mr Johnston may have certain questions which may

1           involve, or may not, putting to him a couple of lengthy  
2           documents which were produced this morning.

3           I wonder in those circumstances, if it might not be  
4           more sensible for Mr Johnston to go first and then I can  
5           ask such questions as I think are either necessary or  
6           suitable thereafter.

7   THE CHAIRMAN:   Yes.

8                               Questions by MR JOHNSTON

9   THE CHAIRMAN:   Are you going to be the proponent on this  
10           occasion, Mr Johnston?

11   MR JOHNSTON:   I'm quite happy to be.

12   THE CHAIRMAN:   I think rather than try to make Mr Anderson  
13           anticipate what you are going to ask, it would be better  
14           to hear from you first.

15   MR JOHNSTON:   Thank you, sir.

16           Professor Cash, I just have a few questions, the  
17           first of them arises out of the supplementary statement  
18           you have just been looking at, which you may want to  
19           have before you again.  It's [\[PEN0121909\]](#).  It's in  
20           relation to a paragraph you haven't been asked about,  
21           paragraph 1.03, where you explain that the directors  
22           sought clarification on who had the legal duty of care  
23           with regard to the safety of products and so forth.

24           Then you explain that this opinion was described by  
25           the CSA as preliminary and informal and confirmation was

1 promised and you say, to the best of your knowledge no  
2 CLO follow-up ever materialised.

3 What I wanted to ask you about was another document,  
4 which is [\[SGH0018906\]](#). You should have there the report  
5 of the Blood Transfusion Service subcommittee  
6 in February 1982.

7 A. Yes.

8 Q. Have you seen this recently?

9 A. Yes, I have.

10 Q. If we just glance at it for a moment, you will see that  
11 in the first paragraph it said that it was agreed that  
12 steps should be taken to clarify the legal position of  
13 the scientific director at the PFC. And then number 2:

14 "Subsequently the views of the legal adviser were  
15 sought and he advised that the legal opinion is that  
16 health authorities in Scotland enjoy Crown exemption  
17 ..."

18 And so forth.

19 Then there is a reference later on in that paragraph  
20 to a circular, and then just reading on down  
21 paragraph 3:

22 "There is no doubt that the licence holder in  
23 respect of the licences which are held is the management  
24 committee of CSA. Another part played by the scientific  
25 director is that he has been designated in the licence

1 as the person who, on behalf of the management  
2 committee, is responsible. The legal adviser goes on to  
3 say that the primary responsibility is that of the  
4 management committee as licence holder."

5 Then just moving to the next sentence:

6 "On this basis, the legal adviser thinks it's  
7 inconceivable that the scientific director would face  
8 any prosecution under the Act for carrying out these  
9 duties assigned to him in a reasonable and competent  
10 manner."

11 And so forth. Then finally:

12 "This opinion has been discussed at a meeting  
13 attended by the Convenor, the National Medical Director,  
14 the Scientific Director ..."

15 And so forth:

16 "... when it was concluded that the assurances given  
17 by the legal advisers were satisfactory."

18 I just wondered if in light of that document, do you  
19 wish to qualify what you put in your supplementary  
20 statement to the effect that you never did get adequate  
21 legal advice?

22 A. Well, no, is the answer. I'll explain why.

23 First of all, I confirm when we got the initial  
24 thing we said, "That seems okay", and as the weeks went  
25 by and we began to think about it, we, the team, began

1 to wobble about it and indeed, in due course we went  
2 back again, this time with not just the PFC director but  
3 the regional transfusion directors for the whole of the  
4 service, and there is plenty of bits of paper in the  
5 archives that confirm that.

6 The more we began to think about it -- and this  
7 became extremely important, not weeks later -- is that  
8 the management committee, as licence holder, which means  
9 manufacturing licence, is the legal point. If, in fact,  
10 the central government says to the management committee,  
11 "We are taking away -- you don't have to have  
12 a manufacturing licence, you are Crown immune," then  
13 what is the position? And I say this because that, we  
14 now know, was evident to the CSA as they were discussing  
15 this. It was evident to the department.

16 The real question is -- and I'm not a lawyer, sir,  
17 as you well know -- that if, in fact, the government  
18 decides it is the management committee as licence holder  
19 that is responsible, our view eventually, within weeks  
20 of this -- well, if there was no licence, you are not  
21 a licence holder, then who is actually responsible?  
22 Forgive me but that's very simple medics stuff about  
23 law, for which I apologise.

24 Q. Thank for that.

25 A. So having been content -- "Okay, that looks okay" -- we

1 began to get the wobble, and then a big wobble  
2 come January 1983, when we got a formal letter from the  
3 Scottish Office saying we are into Crown immunity,  
4 having been told, "No, no, no, you will comply fully  
5 with the Medicines Act," we were told this in 1975.

6 Q. I see. But I think, just looking at the paragraph  
7 I started with in your statement, where you said, to the  
8 best of my knowledge, no CLO follow-up on legal advice  
9 ever followed, on the face of that, that's incorrect,  
10 isn't it, because there was this follow-up that we have  
11 just looked at?

12 A. I would need to look at the -- I beg your pardon. An  
13 opinion was given and then there was, as I understand  
14 it -- it was such a long time ago -- there was a PS,  
15 "This is our preliminary view. We will come back to you  
16 later."

17 I may have mixed it up. I don't think so.

18 Q. Right.

19 A. And I apologise if I have.

20 Q. But I think we can see at the end of this document you  
21 have in front of you that you were at a meeting at which  
22 it was concluded that the assurances given were  
23 satisfactory.

24 A. Yes.

25 Q. That was the position at that time?



1 A. Yes.

2 Q. All right. I think we will leave that for the present,  
3 thank you.

4 One point I wanted to raise with you in your  
5 principal statement, which is [\[PEN0121912\]](#) on page 1923,  
6 this is the question where you were discussing the  
7 management of PFC.

8 A. Yes.

9 Q. The only point that I want to ask about is in 22.2,  
10 where you are suggesting that it's a failure by SHHD  
11 officials to address the issue that led to a number of  
12 avoidable management crises within PFC.

13 I think before lunch you saw the document that  
14 explained the lines of management for PFC and various  
15 others including yourself. I just wonder, against that  
16 background, what is it that you were expecting SHHD  
17 officials to do?

18 A. Oh, I was expecting them to use the management structure  
19 that worked.

20 Q. Well, I think we have seen that the PFC was within the  
21 CSA, so was it not properly an issue that you should  
22 take up in the first instance there?

23 A. Oh, I did, okay? I did.

24 Q. You did?

25 A. And they passed it on to the department.

1 Q. What did you actually ask? Are these specific requests  
2 for anything or just general --

3 A. I think you have seen the document. I wrote to  
4 Mr Mutch, the secretary of the CSA, because we began to  
5 think about it --

6 Q. I see. So that's --

7 A. Yes, and saying, "Look, we need to get a decent line  
8 management structure, if we can do that." And I'm quite  
9 certain there are documents in which Mr Mutch touched  
10 base with the chaps in the department and then came back  
11 to us.

12 Q. All right. So that's the document we should have in  
13 mind when reading this paragraph?

14 A. Certainly, yes, indeed, sir.

15 Q. All right, thank you. There are just two other  
16 documents I want to touch on briefly. The first of them  
17 is [\[SGH0034925\]](#). Have you had a chance to look at this  
18 document recently?

19 A. About 1 o'clock this morning.

20 Q. I see, that's quite recently. I don't want to take you  
21 into the detail of this at all but we can see what you  
22 are concerned with is writing to the Scottish Home and  
23 Health Department, Dr Moir, and you are commenting on  
24 the Medicines Inspectorate activities and their impact  
25 on Blood Transfusion Services.

1 A. Could I come in and say that there was -- and this is  
2 a matter of record -- that in the first tranche of  
3 medicines inspectors and the first dummy runs into the  
4 regional transfusion centres, the Scottish Office  
5 colleagues took grave exception to what the medicines  
6 inspectors were up to.

7 We have not actually mentioned it in the prisons  
8 episode. We got a view that the medicines inspectors  
9 had no right to be making -- whether this is true or  
10 not -- no right to be interfering in that area. And the  
11 really contentious area for the medicines inspectors for  
12 our regional transfusion centres was the area of the  
13 quality of the plasma we were picking up from  
14 individuals, whether they were from prisons or whatever.

15 And our mates in the Scottish Office said they have  
16 no right to be there, and I huffed and puffed. And the  
17 man who communicated this to us was Boyd Moir,  
18 a first-class bloke.

19 And eventually -- I huffed and puffed and eventually  
20 Boyd wrote me a letter and said, "All right, John, can  
21 you actually provide me with just a draft of where you  
22 think the inspectors then should be interfacing with the  
23 whole picture in the regional centres." And this  
24 letter -- I just want to fill this in -- was a response  
25 to a request, and it wasn't in any way attempting to

1 say, "must" or "thou shalt". It was just, in fact,  
2 a list of areas of activities that I guessed from my  
3 experience and from our interface with the inspectors,  
4 were legitimate, okay, in the debate about what should  
5 be done. And ultimately this finished up with money, ie  
6 if you can't do that, then it put pressure on the  
7 department. So everybody's interest was appropriate.

8 And this was me simply saying as a professional, "If  
9 you want to know, I think they should be in that area  
10 and that area and that area". When I say "should be  
11 in", they don't take control of it. They are coming in  
12 and inspecting against specifications and saying "good"  
13 or "not so good" or "bad". That's all.

14 Q. I suppose the consequence of their inspecting and saying  
15 "not so good" is that they make a direction which will  
16 lead ultimately to money being provided by you?

17 A. Exactly. So Boyd Moir, whom I knew very well, very  
18 legitimate saying, "Well, look, let's look at the worst  
19 case scenario. Where do you think they should be  
20 because this is of huge interest to the treasury and  
21 goodness knows what". Absolutely right.

22 Q. So in essence is it fair to say your notion, as we see  
23 it set out in this five-page letter, is that the  
24 Medicines Inspectorate should have a pretty broad role  
25 to play, which would involve making recommendations in

1           many areas of interest to --

2    A.   Wherever I felt, and that's -- I should add that

3           historically -- this is very historical -- by 1988 all

4           this came to pass.

5    Q.   Right.

6    A.   Okay?  So it's a little bit boring in that sense.

7    Q.   Yes.

8    A.   But, yes, I simply said, "Look, from my professional

9           point of view, those are the areas".  And as I have said

10          before, medicines inspectors have no control like that.

11          They are there -- they first of all advise the CSM and

12          they come up with suggestions, they can close a centre

13          or -- if you are really -- you know -- I mean, really

14          bad.  But they are not controlling, they are actually --

15          and as we will see later in the Inquiry, the problem

16          these guys had, the medicines inspectors, they didn't

17          have a book, a little red book, to say, "Show me this

18          and I want to just see".  They knew nothing about blood

19          transfusion.  And as a consequence, in 1988 we began the

20          Red Book, which emerged, published in 1991.  So the

21          inspectors could now go around and audit the place.

22          That's all they are entitled to do.

23    Q.   I see, right.  But as I said before, the effect of an

24          audit by them is that you --

25    A.   No question.  And I understood very well that if the

1 people who are writing the rules upon which they -- in  
2 other words, the specifications on which they will  
3 inspect -- are the very guys in the regional centres, I  
4 could well understand people in the departments of  
5 health -- it wasn't just in Scotland because I went down  
6 to see Dr Hilary Pickles and talk about all this, and  
7 she said, "You are like turkeys, you lot, writing  
8 dossiers against Christmas". And she said, "We can't  
9 have, in the Department of Health, doctors,  
10 professionals --" they are actually technical scientific  
11 staff -- "writing prescriptions for more money. You are  
12 out of control." So I understood the problem.  
13 Eventually it was resolved.

14 Q. So in essence that makes the point I was trying to  
15 suggest to you. The advantage to you is the  
16 Medicines Inspectorate would give some legitimacy to the  
17 prescription you wrote to yourselves and that is  
18 probably why the department was less keen on this?

19 A. The advantage to me, as national director, I could sleep  
20 at night. To the Brian McClellands of this world,  
21 actually running a ship with a team down there, hugely  
22 important, every day.

23 Q. Okay. Could we just go to the last page of this letter,  
24 which is the fifth page? Skimming over the various  
25 points of detail, which you have suggested it would be

1 appropriate that might be covered by the  
2 Medicines Inspectorate, and then you enter into a  
3 section called "How do we cope?" Then you set out  
4 various problems as you see them. Just looking briefly  
5 at the last paragraph of the letter, you say you have  
6 just re-read it and you wonder whether it's a bit too  
7 hard, and you then make some points about management.  
8 Then you say tomorrow you will have the courtesy to  
9 convey your sincere thanks for the genuine efforts that  
10 colleagues are making. I don't suppose you remember  
11 whether you did do that the next day?

12 A. I don't remember, but what I can tell you for sure is  
13 that this man, Dr Boyd Moir in the Scottish Office,  
14 played a major role -- I'm not sure if he recognised it  
15 but he did -- in the creation of the red book and the  
16 specifications. He played a huge role. So I can  
17 imagine that the Scottish office might have been very  
18 distressed by this letter of mine, as you say, for the  
19 reasons of funding, but in actual fact I discovered that  
20 Boyd Moir completely agreed with me and in due course,  
21 about two years later, he saw the opportunity to me to  
22 get on to the NIBSC board and begin to influence and  
23 change the whole scene.

24 So he takes a lot of credit and he is a civil  
25 servant. They are not all baddies.

1 Q. Interesting.

2 Just one last point on this letter. If we go right  
3 to the bottom of that page. I don't know if you  
4 recognise the handwriting. We are assuming that it's  
5 Dr Bell's handwriting. I don't know if --

6 A. I honestly don't but I have seen other things from Bert  
7 and it looks like -- but I honestly do not know. It is  
8 certainly not mine, it's far too good.

9 Q. No, it doesn't look like yours. If I read out what  
10 I think it says, if you could just tell us whether you  
11 agree with it. It says:

12 "There is a case [is this what he is trying to say?]  
13 for widening the scope of authority and extending the  
14 timetable to ensure priorities more rationally but as it  
15 is, the medicines inspectors have to operate the  
16 existing statutes within timescales. SHHD has no  
17 practical alternative but to order priorities by the  
18 existing rules."

19 Can you understand that as a sensible response by  
20 Dr Bell to the points you make?

21 A. Only that I don't know what the existing rules are.

22 Q. Well, the existing rules will be those set out in the  
23 legislation?

24 A. Yes, well, that's the legislation of what Act?

25 Q. The Medicines Act is the one that you have been



1 referring to --

2 A. Irrelevant to us, isn't it?

3 Q. -- throughout your letter?

4 A. Irrelevant to us. We are in Crown immunity.

5 Q. Do you accept that final sentence, that in practice all  
6 the department can do is order priorities by the  
7 existing rules; if the priorities are to be changed,  
8 then the rules will need to be changed?

9 A. Yes, (inaudible) I think.

10 Q. One last document then, which is [\[SGH0034922\]](#). Again,  
11 I should say I only want to look at a couple of points  
12 in this with you, if I may.

13 You have there a memo addressed to Dr Moir and it's  
14 written by Dr Bell, as we will see at the end. You see  
15 at the beginning, it says:

16 "Dr Cash has sent me a copy of his letter to you of  
17 1 June. I thought it might be helpful to me if not to  
18 you to record spontaneously some of my reactions."

19 We have, in the author's own words, a spontaneous  
20 setting out of the points that have occurred to him in  
21 reading through your proposals in relation to the  
22 Medicines Inspectorate. The only points I wanted to ask  
23 you about are on the last page, page 3, where, in the  
24 second last paragraph, he raises the question:

25 "What are the problems?"

1           And he suggests that the issues to be considered are  
2           being blown up into problems largely because of the  
3           attitudes of the SNBTS:

4           "No one would dispute the need to identify levels of  
5           appropriate priority but there are different approaches  
6           to this. Ours is to define closely those obligations  
7           which are inescapable because of their statutory force  
8           and which, because of that, can make legitimate claims  
9           for special financing."

10           I think one could read that as a reference, for  
11           example, to the funding provided in order to meet the  
12           upgrading suggested by the Medicines Inspectorate.

13           Would you agree with that?

14   A.   Yes, sure.

15   Q.   Dr Bell goes on to say:

16           "Personally I would not necessarily accept that some  
17           matters covered by the application of the Medicines Act  
18           need take precedence over other developments, such as  
19           the heat treatment of Factor VIII, which, in terms of  
20           public need, are possibly more urgent."

21           Would you agree with Dr Bell on that?

22   A.   Absolutely.

23   Q.   So is it fair to say that -- well, we saw this morning  
24           a great disagreement in funding in relation to the  
25           Medicines Inspectorate and then we saw that heat

1 treatment came to be treated separately. Ultimately,  
2 did you and Dr Bell differ much on the priorities that  
3 were important at the time that we are looking at?

4 A. I have a problem in responding. First of all I have  
5 read this document from top to bottom very carefully,  
6 although it was rather late at night, and you may be  
7 surprised to know, as I think I alluded to earlier, that  
8 Bert Bell -- if any of the directors were here today and  
9 had read this document, they wouldn't believe it. I can  
10 assure you of that. Bert Bell was highly regarded. He  
11 was very much one of the team, although he was in the  
12 Scottish Office. He was immensely supportive. He was  
13 an absolute rock in a very difficult period.

14 He is the only civil servant that I have worked with  
15 that, when he retired, we had a dinner, all of us  
16 together, to wish him well on his retirement, and that  
17 night Bert Bell said some really very nice things about  
18 us and I like to think we reciprocated.

19 You have raised just a sentence. If you look at the  
20 whole of this document, I actually must tell you I can't  
21 believe that Bert wrote it. I mean, it sounds silly.  
22 There are attitudes, there are accusations, there are  
23 silly things like -- they are just misinformation.

24 But, I mean, the attitude of hostility that comes  
25 out in this letter is extremely worrying and, I find,

1 very distressing, and for me -- and I'm being very  
2 specific -- it's one of the most important documents in  
3 this Inquiry I have seen so far because it reveals some  
4 fundamental problems that we all had. I have never had  
5 a problem -- and you have just alluded -- you said that  
6 we -- he says we blew it all up. I mean, we didn't.  
7 And indeed, as I have said to you, if I take you just  
8 four years later, everything that Bert is worrying  
9 about -- platelet concentrates versus penicillin, do you  
10 remember, in the first paragraph? He is wrong. And the  
11 one guy that knew that in the Scottish Office was  
12 Boyd Moir because Boyd worked with the NIBSC.

13 So we never had a problem with Bert. That's the  
14 awful thing. I have to tell you of that. And all my  
15 directors, if you mention Bert Bell, "Oh, those were the  
16 days." If you read this letter -- well, I can't believe  
17 it. So your question, did I have a major disagreement?  
18 No. Did he always deliver what I wanted? No, because  
19 he has a job to do.

20 Q. All right. I was trying to avoid going into the ins and  
21 outs of this memo but it seemed to us --

22 A. I think this document is --

23 Q. -- important for you to see it?

24 A. This document is sick.

25 Q. Would it not be fair to say you characterised the letter

1           we looked at a moment ago as a cri de coeur, where you  
2           were --

3    A.   Yes.

4    Q.   -- perhaps unburdening yourself of the issues that you  
5           were bothered about.  Could one not say the same of this  
6           from Dr Bell's perspective?

7    A.   It was, yes.  I would have to say that if this document  
8           had a different signature on, another medical person in  
9           the Scotch office, I would have said, "Yes, yes, that's  
10           what you would expect."  But not Bert.  He was a man of  
11           great integrity as far as I was concerned and I'm  
12           astonished that if he was really thinking these things,  
13           some of it didn't in fact, you know, trickle through to  
14           me in some way.  But it didn't.

15   Q.   But in fact it didn't?

16   A.   It honestly didn't.

17   Q.   All right, thank you very much, that's all I wanted to  
18           ask you.

19   THE CHAIRMAN:  Mr Anderson?

20   MR ANDERSON:  In the event, sir, I have no questions.

21   THE CHAIRMAN:  Do you have any follow-up?

22   MS DUNLOP:  I don't have any further questions, thank you,  
23           sir.

24   THE CHAIRMAN:  Professor, thank you very much.

25   A.   Thank you, sir.

1 THE CHAIRMAN: Are we seeing the professor again?  
2 MS DUNLOP: Yes.  
3 THE CHAIRMAN: So it's au revoir and not good bye.  
4 Yes, Ms Dunlop?  
5 MS DUNLOP: I have no further witnesses lined up for today,  
6 sir, so it's tomorrow morning with Professor Ludlam, and  
7 I should say I'm anticipating that that will be fairly  
8 brief as well.  
9 THE CHAIRMAN: Well, I might hope it would. You may have  
10 noticed that I'm not at my best and if I deteriorate  
11 further, I'll need a very short day.  
12 MS DUNLOP: We will aim to deliver on that, sir.

13 (3.11 pm)

14 (The Inquiry adjourned until 9.30 am the following day)

15

16

I N D E X

17

18 PROFESSOR JOHN CASH (continued) .....1

19 Questions by MS DUNLOP (continued) .....1

20 Questions by MR JOHNSTON .....116

21

22

23

24

25

