

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Wednesday, 9 March 2011

(9.30 am)

THE CHAIRMAN: Good morning.

MS DUNLOP: Sir, the first witness this morning is
Dr Myrtle Peterkin.

DR MYRTLE PETERKIN (sworn)

Questions by MS DUNLOP

MS DUNLOP: Good morning, Dr Peterkin.

A. Good morning.

Q. I need to begin by asking you some details about
yourself. You are retired now. Is that correct?

A. Yes, I am.

Q. Before you retired, what position did you occupy?

A. I was clinical services consultant at the Glasgow and
West of Scotland Blood Transfusion Service.

Q. And you are a haematologist by trade?

A. I am a haematologist, yes.

Q. When did you do your medical training?

A. I qualified as a medical doctor in 1974. My training
was done at the University of the West Indies in Jamaica
and I then came to the United Kingdom in 1978 to do my
postgraduate studies in haematology and was persuaded to
stay at the end of those studies.

Q. And did you work in haematology from then until
retirement?

1 A. Yes, I worked in haematology throughout my time having
2 graduated as a doctor. My time in Glasgow, first of
3 all, was spent at the Glasgow Royal Infirmary, where
4 I was a registrar in haematology and then I moved to the
5 West of Scotland Blood Transfusion Service in 1984.
6 Initially as a registrar and then in 1985 I was
7 appointed senior registrar at the West of Scotland Blood
8 Transfusion Service and in 1989 I was appointed
9 consultant with the service.

10 Q. Thank you.

11 A. You are welcome.

12 Q. In that role, I gather that you carried out some
13 investigations into blood transfusions given to
14 a Mr Victor Tamburrini. Is that correct?

15 A. I certainly did.

16 Q. I should ask you to have a look, if you could, first, at
17 [\[TAM0012463\]](#). Can you tell us what this is, please?

18 A. I wonder if I can make clear how the blood transfusion
19 service operates first of all.

20 Q. Yes.

21 A. The blood transfusion service here and throughout the
22 United Kingdom operates wholesale blood banking. Just
23 to explain that in a little detail. We supply to our
24 regional hospitals on a daily basis, sometimes more
25 often, units of blood to the hospital blood banks, so we

1 send out a bulk shipping, as it were, in response to
2 a request from the hospital blood bank. So, as we speak
3 at this moment, vans, refrigerated vans are going out to
4 hospitals around the country delivering anything up to
5 100 units of blood to these hospital blood banks.

6 The hospital blood banks then cross match specific
7 units of blood to patients who require blood and this,
8 that I'm looking at here, would be one such record of
9 blood that was transfused for this patient. So the
10 regional blood transfusion service really has no idea of
11 which units of blood sent out on a daily basis are
12 transfused to individual patients. It is only when we
13 come to do an investigation of this kind of nature that
14 the hospital blood bank, the consultant in charge,
15 notifies us which units were transfused to a specific
16 patient.

17 Q. Yes.

18 A. So I would not have seen this document. I would have
19 been told by Lorna McLintock, who was the SPR at the
20 Royal Infirmary at the time in 2001, that four units of
21 blood, which we had supplied from the West of Scotland
22 blood transfusion centre had been transfused to this
23 patient.

24 Q. Yes, but this document is in fact part of a trail that
25 you followed. Is that correct?

1 A. The unit numbers?

2 Q. Yes.

3 A. I would not have seen this document at all.

4 Q. Right. Well, if we look at it, some of it is
5 self-explanatory. We can see that the patient with whom
6 this document is dealing is Victor Tamburrini.

7 A. That's right.

8 Q. His date of birth is 27 April 1957?

9 A. Yes.

10 Q. And that the date and time of the request for the blood
11 has been 13 December 1998.

12 A. Yes.

13 Q. We can also see that he was blood group AB, rhesus
14 positive, and if we scroll down, we can see that there
15 has been noted on the form some information about the
16 blood which was actually given to him. It looks from
17 this as though what was given was red cells.

18 A. That's right.

19 Q. That is different from whole blood. Is that correct?

20 A. Well, most of the blood that we supply is supplied as
21 red cell concentrate.

22 Q. Yes.

23 A. Because what we try to do is make best use of every
24 donation given by a donor to us and this is standard,
25 modern transfusion practice because the plasma from

1 these donations can be used in a specific way to treat
2 patients. So it is wasteful to actually transfuse whole
3 blood to patients.

4 Q. So really out of one donation of blood, one can treat
5 several people?

6 A. That is absolutely correct.

7 Q. So if we can just perhaps go back up a little bit so
8 that we can see the three records which are noted there.
9 I think for today's purposes, the important numbers to
10 look at are the ones in the middle, under the heading
11 "pack number" or "batch numbers". I don't think we are
12 going to be able to hold these numbers in our head. If
13 we look at them for a moment, we can see that they are,
14 what, six-digit and then a letter and then either
15 another letter or another number. So these are
16 reference numbers for the packs of red cells. Is that
17 correct?

18 A. Yes.

19 Q. Right, we can see that they have quite a short expiry
20 date. The packs of red cells from the point at which
21 the transfusion service sends them out to a hospital
22 blood bank, how long can they be kept?

23 A. For 35 days.

24 Q. There is another page, which we should look at. It is
25 [\[TAM0012464\]](#). Can we look at that? We can just see

1 that this record of red cells given to Mr Tamburrini
2 goes on to the following page and we can see a fourth
3 pack number or batch number there in the middle,
4 631627X1. In fact there is other record-keeping on
5 these forms so that the person who prescribes the red
6 cells -- that is the doctor who decides that the patient
7 needs red cells -- is that correct?

8 A. That's correct.

9 Q. So he signs in "prescribed by", and then the "given by"
10 and "checked by" are likely to be nursing staff.

11 A. Nursing staff, yes.

12 Q. So the form is signed by a number of individuals and
13 other details are noted, including the time at which the
14 infusion is commenced. So that's one part of the trail.

15 If we could then look at [\[TAM0012918\]](#), this is
16 further record-keeping in relation to the units of
17 packed cells and we can see the four of them there but
18 there is an additional piece of information recorded in
19 relation to C, which says that the bag was pierced in
20 error and that it was discarded. Do you see that?

21 A. Yes.

22 Q. Right. So that gives us some information about the four
23 units. It looks as though, so far, we know that three
24 of them were used and one of them was discarded. Can
25 I ask you next to look at [\[TAM0013029\]](#). I should

1 probably have started here because this is a piece of
2 narrative for which you are responsible and this is you
3 really beginning the detective work.

4 So you are saying that there are these four
5 donations and you want this person, Ian McVarish, to
6 whom you are writing, to start a file on a case of
7 alleged transfusion transmitted Hepatitis C infection
8 and to arrange for archive samples from the donations to
9 be tested. You are taking these steps, as I understand
10 it, because at this point there is concern that this
11 episode of transfusion in 1998 may have transmitted
12 Hepatitis C to Mr Tamburrini. Is that correct?

13 A. Lorna McLintock had written. She had telephoned
14 initially asking me -- well, informing me that this
15 patient, whom she had been consulting about, had been
16 found to have markers of Hepatitis C infection. And it
17 was clear that he had received some blood, which the
18 West of Scotland Blood Transfusion Service had supplied,
19 and therefore when we get this kind of information, it
20 is imperative that we follow it up.

21 So this is how the process starts, with notification
22 of the unit numbers of the donations supplied and we
23 start an X file, so that all the investigative detail is
24 held in one secure place so that the whole trail is
25 absolutely transparent.

1 Q. I see. With any luck the next part of the jigsaw should
2 appear, if we look at [\[TAM0012396\]](#). This is your
3 letter. We are not looking at the end of it yet but you
4 can take it from me that you have signed it and indeed
5 we can see your reference at the top. "MAP", that's
6 you, isn't it?

7 A. Yes, that's me.

8 Q. You are writing to Dr Walker to give her information
9 about, the detective work you have carried out. Is that
10 correct?

11 A. Yes, I am.

12 Q. Who is Dr Walker?

13 A. Dr Walker was the consultant in charge of the department
14 of haematology at the Royal Infirmary at the time.
15 Lorna McLintock was her specialist registrar. So my
16 role as consultant was to respond to the consultant in
17 charge of the department and this is why I have said
18 I have mentioned that Lorna is the person who has
19 notified me about this but to give her her place as head
20 of the department, I was writing to her.

21 Q. I see. And the letter, we can read for ourselves, it is
22 pretty self-explanatory, but you are focusing on
23 transfusions in December 1998 and this is in view of the
24 fact that in September 2001 Mr Tamburrini has tested
25 positive for Hepatitis C?

1 A. That is correct, yes.

2 Q. If we look at the box at the bottom, we can see that --

3 well, firstly, what this represents is one of the four

4 numbers that we looked at on the sheets from his

5 records. Is that correct?

6 A. That is correct, yes.

7 Q. Sir, I should say that I have checked to make sure the

8 numbers were transposed correctly but if anyone else

9 wants to reassure themselves that that has been done ...

10 So the first donation we are talking about is

11 631627X1, and that's one with the reference numbers from

12 the patient's treatment sheet.

13 A. Yes.

14 Q. That has been traced to having been given by a donor

15 with a seven-digit reference number, and the particular

16 donation concerned, we see, was given on

17 11 November 1998. Is that correct?

18 A. That is correct, yes.

19 Q. Right. That donor's donating history has been examined

20 and perhaps you can tell us what has been discovered

21 when that exercise has been carried out.

22 A. It is important in cases like this that we don't just

23 focus on the one donation; that is really critical. The

24 index donation, which is why I highlighted it in bold,

25 so that you can refer back to that -- but as it were, to

1 make assurance doubly sure that we are not missing any
2 marker of infectivity, we look at the entire donating
3 record. We actually retrieve archive samples from all
4 the donations given and probe these donations as well
5 for the specific markers that relate to the case in
6 point.

7 So in this case we are talking about a possible
8 Hepatitis C transmission and this is why we look at all
9 those donations with specific references to the
10 Hepatitis C virus, and as you will see from the record
11 here, all of the donations which were checked are
12 Hepatitis C PCR negative, including the one that was
13 given to the patient, and this donor had given two
14 donations prior to November 1998, and so this is the
15 full record of this donor that we have looked at.

16 Q. It is possible for the third column to be filled in
17 because, by 1998, there was screening of donated blood
18 for Hepatitis C?

19 A. That's right and that screening -- that's why we were
20 able to do that.

21 Q. Yes. We need to turn the page, please. In short, the
22 same exercise has been carried out for all four packs?

23 A. Yes, the same exercise. I should say that, even though
24 we had been notified that one of the donations had been
25 pierced, I had no way of knowing whether any of that

1 blood had been transfused to this patient and I felt
2 that it was imperative that that investigation should
3 also be undertaken. So we looked at all four donations
4 and not just three.

5 Q. I see. So in relation, in fact, to all four of these
6 donors, they are all people who have given blood more
7 than once.

8 A. Yes, that is a very important point to stress, yes.

9 Q. So it was possible; I think most donations -- this is in
10 fact the second donor?

11 A. The second donor, yes.

12 Q. It is possible to look at a high number of donations,
13 that nine, including the donation which you were
14 investigating, and check that the results of screening
15 every time the donor had given blood had been negative?

16 A. Yes, that's right.

17 Q. I should clarify with you that a blood donor who gives
18 regularly -- and we can see this person is giving about
19 every few months in fact in 1999, but they are checked
20 each time.

21 A. They are checked each time so this is why I said that,
22 really, this is belt and braces, but within the
23 Scottish National Blood Transfusion Service, we feel
24 that it is important to undertake this sort of testing,
25 even though we know that the donations are tested at the

1 time of donation. We still repeat the investigation, to
2 make assurance doubly sure, as it were.

3 Q. Yes. Can we scroll back up to the top of the page,
4 please. If we look at TAM0012398, the following page,
5 this is the conclusion of your letter.

6 A. Yes.

7 Q. And again I think it is really the first paragraph we
8 are interested in:

9 "In light of the repeated testing with HCV PCR
10 negative results given by donors of the four units of
11 blood transfusion, I do not consider this to be the
12 route by which he acquired his Hepatitis C infection."

13 Is that your view?

14 A. That's my view, yes.

15 Q. It remains your view?

16 A. It certainly remains my view, yes.

17 Q. You've looked again at this material prior to coming
18 here today, I expect?

19 A. Yes, I have.

20 THE CHAIRMAN: Dr Peterkin, just a little bit of
21 clarification. When the blood was taken, it would have
22 been screened?

23 A. Yes, it would have been screened.

24 THE CHAIRMAN: Would that have been a HCV PCR.

25 A. It would not have been.

1 THE CHAIRMAN: At that time it would be anti-HCV?

2 A. Yes, it would have been.

3 THE CHAIRMAN: So this is not only a second test, it is
4 a different test?

5 A. It is a different test, yes.

6 THE CHAIRMAN: And this one is specific for the virus.

7 A. This is specific for virus. It is looking for viral RNA
8 in the blood sample, so it is really very specific.

9 MS DUNLOP: Sorry, doctor, my attention has been drawn to
10 the transcript. I think you said it is looking for
11 viral RNA. Is that correct?

12 A. Yes.

13 Q. Viral RNA. Thank you Dr Peterkin. I don't have any
14 further.

15 THE CHAIRMAN: Mr Di Rollo, do you have any questions for
16 Dr Peterkin?

17 MR DI ROLLO: No, sir.

18 THE CHAIRMAN: Mr Sheldon?

19 MR ANDERSON: No, sir.

20 MR SHELDON: No, sir.

21 THE CHAIRMAN: Dr Peterkin, thank you very much.

22 A. Thank you very much.

23 THE CHAIRMAN: Yes, Ms Dunlop.

24 MS DUNLOP: The next witness for the Inquiry is
25 Professor van Aken.

1 PROFESSOR WILLEM GERARD VAN AKEN (sworn)

2 Questions by MS DUNLOP

3 MS DUNLOP: Good morning, Professor. You have come here
4 from the Netherlands to assist us at the Inquiry and
5 before we ask you about the specific matters that you
6 have examined on behalf of the Inquiry, I should take
7 some details from you biographical details.

8 We have a curriculum vitae, which I think is
9 PEN0020647. That should appear on the screen in front
10 of you in a moment.

11 This is, Professor, something of an abbreviated
12 curriculum vitae, I am sure, because we can see from
13 this synopsis that you have had a long career in the
14 field of blood transfusion. Is that correct?

15 A. That's correct.

16 Q. You studied medicine in Nijmegen. Is that correct?

17 A. Yes.

18 Q. When did you finish your undergraduate training?

19 A. The undergraduate training was finished two years
20 before. So that was in 1964.

21 Q. And then you went on to do an MD in Nijmegen?

22 A. Yes.

23 Q. And you have also done a PhD in Amsterdam and worked in
24 University Hospital in Amsterdam, and in fact, you are
25 also a FRCP, a fellow of the Royal College of Physicians

1 of Edinburgh. We see a number of awards, and you have
2 also listed your current activities, although nominally
3 you are retired. Is that correct?

4 A. That's correct, yes.

5 Q. What position did you occupy immediately before
6 retirement?

7 A. Before I retired, I was the director, a member of the
8 board of the central laboratory of the Netherlands Red
9 Cross Blood Transfusion Service, which, after I left, is
10 changed; the organisation is now called Sanguine,
11 Sanguine Blood Supply of the Netherlands.

12 Q. Can you tell us just a little bit about how the
13 organisation works in the Netherlands. You referred to
14 the Red Cross?

15 A. Yes. You see, the history of the transfusion
16 organisation in the Netherlands goes back until the
17 situation after the Second World War. Then the
18 Red Cross was asked by the government to take
19 responsibility for the organisation of the blood
20 transfusion in Holland and they started to, with two big
21 centres, one in Rotterdam and one in Amsterdam, which
22 were taking care for fractionation of albumin, and then
23 at the same time, hospitals were asked to start local
24 transfusion services.

25 Gradually this proved to be not an efficient system

1 and so the decision was taken to concentrate the various
2 hospital blood banks in regional centres. So we got 29
3 regional blood banks, which were independent, which were
4 in fact foundations in which the Red Cross was
5 represented together with somebody from the government
6 or from local authorities, and there was one
7 organisation in Amsterdam, the central laboratory, which
8 took care for the fractionation of plasma and also for
9 certain diagnostic services as well as for research.

10 But again, this proved to be a very inefficient
11 organisation because of there were always discussions
12 and disputes among the various centres and the central
13 organisation. So it was decided by the minister in 1998
14 to restructure and to create one organisation in which
15 all these various partners which existed were, in fact,
16 merged and which was one central board.

17 So that is the present system. There are now
18 currently four blood centres, which collect blood and
19 distribute blood, and there is one organisation in
20 Amsterdam, which takes care for most of the viral
21 testing, the PCR, things like that, and also for the
22 production of plasma products.

23 Q. In common with the United Kingdom, the Netherlands is
24 operating on a voluntary donor system. Is that correct?

25 A. Indeed, sorry, not just voluntary but also not

1 remunerated. Voluntary means you are not --

2 Q. Yes, thank you for correcting. Voluntary,

3 non-remunerated donor system. Again, in common with the

4 United Kingdom and in particular in common with

5 Scotland, the service in the Netherlands is responsible

6 both for collection of blood and supply of blood, and

7 presumably red cells for transfusion, and also for

8 manufacture of blood products from plasma. Is that

9 correct?

10 A. That's correct.

11 Q. And in the description you have given, that has been so

12 for a long period of time.

13 A. That's correct.

14 Q. And continues to be so.

15 A. Yes.

16 Q. And in your particular position were you overseeing all

17 of that activity?

18 A. No, I was overseeing medical affairs and production.

19 Q. And is that in relation both to transfusion and

20 manufacturing?

21 A. Yes, with production -- I mean, production of plasma

22 components, so of albumin, Factor VIII, Factor IX,

23 immunoglobulins and also products prepared for plasma

24 but -- and also responsible for the collection of red

25 cells by the central board itself.

1 Q. We are still looking at your curriculum vitae and we can
2 see that after a list of a number of honours, which you
3 have been awarded, your current activities, we can see
4 this for ourselves, that you are an emeritus professor
5 of medicine and that you are involved in a number of
6 different initiatives, in fact, in a number of different
7 countries, Switzerland, France and the
8 People's Republic of China as well. I see, too, from
9 the following page that you have been a non-executive
10 member of the board of the National Blood Transfusion
11 Service in England?

12 A. That's correct.

13 Q. An eight year period between 1998 and 2006. You have
14 also been involved in the French Blood Agency and then
15 you list other positions you held within the
16 Netherlands, and then at the bottom you can see Canada
17 as well. You have also listed special activities:
18 reports for the European Commission. I'm not sure,
19 I did see from the Internet that you had been
20 responsible for a Council of Europe report entitled "The
21 collection and use of human blood and plasma in Europe"
22 in 1993. I'm not sure if that's listed under one of the
23 activities. In which role were you responsible for
24 that?

25 A. You see, the first item on the special activities

1 mentions reports for European Commission regarding blood
2 supplies. So just a year before the Council of Europe
3 asked me to do -- to start that report, which was taken
4 over later by the European Commission. So that is why
5 I haven't specified that.

6 Q. I see. But it obviously relates --

7 A. But it is the same, yes.

8 Q. Yes. And finally from this short summary, we see that
9 you have had involvement as an expert witness in
10 litigation concerning blood safety and HIV, and again
11 that has involved you in considerable international
12 travel.

13 You can put that to one side and I ask you to look
14 at a report you have prepared for today's proceedings.
15 That report is [\[PEN0010306\]](#). We have it before us.

16 This report was finally received at the Inquiry on
17 11 January of this year, sir, so although it doesn't
18 bear a date, it should be treated as being dated
19 11 January 2011.

20 We can see that the query you have been asked to
21 address is whether or not stable plasma protein solution
22 could have been the source of Mr Tamburrini's
23 Hepatitis C infection. Is that correct?

24 A. That's correct.

25 Q. You have given a brief resume of Mr Tamburrini's medical

1 history. You noted that he had had an appendicectomy in
2 1968. At that time he would have been a child, he would
3 have been 11. We did have some discussion yesterday as
4 to whether someone might ever receive a transfusion
5 during an appendicectomy. What would be your answer to
6 that possibility?

7 A. In my experience it would be a rarity. It would be very
8 seldom, only when there is a complication and major
9 bleeding, but I would not have expected most
10 appendicectomy's would have required the transfusion of
11 blood.

12 Q. So not in the ordinary course of events but it can't be
13 ruled out. Would that be a fair summary?

14 A. Indeed.

15 Q. Then you have noted the episode with which we are now
16 familiar, in September 1984, when Mr Tamburrini
17 sustained burns and he received stable plasma protein
18 solution. Could you explain for us, please, what
19 function the plasma protein solution will have fulfilled
20 for somebody who had just sustained burns?

21 A. Very briefly, if you have such severe burns, you lose
22 a lot of fluid which is normally in the blood
23 circulation. So the blood vessels in the burn area are
24 dilated, are leaky, and so a lot of fluid is
25 disappearing there and so the threat is that patients

1 with severe blood loss go into shock. So the blood
2 pressure drops and there is not enough concentration any
3 more. So one of the first policies, in fact, of burn
4 treatment, is to restore that loss of volume by adding
5 a fluid which in fact not just restores the water
6 content but also what we call the osmotic/oncotic
7 pressure, which is a composite of the protein content in
8 the blood and the resistance provided by the tissue.

9 So if you -- if that balance between these two
10 forces is disturbed, then you need to add also protein
11 to the circulation, and that is what SPPS, stable plasma
12 protein solution does; it restores the protein content
13 and thereby helps to decrease the loss of -- the first
14 loss of volume.

15 THE CHAIRMAN: What is the nature of the liquid that is
16 lost?

17 A. The nature of the liquid that is lost is quite complex.
18 It is not just only fluid but it also is protein, which
19 protein are notably albumin but also other proteins,
20 which are present in the circulating blood.

21 THE CHAIRMAN: Does the SPPS in some way compensate him
22 specifically for that or is it just a general --

23 A. Well, it is specific insofar as in some -- certainly in
24 severe patients with burns, you see that the albumin
25 level in the blood drops and that -- so in that respect

1 it is specific indeed. But -- because that's why you
2 could argue: why not give whole plasma? Because you
3 supply everything. And that is not a policy because,
4 first of all, this albumin, you can, so to say, take
5 from the bench. It doesn't require a whole logistics of
6 supplying and having a donor and things like that. So
7 you can start immediately and on top of that it is far
8 safer than plasma.

9 MS DUNLOP: Just from our own experience, Professor,
10 I suppose, we have probably all seen when you sustain
11 a burn, it tends to weep. I don't know if you would use
12 that term but you can see for yourself that burned skin
13 tends to lose fluid. The fluid loss comes from the
14 surface area of the burn.

15 A. From the area of where the burn -- where the skin is
16 burnt. That area is leaky.

17 Q. Yes. Under a heading "Manufacturing of SPPS by SNBTS"
18 you tell us firstly that the units of plasma protein
19 solution Mr Tamburrini received came from the same lot
20 or batch, which was 1194. We are all aware of that now,
21 which was manufactured in March 1983. The source
22 material consisted of a pool of liquid plasma collected
23 from blood donated by human subjects.

24 Just to clarify, Professor, you heard Dr Peterkin.
25 She was talking about the use of red cells and this is,

1 in a sense, the other half of the donation, so that one
2 is almost getting two products for the price of one.
3 The patient who needs red cells can be treated from the
4 same donation as someone else can receive plasma, which
5 is a different component of the donation of whole blood.
6 Is that the way it works?

7 A. Well, it is not precise to say it is the other half
8 because you see --

9 Q. It is a crude simplistic analogy.

10 A. Because if you look at the whole blood unit, you can put
11 it in the centrifuge and after 10 minutes centrifuging,
12 you get two parts. You get a top part, which is yellow,
13 which is plasma, and the bottom part is red cells and
14 you separate that. But only a portion of that yellow
15 part of the plasma is SPPS. So it is not everything in
16 plasma, it is only one component, albumin.

17 Q. We heard yesterday that there is a difference between
18 something which is correctly called "albumin" and
19 something which is called "SPPS", in that to be termed
20 "albumin" it needs to be 95 per cent or more albumin.
21 Is that correct?

22 A. That's correct.

23 Q. Whereas SPPS will be over 90 per cent but presumably not
24 over 95 per cent?

25 A. That's correct.

1 Q. Taking it stage by stage, you explain that albumin was
2 extracted from the plasma through cold ethanol
3 fractionation according to the method described by Cohn
4 and others. It is fair to say that Edwin Cohn in this
5 area was a pioneer, is it not?

6 A. That's absolutely true, yes, he is the pioneer.

7 Q. Perhaps you could just give us a very brief explanation
8 of the process which he pioneered.

9 A. What Dr Cohn, in fact, found out is that if you submit
10 human plasma to alcohol at a certain pH and certain --
11 yes, pH, I should say, that you get a precipitate and
12 you get a supernatant. So you can precipitate certain
13 proteins by adding ethanol. And by choosing the proper
14 concentration of ethanol and the right pH, you can, in
15 stepwise, you can create precipitates which are composed
16 of certain proteins and leave in the supernatant some
17 other proteins.

18 So in this stepwise process, you can separate
19 various plasma proteins in a very elegant way. So this
20 is what is done.

21 To make a large volume of material, of starting
22 material, of plasma, put it in a big container, add
23 concentration of alcohol at a certain pH. This is
24 incubated for a certain period of time, then the
25 precipitate is separated from the supernatant, put in

1 a different chain of events in fact, and the supernatant
2 goes on to be added to a new concentration of ethanol
3 and pH and the subsequent protein is precipitated. So
4 this in various fractions which are obtained, then you
5 can locate various proteins.

6 Before this is done, there is one step ahead of that
7 in which the whole plasma is frozen and thawed slowly so
8 that you get, again, a precipitate, which is factor 8
9 predominantly, but that is a separate chapter. So after
10 precipitation, the supernatant is in fact used for
11 alcohol fractionation.

12 Q. In this section of your report you describe what seems
13 a very flexible option, that either one can precipitate
14 out something one doesn't want and leave the desired
15 protein in solution.

16 A. Yes.

17 Q. So in a liquid form, or you can precipitate out, in
18 a solid form, something you do want and leave everything
19 else in solution.

20 A. Yes.

21 Q. After your description of the use of ethanol at
22 different concentrations, you say that the plasma
23 fractions which are precipitated are harvested by
24 centrifugation or filtration, and then finally the
25 ethanol is removed. And that gives, as it were, the

1 albumin product, which can then be submitted to this
2 form of heat treating.

3 A. Yes.

4 Q. In our particular case, the heat treating method used is
5 pasteurisation for ten hours at 60 degrees Celsius.

6 A. Right.

7 Q. You have also referred to the British Pharmacopeia.
8 I think you are familiar with the one-page extract from
9 the British Pharmacopeia explaining how the albumin is
10 processed, are you?

11 A. Indeed.

12 Q. I think the extract from the publication was sent to you
13 in the course of preparing your report. But it is no
14 doubt something you had seen before?

15 A. Yes.

16 Q. Next you have a heading "The heating procedure of SPSS
17 used by SNBTS". Did you see, Professor, in your
18 preparation of this report, the actual batch processing
19 records for batch 1194?

20 A. Yes, indeed.

21 Q. Yes. That's a printout from a microfiche record and we
22 looked at it yesterday; not entirely easy to read, but
23 still available. Just for the record, perhaps we could
24 see it and confirm that we are talking about the same
25 thing, [\[PEN0010260\]](#). Is that the record that you have

1 seen?

2 A. Yes.

3 Q. Thank you. You tell us that, having looked at this
4 batch, manufacturing records show that the temperature
5 was measured and recorded and confirm that the heat
6 treatment process was controlled at around 60 degrees
7 Celsius for a minimum of ten hours.

8 According to the British Pharmacopeia:

9 "The approved conditions of heat treatment were to
10 heat in the final containers at this temperature so as
11 to prevent the transmission of hepatitis."

12 The point was made yesterday that the use of the
13 word "prevent" is quite strong for a pharmaceutical
14 preparation, that the publication appears to be saying
15 if this is followed, transmission of hepatitis will be
16 prevented. Is that, in your view, an unusual word to
17 use?

18 A. Well, of course, this is not my mother language, so you
19 can always criticise me that I'm not aware of what the
20 various interpretations of "prevent" can be, but I think
21 for me it was quite logical to use it in the context of
22 this procedure here. So I have not had any doubt about,
23 or uncertainty about, whether that word was correct or
24 incorrect or should have been changed by another term.

25 Q. Right. So making allowances for this not being your

1 mother tongue, and obviously we are very grateful that
2 you are able to converse in this as you are, but making
3 allowances for that, you don't argue with the use of the
4 term "prevent"; you think it is justified?

5 A. Yes, well, what in fact is happening is -- in the way it
6 is done, is that, as I think I have indicated later on
7 in the report -- or maybe I'm going ahead now -- is that
8 this particular procedure, where the heating procedure
9 is done in the final container, is essential because it
10 has been shown previously that if you don't do it in
11 that way, you can come across certain transmission of
12 infections going to be Hepatitis B. Not Hepatitis C
13 because that also -- but Hepatitis B. This is the
14 publication of Dr Pattison, which is also quoted in my
15 report.

16 Q. And we will come to that.

17 A. So in the context of that I think "prevent" is, for me,
18 not a term which I have difficulty with.

19 Q. You say there are two ways to vet the virus safety of
20 plasma products such as albumin -- sorry, we should go
21 back to Professor van Aken's report at PEN.001.0307.

22 Thank you. And you say:

23 "There are two-ways to investigate ..."

24 The two ways you have selected are a way which is
25 used technically, as it were, to see how effective the

1 viral inactivation procedures are, and also one can do
2 scientific research to see if there are any reports of
3 transmission of viruses by plasma treated in this way.

4 To take the first, the description that you give of
5 the use of model viruses is again, for lay people,
6 rather difficult to understand but it might help if you
7 could explain to us the concept of a model virus.

8 A. Okay, thank you. Well, Hepatitis C is one of the
9 viruses which is transmitted by blood which is not yet
10 completely isolated. We have evidence about the
11 composition, the genomic composition, which allows us to
12 test for Hepatitis C but the virus as such is not
13 isolated. So you cannot use that virus to see what
14 I have described here for spiking. You cannot add it to
15 plasma and then submit it to inactivation and see how
16 much virus is destroyed.

17 Q. I'm sorry to interrupt you but this is important for our
18 whole Inquiry. The virus has not been isolated. By
19 that you mean no one has succeeded in culturing the
20 virus?

21 A. Indeed, that's a term which is very appropriate here.

22 Q. Sorry, carry on.

23 A. Yes. So only --

24 Q. I should ask what do we mean by "culturing"?

25 A. Culturing means that if you isolate a virus from, let's

1 say, blood, you get a very small quantity, minute
2 quantities, which are not sufficient to be used for
3 experiments. So you need to expand that -- those
4 particles by putting appropriate culturing --
5 appropriate fluids to it where the virus feels very well
6 and can propagate and can multiply, and thereby, after
7 a certain time, you can have sufficient. That technique
8 we call "culturing", multiplying the quantity of the
9 virus by adding proper nutrient substances. Yes? And
10 appropriate conditions like 37 degrees and sufficient
11 time. Is that sufficient?

12 Q. Can we contrast it then with another virus that we have
13 done a lot of reading on, which is HIV?

14 A. Yes, HIV is a virus which is one of the best known
15 viruses now because we know almost everything about HIV
16 and that can be cultured.

17 Q. Yes, and indeed that was possible really from the mid
18 1980s, it was possible to culture HIV.

19 A. Whether -- well, the virus was in fact -- became known
20 in 1984 and indeed, Montagnier and Gallo were able to
21 culture that virus some time later but around 1984, yes.

22 Q. Professor, plainly we have a long journey to travel in
23 our Inquiry and we will be looking at the Hepatitis C
24 virus in a great deal more detail, but it is perhaps
25 sufficient at the moment just to record that Hepatitis C

1 proved very elusive for a long time, it was very
2 difficult, really, to find any part of the virus until
3 1988/1989. Is that correct?

4 A. Sorry, I didn't catch that question correctly.

5 Q. It has been very difficult to find Hepatitis C --

6 A. Yes.

7 Q. -- as a virus. And the actual virus, no part of it had
8 been isolated until the late 1980s. Is that correct?

9 A. Yes, that's correct.

10 Q. And the position today, as you have explained to us, is
11 that even yet it is not possible to grow, to culture,
12 the Hepatitis C virus and work with it in that way.

13 A. Hm-mm.

14 Q. Perhaps I won't go into this too far but in fact, the
15 scientific breakthrough that occurred at the end of the
16 1980s was really based on genetic technology, on
17 cloning?

18 A. Yes.

19 Q. And that's how it was possible to find at least a part
20 of the virus and enable tests to be drawn up or tests to
21 be created?

22 A. Yes, that's correct.

23 Q. So we were at the notion of model viruses and you were
24 explaining that, because you are not able to grow the
25 Hepatitis C virus, you have to use something else

1 instead, and if you could explain further where the
2 model virus notion then comes in.

3 A. Yes. So the genomic part of the Hepatitis C virus has
4 been identified, at least I think, almost 100 per cent
5 of the genomic composition of the virus, and that has
6 been used not just to develop a test but also to compare
7 with other viruses, like, for instance, so-called
8 "pestiviruses", which show -- and that investigation has
9 shown that the genomic part of the Hepatitis C, it looks
10 very similar to certain pestiviruses, like bovine
11 diarrhoea virus but also togavirus.

12 So there are a number of viruses which have
13 a similarity in the genomic part. And also the density
14 of the virus and -- yes. Those two characteristics
15 looks quite similar to Hepatitis C.

16 Q. I think for the transcript, Professor, I should ask you
17 to confirm the name of the second virus. I got the name
18 of the bovine diarrhoea virus and that's in your report,
19 but was the second virus "togavirus"?

20 A. Togavirus. T-O-G-A.

21 Q. And that's essentially an animal virus as well, is it?

22 A. Yes.

23 Q. So the theory is, trying to put it in layman's terms,
24 because you don't have the actual Hepatitis C virus, you
25 do the best you can to use a virus which appears to

1 share characteristics with Hepatitis C and you measure
2 the inactivation of that virus by the process. Is that
3 a reasonable summary?

4 A. Yes, instead of model viruses, also the term "indicator
5 virus" is used, just to illustrate also what its purpose
6 is.

7 Q. Right.

8 THE CHAIRMAN: Is one looking for a proxy --

9 A. Yes, for a proxy, that is the term, yes.

10 MS DUNLOP: When did the use of a model virus for
11 Hepatitis C begin? When did people start doing that,
12 just roughly?

13 A. Well, a good question. I have not in mind exactly which
14 publication -- at what time the first publication about
15 this was done. But I --

16 Q. Perhaps an easier question would be whether the use of
17 a model virus would be something that was being
18 practised in 1983?

19 A. No, not in 1983.

20 Q. So in fact --

21 A. Absolutely not.

22 Q. -- what you are describing here is information that we
23 have about the process, which is based on research
24 that's accumulated over recent decades?

25 A. Yes, indeed.

1 Q. So it is the position as at today, but not necessarily
2 everything that would have been done in 1983?

3 A. No, I think -- the earliest I would judge is 2000 or
4 thereabouts.

5 Q. Right. But one can still look, even though it is a step
6 which is being taken now and which would not have been
7 taken in 1983. We can still use this information
8 because it gives us more detail about the process and
9 whether it works. Is that reasonable?

10 A. Yes.

11 Q. You say that the process of cold ethanol fractionation
12 significantly reduces the concentration of viruses in
13 plasma fractions. Is that because ethanol is to some
14 extent viricidal?

15 A. No, the major -- there are two effects here. There is
16 one effect that the ethanol itself -- but that is not
17 very significant viricidal. It is mostly the
18 partitioning, the separation that the virus is in
19 certain fractions and less in other fractions.

20 Q. And indeed, some of the articles that you have drawn our
21 attention to deal with the partitioning. Perhaps we
22 could look at some of those articles. In fact it is
23 probably better that we look briefly at all of them,
24 although they are, if I may say so, quite technical, but
25 you mentioned partitioning, so could we perhaps look at

1 the reference [\[LIT0013218\]](#). I think this must be
2 PEN.001.3218. This is an article which you have
3 provided by the authors Yei -- is that a reasonable
4 pronunciation, Yei, Y-E-I and Tankersley. Actually, the
5 second reference in your list in italics; about the
6 partitioning of Hepatitis C.

7 I don't want to go too far into material which we
8 might all struggle with, Professor, but by partitioning,
9 are we really just talking about where the virus goes
10 when the fractionation process is carried out?

11 A. Yes.

12 Q. And perhaps even just looking at the summary, can you
13 give us a brief overview of what has been discovered
14 about that?

15 A. What they also have done is they have used a sort of
16 smaller design of the Cohn fractionation procedure and
17 they have -- let me see. So they have looked at the
18 plasma pool of anti-Hepatitis C reactive donors. So
19 there you would expect that there is at least some
20 Hepatitis C present. Then they have used an assay to
21 quantify that and looked in the various fractions what
22 is the quantity of Hepatitis C which you can detect in
23 certain fractions; yes? And it appears that most of the
24 Hepatitis C RNA -- that's not the whole virus but just
25 the RNA -- was found in the first fraction as a

1 cryoprecipitate.

2 So there's the first step, as I explained earlier,
3 where you start to separate the various proteins, as
4 well as in Cohn fractions 1 and 3, and these are used
5 for products like fibrinogen and coagulation factors,
6 not for albumin. Then they go on; they found out that
7 in fraction 2 there is also a major quantity and that
8 fraction is used for immunoglobulin preparation and that
9 was the reason, in fact, why this investigation was
10 done, because there has been an incident where one
11 producer noticed that his product caused a lot of
12 Hepatitis C in recipients.

13 So this study, in fact, shows that it is logical
14 that this product is more risky when it comes to
15 Hepatitis C transmission, and what they conclude in
16 fact, is that the partitioning of the various fractions
17 leads to various proteins which are more at risk of
18 contributing and transmitting Hepatitis C than others.

19 Q. Yes. So for our purposes in looking at Mr Tamburrini's
20 illness, what we should take from this is that albumin
21 is not one of the products which you would expect to be
22 found to contain a lot of Hepatitis C after the
23 fractionation process?

24 A. Indeed.

25 Q. Is that correct?

1 A. Indeed, I would even go further than a lot. I would say
2 a minute quantity.

3 THE CHAIRMAN: Ms Dunlop, do you think that's going to
4 communicate itself to everyone or shall we try a little
5 bit of clarification? I think it is important that
6 everyone who listens gets the idea of what's happening
7 in Cohn fractionation. Should I try a little or are you
8 going to come back to it?

9 MS DUNLOP: I'm trying as I go along, sir, to summarise what
10 the witness is saying in what I hope is comprehensible
11 shorter sentences, but I'm happy to check how that's
12 working.

13 THE CHAIRMAN: I think, at the moment, the picture will be
14 clearer to someone who has read a lot about Cohn
15 fractionation than it will be to someone who is hearing
16 the terms "fractions" and "factors" and "precipitates"
17 and things of that kind, perhaps for the first time.

18 MS DUNLOP: Perhaps if I go back a little bit and try to
19 summarise what we have established so far, Professor.
20 One of the difficulties is that we are all lay, so we
21 all struggle with this. Some of us have the advantage
22 of discussing this with you before and we have obviously
23 also been able to do a bit of background reading and
24 that's not possible for everybody. So if I could
25 perhaps try to summarise the point we have arrived at

1 and you, please, correct me if I'm getting this wrong
2 because it is very difficult for us all.

3 A. Okay.

4 Q. From a donation of whole blood, it is possible to
5 extract the material -- it is not, as you pointed out,
6 half and half -- but it is possible to extract red cells
7 which can go for transfusion to patients and it is also
8 possible to use what is the non-red cell part to make
9 plasma products, and there is a range of plasma products
10 which serve different functions, and can be used in the
11 treatment of different illnesses or for different
12 conditions.

13 The product we are examining in this case is known
14 generally as "albumin". That is not entirely accurate
15 because the product that we are particularly looking at
16 is called stable plasma protein solution, but most of
17 that is albumin. So if we can call it "albumin" for the
18 moment.

19 The way in which that is taken out of the plasma is
20 by a process called "fractionation". Is that correct?
21 Perhaps all we need to know about that is that
22 scientists have discovered that by use of ethanol,
23 alcohol, in fact, at different strengths, it is possible
24 to remove from the plasma these various different
25 products for the raw material to make these various

1 different products. Is that a reasonable summary?

2 A. You gave a perfect summary.

3 MS DUNLOP: I don't know, sir, whether you feel that helps.

4 THE CHAIRMAN: I think it does, sometimes just repeating it,
5 helps to get it over.

6 MS DUNLOP: Advocates always have the experience of being
7 able to grasp it one day and losing it within the next
8 few days, so I can confidently predict that will happen.

9 THE CHAIRMAN: It is not a skill one loses with age.

10 MS DUNLOP: It is difficult stuff. I'm very aware of that.

11 Perhaps we don't need to know much about partitions.
12 That's really at the outer edges of what I think we
13 maybe need to know about in the context of
14 Mr Tamburrini's illness, but all I think I was trying to
15 take from you was that, when this separation process is
16 being carried out with the use of the ethanol, the virus
17 will not be spread equally among the various products.
18 Is that correct?

19 A. That's correct.

20 Q. So you are more likely to find more of it in some
21 products and less of it in others?

22 A. Yes.

23 Q. Albumin is one of those in which you would expect to
24 find a much smaller quantity of virus?

25 A. Correct.

1 Q. So if you are setting out to treat albumin against
2 Hepatitis C, your task may not be as difficult as it
3 would be with one of the products which would have
4 a high concentration of the virus?

5 A. That's correct.

6 Q. Is that correct?

7 A. Yes.

8 Q. Good. Can we just look at the foot of page 4 of that
9 article, please? This is interesting for our purposes
10 because if we look at the paragraph at the bottom of the
11 page on the right-hand side, the authors are talking
12 about, as I said at the start, where the virus goes and
13 really you have already explained that to us, but what's
14 interesting for our purposes is what is said at the
15 bottom in the sentence beginning "products":

16 "Products derived by further fractionation of
17 supernatant 2 and 3 include a list in which we see
18 albumin ..."

19 Then the authors go on to say:

20 "... all of which are subjected to heating for ten
21 hours at 60 degrees centigrade. The fact that these
22 products do not transmit HCV ..."

23 You understand that was a sentence in this article
24 which jumped out at me and I was looking at it and the
25 authors are saying, in fact, these products do not

1 transmit HCV, maybe due more -- can we turn the page,
2 please -- to virus inactivation by the heating step than
3 to physical removal of virus by the fractionation
4 process.

5 Perhaps another article that we should only look at
6 very briefly, just to see if there is anything in it
7 which sheds light on the examination we are carrying
8 out, is the one by, I think it is Scheiblauer. The
9 reference is [\[LIT0013131\]](#), and we can see the names of
10 the authors. This is a German article and perhaps you
11 could explain to us what these authors are looking at
12 particularly.

13 A. They are in fact, like the previous publication that you
14 discussed, also looking at the various fractions where
15 the Hepatitis C may end up.

16 Q. Yes.

17 A. And again, with the purpose: why is it that
18 immunoglobulins have transmitted Hepatitis C?

19 Q. And it looked as though this article was really saying
20 that the actual fractionation process, the ethanol
21 fractionation process, did not itself inactivate virus.

22 A. Yes, well, I think it goes too far to say it does not
23 inactivate hepatitis. It does not activate Hepatitis C
24 to the same extent as other things.

25 Q. And actually if we look through the article, I think we

1 can see that the virus that these researchers were using
2 was bovine diarrhoea virus?

3 A. Yes.

4 Q. So that's the concept that we identified earlier on: if
5 you do not have the virus in question, you have to use
6 it, as his Lordship put it, a surrogate or a proxy,
7 something that you think is as good as, or nearly as
8 good as having the virus itself?

9 A. Yes.

10 Q. Then also look at the first article that you referred
11 to, which is the Erstad one, [\[LIT0013117\]](#). That is
12 perhaps a more straightforward article for us all to try
13 to grasp, but this is really looking at the very
14 question, the exact question, that we are trying to
15 examine today. Would that be reasonable? It is looking
16 at the viral infectivity of albumin and plasma protein
17 fraction?

18 A. This article is not a research paper. It is more of
19 a review.

20 Q. So it is not original research?

21 A. No, it is not original.

22 Q. It is looking at other people's?

23 A. Yes.

24 Q. Right. Perhaps it is enough for our purposes just to
25 look at that summary, to see what it was the author set

1 out to do. He set out to examine other people's
2 research on the viral infectivity of albumin and plasma
3 protein fraction. He looked at a number of different
4 aspects which might contribute to whether virus could be
5 successfully inactivated and then he says, in the
6 summary, that:

7 "Both human serum albumin and PPF are manufactured
8 ..."

9 This is reading from about half way down the
10 summary:

11 "... with pasteurisation procedures that have led to
12 an excellent viral safety record based on 50 years of
13 clinical use. One outbreak of Hepatitis B was
14 associated with PPF as a result of an unreliable
15 manufacturing process which has been corrected.
16 Pasteurisation process is effective in eradicating known
17 viral pathogens when good manufacturing practices are
18 followed."

19 I know the incident that he is referring to there is
20 in fact one that you mention yourself in the next part
21 of your report, and, perhaps, we should go on to that
22 now.

23 A. What is important, I think, to emphasise, if I may, is
24 that this paper does not talk as much about
25 fractionation itself as about a pasteurisation step. So

1 it concentrates -- and that is what is clearly said --
2 the pasteurisation process is affecting, and so it
3 doesn't spend too much attention to either partitioning
4 or pH or ethanol as responsible for the decrease in
5 Hepatitis C transmissibility.

6 Q. So although this is not original research, it is a very
7 useful article for us in the task in which we are
8 engaged --

9 A. Yes.

10 Q. -- because it is exactly the same point?

11 A. Yes.

12 Q. You say in your report, after you have mentioned these
13 different articles at which we have looked:

14 "These studies have shown that heating of albumin
15 for ten minutes at 60 degrees Celsius results in a virus
16 reduction of greater than 16.3 of bovine diarrhoea
17 virus, as compared to more than 17.8 of HIV and 16.4 of
18 pseudorabies, which is a model virus for Hepatitis B."

19 So again, that is, I think, for lay people, quite
20 complex to understand but the numbers that you are
21 quoting represent a large reduction in the amount of
22 virus. Is that correct?

23 A. Yes. These data I have also from a document which is
24 published by the WHO. The WHO expert committee on
25 plasma products in fact has addressed this issue in

1 a very extensive report in which all these papers here
2 are included, and one of the conclusions is in fact that
3 ten minutes at 60 degrees Celsius results in a virus
4 reduction of more than 16 logs, which means that --
5 again, it is difficult for lay people to understand what
6 does that figure mean, but it means in fact that it is
7 about a risk of one in 16 millions that still a virus is
8 not inactivated. So it goes well beyond our imagination
9 that there is still some virus left after that period of
10 time.

11 Q. Thank you. You have emphasised -- and this is slightly
12 easier maths for us all -- that ten hours is 60 times
13 longer than ten minutes. I think we can follow that.

14 A. Yes.

15 Q. So to do the pasteurisation for ten hours is 60 times
16 longer than is needed to inactivate hepatitis viruses.

17 Sir, I'm conscious it is 11 o'clock. This is heavy
18 going so perhaps it would be a good time for a break?

19 THE CHAIRMAN: I think it probably is. I'm not sure how far
20 we really need to know what these figures mean. I have
21 to say that I'm sometimes slightly concerned that the
22 extrapolation of data by multiplication gives rather an
23 odd feeling of unreality to things, Professor van Aken.
24 Do we just need to know that it is a tiny, tiny risk
25 that remains, or do we need to know that it is 16.3 on

1 a log 10 basis?

2 A. Well, for people in the business, so to say, in
3 medicine, when you start to compare the risks of blood
4 and plasma product, yes, you want to be sure that the
5 inactivation goes beyond a certain degree.

6 THE CHAIRMAN: So it is a reference level that gives
7 comfort?

8 A. Yes, that's why it is important. So the figure itself
9 is not the most important. It goes beyond a certain
10 reference.

11 THE CHAIRMAN: I think that's very helpful. Thank you very
12 much.

13 (11.02 am)

14 (Short break)

15 (11.33 am)

16 THE CHAIRMAN: Yes, Ms Dunlop?

17 MS DUNLOP: Professor, just before we stopped for our break,
18 we had, I think, finished the first of your two ways of
19 investigating the virus safety of plasma products, which
20 you outline on the second page of your report. So we
21 need to have your report in front of us again and that
22 is [\[PEN0010306\]](#), and if we could have page 2, so in fact
23 0307.

24 At the end of the first section you tell us, as SPSS
25 is essentially composed of albumin, it is allowed to

1 apply any evidence of safety as published for albumin
2 into SPPS. So it is a legitimate exercise to take this
3 data and apply it to SPPS, is what you are saying?

4 A. Yes.

5 Q. The second way, you say, is -- and you have alluded to
6 this earlier -- to look at published material, to see if
7 there have been reports of patients treated with albumin
8 going on to develop Hepatitis C. It is correct to say
9 that you have also conducted that research, is it?

10 A. Yes, I have looked at the literature to find what is
11 available in evidence, to either support or just to deny
12 that there is a link between the transmission of
13 Hepatitis C by albumin or SPPS.

14 Q. Right. You refer to another article and I think we
15 should have that in front of us: [\[LIT0013122\]](#). We had
16 Dr Cuthbertson from the blood transfusion service giving
17 evidence yesterday and he made brief mention of this
18 incident but it might help us all if you could summarise
19 what happened.

20 A. What happened was that in the United States somewhere
21 around 1973, one hospital using PPF, which is in fact
22 similar to SPPS, found that there were a number of
23 recipients who had developed an illness which was
24 compatible with hepatitis and they found out that it was
25 a Hepatitis B infection which, after excluding a number

1 of other reasons, was attributed to the administration
2 of PPF.

3 Then they went to the manufacturer of this product
4 and they found out that it was related to two lots,
5 which in fact were prepared from plasma, one of which
6 was in fact associated to a high prevalence of
7 Hepatitis B sero-positivity in the recipients. So the
8 study was in fact showing that there was indeed a batch
9 which was clearly related to the transmission of
10 Hepatitis B and when they went to the manufacturing
11 conditions, they found out that it was the
12 pasteurisation, the way the pasteurisation was
13 performed, which they found was in fact responsible for
14 incomplete inactivation of Hepatitis B.

15 Q. Would it be correct to say that the way in which the
16 plasma was being treated was in one big tank?

17 A. Yes.

18 Q. If I can put it like that?

19 A. Yes.

20 Q. Rather than in individual containers?

21 A. Yes, and therefore, if you do that in one big tank --
22 and you have to imagine that these are really big tanks
23 of more than 800 to 10,000 litres -- there can be sort
24 of what you may call "islands" of product, of material,
25 which are not behaving in the same way as all the source

1 material around it. Yes?

2 Q. I think we might say "pockets", would that be another
3 word?

4 A. Yes, pockets. That's the word which I was trying to
5 find, "pockets".

6 Q. So there might be pockets where the treatment hasn't
7 worked or hasn't reached, as it were?

8 A. Yes.

9 Q. As I understand it, the solution to that problem --
10 which is an actual problem because it has happened, it
11 is not just a theoretical problem -- is to pasteurise
12 the material in individual containers?

13 A. Yes.

14 Q. From your understanding of the process at the Protein
15 Fractionation Centre in Edinburgh that was what was done
16 there?

17 A. Yes.

18 Q. You go on to mention in your report -- and if we could
19 go back, please, to 0307 -- reports of healthcare
20 authorities, and this is at the bottom of the page. We
21 can scroll right down. You say:

22 "The hepatitis safety of albumin is addressed in the
23 reports of several healthcare authorities.
24 British Pharmacopeia requests heating in the final
25 containers to inactivate hepatitis viruses."

1 Then you go on to talk about WHO:

2 "The expert committee on biological standardisation
3 of the World Health Organisation ..."

4 Does WHO have a number of standing committees? Is
5 that the way it works?

6 A. That's correct.

7 Q. And this is one of them?

8 A. Yes, this is the committee which meets every year and
9 discusses all the items related to safety of blood
10 product, blood and plasma products and vaccines.

11 Q. Roughly how big is this committee?

12 A. There are about 25 people in attendance.

13 Q. Are they drawn from all over the world?

14 A. They come from all the regions of the world, yes.

15 Q. And you say they look at issues like the safety of blood
16 products and the various methods used:

17 "In 2001 this committee adopted an extensive
18 report."

19 Perhaps people won't be surprised to learn that you
20 have given us that as well to look at. We should,
21 I think, so that we don't miss anything out, look at the
22 section that you have provided for us, which is
23 a section from a World Health Organisation technical
24 report. First of all, look at the next page of your own
25 report, where we see the reference for that publication:

1 "WHO Technical Report Series 924, Annex 4."

2 And that is [\[LIT0013143\]](#), if we could have that
3 first, please.

4 We see that this is Annex 4. We can see from the
5 copyright section at the top, the copyright declaration,
6 that this is a WHO publication and this is their
7 technical report. This is Annex 4:

8 "Guidelines on viral inactivation and removal
9 procedures intended to assure the viral safety of human
10 blood plasma products."

11 If we could go to page 3160, please, we should see
12 the paragraph to which you refer, 4.1.1, and there
13 isn't, at least to me there doesn't seem to be anything
14 in this paragraph which is new to us. This all seems to
15 be what you have described in your report.

16 A. This was just added to show that such a broadly composed
17 committee -- because there are representations from
18 regulatory authorities and from manufacturers in that
19 committee which develops these guidelines -- to show
20 that this is not an issue which is in the margin but has
21 been discussed, really, severely and intensively to know
22 for sure that we can give this recommendations, these
23 guideline, to the world, so to say.

24 Q. Right. You see in the middle of that paragraph that
25 safety, with respect to hepatitis viruses and HIV, has

1 been demonstrated for decades with few exceptions. Then
2 there is a reference, which is reference 11. You tell
3 us in your report that reference 11 is the Pattison
4 article from the American Journal of Epidemiology and
5 that's the article we looked at a moment ago, which
6 described the Hepatitis B outbreak you told us about.

7 A. Yes.

8 Q. And that was the problem which arose because the
9 material was being heated in bulk rather than in
10 individual containers.

11 A. Indeed.

12 Q. So if we could return to your report, please -- and we
13 are now at page 8, so 0308 -- your conclusion is:

14 "The batch of SPPS administered to Mr Tamburrini was
15 manufactured using methods which were at the time (and
16 still are) widely recognised as being capable of
17 eliminating any risk of virus transmission."

18 You have looked at the records and you say that:

19 "The records indicate that the manufacture,
20 including the pasteurisation, was carried out according
21 to recognised industry and pharmacopeia standards."

22 Then you say:

23 "The answer to the query is that the transmission of
24 Hepatitis C by SPPS is most unlikely."

25 I think really in this paragraph you are reverting

1 to your two ways of approaching the task you have set
2 out in your report: one, by looking at the science and
3 two, by looking at the published literature because you
4 are saying that the method has been found to work and
5 that the literature doesn't report transmission of
6 Hepatitis C by material treated in this way. But,
7 Professor, why do you say the transmission is most
8 unlikely? You are not saying it is impossible.

9 A. Well, "impossible" is a word which I use only very
10 rarely because I have learned through my career that
11 some events you can judge to be highly unlikely or even
12 further, but you have to be cautious, so I cannot
13 oversee the whole chain of events which was related to
14 this incident because it is a chain of events; it
15 doesn't stop with the manufacturing. It is also what
16 happened during the administration, what happened in the
17 hospital, which I cannot oversee, which I have no
18 reports about, which I have no data about. So that's
19 why I thought it would be more accurate to say "highly
20 unlikely".

21 Q. Yes.

22 THE CHAIRMAN: Is there also something about the scientific
23 method, Professor, that means that absolutes, positive
24 or negative, have to be avoided generally?

25 A. Yes.

1 THE CHAIRMAN: Because a single positive proposition can
2 undermine an universal negative and vice versa.
3 A. Absolutely.
4 THE CHAIRMAN: And therefore, when we read all these
5 articles, I think we will find that throughout the
6 expressions are less than absolute.
7 A. Yes.
8 THE CHAIRMAN: And that's the scientific method.
9 A. Yes.
10 THE CHAIRMAN: Yes, I can't resist the logic, as you know.
11 MS DUNLOP: Thank you.

12 Professor, you have prepared also a supplementary
13 report, and I should ask you a bit about that. Your
14 supplementary report is [\[PEN0110001\]](#), and we can see
15 that this is actually a letter which you sent on 1 March
16 and it is addressed to a member of the Inquiry team in
17 response to questions posed to you.

18 First of all, you say that you have been referred to
19 some reports from the medicines inspectorate in which
20 a number of deficiencies regarding buildings and
21 facilities were identified in 1981, and good
22 manufacturing practice related issues in 1988 were
23 found.

24 In the second paragraph, when interpreting these
25 findings, you make a point that this really seems to

1 have been an ongoing process, the process of
2 implementing good manufacturing practices at the
3 beginning of the 1980s. Is that what you were telling
4 us? And you say that the process takes considerable
5 time, especially if one is working in buildings and with
6 facilities that were constructed before the statement of
7 manufacturing practice was written; in other words, it
8 is easier to design your facility if you have
9 a statement of manufacturing practice than it is to make
10 it fit something that already exists.

11 A. Yes. What I attempted here was to give some context of
12 the situation in the 1980s because it is easily
13 forgotten that at that stage the whole issue about
14 safety and quality was different from now and the
15 introduction of good manufacturing practice was a major
16 change in, not just the pharmaceutical industry, but
17 also in this type of sector of plasma fractionation.

18 So it required, on the one hand, that facilities
19 were adapted and that equipment was changed but also
20 that personnel were trained in a completely different
21 way, and that is the sort of cultural change which had
22 to happen. You can't do that overnight, you need some
23 time to do that. So I thought it could perhaps be
24 useful for people who were reading this inspectorate's
25 report to have this background information.

1 Q. Right. But applying that sort of background to the
2 situation we are looking at, which is Mr Tamburrini's
3 illness, you set out for us the first question posed --
4 and I'm reading now from the third paragraph, the
5 passage that's in quotes:

6 "Whether there is any potential link between the
7 documented unsatisfactory state of affairs at Liberton
8 in the 1980s and the possible infection of Mr Tamburrini
9 with Hepatitis C as a result of the transfusion
10 in September 1984."

11 You assume correctly that the term "transfusion" is
12 used for the administration of SPPS.

13 You go on to say that you can't completely discount
14 the proposition that he was treated with unsafe SPPS but
15 your view is that that would be unlikely, highly
16 unlikely; and then you also address, in the following
17 paragraph, the likelihood of mislabeling products and
18 mixed heated and non-heated products.

19 If I could stop there and just say to you: since you
20 wrote this, have you seen a further statement of
21 clarification from Dr Cuthbertson?

22 A. Yes.

23 Q. And did that help you to develop your understanding of
24 the process that was used in 1983?

25 A. In a number of aspects, certainly. As I have written in

1 my report, some of the conditions which you would
2 expect, studying virus inactivation methods and
3 manufacturing, that is normally done in separate
4 environments, in separate rooms, and so the question
5 would almost suggest that there is some relationship in
6 that facility there, which could cause that; and from
7 the report I got later on, it became much clearer to me
8 what they had done to avoid that this could occur.

9 So I found that Dr Cuthbertson did a really very
10 nice job to formulate it and just to go through line by
11 line and indicate which measures had been taken to
12 minimise or to either reduce or completely avoid that
13 risk.

14 Q. Right. So I think what you alluded at the start of your
15 answer to the separation between the manufacturing and
16 the study of virus inactivation, and did
17 Dr Cuthbertson's additional information help you to feel
18 reassured that that separation had been maintained.

19 A. Yes, for me that was -- from the description I got, yes,
20 indeed.

21 Q. You say:

22 "The likelihood of mislabelling of products and
23 mixing heated and non-heated products ..."

24 Again, once you read Dr Cuthbertson's further
25 explanation, did that improve your understanding on that

1 point?

2 A. Yes, well, what he had told in his report was in fact
3 that they have, I think, included a number of situations
4 where -- which I hadn't thought about, that they had
5 done it in that way. I mean, when you look at the --
6 just looking at where in the report he was -- oh, yes,
7 so what he said is:

8 "The filling area and -- "

9 Q. Sorry, Professor, can you tell us what page that is?

10 A. Sorry, that is page 7 of the report of Dr Cuthbertson.

11 Q. Yes. I think we should all have that so we can see what
12 it is you are reading. Just give me the number of that.
13 Statement of clarification. It is [\[PEN0110048\]](#).

14 Would it be possible to look at that alongside
15 Professor van Aken's supplementary report? So if we
16 could keep what we have currently got and have
17 Dr Cuthbertson's statement beside it.

18 The page you were reading from was page ...?

19 A. 7.

20 Q. 7. Is that 54? Thank you.

21 A. So on the top of that page.

22 Q. Right.

23 A. It says:

24 "Prior to pasteurisation ..."
25 Et cetera, yes?

1 Q. Yes.

2 A. That sentence. So what he shows there is that the SPPS
3 is not stored in manufacturing areas. That is to
4 summarise briefly what is said quite extensively. So
5 that means that mix-up from the point of the fact that
6 it is stored in different areas is already clear, but
7 again also the total number of bottles -- that is
8 further down the line -- that is the total number --
9 even further down the page. The total number of bottles
10 inspected and packaged is recorded.

11 So that should also give you an idea about whether
12 or not a mix-up has occurred.

13 Q. Yes.

14 A. So those two. And then there is a further safeguard,
15 which is even lower on that page, about seven or eight
16 lines from the bottom; that is, the presence of abnormal
17 characteristics which, on visual inspection or later on,
18 chemically would be detected. So I feel that this
19 evidence in fact would give me a good feeling that there
20 is no question of mix-up between material which was
21 pasteurised and material which was not pasteurised.

22 Q. Dr Cuthbertson gave us quite a vivid description of the
23 different appearances of unpasteurised product and
24 pasteurised product. That's correct, isn't it?

25 A. That's absolutely correct. In manufacturing facilities

1 all these bottles are inspected visually against
2 a special light and you can see from the nature, from
3 the colour, but also from the general appearance of the
4 product that there is a difference between pasteurised
5 and non-pasteurised material.

6 Q. Thank you. Now, to return to your document, to the
7 final paragraph on the first page, with regard to
8 another question, namely batches being contaminated by
9 staff movement:

10 "My answer is that such trials are normally done in
11 separate facilities."

12 So you were saying at this point that generally you
13 expected that when the viricidal efficiency trials were
14 carried out, they were carried out in a different room
15 from the rooms in which the plasma was being
16 manufactured or processed. That was your expectation
17 when you wrote your report?

18 A. Yes.

19 Q. And has that been confirmed?

20 A. Well, I must say that I'm not quite sure where in the
21 report of Dr Cuthbertson this is dealt with.

22 Q. Right. Look back at Dr Cuthbertson's paper and go to
23 page 10. So can we go on from page 7 to page 10,
24 please?

25 A. You mean the last paragraph?

1 Q. Yes.

2 A. Yes, indeed. So, I'm sorry, I see now that that I have
3 read. Indeed. So he first started by saying
4 Hepatitis C has never been used, so it could not
5 contaminate any bottle and, secondly, the validation
6 studies were carefully controlled to prevent
7 cross-contamination and the heating was carried out in
8 a separate, purpose-built microbiological containment.

9 So I think the last sentence for me is quite
10 convincing, that the proposal that contamination could
11 have occurred by these virus inactivation studies is
12 very, very, very unlikely.

13 Q. Right, you make two points in your paragraph, as
14 I understand it, Professor. Firstly, you are making
15 a point about a physical separation between the carrying
16 out of virus-killing testing and the actual processing
17 of the material -- so that's the physical separation --
18 and then you also make a point that no one was doing
19 virus-killing tests using Hepatitis C virus at that time
20 anyway. Is that a reasonable summary of what you are
21 saying?

22 A. I'm not quite sure if we have the same interpretation
23 here. What I tried to say is that first of all there
24 was no Hepatitis C used for the validation.

25 Q. Yes.

1 A. And the whole issue is gone in fact because how can you
2 then use this as an argument, that this was the reason
3 why the material was contaminated, yes, and then,
4 secondly, the separation in the various rooms was an
5 argument. But there, of course, I can only read what
6 I see here. I haven't seen it myself.

7 Q. Indeed. I think I was only going to make what I think
8 was quite a short point, that if you compare,
9 Dr Cuthbertson's two bullets on his page --

10 A. On the last page?

11 Q. -- seem to be the same two points that you are making
12 but just the other way round. I think his first point
13 is about Hepatitis C virus not being used at all, which,
14 as you said, renders the whole of the rest of the
15 argument really irrelevant?

16 A. Yes, I found it very difficult to see how it would have
17 occurred.

18 Q. Yes, and then he also makes the physical separation
19 point.

20 A. Yes.

21 Q. Yes. Then the last point you deal with -- and we need
22 to go on to the final page, the second page, of your
23 supplementary report, which presumably is PEN.011.0002.

24 THE CHAIRMAN: I don't think that can be so. The sentence
25 just stop in mid-air.

1 MS DUNLOP: Yes. We all have the second page, so an
2 irregularity has occurred. But --

3 A. I have it here.

4 Q. You have your own hard copy, do you? Do you think you
5 can find it?

6 There it is, yes. It was my mistake in calling it
7 0002, is it?

8 Then you also consider the possibility of
9 contamination of batches due to the reuse of pH probes
10 by using virus-spiked samples. It seems what you are
11 really saying, I think, Professor, is that in 1983 that
12 couldn't have been done because they didn't have the
13 virus.

14 A. Yes.

15 Q. So they weren't using the virus on probes, so there
16 couldn't have been contamination from probes which were
17 carrying the virus.

18 A. Yes.

19 Q. And in fact, looking at Dr Cuthbertson's description,
20 would it also be relevant to take into account that
21 bottles which went for patient use were sealed and the
22 seal was "crimped", we would call it. So there was an
23 additional seal round the top of the bottle. So in fact
24 the bottles which made their way to Mr Tamburrini
25 wouldn't have had probes stuck in them anyway. Is that

1 correct?

2 A. That's correct, and it is, I think, forbidden even to
3 add anything or to put anything in bottles which you are
4 going to (inaudible) on.

5 Q. Yes. Just, as we say, for completeness, go back to
6 Dr Cuthbertson's document, page 10, which we still have,
7 and go up to the page, please:

8 "No manipulation such as pH measurements are made on
9 the finished bottles, which remain sealed with
10 tamper-evident overseals until required for patient
11 treatment and if the tamper-evident overseal was not
12 seen to be secure on any bottle during inspection, it
13 would have been rejected."

14 So he is really making the same point here --

15 A. That's correct, what he says.

16 Q. Now, we understand, Professor, that you weren't there,
17 so you have to go on the basis of the written
18 descriptions of the process that you have seen, but with
19 that reservation, is it reasonable to say that you have
20 considered the possibilities for some sort of mix-up or
21 contamination and you haven't identified one that you
22 think was a real possibility -- sorry, that's not a very
23 well expressed question, but from the evidence you have
24 seen, if you assume that what you have read accurately
25 describes the processes carried out and the way in which

1 the facility was operated, it is possible to exclude the
2 suggestions of some sort of irregularity which have been
3 made?

4 A. Well, as I said earlier, I have used the word "likely"
5 with a certain background. But I must say that when
6 I read what Dr Cuthbertson has provided here on
7 information, this is not a logical or even a way I would
8 have thought that it could happen put this way.

9 So I found it at some points irrelevant, yes, when
10 it comes to the fact that the Hepatitis C virus was not
11 used. Of course we had no Hepatitis C virus at that
12 time, so from that point of view I can say I cannot
13 follow the reasoning any more. So I stopped there and
14 I thought, "This is impossible."

15 Q. Thank you very much, Professor. No further questions.

16 THE CHAIRMAN: Mr Di Rollo, do you have any questions?

17 MR DI ROLLO: Just one or two points I just wanted to ask.

18 Questions by MR DI ROLLO

19 MR DI ROLLO: Professor, I just want to be clear that you
20 have seen the inspection reports from October 1981
21 and May/June 1988 concerning the Protein Fractionation
22 Centre in Edinburgh.

23 A. Yes.

24 Q. And obviously there are certain criticisms that are made
25 in those reports about the Protein Fractionation Centre,

1 which you are obviously fully aware of, having read
2 those reports?

3 A. Yes.

4 Q. And as I understand your evidence today, what you are
5 saying is that there is nothing in those reports, having
6 regard to the other information that you have, that
7 makes you think that there is any connection between
8 anything that was going on at the Protein Fractionation
9 Centre in Edinburgh and any possible contamination or
10 infection through the SPPS sample that Mr Tamburrini was
11 given. I know that was a long question but is it clear?
12 Do you understand what I'm asking you?

13 A. If I'm correct, you are repeating the question which you
14 put earlier in one of your letters, I think. Is that
15 correct?

16 Q. The question -- and I want to make it clear it has not
17 been put in the form of an argument; this is an Inquiry.
18 The question was: is there any potential link, and that
19 is the question that really -- I am understanding your
20 evidence is that you are saying there is no, as far as
21 one can be clear, potential link between the Protein
22 Fractionation Centre and Mr Tamburrini's SPPS batch?

23 A. Well, I would like to answer that question as follows:
24 first of all, I cannot disregard the inspector's report.
25 That would not be good. I mean, there is an inspector's

1 report. These people have looked in the facility and
2 I have not seen that, so they have an advantage over my
3 opinion, in fact when it comes to the inspection of the
4 Liberton Fractionation Centre. Yes? So what I have
5 noticed clearly shows that there is still a way to go
6 before GMP is really introduced and I think that the
7 people in SNBTS would realise that.

8 However, if you look at this particular product,
9 albumin, which is the most stable protein which we have,
10 yes? Which is the only stable protein which can be
11 heated, pasteurised, in the wet state, as we call it,
12 yes, so in fluids, before (inaudible) becoming denatured
13 and therefore not efficient.

14 So this product for (inaudible) purposes is far more
15 robust than what other products in the same area do and
16 therefore I think, even though some of the circumstances
17 may not be completely ideal and certainly not to the
18 standard of now, yes? -- I would still consider it
19 highly unlikely that there is a link between that
20 circumstances and the infection.

21 Q. And that's because of the nature of the product and the
22 process to which it was subjected?

23 A. Not just that but also some of the conditions which
24 Dr Cuthbertson has outlined in his paper.

25 MR DI ROLLO: Right. Thank you.

1 THE CHAIRMAN: Mr Anderson?

2 MR ANDERSON: I have no questions, sir.

3 THE CHAIRMAN: Thank you. Mr Sheldon?

4 MR SHELDON: No, thank you.

5 THE CHAIRMAN: Professor van Aken, thank you very much.

6 A. Thank you.

7 MS DUNLOP: Sir, there are no more witnesses coming to speak
8 about Mr Tamburrini's situation, any more witnesses on
9 our list, and the next person whose circumstances we
10 propose to investigate or in relation to whom we propose
11 to lead evidence is the Reverend David Black. I don't
12 know, sir, if you are content just to move straight to
13 that or if you want any short break.

14 THE CHAIRMAN: I think that it might help the participants
15 to refocus, as it were, if we have a short break, and if
16 anyone needs to speak to you or find out where we are
17 going, it might help to make progress later.

18 MS DUNLOP: By all means.

19 THE CHAIRMAN: So I think a little bit of reassessment would
20 do us no harm.

21 (12.12 pm)

22 (Short break)

23 (12.35 pm)

24 MS DUNLOP: We should explain at the outset that we don't
25 have Mrs Black as a witness. Mrs Black, I gather, is

1 rather frail and I think it would have been too much of
2 an ordeal for her to come and give evidence at the
3 Inquiry. With that in mind, I would like to begin by
4 looking at her statement, which is [\[PEN0010011\]](#).

5 This is the statement which a member of our team has
6 taken from Mrs Black, sir, and I might mention at the
7 outset that I gather that Mrs Black is a retired nurse,
8 so she is more familiar than many of us with some of the
9 terminology and indeed some of the aspects of hepatitis.

10 Some of the points to which I would draw attention,
11 as we look at this statement, is that Mrs Black is in
12 her 70s, that the Reverend Black was born on 1 May 1937
13 and died on 31 October 2003. The cause of death was
14 hepatocellular cancer in a transplanted liver,
15 Hepatitis C, transfusion of blood products and
16 haemophilia. She says she doesn't know the genotype.
17 Perhaps, just as a matter of interest -- and we will see
18 this in the correspondence later -- we could note at the
19 moment that it was actually genotype 3.

20 Mr and Mrs Black met in 1961 and married and had
21 a family. She speaks a little bit about Mr Black's
22 haemophilia and mentions some treatment in his youth for
23 tooth extraction for accidental injury. She refers to
24 treatment at Glasgow Royal Infirmary. She describes his
25 consultant in relation to his haemophilia being Dr Lowe.

1 I think actually, if one goes further back into the
2 history of the Royal Infirmary, we can see him being
3 treated at Professor Douglas's clinic and also at
4 various times by Dr Davies and Dr Prentice. But
5 certainly Dr Lowe became the director of the Haemophilia
6 Centre in Glasgow.

7 There is reference to the fact that the family,
8 I think, travelled a lot, and you can see that on the
9 second page. The Reverend Black was a baptist minister
10 and worked, I think, both in America and indeed in
11 developing countries, and there is a reference in the
12 records to his having worked for Oxfam at one point.

13 He requested, in 1985, an HIV test, which Mrs Black
14 says was, fortunately, negative. He became ill in 1987
15 in Florida. We will look at some correspondence
16 relating to that. Paragraph 7. I did ask for some
17 clarification of the word "sclerosis", where it occurs,
18 because it doesn't read entirely fluently. It says:

19 "David was informed that the virus could have caused
20 the diseased liver to become sclerosis."

21 As a result of communication with Mrs Black, her
22 view is that that word should be "cirrhosed", so can I
23 simply indicate that as a change which has Mrs Black's
24 authority?

25 If we move to the next page, she refers to learning

1 that Mr Black had Hepatitis C, the fact that treatment,
2 pharmaceutical treatment, was discussed, and then
3 a gradual deterioration in his symptoms.

4 Paragraph 13, attendance at the liver transplant
5 unit at Edinburgh Royal Infirmary, and then the
6 undergoing of a transplant operation in April 1996.

7 Then Mrs Black says, on the following page, at the
8 top of the page:

9 "The projections were that his new liver would last
10 his lifetime before the Hepatitis C would have the
11 chance to affect it."

12 But we can obviously work out that it was in fact
13 a period of seven years between the transplant and his
14 death.

15 Then Mrs Black herself has undergone testing for
16 Hepatitis C, which has been negative, and then she
17 describes Mr Black's final illness, that he had cancer
18 in his transplanted liver and that he died in fact
19 ultimately in Strathcarron hospice.

20 Mrs Black says in paragraph 19 that it has come as
21 a shock to the family to learn, as a result of the
22 investigations initiated by the Inquiry, that Mr Black's
23 own liver in 1996 was affected by cancer, that Mr Black
24 was not aware of that and the family weren't aware of
25 that either.

1 I should say just at this point, sir, that we will
2 come to that, and further enquiry has been made with
3 Edinburgh Royal Infirmary as to how that might have
4 happened, and both a letter and a report have been
5 received from the transplant unit on this topic, which
6 we will look at this afternoon.

7 In conclusion, Mrs Black to refers to just some of
8 the difficulties of Mr Black having had Hepatitis C, to
9 the problems with insurance, which I'm sure will be
10 familiar to anybody who is listening or reading this and
11 who themselves has Hepatitis C, and she also refers to
12 an awareness of stigma and she refers to having had
13 payments from the Skipton fund.

14 In conclusion, she expresses her appreciation of the
15 medical care which her husband received.

16 THE CHAIRMAN: Now, gentlemen, I don't imagine that anyone
17 could have any concern with the approach that has been
18 adopted but since Ms Dunlop has been selective, if there
19 are any other parts of the statement that you think
20 ought to be referred to in the transcript, this would be
21 an opportunity, I think, to draw attention to them. But
22 if you are content, we can just proceed.

23 Content to proceed? Fine. Thank you very much,
24 Ms Dunlop.

25 MS DUNLOP: My first, witness, sir, is Dr Brian Colvin, who

1 is here, I think. Yes.

2 DR BRIAN COLVIN (sworn)

3 Questions by MS DUNLOP

4 MS DUNLOP: Good afternoon, Dr Colvin.

5 A. Good afternoon.

6 Q. We are beginning by looking at people's CVs and we do,
7 of course, have a curriculum vitae for you. Right at
8 the moment, I'm sorry, I don't have the number for it.
9 It is an omission on my part. It doesn't have a number
10 on it.

11 Just while we look for it, doctor, I can't resist
12 asking you, did you at one time begin the study of law?

13 A. I did, more as a way of educating myself in my last year
14 at Cambridge rather than an initial desire to become
15 a lawyer. I used to listen to the works of
16 Edgar Lustgarten on the radio, when I was a child, and
17 admired Lord Birkett, and then at the end of my time at
18 Cambridge, having taken the part 2 law Tripos, I had
19 a long discussion with Judge Ormerod, who I think was
20 a gynaecologist as well as a lawyer, and he advised me
21 to take a safer path by going into medicine rather than
22 going to the bar.

23 Q. Some would be grateful that you considered it and then
24 you did something useful. But anyway, I'm not sure if
25 we have yet located your CV.

1 THE CHAIRMAN: Certainly if you thought that Birkett was the
2 standards you were after, your prospects were perhaps
3 less than good. But I suppose one should aim for the
4 best.

5 A. I suppose later, when I was reading law, Lord Denning
6 was regarded as the new god of the legal process.

7 THE CHAIRMAN: For different reasons.

8 A. For different reasons.

9 Q. And HLA Hart was very much admired in Oxford at an
10 academic level.

11 THE CHAIRMAN: Have I used enough time for you?

12 MS DUNLOP: We can come back to this after lunch. I think
13 that's probably best. We can just explore some of the
14 more general aspects of what Dr Colvin has told us and
15 we can come back after lunch and ask you some more
16 detail about yourself, but in short, you were the
17 director of the haemophilia centre at Barts and The
18 London for over 30 years, and you say your principal
19 interests have been:

20 "... the development of haemophilia care, home
21 treatment and the management of HIV and hepatitis
22 infection in this community."

23 A. It is fair to say that for the first 20 years of my
24 directorship, The London was alone but then the
25 government decided on a regimental merger between Barts

1 and The London. So it was only from the early 1990s
2 onwards that Barts came into the equation.

3 Q. You started at The London?

4 A. Yes, I came down from Cambridge to The London in 1966
5 and rightly or wrongly remained there for my 40-year
6 sentence.

7 Q. There is a bit of a divide between haemophilia care
8 south and north of the Thames. Is that the case?

9 A. That's extremely true. I don't think it is true any
10 more but it was very true during my directorship, and
11 I looked always to the Royal Free for sustenance and
12 advice. Because at The London I was really the only
13 haemophilia specialist and I think it is always very
14 important to discuss cases and policy with colleagues,
15 and I tried very hard to make sure that in north London
16 the Royal Free and the Royal London worked together and
17 in parallel.

18 Q. You have prepared a report on the Reverend Black and
19 that report is [\[BLA0012281\]](#). We can see it there.

20 I wanted, before we look at the detail of your report,
21 doctor, to ask you one or two general questions about
22 haemophilia, particularly because, of the four
23 individuals whose lives and illnesses we are looking at
24 this week, the Reverend Black was the only person who
25 was affected by haemophilia. Before we examine your

1 report, if we look at 001.2164.

2 THE CHAIRMAN: Prefix, Ms Dunlop?

3 MS DUNLOP: It is [\[BLA0012164\]](#). This is, I think,
4 a slightly elderly record of an assessment of somebody
5 for haemophilia and allied disorders. I think the
6 patient's age is noted on the top right, 18 and a half,
7 so we are talking about maybe 1955.

8 If we scroll down, we can see the first haemorrhagic
9 episode that the person who has been speaking to the
10 Reverend Black, presumably a doctor, has noted was when
11 Mr Black was five. Do you see that?

12 A. Yes.

13 Q. Indeed, it says:

14 "He was in hospital for scarlet fever and he was
15 tested and found to be ..."

16 I think that's "a haemophiliac".

17 THE CHAIRMAN: Is it "a haemophiliac".

18 MS DUNLOP: Maybe it is meant to be "Haemophilia A".

19 I think it could be.

20 A. I think the text, if you would like me to try and
21 clarify that, is that he is actually writing "found to
22 be a haemophilia". I don't think, certainly in the
23 1950s, there was any distinction really between
24 Haemophilia A and Haemophilia B because Factor IX hadn't
25 really been described -- or it was about to be

1 described. And it may be that he might have wanted to
2 use the word "haemophiliac" but didn't find the time to
3 write the "C" on the piece of paper. But I think this
4 just means that they found him to have haemophilia.

5 Q. Then, the form provides for questions to be posed about
6 dentition. So I take it this is the loss of the milk
7 teeth, primary dentition. Is that what a doctor would
8 be asking about? Is that correct?

9 A. In general, dental health is very important for children
10 with haemophilia, and perhaps the most likely beginning
11 of abnormal bleeding related to the teeth will be at the
12 time of shedding the milk teeth, although quite often
13 milk teeth are shed without any real difficulty, but
14 child dental health is very critically important in
15 haemophilia care.

16 Q. Yes. In this instance, we noticed that these were shed
17 without undue bleeding, except one, which was taken out
18 in the Western Infirmary in Glasgow. If we can go
19 a little bit further down, we can see secondary
20 dentition is referred to. If we can scroll down the
21 page, please, the line that seems to lead from secondary
22 dentition, I don't think we can see what is or was
23 written there. But in any event, we can see that he was
24 found to have haemophilia in the early 1940s. Can we
25 look also at [\[BLA0011740\]](#). This is a much later note of

1 information provided by Mr Black but if we could go down
2 that page, please, we can see that in 1996 someone has
3 taken quite a full history from him in hospital and he
4 has told the doctor that he required transfusions from
5 age 7 but has had no haemarthrosis. What is
6 haemarthrosis?

7 A. That just means bleeding into a joint; "haem", blood,
8 "arthrosis", within a joint.

9 Q. And that is something which people with haemophilia can
10 suffer?

11 A. It is one of the cardinal findings of a person with
12 haemophilia. I can explain a little bit about the
13 difference between mild or moderate and severe
14 haemophilia at some point if you wish.

15 Q. Please do. This is as good a time as any.

16 A. Children with severe haemophilia usually present, in the
17 first 18 months of life, particularly at the time when
18 they begin to get up and run around or crawl around and
19 bump into things. So the little child with severe
20 haemophilia gets bruises on the shins and may develop
21 haemarthrosis, particularly in the knees and ankles, or
22 when they are trying to put toy soldiers into their
23 mouths, they may cut the mouth and get bleeding from the
24 mouth.

25 So many children with severe haemophilia who don't

1 have a family history may find -- or their parents may
2 find -- that they are accused of non-accidental injury,
3 which of course is extremely upsetting for someone who
4 later proves to have a significant blood disorder. But
5 when you are dealing with children with mild or moderate
6 haemophilia -- and this, I think, comes under the
7 category of moderate haemophilia in the Reverend Black's
8 case -- spontaneous bleeding or bleeding after minor
9 injury is not quite so common, so that you may need
10 quite a significant injury in order to cause bleeding.
11 For example a dental extraction, a classical injury
12 which would cause trouble, or if there is a more
13 important injury, where, you know, there is a twisted
14 ankle or a twisted knee that may lead to bleeding or at
15 the time of a major contusion like falling off your
16 bicycle or having an operation.

17 So the person with mild to moderate haemophilia may
18 remain undiagnosed for quite a long time, and being
19 diagnosed at the age of 5 or 6 or 7 years is pretty
20 routine and I have seen patients being diagnosed with
21 mild haemophilia in their 60s and 70s. So it just
22 depends on the level of trauma to which you are
23 subjected. But in the Reverend Black's case, to be
24 diagnosed with haemophilia perhaps after dental
25 extraction at the age of 7 is absolutely typical of the

1 condition.

2 Q. The terms you are using, "mild", "moderate" and
3 "severe", they have correlations in terms of percentage
4 of the relevant factor in the person's blood. Is that
5 correct?

6 A. Yes, and the World Federation has set that in tablets of
7 stone, so: for less than 1 per cent Factor VIII or
8 Factor IX is severe haemophilia, from 1 per cent to
9 5 per cent is moderate haemophilia and 5 per cent and
10 above is mild haemophilia. And in the Reverend Black's
11 case we have values for resting Factor VIII may be
12 between 3 and 7 per cent. So he is, if you like, on the
13 cusp of mild to moderate haemophilia. So the moderate
14 side of mild, I would say.

15 Q. Obviously, there is an upper limit to mild. I mean, at
16 what point does mild haemophilia stop and normal
17 clotting begin? We have heard it suggested as
18 30 per cent or 50 per cent?

19 A. The normal range for Factor VIII is a technical term and
20 the value will be two standard deviations away, using
21 a mathematical terminology, from 100 per cent because
22 100 per cent is defined as the normal amount of
23 Factor VIII in the blood, which translates into more
24 modern definitions as one unit per millilitre or 100
25 units per decilitre. So normality is defined as what

1 the average person's level of Factor VIII will be, which
2 is 100 per cent or 100 units per decilitre. The normal
3 range of Factor VIII is, generally speaking, between
4 about 50 and 150 or 200 per cent, and the way to work
5 this out is to take a population of normal people and
6 measure their Factor VIII level and then work out
7 mathematically what the normal range is.

8 So that's the sort of scientific definition. Now,
9 the truth of the matter is that in the area around
10 50 per cent or below, it is quite possible to have
11 a less efficient haemostatic mechanism, a less efficient
12 blood clotting mechanism. So if you look at women who
13 are carriers of haemophilia, they will generally have
14 a level of Factor VIII around 50 per cent, and in this
15 area below 50 per cent you occasionally find a degree of
16 abnormal bleeding, particularly after injury. It is
17 very difficult in this area to define exactly what is
18 happening and I will try and explain that in more detail
19 if that's what you would like me to do.

20 Q. No. No offence, doctor, but just for a guideline, would
21 it be reasonable to say that mild is between 5 and
22 roughly 50 per cent?

23 A. Mild is between 5 and 50 per cent because some people
24 with a demonstrable genetic defect -- we now have the
25 genetic capacity to work out the precise genetic

1 defect -- have a level of around 50 per cent. And just
2 one brief explanation I think I should give is that you
3 only really have to climb the stairs or go for a run, or
4 for something to happen in your life, for the level of
5 Factor VIII to rise physiologically.

6 So if you are going to really make a precise
7 diagnosis of an abnormal Factor VIII level, you need
8 really to be in the resting state and if you get taken
9 by your mother to the doctor and somebody presents you
10 with a needle, the chances are that you may become less
11 than calm. And once that has happened, then the level
12 of Factor VIII may rise. So the diagnosis at the edges
13 of normality can be quite difficult.

14 Q. Yes.

15 A. But in this case, with the Reverend Black, 3 to
16 7 per cent is easy to diagnose once you know what you
17 are looking for.

18 Q. You have partly answered my next question, which was
19 that: looking through the records, the levels do seem to
20 fluctuate so that you yourself have given a range of
21 between 3 and 7 per cent. Actually, I think there is
22 one measurement which is in double figures.

23 A. Yes.

24 Q. So that happens, does it?

25 A. Absolutely acceptable. There are a whole range of

1 reasons why the levels might be different. One might
2 have a patient who is not so well or a patient who has
3 had a tooth out and the levels have risen as a result.
4 One might also have some discrepancy of the standard
5 used to measure the Factor VIII. Certainly in the time
6 of the 1940s and the 1950s, there were no standards for
7 measuring the Factor VIII by. So if you were using
8 a normal standard to measure the Factor VIII in the 40s
9 and 50s, it is quite possible that the normal standard
10 might not really be normal, and then you would be
11 measuring your test against something which wasn't truly
12 normal. So there is a whole range of possibilities for
13 this fluctuation.

14 Q. I understand. The other potential complication to which
15 Mr Black has referred when he has been talking to this
16 doctor, is spontaneous bleeding. Take from that that
17 people with, I think, severe haemophilia, may experience
18 bleeding without a trigger. So they don't need to fall
19 or have a dental extraction or something, the bleeding
20 just happens.

21 A. That's true, although the majority of bleeding in severe
22 haemophilia takes place into the joints and muscles,
23 which are the moving parts. However, it is the case
24 that people with haemophilia, particularly severe
25 haemophilia, may have spontaneous -- intracranial

1 haemorrhage is the best example -- where there is
2 clearly no discernable trigger. Maybe somebody might
3 have bumped their head, but there is no doubt that some
4 people with haemophilia, particularly severe
5 haemophilia, have truly spontaneous bleeding. Of
6 course, it is still possible that there might have been
7 some minor defect in the circulation within the brain
8 that pre-disposes to this spontaneous bleeding. So the
9 word "spontaneous" is certainly valid in everyday
10 speech; whether it is completely valid at a scientific
11 level is less clear.

12 Q. Can we just look at the second page of this entry, which
13 is 1741. We just see that that is the conclusion really
14 of the doctors' interview. Can we just scroll right
15 down, please, and this is an entry which has been made
16 by a registrar, in fact, taking these details from the
17 Reverend Black, who has obviously been quite a good
18 historian of his own --

19 A. Yes.

20 Q. I think, sir, before we go on to look at some other
21 details of the Reverend Black's earlier life, it might
22 be as well just to stop because it is five past one?

23 THE CHAIRMAN: Do you recognise the initials there?

24 Dr Bathgate?

25 A. No, I don't know Dr Bathgate.

1 MS DUNLOP: Thank you, sir, it is Dr Bathgate.

2 THE CHAIRMAN: We will break.

3 (1.04 pm)

4 (The short adjournment)

5 (2.10 pm)

6 MS DUNLOP: Dr Colvin, we have found your CV and we should
7 put it before the Inquiry. It is PEN.001.2017.

8 I think we will maybe not scroll down to the bottom
9 because it has more information than I think we would
10 want for Dr Colvin's sake to be disclosing.

11 It tells us about your work as a haematologist, and
12 you have been the founder director and company secretary
13 of the European Association for Haemophilia. First
14 author of the European principles of haemophilia care.

15 And you have also worked for Wyeth and Pfizer. Is
16 that correct?

17 A. Wyeth were taken over by Pfizer in October 2009.

18 Q. Then if we look at page 2, you have documented for us
19 your education, university education and medical
20 education. Then page 3 is your positions held. We have
21 mentioned this morning the Royal London Hospital and
22 then, as you said, you joined St Bartholomew's. And
23 then you have also had academic responsibilities. You
24 have been a lecturer and, indeed, then a senior
25 lecturer. Moving on to the following page, we see --

1 that's presumably a university in Rome, is it?

2 A. Yes, it is.

3 Q. You had an appointment as a visiting professor in Rome
4 in 2005. Your teaching activities, and then your
5 examining your committee activities, societies, then
6 some commercial connections from 2002. This is on
7 page 6. Then finally a very long list of publications
8 where you have had to go into a much smaller font to get
9 them all in. So 59 articles. Is that right? 59 papers
10 and 14 books and chapters. All of them about
11 haematology essentially?

12 A. Mostly, yes.

13 Q. If we could go back, please, to where we were just
14 before lunch, looking at some of the information that is
15 apparent from Mr Black's medical records about the
16 history of his haemophilia.

17 I want also to look at 2121. This is [\[BLA0012121\]](#)
18 and we're going to rotate that right, please. This is
19 a document which comes from a set of records marked as
20 "Glasgow Royal Infirmary records" but I think it would
21 be fair to say we are not actually terribly sure at the
22 moment that that is actually true. Anyway, it is
23 interesting, I think, to those of us who are learning
24 about haemophilia, because it is the family tree and we
25 can see Mr Black there in the middle, David Black, and

1 what's particularly interesting to us, because it
2 features or it recurs throughout his medical records,
3 are the two uncles. There is one uncle on the left and
4 then one uncle on the right and the uncle on the left,
5 who is described as having gastrointestinal bleeding and
6 his joints are affected, and the uncle on the right is
7 described as having died at 15 or 16, a question mark
8 saying that was because of haemophilia. May we take it
9 then, Dr Colvin, that people may have been more
10 seriously affected than Mr Black himself?

11 A. Generally speaking, haemophilia breeds true within
12 a family, which means that those who are affected within
13 the family are affected to a similar degree. However,
14 characters do differ and so people who sit in front of
15 a computer screen all day in the modern world are less
16 likely to bleed than those who go out on their bikes,
17 and of course, it is also the case that if you have
18 a particular event, like, say, falling off your bike,
19 then that may lead to more trouble than for your sibling
20 or cousin who is sitting at home. So I think it is
21 difficult really to say that these people were affected
22 to a different degree. Probably the level of
23 Factor VIII was rather similar. But they may have had
24 different characters or different life experiences.

25 Q. Yes. If this is an account that came from Mr Black

1 himself, we can see that he seems to have said -- or
2 someone has said at the bottom -- that he is very mild
3 compared to his uncle. So that may have been his own
4 view of the position. If we look at [\[BLA0012167\]](#), we
5 can actually see -- and this is again rather an elderly
6 sheet, I think from Glasgow Royal Infirmary -- at this
7 point he is 17, so again in the 1950s, and appears to be
8 working in a CA's office at this point. If we go down
9 to the little family tree on that page, it looks from
10 that as though he said that the uncle has died after
11 a tonsillectomy. But perhaps that's something that
12 decades ago, may have been the unfortunate consequence
13 of what would be a relatively minor operation.

14 A. That really illustrates the point that I was making, and
15 it is very important to appreciate that mild haemophilia
16 doesn't mean mild bleeding. Once someone who has mild
17 haemophilia or moderate haemophilia begins to bleed
18 after an event such as a tonsillectomy, they will go on
19 bleeding until something is done. And a tonsillectomy
20 is a very good example of something which could be life
21 threatening because a large amount of material
22 is removed from the throat during a tonsillectomy and it
23 is in a very difficult area where the airway is critical
24 and where death from bleeding could very easily take
25 place.

1 THE CHAIRMAN: Would treatment have been readily available
2 at this time if the uncle had died?

3 A. We are talking about 1950 odd. No, it wouldn't. No
4 serious treatment available for haemophilia until 1965.

5 THE CHAIRMAN: I think it may, in fact, if you think of the
6 generations, have been rather before 1950.

7 A. Quite. No serious treatment available for haemophilia
8 before 1965.

9 PROFESSOR JAMES: And before the war, no blood transfusion
10 available.

11 A. No, indeed. And there must have been some early
12 experience of treatment of haemophilia with blood
13 transfusion, although I'm probably a little bit too
14 young to have experienced it. But if you look at the
15 experience of the Tsarevich in the 19th century and
16 early 20th century, rather, with the influence of
17 Rasputin, it is clear that the physicians were desperate
18 to know what to do with the unfortunate child and that
19 the influence of Rasputin was that the Tsarina believed
20 in his capacity to stop the bleeding.

21 MS DUNLOP: I have taken you to some entries in the records,
22 really because they give a bit of background about
23 haemophilia more generally, particularly in times
24 earlier in the 20th century, but I need to take you back
25 to your report so that we can look in more detail at

1 what happened to Mr Black.

2 So if we could have your report up again, please,
3 [\[BLA0012281\]](#). On page 3 of your pagination -- if we
4 could just go to the next page, the page headed
5 "introduction". You have a summary but do not look at
6 the summary just now but look at the substance of the
7 report, and go to the next page where you start with the
8 facts.

9 You say that Mr Black was born on 1 May. He seems
10 to have been first treated in the 1960s. I take it you
11 would accept that that reference we looked at earlier
12 about requiring transfusions from age 7, in fact -- I
13 should say, I'm not sure that these records were sent to
14 you. We have rather a large collection of medical
15 records in relation to Mr Black. If he was being
16 transfused from age 7, then we are talking about the
17 1940s, actually.

18 A. It depends what you mean by treatment for haemophilia,
19 I guess. He would have been treated for his condition
20 but not with factor concentrates which we, perhaps in
21 modern times, regard as the treatment for haemophilia
22 itself. So there may have been some ambiguity around my
23 statement.

24 Q. I see. Then if you could look, please, at [\[BLA0012204\]](#),
25 this is just to understand some of what you say in your

1 report by looking at the actual pages from medical
2 records. It is not very easy to see but we can make out
3 that this is an admission in 1965. He seems to have
4 been in hospital between 20 October and 29 October and
5 the reason was a dental extraction. If we look also at
6 [\[BLA0012200\]](#), looking at that in slightly greater
7 detail, it says:

8 "Haemophilic for tooth extraction."

9 I think there is a reference to his having
10 received -- I'm not sure if it is actually on this page,
11 maybe on [\[BLA0012157\]](#) -- four flasks of AHG. Can we
12 look at [\[BLA0012157\]](#), please? There is a reference to
13 four flasks of AHG and this is the letter which says
14 that during his admission in October 1965 he has had
15 dental extraction under AHG. What was AHG?

16 A. That is a very interesting question from 1965. I think
17 what must have happened was that in Scotland, as in
18 England at the time, early concentrates of Factor VIII
19 were being prepared before cryoprecipitate had been
20 discovered. These were in tiny quantities and I think
21 they would have been derived either from single donor
22 units or possibly from very small pools, and what we are
23 looking at, I think, is an extremely early example of
24 the use of a Factor VIII concentrate. And the
25 importance of this is that the treatment begins in terms

1 of haemophilia care proper in 1965. I think there are
2 others -- experts, possibly even in this room -- who
3 might be able to enlighten you more about exactly what
4 AHG was in Glasgow in 1965 but that's my interpretation.

5 Q. Thank you. Then after [\[BLA0012157\]](#), can we look at
6 [\[BLA0012154\]](#). This is another 1960s letter but this
7 time referring to a dental extraction in 1969. And not
8 just my own perusal of the records, which would be
9 unreliable, but I think others who have been through the
10 records haven't actually been able to find details of
11 administration of any product in connection with this
12 dental extraction but one can surmise perhaps that that
13 dental extraction will also have been covered by some
14 form the treatment.

15 A. I think most likely cryoprecipitate, because the amount
16 of antihaemophilic globulin, AHG, that was available in
17 1965, would have been very, very small indeed. There
18 were small amounts being prepared in Oxford, also bovine
19 and porcine Factor VIII in Oxford, derived from cows and
20 pigs, and it may be there was some means of preparing
21 these products in Scotland or it may be that they were
22 being obtained from Professor Macfarlane's unit in
23 Oxford. But I think that by 1969 we have entered the
24 period of general treatment with cryoprecipitate, which
25 was a single donor unit frozen product of plasma, and

1 I would be surprised if this extraction in 1969 was not
2 covered with cryoprecipitate rather than a very early
3 antihaemophilic globulin concentrate.

4 Q. Sorry, doctor -- and I'm sorry, sir -- but just as
5 lawyers say, for completeness, the reference to four
6 flasks of AHG is on [\[BLA0012204\]](#). I think I just
7 couldn't see it. But if we could go back to
8 [\[BLA0012204\]](#) so we are sure what it is we are noting.

9 A. From my understanding of the period when I was at
10 university, it was the case that a flask would not have
11 contained cryoprecipitate. Two reasons: the
12 cryoprecipitate wasn't described by then and it wasn't
13 prepared in flasks in my experience.

14 Q. Right, okay. Thank you for taking me back to that.
15 I think I just failed to spot it earlier. It is
16 actually quite obvious now. It is under "Progress and
17 treatment". It says:

18 "Patient was given four flask of AHG preceded by
19 phenergan and cortisone."

20 Phenergan to make him a bit drowsy?

21 A. Possibly it would have made him a bit drowsy but the
22 real purpose is to avoid the allergic reactions that
23 would be liable to occur when you give a crude plasma
24 product, as this was, to a patient. That's the design
25 of the phenergan and cortisone: to reduce or eliminate

1 an allergic reaction.

2 Q. Thank you. Just to go back again to around about this
3 time, [\[BLA0012149\]](#), and you will be interested, sir, to
4 see that Mr Black had been treated by Dr Judith Pool in
5 Stanford. Dr Pool is a well-known name in this area,
6 Dr Colvin. Why is she so famous?

7 A. Because it was she really who described the preparation
8 of cryoprecipitate. I think others had in fact been
9 aware of the fact that a cryoprecipitating process led
10 to a concentration of Factor VIII but Judith Pool in
11 California is certainly regarded as the sort of founding
12 mother, if you like, of haemophilia care by her
13 description of the preparation of cryoprecipitate as
14 a therapeutic product in 65 and 66.

15 Q. The trail then goes a little bit cold until
16 [\[BLA0012146\]](#), we are looking at Mr Black's treatment at
17 around this time. We see from this letter -- can we
18 scroll a little bit further down, please. This is 1973.
19 The reference CDF I think may, in fact, be Dr Forbes,
20 Charles Forbes -- in any event, that somebody has been
21 looking through the files of the haemophilia centre and
22 noticing that he hasn't been reviewed for four years,
23 perhaps because, as the writer says, it is an example of
24 no news being good news, "I presume this is because you
25 had no major bleeding problems."

1 Anyway, he is to come back and have a review. And
2 then on [\[BLA0012142\]](#) there is another dental extraction:

3 "I understand he is likely to require a dental
4 extraction in the near future. I would be pleased to
5 admit him for replacement therapy at the time."

6 That was Dr Davidson, a haemophilia clinician.

7 A. I know John very well.

8 Q. Then [\[BLA0012137\]](#). A reference to a problem, a knee
9 problem, in 1975. I think, understandably, from the
10 description you gave us earlier of the sorts of problems
11 people with haemophilia have, someone has been wondering
12 whether this was a haemarthrosis, but the letter tells
13 us that he had replacement therapy as an outpatient
14 in June 1975 as well.

15 A. So it can be difficult to distinguish between
16 a haemarthrosis and a haematoma in the area of the knee
17 but it doesn't make much difference to what treatment
18 one might offer, and I refer to this particular event in
19 my facts 3.2 when I say that he had Factor VIII
20 replacement. And the way that has been written, bearing
21 in mind it is 1975, suggests to me that this was a large
22 pool freeze dried concentrate rather than
23 cryoprecipitate, although it might have been
24 cryoprecipitate.

25 Q. Then we can link back to your report, if we look at

1 [\[BLA0012231\]](#), where you say:

2 "There is a record dated 25 May 1978."

3 If we could look at the top of that, that's much
4 clearer. Thank you. I think this is the sheet you must
5 have been looking at when you wrote 3.2 because we can
6 see "25/5/78" at the top. I think that's
7 "pre-extraction", so we are back to dental problems.

8 Then:

9 "Blood products type, Edinburgh, units 800."

10 And that's the reference you make in your report.

11 You say:

12 "It is very likely that this was a large pool
13 Factor VIII concentrate prepared in Edinburgh. Even if
14 he had not already been infected with hepatitis C by
15 then, the infection would almost certainly have been
16 transmitted on this date."

17 In summary, Dr Colvin -- and obviously we are going
18 to hear a lot more about this in the course of the
19 Inquiry -- around about this time, the late 1970s, for
20 people receiving concentrates for the first time, the
21 rates of infection with non-A non-B hepatitis were very
22 high, whether the product was commercial or NHS; is that
23 correct?

24 A. That's absolutely correct and a very important point.

25 Q. Yes. I would like you to look next, please, at

1 [\[BLA0012232\]](#) and I think this is perhaps what you were
2 looking at when you wrote 3.3. You say:

3 "The first abnormal liver function test I have been
4 able to find is dated 14 December 1979 and the
5 transaminase GOT."

6 What does that stand for, please?

7 A. I am afraid that I have temporarily forgotten the exact
8 nomenclature of GOT. It is glutamine something or
9 other, but it is a long while since I was at medical
10 school, but basically it is a transaminase result, and
11 the normal amount of transaminase, the SGOT, will be up
12 to 40. So that 97 is twice what it ought to be, or
13 a little over twice what it ought to be. The SGPT is
14 another transaminase in the liver and that also is
15 abnormal. Again, it should be up to about 40. So these
16 are measures of the inflammation of the liver because of
17 the enzymes detected that have been derived from the
18 liver and are present in a greater amount than they
19 should be.

20 Q. Just to take you further into the story or further along
21 the story, can we look at [\[BLA0010869\]](#), please? I have
22 mentioned this already. But what's interesting about
23 [\[BLA0010869\]](#) is that the writer of this letter is
24 referring to mild haemophilia. This is line 2 of the
25 letter:

1 "Mild haemophilia, base line levels around
2 15 per cent."

3 So that really illustrates the point you made
4 earlier about fluctuating levels, doesn't it?

5 A. It certainly does, or indeed fluctuating assays or assay
6 methods. There is no doubt there are many different
7 ways of measuring Factor VIII, or at least three, and
8 some of them produce rather different results, and
9 particularly they can produce different results in the
10 mild/moderate category. So at a technical level,
11 whether one is dealing with a one-stage assay or
12 a two-stage assay, or whether one is dealing with
13 a particular assay system or another or a particular
14 standard or another, can make big differences in the
15 levels. So this is not a surprise.

16 I think that the clinical picture of bleeding after
17 injury, with some bleeding that seems to take place
18 after not very much injury -- for instance the knee
19 haematoma, which we don't have a record of a particular
20 piece of damage to the knee -- suggests to me that the
21 range of 3 to 7 per cent that I put in my report and
22 which appears elsewhere in the text or the notes, is not
23 far away from the truth.

24 Q. So the 15 per cent may be an aberration of some sort?

25 A. I think it is probably a bit higher than one might have

1 expected. Interestingly enough, this sentence says:

2 "I reviewed your patient. As you know, he is
3 44 years old with mild haemophilia, who recently has had
4 a bleed into his tibial muscles of the right leg."

5 So it is just possible that this level, which they
6 call a base line level, might not be truly base line.
7 It might be following some kind of event.

8 Q. I see. So the level would be artificially high because
9 of blood loss, would it?

10 A. Because of the pain and suffering of the process and of
11 the blood loss, and even conceivably it is not all that
12 uncommon for somebody to take a sample, thinking it is
13 a base line sample, when actually the patient has been
14 treated within the past 48 hours. So it is quite hard,
15 looking back to 1981, to know quite what that means.

16 Q. [\[BLA0010867\]](#) takes us to 1984. We are back at
17 3 per cent here. Interestingly, there is a description
18 of the liver function tests as being normal. So
19 I suppose, for all the reasons you have given in
20 relation to the measurement of Factor VIII, the liver
21 function tests may vary from attendance to attendance as
22 well?

23 A. It is very typical of non-A non-B hepatitis as it was
24 then, and Hepatitis C as it is now, for the transaminase
25 results to fluctuate. So it is not just a question of

1 the sort of variation that I was talking about in
2 relation to the level of Factor VIII. When one is
3 dealing with liver function tests, and particularly the
4 transaminases, I think what seems to happen is that the
5 amount of inflammation in the liver actually does vary
6 from time to time. And it is typical of Hepatitis C
7 that one day you will have normal liver function tests
8 and the next they will be abnormal. So this is
9 absolutely typical and it may well be that when Dr Greer
10 saw this patient on this particular day, he or she may
11 have taken a blood sample, had an SGOT SGPT level, and
12 noted that the result was normal. But you need to look
13 at a sequence of transaminases to tell whether your
14 patient truly has an increase in transaminases in terms
15 of liver function.

16 It is also important to appreciate that the
17 transaminase levels themselves don't tell you how well
18 the liver is functioning, they only tell you that there
19 is evidence of inflammation within the liver. So they
20 tell you nothing about liver function itself, even
21 though they are called liver function tests.

22 Q. Can we look at [\[BLA0010863\]](#), please, as well.

23 This is 1985. There is a little bit about
24 Mr Black's travels. He was going to Kenya and Uganda.
25 I don't imagine it was particularly easy to do this much

1 travel when he had this medical problem. I see that
2 there are a number of occasions in the records on which
3 he has asked for letters to take with him, presumably to
4 explain to doctors in other parts of the world what the
5 problem is.

6 Then this is showing us a level back at 3 per cent
7 and then, if we look at the bottom, bilirubin and
8 alkaline phosphatase were slightly elevated and
9 transaminases were markedly elevated this time."

10 A. The AST is the aspartate transaminase, the ALT is the
11 alanine transaminase. These are other ways of saying
12 the same thing.

13 Q. Yes.

14 A. Both quite clearly abnormal.

15 Q. Yes.

16 A. The gamma GT, the gamma glutamyl transferase is an
17 another transaminase which is thought particularly to
18 reflect the liver function in a way which -- the others
19 are a bit less specific. So the gamma GT is
20 particularly associated with liver dysfunction.

21 Q. What should it be?

22 A. Well, the AST, 40; the ALT, 40 and the gamma GT,
23 different laboratories have different upper limits but
24 probably not more than 50.

25 Q. So 250 is quite a significant elevation?

1 A. Yes, but it is difficult to make much of the level of
2 increase. So when there is quite a lot of inflammation
3 in the liver, you may have values of thousands for the
4 transaminase. So the exact figure is not that helpful.

5 Q. Can we look at [\[BLA0010861\]](#) and BLA0010862. Another
6 letter. This is taking us to 1987 and this comes from
7 the United States. I think it actually comes from
8 Florida. Can we go to the top, is it the
9 Lawnwood Medical Centre which, certainly in the records,
10 everybody seems to know is in Florida but I couldn't
11 myself see something on it showing it was in Florida.
12 I don't think that really matters. Because we can see
13 that he has required some medical treatment in the
14 United States and that there has been a problem, he has
15 basically had some gastrointestinal bleeding, and to
16 take it shortly, this was the beginning of an episode
17 which led to the diagnosis of varices. Perhaps we can
18 look at the next page.

19 Can you see that? So he had grade 1 oesophageal
20 varices. And we had some discussion of this yesterday,
21 doctor, and our working understanding of what this means
22 is it is almost like internal varicose veins and that
23 these are the result of Hepatitis C.

24 A. The result of a build-up of pressure in the portal
25 venous system due to liver damage, which could be of any

1 cause. It isn't specifically related to Hepatitis C
2 itself, it is related to the pressure within the portal
3 venous system due to liver damage.

4 THE CHAIRMAN: I think Ms Dunlop, yesterday the suggestion
5 was that with the restriction of flow through the liver
6 due to cirrhosis, there was a back-up into the other
7 systems.

8 MS DUNLOP: Yes, I'm taking it a bit short. In retrospect
9 one could say that is very probably a consequence of
10 having the hepatitis, but I take your point, doctor,
11 that it is not specific for that.

12 A. Yes, but this is 1987 so this is nearly 20 years,
13 possibly 20 years from the date of first infection with
14 Hepatitis C, we assume.

15 Q. Yes, and that doesn't surprise you, does it, that that
16 length of time afterwards he is having problems like
17 this?

18 A. If you look at the work from Sheffield and other places,
19 it looks as though by the time 20 years have passed,
20 about 20 per cent of those infected with Hepatitis C
21 will have got into some kind of clinical trouble. So as
22 I say in my report, this is a little bit earlier than
23 average but not surprisingly so.

24 Q. I think this is really what you are saying in 3.4, just
25 to link back to your report:

1 "By 1987 the liver and spleen were palpable. There
2 was evidence of chronic liver disease."

3 You go on to tell us:

4 "Portal hypertension and oesophageal varices were
5 treated in a conventional way."

6 I think if we look at [\[BLA0010859\]](#) and BLA0010860,
7 this appears to be Mr Black back home and being treated
8 for his oesophageal varices. I wonder, doctor, if we
9 could go back up the page, please, if we could scroll
10 back up, what is a Mallory Weiss Tear?

11 A. When people are unfortunate enough to vomit to a great
12 degree -- I'm not sure whether this was associated with
13 vomiting itself but normally when associated with
14 vomiting, it is possible to tear the oesophagus as part
15 of the process of throwing up. Who Mallory and Weiss
16 were, I am afraid I don't know.

17 I do have a book at home of eponymous nomenclature
18 of medical conditions. I am afraid they are not
19 nowadays very popular although it is quite romantic to
20 talk about these names. But the Mallory Weiss Tear is
21 specifically related to tearing the oesophagus usually
22 as a result of vomiting.

23 Q. Thank you for explaining that. It certainly wasn't
24 a term that I had ever seen. So that's why I thought
25 I would ask you. Then we can go down, please. We see

1 the description of what has happened, that he had had an
2 dental extraction, treated with cryoprecipitate, gone to
3 the United States. Perhaps we should also note in
4 passing that tranexamic acid is another basically
5 coagulant medication. Is that correct?

6 A. I can explain it in a few words, if I may.

7 Q. A few words, please?

8 A. Tranexamic acid is a chemical which acts as an opponent
9 of the natural means by which blood clots are dissolved.
10 So-called fibrinolysis. So tranexamic acid is an
11 anti-fibrinolytic agent, and the idea is that
12 particularly after gastrointestinal bleeding, if you
13 have managed to get a blood clot forming by the action
14 of adequate amounts of Factor VIII, then to give
15 an anti-fibrinolytic agent like tranexamic acid will
16 prevent the dissolution of the clot, and the same
17 applies after dental extraction. And it is particularly
18 important because the mouth and the gastrointestinal
19 tract are particularly rich sources of fibrinolytic
20 activity. So to neutralise that activity gives you
21 a better chance of an effective use of your clotting
22 agent.

23 Q. Thank you. Can we look at the second page of that,
24 please, 857 and we see that looks like a very low base
25 line Factor VIII level. Base line Factor VIII level of

1 1 per cent.

2 A. It is possible this was a two-stage clotting assay and
3 you find at the lower end, in my experience, that the
4 two-stage clotting assay often produces levels of
5 1 per cent or less when you would have a measurable
6 level with a one-stage clotting assay, just to give you
7 an example.

8 Q. I see. But it looks as though in view of that, someone
9 has decided he should have some cryoprecipitate. Is
10 that likely to have been the train of thought?

11 A. It is just a question of -- he was having an endoscopy,
12 wasn't he.

13 Q. Yes.

14 A. So he would have had an endoscopy covered by
15 a therapeutic dose of Factor VIII in the shape of
16 cryoprecipitate in order to prevent the bleeding at the
17 end of the endoscopy if that was what was happening on
18 the previous page.

19 Q. Yes, it is. Can we just go back and look at
20 [\[BLA0010859\]](#) again. Yes, it says:
21 "Upper GI endoscopy done."
22 And that that had shown grade 1 varices.

23 A. You would want to get the level of Factor VIII up at
24 least to 50 per cent before an upper gastrointestinal
25 endoscopy, and getting it to 100 per cent is fine.

1 Q. Can we just look at [\[BLA0010303\]](#) in the records? We can
2 see that in 1991 there is a reference to Mr Black's
3 having varices, and perhaps we can just -- without going
4 to the records -- see that he is treated for these
5 varices, or for the symptoms of his viruses, in 1988,
6 1989 and 1990, and then in 1991, someone is saying that
7 his hepatic derangement is presumably secondary to
8 Hepatitis C. And indeed so it proved. If we could go
9 to [\[BLA0010533\]](#) and look at that. This is a specimen
10 taken on 24 September 1991, the result, 14 October 1991,
11 he is positive for the antibody to Hepatitis C virus.

12 So the diagnosis of Hepatitis C coming in the autumn
13 of 1991. You tell us in 3.5 -- just to go back to your
14 report, if we could, please, at BLA.001.2284. Down
15 a little bit to 3.5 -- that from reading the records it
16 is evident that there was a lot of discussion about the
17 possibility of interferon therapy but that in 1996,
18 because of the deterioration in Mr Black's liver
19 function, he actually underwent a transplant. And then
20 in the ensuing years, again there is a lot of discussion
21 about the possibility of interferon treatment which
22 finally commenced in 2002, but his condition continued
23 to deteriorate and in fact he ultimately died of
24 hepatocellular carcinoma.

25 Dr Colvin, if we could go to the next page, you have

1 given us your opinion and this opinion is really based
2 on your experience as a haemophilia clinician, although
3 in that role you have obviously had a lot of contact
4 with people who have Hepatitis C as well. So you are in
5 a position to comment, and have commented on some of the
6 abnormal liver tests, and indeed on the treatment he
7 received for Hepatitis C. But in your opinion, you tell
8 us firstly, at 4.1:

9 "On the balance of probabilities, he was first
10 treated with the large pool concentrate by 25 May 1978."

11 In fact, depending on what some of the other
12 products were, it may have been quite a bit before that.
13 We don't really know about the AHG, for example. But
14 you say:

15 "It is now known that virtually all those treated
16 with large pool Factor VIII concentrates before 1985 or
17 1986 became infected with Hepatitis C."

18 You refer to being surprised that he was still being
19 given cryoprecipitate in 1987 or 1988 but that that is
20 clinically irrelevant because on any view, I think the
21 likelihood is that he had been infected by that point
22 and he did not acquire HIV:

23 "The course of HCV infection was relatively rapid
24 but it took nearly 20 years to progress to
25 transplantation."

1 You do not think -- and this is perhaps going more
2 into the territory of a hepatologist -- that there was
3 anything lost by delaying referral to a hepatologist
4 until 1994? There is good evidence of chronic liver
5 disease by that date and it seems Mr Black is not keen
6 on the treatment.

7 A. I was one of the authors of a paper from the Royal Free
8 which addressed the treatment of people with haemophilia
9 with interferon alone in the early 1990s. So I think
10 I am in a position, despite the fact that I'm not
11 a hepatologist, to give a view that treatment with
12 interferon alone was largely ineffective in the early
13 1990s.

14 Q. You then tell us in 4 that:

15 "Transplantation would have cured Mr Black's
16 haemophilia but reinfection of the liver by Hepatitis C
17 was inevitable. It is not surprising to me that modern
18 antiviral treatment was ineffective."

19 Then he developed hepatocellular carcinoma as
20 a direct result of HCV. Then finally you say you have
21 been unable to find that his treatment was unreasonable
22 or inappropriate at any stage of his illness or care.
23 You make a small comment about the use of
24 cryoprecipitate as late as 1987 but you think that had
25 no effect on the outcome of the case, and that, I take

1 it, is still your view, Dr Colvin?

2 A. Yes, indeed.

3 Q. And then on the last page you have set out your
4 conclusion, which I think is really in similar terms,
5 that the treatment of his haemophilia was appropriate
6 and that infection with Hepatitis C was not avoidable
7 and specific antiviral therapy for Hepatitis C was
8 generally ineffective, certainly at the point in the
9 early 1990s when he might have been considered for that:

10 "It isn't surprising that he needed transplantation
11 about 20 years after infection or indeed that the liver
12 became infected and fibrotic or that carcinoma
13 developed."

14 Then your final view at 5.5:

15 "Found no evidence of unreasonable or inappropriate
16 treatment in the case."

17 That remains your conclusion?

18 A. It does.

19 Q. Yes, thank you very much, Dr Colvin.

20 THE CHAIRMAN: Professor, if, in fact, there had been
21 treatment with a Scottish AHG derived from Johnson
22 technology before the date that you have identified,
23 that would merely extend the period, would it?

24 A. It depends a bit whether this was a large pool
25 concentrate or whether it was an antihaemophilic

1 globulin prepared from individual bags -- or bottles, as
2 it would have been then -- of plasma. Because if they
3 were individual bottles of plasma that had been used to
4 produce antihaemophilic globulin -- which is clearly not
5 cryoprecipitate because it hadn't been discovered by
6 that time -- then the risk of Hepatitis C from
7 individual bottles of individually prepared
8 antihaemophilic globulin would have had the same risk of
9 Hepatitis C as cryoprecipitate.

10 In your report you calculate, I think, that the
11 donor population in Scotland had a prevalence of
12 Hepatitis C of about 0.1 per cent. When I was working
13 in this field some years ago in England, the figure we
14 were using, I think, was around 0.3 per cent but I think
15 it is quite uncertain what the true figure is and indeed
16 it will vary between one place and another. So that one
17 can therefore say that -- and I am afraid I'm not
18 a mathematician or indeed a person who understands
19 betting odds -- the more bags or bottles of an
20 individual donor unit product you are exposed to on
21 a random basis, the greater the chance is that
22 eventually you are going to get one that has got
23 Hepatitis C in it.

24 In the Reverend Black's case, by the time he was
25 being treated with a large pool concentrate, assuming

1 that this bottle from 1965 was single donor rather than
2 large pool, by the time we get to 1975 and he begins to
3 be treated with a large pool product, he has probably
4 had enough single donor unit products to make him
5 somebody who has had a high risk of having already
6 contracted Hepatitis C from single donor unit products.

7 It is just that once you get to the large pool
8 products -- we are talking about tens of thousands of
9 donations -- we know from the work of Peter Kernoff in
10 the Royal Free and the Oxford group, that once you were
11 treated for the first time with an unheated or
12 non-virally inactivated concentrate, then Hepatitis C
13 inevitably followed, whether there were symptoms or not
14 and whether the product was American or British.

15 THE CHAIRMAN: That's quite a lot of information in that
16 answer but there is one point I would just like to make
17 sure that I understand.

18 I can understand that the prevalence in the
19 population is 0.1 -- and of course we have done a lot
20 more work since then and other figures do keep
21 emerging -- then a single treatment from a single donor
22 will reflect that prevalence, but is it the position
23 that a person on regular therapy has an accumulated
24 exposure every time he goes back, as it were, and so the
25 0.01 would not be a measure that would apply after

1 a course of treatment?

2 A. With respect, I think it is 0.01 -- I think it is
3 a tenth of 1 per cent, isn't it? That's the figure
4 I think we are looking at.

5 THE CHAIRMAN: Yes.

6 A. But every time you are treated, the risks are the same.
7 And eventually -- I mean, it is Russian roulette,
8 really. If you go on firing the gun long enough,
9 eventually you will hit one with a bullet in the
10 chamber.

11 THE CHAIRMAN: Yes. Thank you for the colourful
12 illustration.

13 Mr Di Rollo, do you have questions for Dr Colvin?

14 Questions by MR DI ROLLO

15 MR DI ROLLO: Just one point that I wanted to ask you about.

16 The use of cryoprecipitate, I realise it is irrelevant
17 in terms of the actual cause of death, but I just wanted
18 to ask a question, if I may. You say at paragraph 4.2
19 of your report, it is perhaps surprising that Mr Black
20 was being given cryoprecipitate treatment in 1987/88,
21 and then you echo that comment in your conclusion about
22 treatment. Can I just ask you to explain why it is
23 unusual and what is the significance of pooled
24 cryoprecipitate at that time?

25 A. This is partly related to the HIV risk. But I will

1 explain it because I think it is an important point to
2 clarify.

3 The position is this, that in the early 1980s,
4 before HIV was identified, the advice was -- or at least
5 it was accepted -- that it was a good idea to use
6 cryoprecipitate, particularly perhaps for children who
7 needed very little material, in order to reduce the risk
8 of infection. And that applied probably to Hepatitis C
9 and to HIV. Then in 1985/86 viral activation became
10 well understood and it eventually turned out that proper
11 viral inactivation -- not the early viral inactivation
12 but proper viral inactivation -- would protect people
13 against both Hepatitis C and HIV infection. And
14 therefore, in the period towards the end of the 1980s,
15 the advice from UKHCDO, the national organisation, was
16 that probably it was better not to use cryoprecipitate
17 because cryoprecipitate was not a virally inactivated
18 product. So that by 87/88 the use of cryoprecipitate in
19 this context had really ceased. Now, as it happened,
20 the Reverend Black did not have HIV infection and was
21 not exposed to it and had already been exposed to
22 Hepatitis C infection.

23 Had it been the case that he had been free of HIV
24 infection in the early 80s and had then developed HIV
25 infection from a cryoprecipitate dose in late 87/88,

1 then that would have been unsatisfactory medication.
2 The situation was that by the middle of the 80s, 87/88,
3 the feeling was that the virally inactivated
4 concentrates were safer than the non-virally inactivated
5 cryoprecipitate.

6 One sees all the time in this very difficult period
7 of the 80s, that the balance of opinion kept changing
8 between different products and so it was quite difficult
9 to know at any particular moment which was the best or
10 the safest product to use, and the point that I'm trying
11 to make is that by 87/88, it is a little bit surprising
12 that cryoprecipitate was still being used I think, but
13 it makes no difference to this situation at all.

14 MR DI ROLLO: To this specific case?

15 A. Yes.

16 MR DI ROLLO: But you do think that it is surprising that
17 cryoprecipitate was being used at that time; is that
18 right?

19 A. That's my opinion. I haven't really given you a view on
20 whether or not at a sort of Bolam level it was a breach
21 of duty of care. I could be pressed on that but I would
22 prefer not to be because I think it makes no difference
23 to the individual case of the Reverend Black.

24 THE CHAIRMAN: I can console you, I'm not competent to
25 judge, in this context, on breach of duty of care.

1 Mr Anderson.

2 MR ANDERSON: I'm obliged.

3 Questions by MR ANDERSON

4 Q. Good afternoon, my name is Anderson and I'm instructed
5 on behalf of the SNBTS and the various Scottish health
6 boards. Can I just raise two matters with you. The
7 first is the one my learned friend, Mr Di Rollo, raised
8 with you, and that is the use of cryoprecipitate in
9 87/88. I'm advised that it was, in fact, common
10 practice to prefer cryoprecipitate to Factor VIII for
11 patients with moderate severity haemophilia A. Is that
12 not the case?

13 A. It was in the early 80s. Just to give an example from
14 my own practice, I had a children's department, I had
15 children with haemophilia and I tried to treat them with
16 cryoprecipitate up until the spring/summer of 1985, when
17 the 8Y became available in England, when we switched
18 them over to the heat treated NHS product.

19 So, yes, cryoprecipitate had a very good record.
20 The problem with cryoprecipitate was that if you gave
21 somebody who didn't have Hepatitis C -- or for that
22 matter, HIV -- a dose of cryoprecipitate, then if that
23 dose was infected with HIV or Hepatitis C, they would
24 develop HIV or Hepatitis C. So that if you are looking
25 at a person who is not infected with HIV or Hepatitis C

1 in 87/88 and they develop Hepatitis C or HIV from a dose
2 of cryoprecipitate in 87/88, then I think that's
3 a problem.

4 Q. Would it not be a matter of clinical judgment.

5 A. It would be a matter of clinical judgment, which I think
6 is why I was reluctant to give a view on breach of duty
7 of care.

8 Q. Is it not the case that the first guidelines that came
9 out in relation to this came out in 1988?

10 A. Are we talking about the UKHCDO guidelines?

11 Q. Yes.

12 A. I think that the UKHCDO guidelines inevitably reflected
13 opinion, perhaps more than they led it. And again
14 I think we are get into a difficult area over what
15 a reasonable haematologist would do.

16 Q. Perhaps we can cut it short. Again, does it simply come
17 to this, that it is then a matter of clinical judgment
18 as we agreed earlier?

19 A. Yes, I think it is and I'm not really critical and
20 I tried to make clear in my report that I wasn't really
21 critical of what happened but I was asked specifically,
22 I think, in making my report; my letters of instruction
23 were:

24 "Whether or not the treatment and management of
25 Mr Black's haemophilia was reasonable and appropriate."

1 And that was the only area where I found myself in
2 some doubt as to whether this was the best treatment for
3 him.

4 Q. I'm obliged to you. Can we turn then to a second and
5 final matter, Dr Colvin. You told us earlier that the
6 varices that were identified in 1987 would be consistent
7 with the first infection of Hepatitis C about 28 years
8 earlier. Do you remember that?

9 A. Hm-mm.

10 Q. As a matter of plain arithmetic, even I can work out
11 that that would take us back to about 1967 or so.

12 Can I ask you this: have you seen the statement by
13 the Reverend Black's widow, Mrs Jean Black, in this
14 case?

15 A. I think I saw it on the screen very briefly before
16 lunch.

17 Q. Without going to the bother of putting it up in front of
18 us, there is simply one aspect of that I would like to
19 raise with you. She says in paragraph 4, this:

20 "I do not know how often he was treated with
21 cryoprecipitate or when he was treated with Factor VIII.
22 He did receive blood products in San Jose, California in
23 1970 due to a kidney stone."

24 Were you aware of that?

25 A. I wasn't. In 1970, I had just started really treating

1 people with haemophilia at The London and we were just
2 beginning to use the large pool concentrates which
3 certainly transmitted hepatitis. So if it were to be
4 the case that the Reverend Black was treated with
5 a large pool concentrate in the United States of America
6 in 1970, we can confidently put the date of his
7 infection back to 1970.

8 Q. The question I was going to ask you was really quite
9 a simple one. If he had not already been infected by
10 then, that is to say in 1970, would you accept that he
11 would almost certainly have been infected by that
12 transfusion in 1970?

13 A. Assuming it was a large pool concentrate. It depends
14 slightly on the wording of what was said. One can often
15 tell from the wording of what is written down in
16 a clinical note, whether one is dealing with a large
17 pool concentrate or not. But the Americans were in the
18 vanguard of preparation of these large pool concentrates
19 and we had started to use them around 1970. So this was
20 the very earliest date that at The London we were using
21 large pool concentrates. But the Americans would have
22 been a bit ahead of us. So I think it is entirely
23 possible that if he was treated in the United States in
24 1970, that he would have been given an American large
25 pool concentrate. And that would have transmitted HCV,

1 had he not been previously infected.

2 MR ANDERSON: I'm very much obliged to you, thank you

3 Dr Colvin.

4 THE CHAIRMAN: Mr Sheldon?

5 MR SHELDON: I have no questions.

6 THE CHAIRMAN: Anything you want to follow up?

7 MS DUNLOP: Save to say that I think perhaps the American

8 reference may be the treatment by Dr Pool. If necessary

9 we can look back at that particular section in the

10 records but not at the moment.

11 THE CHAIRMAN: Very well. Thank you very much.

12 MS DUNLOP: Sir, I do want now to go to Birmingham and to

13 Dr Mutimer, who is waiting. On the other hand, I don't

14 know if we can just carry on without stopping for five

15 minutes.

16 (3.12 pm)

17 (Short break)

18 (3.24 pm)

19 DR DAVID MUTIMER (continued)

20 Questions by MS DUNLOP

21 MS DUNLOP: Good afternoon, Dr Mutimer. Welcome back.

22 A. Good afternoon.

23 Q. We are today discussing the case of the

24 Reverend David Black. I should have shared with

25 everybody before this, I think, that what I have been

1 planning to do is to discuss with Dr Colvin, who has
2 just given evidence and who is a haemophilia specialist,
3 the Reverend Black's haemophilia treatment. We have
4 looked at some material to do with his earlier
5 experiences in his childhood and his teenage years, and
6 with Dr Colvin we have looked at the records and looked
7 at some emerging abnormalities in his liver function
8 tests and we have arrived at a point where, in 1991, he
9 has been diagnosed as having Hepatitis C.

10 So this is really the point at which I would like to
11 start with you. If we could go to [\[BLA0010287\]](#).

12 A. I don't have that yet.

13 Q. No, while we are waiting, I should say that -- I don't
14 know, do you have a hard copy of your report?

15 A. Yes, I do.

16 Q. Right. Well, that's handy because, to link into your
17 report, we are on the page 2 of your report, where you
18 have a paragraph that begins:

19 "In 1994 ..."

20 A. Yes.

21 Q. Just to orientate you, that's where we are, and
22 [\[BLA0010287\]](#), when it appears, will be Dr Lowe,
23 haemophilia centre at Glasgow Royal Infirmary, arranging
24 for Dr Mackenzie, the gastroenterologist, to become
25 involved in the care of the Reverend Black.

1 A. I have my hard copy and I have got document 0245 on the
2 screen.

3 Q. We should be at 0287.

4 A. It is changing page.

5 Q. Oh, right.

6 THE CHAIRMAN: We don't have anything. We don't have
7 anything on our screens.

8 MS DUNLOP: I don't either. Here we are.

9 Sorry, I should also have said, sir that,
10 Dr Mutimer's report is [\[BLA0012277\]](#). I think we have
11 all the reference numbers we need.

12 This is 27 January 1994 and this is Dr Lowe,
13 Gordon Lowe, who is writing to Mr Black's general
14 practitioner saying that he has seen Mr Black and his
15 wife in January 1994. If we go down, this is a letter
16 giving a little bit of explanation. His vascular
17 spiders. I have forgotten the pronunciation. Is it
18 naevi?

19 A. Naevi.

20 Q. And a trace of ascites:

21 "As you know, Mr Black has chronic Hepatitis C. We
22 reviewed precautions against Hepatitis C transmission
23 and explained that he has progression."
24 And then a bit about his liver function tests, and
25 then at the end he says:

1 "I have asked our gastroenterologist to review him."

2 And also Mr Anderson is going to be arranging
3 regular endoscopic review in case he develops recurrent
4 varices. I should say that by this point from the
5 records, it appears that the varices had been
6 successfully treated.

7 So that is the beginning of some care which is more
8 directly related to the liver disease and the next
9 document I wanted you to look at is 283 and --

10 A. I'm not getting any of those documents.

11 Q. You are not getting that, right. It may just be
12 a question of waiting a moment and hoping it will
13 appear.

14 A. It keeps bringing up the same document, 0245.

15 Q. Can you press "published view" on the left-hand side,
16 please?

17 A. Yes, I have done it.

18 Q. Is anything changing?

19 A. It changed then. It reverted to 0245. I will do it
20 again. It did the same. It very quickly had a view of
21 a letter that seems to say:

22 "Dear Dr Lowe ..."

23 Then it reverted to 0245.

24 Q. I think that 0245 is the first page of that particular
25 batch of records. Oh, do you want me to scroll through.

1 What page number?

2 Q. Page 39, please.

3 A. Yes, that has done it.

4 Q. You have got it? Good.

5 A. Yes.

6 Q. This is reporting back to Professor Lowe of the
7 haemophilia unit. I think a Dr George has seen Mr Black
8 and he has also discussed Mr Black with Dr Mackenzie,
9 and in short this is really to do with the possibility
10 of interferon treatment, and you yourself discussed this
11 in a paragraph in your report that we looked at. We can
12 see that there was a long conversation about the pros
13 and cons and Professor Lowe also had such a
14 conversation:

15 "Dr Mackenzie was of the opinion interferon therapy
16 should be tried, and Mr Black himself would prefer to
17 think over things further."

18 Obviously there has been some explanation to the
19 patient about what would be involved and Mr Black has
20 been concerned about how it would impact on his life,
21 given that he is travelling abroad a lot.

22 Just flip over and look at the next page. I don't
23 think there is much on it. Yes. There really isn't
24 anything which we need to look at, but whether there was
25 any other potential cause for the cirrhosis but I think

1 that's really a blind alley for us.

2 The next document in this course of events is
3 [\[BLA0010279\]](#). So if you can go back five pages from
4 where you are.

5 A. What page number exactly?

6 Q. Page 35. We can see that in 1994 he had developed gross
7 ascites while on a visit to America and then he had been
8 seen in the clinic, again Dr George, and he still had
9 gross ascites and pitting oedema. What is the cause of
10 the pitting oedema?

11 A. The ascites and the oedema are both due to salt and
12 water retention. So almost certainly they are both due
13 to his liver failure.

14 Q. He has been told, in fact, he is not going to be well
15 enough to go to Italy in a fortnight's time. Then
16 [\[BLA0010274\]](#) is actually a letter from Reverend Black,
17 if we look at that.

18 A. Do you have a page number?

19 Q. That's page 30. We can see that he has been prompted to
20 write because he has had an insurance claim turned down,
21 and we can see that he is in dispute with the insurance
22 company about whether he should or shouldn't have
23 separately told them about his chronic liver disease and
24 so on, but he is wanting to know how long he has had it.
25 He says:

1 "I would be grateful if, from the blood samples, an
2 estimated date could be given for the first likely
3 appearance of Hepatitis C. It would be helpful to know
4 how longstanding the condition and the number of years
5 degeneration of the liver has been taking place."

6 I haven't succeeded in finding a written response to
7 that but it may be that there is some discussion of that
8 at his next clinic visit or something like that.

9 A. Possibly a document from the insurance company, which
10 would have been sent directly back to them.

11 Q. Maybe. [\[BLA0010263\]](#), which is 19, please. This is back
12 to Dr Mackenzie, so back at the gastroenterologist, and
13 Dr Mackenzie is recording to Professor Lowe that there
14 has been very slow deterioration in liver function.
15 Halfway through the letter we see that Reverend Black
16 remains unkeen on any medication:

17 "I suggested to him that hepatic transplant may
18 become an option within the next few years."

19 And that there is going to be discussion with the
20 unit in Edinburgh. You say this yourself in your
21 report, that:

22 "During 1994 and 1995 there is further evidence of
23 hepatic decompensation. The patient was referred to the
24 Edinburgh liver transplant unit."

25 And if we look quickly at [\[BLA0010260\]](#), which will be

1 page 16, we can see that there has already been
2 a telephone discussion with Dr MacGilchrist from the
3 transplant unit about Mr Black, and this is the
4 follow-up letter and Mr Black is wanting to come to
5 Edinburgh and discuss the issue. Indeed, if we look at
6 [\[BLA0011675\]](#). This is a new challenge, I suspect,
7 Dr Mutimer, finding this but we will do our best. If
8 the technology were consistent, you would be looking at
9 the first page of 339; are you?

10 A. Not yet, no. Yes.

11 Q. Is it the first page of 339?

12 A. Yes, it is.

13 Q. You need to go to page 211. This letter is from --

14 A. Page number?

15 Q. It was 211. Yes, that's it. That's the other half of
16 the correspondence. That's Dr MacGilchrist writing back
17 to Dr Mackenzie. He has by this time seen
18 Reverend Black and he has got a clear idea of the
19 history. Reverend Black's symptoms are that he has
20 developed significant fatigue. He has to spend the
21 occasional day in bed and he can't concentrate for more
22 than an hour or two at a time. He has, however, lost no
23 time off work:

24 "He is a minister whose involvement with the prayer
25 movement involves a lot of travelling and he is

1 encountering problems getting medical insurance cover
2 when he goes abroad."

3 Can we go a little bit further down, please. His
4 varices, we are told, are checked, or are checked every
5 year to make sure he is not showing any recurrence of
6 his varices:

7 "No major bleeding from his haemophilia for many
8 years and does not suffer from any joint problems."

9 Can we go to the next page, please? Dr MacGilchrist
10 is saying:

11 "Reverend Black is a good candidate for liver
12 transplantation. Clearly it will be a major undertaking
13 for the blood transfusion service to supply sufficient
14 quantities of Factor VIII to cover the procedure."

15 Quite an interesting sentence, I suppose, to those
16 who can get sidetracked into the semantics of it. On
17 the one hand it is a major undertaking but it is not
18 a major problem. It says:

19 "Transplantation has been undertaken successfully
20 with patients with haemophilia elsewhere."

21 I take it, Dr Mutimer, that a liver transplant for
22 somebody who has haemophilia, is quite a major
23 undertaking.

24 A. With appropriate Factor VIII replacement and haematology
25 expertise, the results are very good. I don't think

1 they are any different from transplantaion with
2 patients who don't have haemophilia.

3 Q. Right. Then if we could go back to the last set of
4 records that we were looking at, [\[BLA0010253\]](#). If you
5 bear with us doctor, we will be able to give you a page
6 number.

7 A. I'm not sure who is turning the pages at the moment.
8 Whether I'm meant to be doing it or your colleagues.

9 Q. I think we will tell you what to look at. Are we back
10 at page 1 or something?

11 A. I have been trying to locate the pages myself but there
12 seems to be more than one person operating my screen at
13 the moment.

14 Q. What are you looking at on your screen?

15 A. I have to answer quickly because it keeps changing. I'm
16 on page 1 of 592 at the moment.

17 Q. Well, we are in the right area. Can you go to page 9,
18 please.

19 A. I won't touch it.

20 Q. Right, this is a report back to Mr Black's general
21 practitioner, Dr Hill. Have you got that?

22 A. I'm having to do it myself. So page 9.

23 Q. Page 9, yes.

24 A. From the Royal Infirmary of Edinburgh.

25 Q. Yes, to the GP.

1 A. September 1995.

2 Q. Yes. So he has been back to the transplant clinic in
3 Edinburgh, September 1995, and he was giving rather
4 mixed messages. He has been researching his own
5 condition but is finding it difficult. I'm looking at
6 the bottom of the page:

7 "... finding it difficult to obtain statistics
8 regarding haemophiliacs who have been transplanted."

9 Then perhaps quite a sensitive assessment of what
10 the Reverend Black's concerns are. This is
11 a Dr Ruth Gillespie:

12 "He is terrified his condition is going to
13 deteriorate suddenly to the extent it would preclude
14 transplantation. I have tried to emphasise to him that
15 that is not the natural course of events."

16 Can we go to the following page, please. We can see
17 Dr Gillespie thinks he should come in for assessment.
18 Then we find that assessment and that's at [\[BLA0010249\]](#)
19 and BLA0010250. So page 5, not much further back.
20 There is a discharge summary of a three-night stay at
21 the end of October 1995 and if we perhaps go down, he
22 was admitted for liver transplant assessment. There
23 seems to be a comprehensive recital of the problems so
24 far, except that I don't think he had two daughters, as
25 far as I understand. He has a son and a daughter.

1 Anyway. He is a minister involved in the Third World.

2 Then can we look at the following page, please.

3 Quite a detailed recital of the results of
4 investigations and a conclusion that he was discussed
5 for assessment by the multidisciplinary team. It is
6 felt currently his liver function and quality of life
7 are such he does not require liver transplantation.

8 Perhaps we can skip forward to [\[BLA0011664\]](#) because,
9 as you say, he did undergo transplant in the spring of
10 1996.

11 A. What page number is that?

12 Q. For us it is [\[BLA0011664\]](#) but I think you may need
13 a different number, 200. 200 of 339.

14 It is a letter to the GP, 7 March 1996, and this is
15 Dr MacGilchrist again. He was seen in the clinic and he
16 is less well. There has been a deterioration in his
17 liver function, it is time again to consider
18 transplantation and he is going to be coming in for
19 a few days to set this in motion and then as you say,
20 the transplant was carried out in April 1996. I don't
21 want to go to it because I don't want to take up time
22 but [\[BLA0011657\]](#), which is a letter dated 1 April just
23 repeating the point about worsening condition, that he
24 has had to have paracentesis and that he has been listed
25 for transplant. Then if we go to [\[BLA0011422\]](#) and

1 again, without taking up time, sir, by going to it
2 perhaps we should note in passing that on [\[BLA0011461\]](#),
3 we can see that Dr Ludlam had to be involved, obviously
4 to provide the sort of cover that Dr Mutimer was
5 referring to a moment ago. So there had to be
6 involvement from the haemophilia centre at
7 Edinburgh Royal Infirmary to cover the surgery.

8 At [\[BLA0011422\]](#) and BLA0011423. [\[BLA0011422\]](#) should
9 be page 23 of 65 for you, Dr Mutimer.

10 A. I'm still on the 339 page document. It is changing.
11 1065?

12 Q. Yes. It should be 23.

13 A. A letter from the Royal Infirmary?

14 Q. Yes. To the general practitioner. It just tells us
15 that he has had his liver transplant. He has been in
16 hospital from 20 April until 13 May and there has been
17 some fluid retention. He has had to have some
18 antibiotics for spontaneous bacterial peritonitis but by
19 the time of discharge he looked well with no pallor or
20 jaundice and no leg swelling.

21 Then if we could go to the following page, we see he
22 is going to be reviewed in May and we have heard already
23 from Dr Bathgate that obviously the review is pretty
24 intensive after someone has recently undergone a liver
25 transplant.

1 A. Yes.

2 Q. Obviously that's not controversial. Could we look at
3 [\[BLA0011453\]](#), please. This should be for you page 54 of
4 65.

5 A. 30 October.

6 Q. Yes. In relation to an examination or an attendance on
7 24 October. We can see here that there has been
8 a discussion about the long-term impacts. This is the
9 third paragraph:

10 "Long-term impact of Hepatitis C recurrence and
11 chances of developing cirrhosis. Hard to predict his
12 long-term prognosis although it is reasonable to predict
13 that his quality of life should be fairly good for the
14 next ten years."

15 He is obviously aware of the fact that the
16 transplant doesn't cure the Hepatitis C and indeed over
17 the next period, we can see quite a lot of discussion
18 about the possibility of starting antiviral treatment.
19 That was October 1996. [\[BLA0011451\]](#) should be 52 of 65.

20 A. 18 December?

21 Q. Yes. Dr MacGilchrist has seen Reverend Black
22 in December, 11 December 1997. He is keeping extremely
23 well and working as hard as ever but his liver function
24 tests are a little concerning. His liver function tests
25 never returned completely to normal and we can see --

1 this is the third paragraph -- that his ALT is quite
2 significantly raised, is it, at 153?

3 A. Yes, that's raised.

4 Q. And you would have agreed perhaps that this is most
5 likely to represent recurrent hepatitis?

6 A. Yes.

7 Q. And then the doctor is saying:

8 "I couldn't bring myself to spoil his Christmas by
9 worrying him too much and I have therefore simply told
10 him the liver tests are slightly abnormal."

11 [\[BLA0011416\]](#). That's page 17 of 65.

12 A. 16 February?

13 Q. Yes. We are now into 1999 in fact, but this is another
14 example of discussions about the possibility of
15 treatment. It says:

16 "He was informed his liver biopsy showed recurrence
17 of Hepatitis C. We would probably consider treating him
18 for Hepatitis C. He himself is not quite sure if that
19 would be the best option for him at this present time,
20 as he felt the side effects of interferon would be too
21 much for him."

22 I should say, doctor, that you have rehearsed all of
23 that period in your report, on the second page that we
24 were looking at earlier. You have told us that over
25 this period, 1996 to really 2002, there is a lot of

1 discussion when he attends hospital about the
2 possibility of going on to drug treatment.

3 A. Yes.

4 Q. And --

5 A. It was obvious from the notes.

6 Q. Yes. And perhaps understandably, a degree of
7 uncertainty on the part of the patient.

8

9 A. I think so. It probably reflected some uncertainty on
10 the side of the physicians as well. They are aware that
11 the treatment is associated with significant side
12 effects and the chances of success are fairly low, so
13 I think that the decision the patient took is quite
14 understandable.

15 Q. Right. Now, can we look at [\[BLA0010117\]](#). I suspect
16 this is in another batch of records. So will you bear
17 with us, please, doctor?

18 A. 244?

19 Q. Yes, actually it is just page 117. This is the very
20 first batch of records, so that's a little bit easier.
21 It is page 117. You can see that by April 2001, if we
22 look at the letter, there has been another discussion,
23 a long discussion, with Mr Black about treatment for his
24 Hepatitis C. If we could go slightly further down the
25 page, please, the doctor is telling Mr Black that

1 treatment has improved with the introduction of
2 combination interferon and ribavirin:

3 "He seems much more receptive to the idea of
4 treatments and has gone away to think about it."

5 But if we look at page [\[BLA0010111\]](#) -- so 0111 -- he
6 has been at the clinic on 27 September, and if we go
7 down that letter, please, he is not going to go for it.
8 This is the letter which tells us that he was genotype
9 3, and I think we can recall from yesterday that that
10 will have offered the chance of a shorter period of
11 treatment than if you were genotype 1, to get rid of the
12 virus. Is that correct?

13 A. That's certainly the case in the non-transplant setting
14 but the appropriate duration for the post-transplant
15 settings is not really certain. There are a number of
16 units which would still suggest 12 months of treatment.

17 Q. I see, and by this time Mr Black is feeling he would be
18 happier to wait in view of potential side effects which
19 he might find disruptive to his life:

20 "He is currently very busy at work."

21 Then can we go over to the second page, 112 --

22 A. What page are you on, sorry?

23 Q. I just went to the next page to see --

24 A. Is it 112?

25 Q. Yes, just that his tacrolimus is being reduced. That's

1 his antirejection medication. Right, [\[BLA0010108\]](#).
2 This is Dr Bathgate. Dr Bathgate has seen Mr Black in
3 2002, February 2002, and found him doing very well.
4 Again slightly raised liver enzymes, Dr Mutimer?
5 A. I have lost that page. It has disappeared. What page
6 was it?
7 Q. Sorry, it is 108.
8 A. AL is 127, does that say?
9 Q. Yes.
10 A. Yes, it is elevated.
11 Q. Yes. And GTT?
12 A. It is elevated as well.
13 Q. Yes.
14 A. That would be fairly typical of Hepatitis C infection in
15 this setting. So they are not terribly high, but it
16 doesn't give you a very good idea about the severity of
17 damage.
18 Q. I see. Can we also look at [\[BLA0010106\]](#), to two pages
19 before this. There was an annual biopsy in April 2002.
20 Ultrasound scan was satisfactory. That is perhaps
21 something that we should note at the moment because we
22 might come back to that.
23 Then page [\[BLA0010102\]](#). He is still wondering about
24 treatment. The appearance at this point short of
25 cirrhosis but more advanced as compared to last year.

1 Appearances consistent with HCV fibrosis in the
2 transplanted liver.

3 Finally, Reverend Black did commence treatment
4 in December 2002, and that's [\[BLA0011234\]](#). You cover
5 this in your report, Dr Mutimer, on the following page.
6 I think this is page 3 in your report.

7 What page is this for Dr Mutimer?

8 This is page 3 of 167, doctor.

9 A. Yes.

10 Q. And --

11 A. The December.

12 Q. And he has commenced interferon and ribavirin and

13 I think we remember from yesterday that interferon is
14 something the patient injects and ribavirin is a tablet?

15 A. Yes.

16 Q. Right. This didn't run very smoothly, this treatment.

17 You say in your report:

18 "Unfortunately he experienced severe anaemia and
19 treatment was abandoned."

20 We can see that from [\[BLA0010090\]](#). So that will be
21 page 90 of 244. Dr Simpson is telling us that Mr Black
22 has had quite a time with the interferon and ribavirin
23 for the recurrent Hepatitis C. It is, I understand,
24 generally, Dr Mutimer, not pleasant treatment. Is that
25 correct?

1 A. That's correct. The problem with the anaemia is due to
2 the ribavirin component of his treatment, and the main
3 problem is that the dose needs to be adjusted very
4 carefully and frequently in patients if they have any
5 degree of kidney dysfunction, which is quite common in
6 the transplant patient. So I suspect the severe anaemia
7 was because the level of the ribavirin was too high for
8 the patient. But there are no useful published
9 guidelines on picking the right dose.

10 Q. And the anaemia has been bad enough to necessitate
11 a transfusion, we can see as well?

12 A. Yes.

13 Q. Matters changed in May. Can we look at page 79,
14 [\[BLA0010079\]](#)?

15 A. 79 of 244?

16 Q. Yes. We can see that he was admitted -- if we look at
17 the top, he was admitted in May. He had
18 ultrasound-guided liver biopsy:

19 "It is felt from scans there was a possible focal
20 lesion."

21 Two cores of tissue were taken and unfortunately
22 pathology had confirmed hepatocellular carcinoma. If we
23 look at the letter before, [\[BLA0010078\]](#), we find that it
24 is Dr Bathgate who has had to tell Mr Black that this
25 has happened:

1 "It is clear from the imaging that it is
2 multifocal."

3 Can you explain that for us, please, Dr Mutimer?

4 A. In this setting it means that, instead of being
5 a single, isolated tumour, it has spread, with multiple
6 nodules throughout the liver usually.

7 Q. Right, and the letter is really saying that it can't be
8 treated. Is that correct?

9 A. The page has disappeared. Could you tell me the page
10 number again?

11 Q. Right. It was page 78. Dr Bathgate is saying it is
12 multifocal and therefore would not be appropriate for
13 any form of intervention.

14 A. Yes.

15 Q. You would agree with that?

16 A. Yes, I would.

17 Q. Now, I would like also to look at page [\[BLA0010064\]](#).

18 A. It is a letter from the hospice.

19 Q. Yes, I'm not asking you to comment on it, doctor, I'm
20 really just drawing it to the chairman's attention that
21 this is Strathcarron hospice. Mr Black has been
22 referred to Strathcarron hospice and Dr Fiona Downs has
23 been to see him at home and has noted his symptoms as
24 they then were, and if we can look at the following
25 page, she thanks the doctor for referring this

1 remarkable man.

2 So at this point arrangements are being made,
3 I think, really for palliative care, and Mr Black, we
4 can see, had a poor prognosis but he had been sustained
5 by his strong faith.

6 Then, finally, can we look at [\[BLA0011471\]](#)?

7 THE CHAIRMAN: We must be in a new group of documents now.

8 MS DUNLOP: 1471. It will come, I think.

9 THE CHAIRMAN: It can't be 1 of 339.

10 MS DUNLOP: Page 7 of 339 is Dr Downs again and Mr Black has
11 died in Strathcarron hospice. Perhaps we should just
12 look at the following page as well.

13 Now, Dr Mutimer, can you also please look at the
14 death certificate which was ultimately issued. There
15 were certain requirements, I think, given that the death
16 was from Hepatitis C, and there was a post mortem, as
17 a result of which the death certificate was completed in
18 a particular way, as set out by the pathologist. Look
19 at [\[BLA0012118\]](#).

20 A. Page number of 339?

21 Q. It should be 1 of 1. I'm hoping it will come, 2118.

22 A. Yes.

23 Q. Can we see that the death certificate has four
24 conditions in section 1? Now, Dr Mutimer, I am told
25 that one can actually read these in reverse order, as it

1 were, and say that he suffered from haemophilia, which
2 led to the transfusion of blood products, which caused
3 Hepatitis C, which caused hepatocellular carcinoma in
4 his transplanted liver. Is that a reasonable way of
5 looking at events?

6 A. Yes, it is.

7 Q. And I think, as I understand it, what's in section 1 on
8 a death certificate is the list of conditions which
9 contributed to the person's death. Does that --

10 A. Yes.

11 Q. -- accord with your understanding?

12 A. Yes, it does.

13 Q. Right. I should go back to your report. This is
14 [\[BLA0012277\]](#) but at, I think, page 79, 2279.

15 A. I have got the hard copy in front of me.

16 Q. Fine. You see at the very end of your report:

17 "I have no concerns at all about the treatment
18 given. From the time that he developed complications of
19 liver disease, his medical management in Glasgow and
20 Edinburgh seems entirely appropriate."

21 With one caveat, which I'm coming on to, and that is
22 the matter that you have looked at more recently in
23 relation to the pathology reports from 1996 -- with that
24 caveat, can we take it that your conclusion remains the
25 same in relation to the actual treatment that Mr Black

1 received?

2 A. Yes, I think I see what you mean. I think his treatment
3 was entirely appropriate. If you include in his
4 management that appropriate information should have been
5 given to him after the liver transplantation, then we
6 are unable to find any record that that information was
7 given. So I guess that is a concern about his overall
8 management.

9 Q. Thank you, Dr Mutimer.

10 Sir, for this last section, perhaps if I can draw to
11 your attention that the pathology reports on the
12 explanted liver, the removed liver, in 1996 seem to have
13 come to light towards the end of last year, and the
14 Inquiry team realised from the pathology reports --
15 I should give the number, sir, of the batch of pathology
16 reports, which are [\[BLA0012289\]](#). I'm hoping that will
17 appear. Yes. That's page 1 of 9, Dr Mutimer.

18 A. I have probably got the hard copies here. This is from
19 the pathology directorate, Royal Infirmary of Edinburgh?

20 Q. Yes. I think we probably gain most information by
21 looking at the third of those pages, which I see already
22 in front. 2291, is it?

23 A. Yes, I'm looking at that.

24 Q. Sorry, it was actually the page we just had. I'm not
25 sure if I have the pages in the same order. It is 2289.

1 In fact it transpired that there was quite significant
2 tumour in the explanted liver. Is that correct?

3 A. That's correct.

4 Q. Yes, and you have actually prepared a supplementary
5 report on this aspect of matters. The supplementary
6 report, if I can just find my inventory, is
7 [\[BLA0012287\]](#). So can we perhaps put these side by side?
8 Yes, that's your supplementary report, and then the
9 pathology page that we had a moment ago, 2289.

10 A. What am I meant to be looking at?

11 Q. I was just going to say firstly in your supplementary
12 report you have covered --

13 A. My supplementary report? Sorry.

14 Q. Yes, 2287. You have dealt firstly with the post mortem
15 report, which is plainly the examination of the second
16 liver, the transplanted liver, and --

17 A. Yes.

18 Q. -- indeed that revealed multiple focal hepatocellular
19 carcinoma, but really the point which you were asked to
20 consider with greater prominence in the supplementary
21 report was what you deal with at the bottom of that
22 page, the histology reports from the pathology
23 directorate at the Royal Infirmary of Edinburgh, and
24 this is the report that you should be seeing on the
25 right of the screen -- or you will have the hard copy --

1 with the heading, "Macro report". The date of this is
2 22/4/1996.

3 A. Yes, I'm looking at that.

4 Q. Yes. Can you just tell us in brief, Dr Mutimer, what
5 was apparent from the explanted liver?

6 A. Well, just from my own report:

7 "The explanted liver showed extensive primary liver
8 cancer. The microscopic report defined at least five
9 nodules in the left lobe and three in the right lobe.
10 The largest tumour was 4 by 3 by 3 centimetres. There
11 was no evidence of spread outside the liver. Some lymph
12 nodes were examined and showed no evidence of tumour."

13 Q. Now, it is fair to say, Dr Mutimer, that it was very
14 difficult to work out from the records what, if
15 anything, had been done with this information. Perhaps
16 I can tell you that members of the Inquiry team looked
17 in the records and could find really no reference to how
18 extensive this tumour was and only, I think, a few brief
19 references to five small hepatocellular carcinomas in
20 the explanted liver. I don't know if you have seen
21 a further letter and report from the Royal Infirmary,
22 which is dated 1 March 2011. That's something the
23 Inquiry team only received yesterday.

24 A. Dr MacGilchrist?

25 Q. Yes. You have that?

1 A. I have seen that letter, yes.

2 Q. That's [\[PEN0131091\]](#). If we can just go down that page,
3 really in a nutshell Dr MacGilchrist is summarising his
4 view on really the second of two questions that could be
5 said to arise from this. If the first question is what
6 happened to the information and if the second question
7 is seen as whether any oversight made a difference,
8 I think Dr MacGilchrist in this letter is really
9 answering the second question and saying that he doesn't
10 think that any oversight has made a difference.

11 I think that really appears more fully from his
12 report but, more importantly perhaps for the family, he
13 is offering that either he or Dr Bathgate would be happy
14 to meet the family to discuss all of this; that is the
15 surprising finding that there was quite extensive tumour
16 in the explanted liver in 1996.

17 We noticed, sir, when we looked at Mrs Black's
18 statement, that that had been a shock to the family. So
19 we have tried to take that forward and have received
20 this really very full report.

21 If one looks at the next couple of pages, so 1092
22 and 1093, there is a report, but just to look quickly at
23 the fourth paragraph, Dr MacGilchrist is saying that he
24 would speculate the finding was somehow overlooked by
25 the medical team, which would explain why it was not

1 discussed with the Reverend Black's family and, by
2 implication, with the Reverend Black himself.

3 So you said, doctor, if we could go back to your own
4 supplementary report, that it would have been
5 appropriate to share this information with the patient?

6 A. Yes, I said that.

7 Q. For some reason, which probably we won't discover, that
8 didn't happen, but what I was describing as the
9 second question is important and that is whether, if
10 that finding had been fully appreciated by the members
11 of the medical team who saw Mr Black at all his review
12 appointments, the outcome would have been different, and
13 I think you have a view on that. Is that correct?

14 A. Yes, I think the histology should have been discussed
15 with the patient, and when I reviewed the files, there
16 is no way that I could know whether or not it had been
17 discussed. It is only since I reviewed the files that
18 we have had the information that this was not discussed
19 with the family or with the patient.

20 Concerning the second point about whether or not
21 alternative management strategies could have changed the
22 eventual outcome, I don't think that they would have.
23 I think that when transplantation is undertaken in the
24 presence of cancer, we know that there is a proportion
25 of cases where the cancer will recur following

1 transplantation and there are no established strategies
2 which will prevent that and, once recurrence does occur,
3 if it is recurrence, then there are no proven therapies
4 to prolong life.

5 Q. There is also, is there, Dr Mutimer, an unanswered
6 question, which is whether the cancer which was detected
7 in 2003 was a recurrence of the previous cancer or was
8 a development of a new tumour. Is that right?

9 A. Yes, that's the other possibility, that this is a new
10 tumour. We know that when there is cirrhosis, there is
11 a risk for cancer, and cirrhosis had developed in the
12 graft, so it is possible that the cancer arose merely in
13 the graft rather than representing cancer which had been
14 lurking for seven years and then recurred as a form of
15 recurrent cancer.

16 Q. I took from your supplementary report, doctor -- and
17 please correct me if I am wrong -- that there was
18 a significant risk of recurrence from the extent of the
19 cancer that existed in 1996. Is that really what you
20 are saying on --

21 A. Yes.

22 Q. -- page 2?

23 A. -- I think Dr MacGilchrist later agrees with that as
24 well, that the risk of recurrence is proportional to the
25 number of tumours and to the size of the tumours, and

1 with this particular case there was a significant risk
2 of recurrence.

3 It is a risk, it is not inevitable, and there are
4 patients who have single, small tumours who
5 unfortunately suffer recurrence. There are patients
6 with extensive cancer like this who are lucky and do not
7 suffer a recurrent cancer. So it is the magnitude of
8 the risk; it does not predict inevitably that the
9 patient was going to get recurrent disease.

10 Q. But the other point I took from your supplementary
11 report was that this would have been a long period of
12 time for it to be recurrence. We are talking about
13 seven years, which, from the last paragraph of your
14 supplementary report, seems to be unusual in
15 epidemiological terms. Is that right?

16 A. Yes, it is, it is unusual, as cancer that recurs after
17 transplantation does within two years. I can hardly
18 remember recurrence beyond five years, although it can
19 happen, and this patient appears to have relapsed at
20 seven years. So it is unusual but it doesn't help us to
21 know whether it is a new cancer or a recurrent cancer.

22 Q. Actually, you had suggested one possible investigation,
23 which would only have been helpful if the donor had been
24 female, that there could have been --

25 A. That would be one way of showing, or trying to

1 demonstrate, whether this was recurrent cancer or new
2 cancer. There are alternative scientific techniques
3 which might be applied and those might be discussed
4 perhaps with your own pathologists, your own forensic
5 pathologists, as to whether or not they could
6 distinguish the origin of the cancer in the patient's
7 transplanted liver.

8 Q. The suggestion about making some use of a gender
9 difference seems to be unprofitable because
10 Dr MacGilchrist tells us that the donor was also male,
11 so that wouldn't work.

12 A. That would have been the simple way to do it but there
13 may be other ways that your forensic pathologists could
14 approach this. You might consider that.

15 Q. Well, doctor, I should ask you firstly, if the extent of
16 the tumour had been detected in 1996, is it possible
17 that that would have altered the management of
18 Reverend Black's disease in 1996?

19 A. It wouldn't have affected his management.

20 Q. Right. And what about in the interval between 1996 and
21 2003? I think you have really covered this.

22 A. The knowledge that there was cancer in his explant would
23 not have determined any difference in his management
24 following transplantation.

25 Q. In short, was there anything that could have been done

1 to prevent recurrence?

2 A. Not to prevent recurrence.

3 Q. And that's against the background that we don't actually
4 know whether it was recurrence or the development of
5 a new tumour?

6 A. That's correct. If it was a new tumour, then prevention
7 of the progression to cirrhosis would probably have
8 prevented a new tumour from developing.

9 Q. Right, and that takes us back to the debates about
10 whether or not he was going to begin the antiviral
11 treatment in the late 1990s, does it?

12 A. Yes. I think the only way that things could have been
13 different for this patient would be if it was a new
14 cancer that was developing in the liver, and if he had
15 had successful antiviral therapy after transplantation
16 to eradicate the virus, then things might have been
17 different.

18 Q. Right. The only other thing I wanted to ask you,
19 doctor, was whether -- when we looked earlier at the
20 annual ultrasound that was carried out in 2002, the fact
21 that that was normal, is that an indicator that the
22 tumour perhaps wasn't -- the second cancer perhaps
23 wasn't present in 2002?

24 A. Yes, it is. I can't find the document but if the
25 ultrasound early in 2002 showed no evidence of cancer,

1 that a fair assessment?

2 A. I don't have doctor's letter -- I have got page 1 but
3 I don't have the ability to turn the pages.

4 Q. The second page is 1093.

5 A. What you are saying is true. You know what has happened
6 by what people document in the file but if something is
7 not documented, you cannot know whether it was discussed
8 with the patient or not.

9 Q. You see, in your supplementary report you say that it
10 would have been appropriate to share this information
11 with the patient. I just wondered what the benefit
12 would be of discussing this matter with Reverend Black,
13 and I ask you that in the knowledge that we see him
14 referred to as obviously quite an anxious man. Your
15 attention has already been drawn to that. So what would
16 be the benefit of telling the Reverend Black that he had
17 cancer in his original liver?

18 A. I think it is honesty really. It is providing the
19 patient with information that will be of interest to him
20 and it may actually determine his attitude to his
21 illness and his recovery. So I think it's appropriate
22 to discuss it with him. You are quite right that it may
23 have unfortunate consequences in causing anxiety and the
24 cancer may never recur, in which case in retrospect you
25 might look back and say, "I wish we had never told him,"

1 but I don't think we are in a position to manage
2 patients like that. This is important information that
3 should have been shared with the patient.

4 Q. Is that an absolute or again is that possibly a clinical
5 judgment that the doctor makes, given his relationship
6 with and knowledge of the patient?

7 A. I think there are circumstances in medicine where it
8 might be suggested that it is in everyone's interest,
9 including the patient's, for information to be withheld,
10 but I don't see that in this case.

11 Q. All right, thank you for that, but we do know, I think,
12 at least in this case, that Reverend Black had seven
13 years' life without knowledge of cancer in his original
14 liver. Is that right?

15 A. I believe that's the case.

16 MR ANDERSON: Right. I'm much obliged to you. Thank you,
17 sir.

18 THE CHAIRMAN: Mr Sheldon?

19 MR SHELDON: Nothing from me, thank you.

20 THE CHAIRMAN: Thank you very much, Dr Mutimer.

21 A. Okay, thank you.

22 MS DUNLOP: We will see you tomorrow.

23 THE CHAIRMAN: Yes. Very well, ladies and gentlemen, until
24 tomorrow.

25 (4.36 pm)

1	(The Inquiry adjourned until 9.30 pm the following day)	
2		
3	DR MYRTLE PETERKIN (sworn)	1
4	Questions by MS DUNLOP	1
5	PROFESSOR WILLEM GERARD VAN AKEN	14
6	(sworn)	
7	Questions by MS DUNLOP	14
8	Questions by MR DI ROLLO	65
9	DR BRIAN COLVIN (sworn)	73
10	Questions by MS DUNLOP	73
11	Questions by MR DI ROLLO	113
12	Questions by MR ANDERSON	115
13	DR DAVID MUTIMER (continued)	120
14	Questions by MS DUNLOP	120
15	Questions by MR ANDERSON	152
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

