

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Friday, 9 September 2011

(9.30 am)

THE CHAIRMAN: Good morning.

PROFESSOR CHRISTOPHER LUDLAM (continued)

Questions by MS DUNLOP (continued)

THE CHAIRMAN: Yes?

MS DUNLOP: Thank you, sir. Good morning, Professor Ludlam.

A. Good morning Ms Dunlop.

Q. You have provided for us a statement on our topic B3, which concerns the first part of the story of viral inactivation. I will ask you one or two questions on it. It is not especially lengthy.

But before I do that, I wanted to look at a couple of photographs with you, please. We looked at these photographs on Tuesday and they are photographs provided from PFC. It's the photos of cryoprecipitate. The photos themselves are [\[PEN0121695\]](#).

This is just a digression, Professor Ludlam, as is probably obvious. But when I was looking at the photographs of cryoprecipitate and -- thank you, we have the first of the two photographs here. Do you see that pot? That's a pot of cryoprecipitate. Can we look at the next one as well, please. I had just had some thoughts about the evidence that you and one or two others have given about treating patients with

1 cryoprecipitate.

2 The second photograph makes the substance look very
3 gelatinous, very stretchy. I just wonder, when you see
4 those photographs, can you explain to us, perhaps by
5 reference to your previous evidence, about how difficult
6 it was, how you treated patients with that?

7 A. Yes. There is a difference between this
8 cryoprecipitation for manufacturing processes from
9 cryoprecipitate that we use to treat patients. If
10 I could perhaps go back to the blood donor session,
11 where donors give blood. It is collected into
12 a polythene bag. It's a small pint's worth of blood.
13 Attached to that bag are a series of other bags --

14 Q. Yes.

15 A. -- with little tubes. So it's a closed system. And
16 after the blood has been collected, it's cooled and
17 centrifuged and the pint of blood in the plastic bag is
18 then put in a device, a V-shaped device, and squeezed.
19 The plasma is on top, the red cells at the bottom, the
20 white cells and platelets in the middle. And my
21 understanding of how the blood transfusion does this,
22 they squeeze it manually, but someone is watching it,
23 squeeze off the plasma into the first bag, clip it and
24 then can squeeze off the platelets into another bag.

25 Actually, I may have got that wrong. They may start

1 off by preparing platelet-rich plasma, spinning it
2 slowly, so that the top half of the bag has plasma plus
3 platelets in it and they may squeeze that off into
4 another bag, what's called platelet-rich plasma, and
5 then they might spin out the platelets of that and use
6 the plasma from that.

7 Either way, you end up with a poly bag with fresh
8 plasma in it, cooled plasma. That's then clipped and
9 sealed, heat-sealed, and you then cut that bag away from
10 the red cell bag and platelet bag. You then freeze that
11 very rapidly in acetone and cardice so that it becomes
12 like a frozen lollypop in a plastic bag. You put that
13 in a fridge at 4 degrees overnight, and very slowly this
14 lollypop of plasma thaws and the thing that you are left
15 with that doesn't dissolve, doesn't melt, is
16 cryoprecipitate, cryo cold precipitate.

17 You then take the poly bag, centrifuge it and
18 squeeze off the supernatant plasma. The cryoprecipitate
19 has a lot of fibrinogen and fibronectin and Factor VIII.
20 It's rich in Factor VIII. The supernatant plasma has
21 other clotting factors and is known as "cryo" or
22 "supernatant plasma". That can actually be used for
23 making other concentrates for other clotting factors and
24 that was talked about, I think, in the preliminary
25 report, particularly some studies in Glasgow.

1 This individual pack that has had the
2 cryoprecipitate concentrated at the bottom is from one
3 donor.

4 Q. Sorry, Professor Ludlam, I certainly don't mean to
5 interrupt. We do understand all of that. It was really
6 a very simple thought, that if cryoprecipitate has that
7 sort of gelatinous sort of texture, it must make it very
8 hard to work with when you are treating an individual
9 patient, or does the cryoprecipitate that's used to
10 treat an individual have a different texture?

11 A. If I could just finish the story.

12 Q. Fine.

13 A. These packs are then put back in the deep freeze and
14 frozen, usually individually. So if you want to treat
15 someone, an adult required, say, 20 packs, that was the
16 amount of Factor VIII that was necessary for therapeutic
17 infusion, you went to the deep freeze, you picked out 20
18 packs and you put them in a 37 degree water bath. It's
19 when it's warmed up to 37 that the fibrinogen and so on
20 goes into solution and then it is not particularly
21 viscous.

22 I agree, what is shown in this picture looks as if
23 it's probably quite a cold environment or at least this
24 is treating the cold precipitate that was in that
25 previous photograph.

1 Q. I see. So the answer is really to do with the viscosity
2 of cryoprecipitate at different temperatures?

3 A. I think so, yes.

4 Q. Right, thank you.

5 We had understood, I think, from the evidence in the
6 first half of the Inquiry that treating individuals with
7 cryoprecipitate was messy and difficult and I just
8 wondered to what extent the actual texture of the
9 cryoprecipitate was a contributing factor but it looks
10 as though it wasn't anything like as difficult as we
11 might think from the picture.

12 A. That is not making up an individual dose.

13 Q. Right, thank you.

14 Let's look at your statement, which is [\[PEN0121688\]](#).
15 You had the same schedule of questions as everybody
16 else. We sent out the same schedule. We weren't really
17 expecting everybody to have a shot at answering
18 everything because obviously some people can answer some
19 questions and others can answer others, and as would be
20 expected, as a haemophilia clinician, you are not in
21 a position to answer many of the more technical
22 questions to do with what happened at PFC.

23 But in the first paragraph you remind us that you
24 have provided a document headed "Long-term safety
25 monitoring for transfusion-transmitted infections".

1 That is [\[PEN0120351\]](#). I suppose the point you are
2 really making here is that, as haemophilia clinicians,
3 you saw yourselves as feeding into product development.
4 Would that be correct?

5 A. Very much so.

6 Q. Right. Can we have a brief look at the appendix then,
7 please, [\[PEN0120351\]](#).

8 Professor Ludlam, this document was gone through in
9 considerable detail on 17 June, so I certainly don't
10 propose to go through it again. I think I only have two
11 questions on it.

12 The first arises from paragraph 4. I see
13 a reference there, reference 6. You say that research
14 in which you were involved:

15 "... demonstrated that, despite screening of donors,
16 about 10 per cent of susceptible patients became
17 infected each year with Hepatitis B virus."

18 I looked at reference 6. It's an article about the
19 incidence of infection with Hepatitis B in 56 patients,
20 I think Edinburgh patients, between 1971 and 1979.

21 A. Yes.

22 Q. So what struck me was that you didn't arrive until 1980?

23 A. Yes.

24 Q. So what happened? How did you become involved in the
25 research? Was it something that was ongoing when you

1 arrived?

2 A. Yes, it was ongoing. I tried to make this clear in my
3 statement, in this document, that from about 1974 there
4 had been an interest in the viral safety of clotting
5 factor concentrates initiated by my predecessor,
6 Dr Howard Davies, in conjunction with the virologists,
7 Dr John Peutherer, and in this case his colleague,
8 a junior colleague, was Dr Chris Burrell, who was
9 a virologist.

10 They had started some of these studies, as you say,
11 before I arrived. When I arrived, the study you have
12 just referred to hadn't been completed and Dr Peutherer
13 and myself and Dr Stirling sat down on quite a number of
14 occasions to draw the information together. It required
15 quite a bit of going back and looking through patients'
16 case notes and so on, and that's why it wasn't
17 published, I think, until 1983.

18 Q. Yes. You see from paragraph 4 that you make the point
19 that the then current screening tests for Hepatitis B
20 weren't detecting all infectious blood donations.
21 I take it, therefore, that you would understand why, in
22 the 1970s, PFC were working on a project to try to
23 remove Hepatitis B from Factor IX?

24 A. Yes.

25 Q. And that would seem a sensible thing to have been

1 researching.

2 A. Certainly, yes.

3 Q. The other point that struck me, Professor Ludlam, when
4 I was looking at this statement through B3 eyes, arises
5 in connection with paragraphs 17 and 18. So could we
6 go, please, to page 4 of [\[PEN0120351\]](#).

7 We are jumping forward quite a long way in time here
8 to the meeting that took place on 10 December 1984. It
9 was a meeting between UKHCDO reference centre directors,
10 blood transfusion colleagues and senior staff from
11 Edinburgh and Elstree on 10 December. There was a major
12 discussion about whether to introduce heat treatment of
13 concentrates, and you say it was not an easy decision to
14 make because of the possible adverse effects of heat
15 treatment on the clotting factors and other proteins:

16 I have heard that the decision to go ahead with
17 recommending the use of heat-treated products was
18 reached by quite a narrow majority. Is that right?

19 A. There wasn't a vote taken that I recall but I remember
20 the meeting very well because it was very stressful and
21 trying to make a decision on really minimal evidence.
22 I think some of us were a little disadvantaged because
23 a lot of the developments in the commercial field of
24 heat-treating concentrates, the sort of initial studies,
25 were a bit kept under wraps by the commercial companies,

1 they weren't very much in the public domain, and
2 particularly working up here in a very much NHS
3 environment and not wanting to use commercial products,
4 we were a bit out of -- if I can put it this way -- the
5 network of commercial companies, who would come round
6 and see directors to discuss matters with them.

7 So there was very little published and so it was
8 difficult to know just how much heat-treated material
9 had been used in patients and over what period of time.
10 I don't think I was aware that I think the Travenol
11 product did have an FDA licence a year or two before,
12 I think, in 1982, if I'm not mistaken. But I don't know
13 how much had been used.

14 So there are a number of us sitting round the table
15 who knew of some of these developments but didn't know
16 the extent to which the products had been tested.

17 Q. Right.

18 A. And there was this very big anxiety, that we could make
19 the treatment of haemophilia a thousand times worse if
20 heating produced these neoantigens that have been well
21 discussed, I think, in this Inquiry.

22 Q. Yes.

23 A. You see, a quarter of haemophiliacs develop inhibitors
24 anyway and if we had altered the molecule slightly and
25 100 per cent developed inhibitors, then we would have

1 virtually no effective treatment for haemophilia, apart
2 from FEIBA, and at that stage it wasn't clear how big
3 the epidemic and the consequences of HIV were going to
4 be at that stage. Only a very small number had
5 developed clinical AIDS or other symptoms.

6 So it was very, very difficult and a decision was
7 nearly made not to heat-treat and it was only because
8 two or three people were quite forceful in their views
9 that the decision was made. It was clearly the right
10 decision but it was not easy.

11 Q. I can imagine, professor, but what struck me about this
12 little piece of narrative was that the 10 December was
13 also the date of the general distribution in Scotland of
14 heat-treated material. So for practical purposes you in
15 Edinburgh were going to have to use heat-treated
16 material. Is that not right?

17 A. Sorry, I don't remember knowing that, if you like, there
18 was only one option before I went to that meeting.

19 Q. I see. I think I was just interested in the
20 practicalities of it, that what you are describing here
21 is a situation in which it was UKHCDO that took the
22 decision to heat-treat, but actually here SNBTS already
23 had heat-treated the stock. So in a practical sense
24 that was going to be the route for you to follow anyway.

25 A. I think it had heat-treated a month's worth of stock,

1 and they had quite a stock, I think, of NY. It was only
2 a few days before that we had given, I think, four
3 patients test doses of the 68-degree, two-hour product,
4 without adverse effect. But it takes, as you probably
5 know, several weeks for patients to develop inhibitors,
6 if they are going to. But December 1984 was a terrible
7 month and we had so many difficult dilemmas to try and
8 wrestle with but that was a decision that was made and
9 that was what we went with.

10 Q. So I suppose, because in general the decision-making
11 process is of some interest to us, if you had been one
12 of those who was very forcefully of the opinion that
13 heat-treated concentrate was the way to go, and you had
14 been in the minority, would you have abided by the
15 majority decision or would you have gone ahead and used
16 the heat-treated material because you personally thought
17 that was the right decision?

18 A. I went to the meeting with a fairly open mind. I could
19 see the difficulties and the dilemmas because we had
20 discussed this. I think there was a meeting at Scottish
21 Home and Health Department, I think at the end
22 of November, where we had talked about this and
23 considered it.

24 The drift of international opinion was towards heat
25 treatment. The MASAC, the National Haemophilia

1 Foundation and Medical Advisory Committee in the States,
2 I think in October 1984, had made a recommendation for
3 heat treatment. That was heat treatment of US
4 commercial products that had been shown to cause a lot
5 of antibody positivity, anti-HTLV positivity, up to
6 90 per cent in US patients. And I think part of the
7 difficulty here in the UK was that we thought the donor
8 population was much less likely to be silently infected,
9 a much lower level than that in the US, particularly --
10 dare I refer back to the video that was shown some time
11 ago, the World in Action 1975 programme.

12 Q. Yes. I wonder, if can I just press you for a yes or
13 a no to the question?

14 THE CHAIRMAN: Do you remember what it was? It's the
15 dilemma that we face quite a lot, arising out of
16 autonomy. And the question is quite simple: given the
17 way people asserted their own individuality of judgment,
18 had you been in the anti- camp, how would you have
19 reacted when you went back to Scotland? Would you have
20 used PFC's new heat treatment or would you have said
21 "No, forget that month's supply. I want to go on using
22 the old stuff"?

23 Is that the way to put it?

24 MS DUNLOP: Yes.

25 A. I mean, I was coming round to the view that it was

1 probably safe because of what I heard at the meeting.

2 If you want me to go back --

3 THE CHAIRMAN: No, with great respect, it is not a question
4 of what your professional judgment of the effectiveness
5 or otherwise was, it's really a question of
6 organisational judgment and whether you would have stood
7 out for your own view and done what you thought was
8 right, irrespective of what was developing in the wider
9 community.

10 A. I appreciate the question. If I'm going to stick out
11 against the opinion of my senior colleagues, whose view
12 I respect, then I have to have good reason for doing so.

13 MS DUNLOP: Yes.

14 A. My reason for feeling unhappy was knowing that
15 Factor VIII is a rather fragile molecule, and subsequent
16 studies have shown how fragile it is and how it can give
17 rise to antibodies. But my colleagues, who are just as
18 well informed as me and whose opinions I respect, felt
19 that it was reasonable to take this risk. Therefore,
20 I went along with it. If I hadn't gone along with it,
21 then I would have to have been very clear what evidence
22 I had for not going along, rather than just a feeling of
23 unease.

24 Q. I appreciate it's a hypothetical but have you seen
25 Twelve Angry Men?

1 A. A very long time ago, yes.

2 Q. Right. So at that UKHCDO meeting, you are Henry Fonda
3 and you are sure that heat-treated product is the way to
4 go and you are the only one in the room who thinks that.
5 So you are not going to be able to persuade all the
6 others round the table -- I'm changing the script
7 slightly -- would you have gone back to Edinburgh and
8 said, "Go ahead" or would you have said, "I must be
9 wrong."?

10 A. It's very difficult to rerun history.

11 Q. Yes.

12 A. I think -- I'll play for time.

13 Q. You can say "don't know" if you want. We will take
14 a "don't know".

15 A. No, I'll play for time. I arranged -- you will see why
16 in a moment. I arranged for four patients to receive
17 this 68, two-hour material at the very beginning
18 of December, I think the 4 or 7 December, comes to mind,
19 so just a few days before this meeting. I think I would
20 have waited two or three weeks to see whether any of
21 these patients developed an inhibitor to the clotting
22 factor and if they had, then I would have not wanted to
23 use it and if they hadn't, well, that's another reason
24 for feeling secure that it was probably a reasonable
25 thing to do.

1 Q. So I think we can sort of count you as Henry Fonda, can
2 we? I think we understand the position, professor,
3 let's move on.

4 Going back to your statement, [\[PEN0121688\]](#), we have
5 heard from Professor Cash yesterday, and indeed you were
6 here so you heard it too, about the period at the end of
7 1982 really, where he was very anxious that when the day
8 arrived that there was NHS heat-treated product, there
9 should be sufficient patients available on whom the
10 product could be trialed. So he didn't want the
11 commercial fractionators to have access to all the
12 previously untreated patients in the UK.

13 You have been asked to look before at a letter which
14 seems to chime with that philosophy. I thought we would
15 just look at it again, if we could, please. It's
16 [\[SNF0013211\]](#). Admittedly this is slightly later in time
17 but you are, I think, in this letter, politely refusing
18 Miss Spooner's suggestion, or any suggestion that your
19 patients should become involved in the trial of
20 commercial material. Is that right?

21 A. That's correct, yes.

22 Q. Right, can we go back to the statement then, please?

23 You say you remember the discussions about trying to
24 avoid using commercial, virally-reduced concentrates on
25 a named patient basis. And to use them in clinical

1 trials if possible, under a clinical trial exemption
2 arrangement, and you say this was set out by
3 Professor Bloom in his 24 June 1983 letter.

4 We have looked at that before too, but let's just
5 look at that again, please. That's [\[SGH0022175\]](#).

6 Much of this letter is concerned with
7 recommendations about treatment but if we go a little
8 bit down, we see at the bottom of the page one of the
9 additional points referred to concerns proposed trials
10 of hepatitis-reduced Factor VIII:

11 "There is no evidence that the processes involved in
12 the manufacture of these inactivate any other
13 hypothetical viruses. However, it is [go to page 2,
14 please] still important that the effectiveness of
15 imported hepatitis-reduced concentrates, vis a vis
16 hepatitis, is subjected to formal clinical trials in
17 mild haemophiliacs, notwithstanding our general
18 recommendations above. Directors are urged not to use
19 these concentrates randomly on a named-patient basis."

20 Do you remember yesterday, professor, it seemed that
21 the dilemma, perhaps around about Christmas 1982, was
22 between, on the one hand, clinical trials versus rather
23 random named-patient usage -- that's one question that
24 has to be resolved -- and then there is also another
25 question, which is clinical trials or no clinical

1 trials, because clinical trials are likely to facilitate
2 the obtaining of a UK licence. Does that encapsulate
3 the mood of the time?

4 A. Yes, I think I would put a slightly different slant on
5 it than perhaps Professor Cash. I wasn't aware of the
6 discussions that he alluded to with the DHSS, which he
7 interpreted as trying to promote trials. Maybe these
8 could be done in other countries.

9 What we were anxious about was individual commercial
10 companies approaching individual haemophilia centres and
11 saying, "Look, we have got some of this new heat-treated
12 product, would you be kind enough to try it in one or
13 two or three or four susceptible patients on
14 a named-patient basis?"

15 When you do that, there may not be a protocol for
16 following them up, and as I'm sure you are aware, what
17 emerged very shortly after this was the ISTH protocol
18 for testing viral safety of products in Florida. And
19 it's a very rigorous schedule, so rigorous that it was
20 almost impossible to keep patients in because it was
21 fortnightly blood samples for 16 weeks and then I think
22 one or two at monthly intervals thereafter, and
23 particularly for small children that's quite an ordeal.

24 I think there was a view that different haemophilia
25 centres would be approached, they would be given a few

1 bottles of this new heat-treated concentrate, they would
2 do, if I can put it this way, rather poor studies. They
3 would give it to the patient and do a few blood tests
4 thereafter. And those would almost certainly be
5 valueless because the only way we could assess viral
6 safety was by doing these ALT estimations of liver
7 function every fortnight, and if you missed, I think,
8 more than two, then that patient was rendered ineligible
9 by the ISTH proposals.

10 Therefore, there was a situation where a lot of
11 these susceptible patients would be, as it were, used up
12 and the amount of systematic data collected would be
13 rather small, whereas if the manufacturers had gone to
14 the CSM with a clinical trial -- made an application for
15 CTX, they would have to put in a protocol and then all
16 the patients going into that trial would be subject to
17 that protocol and so they would all be properly studied.

18 So there would be some hopefully useful information
19 gained from that. That's what the debate was about and,
20 as you know, these number of patients, as you saw,
21 perhaps when we came to do it in Scotland for Z8. It
22 took us several years to accumulate 13 patients.

23 Q. So the way you were putting it, it wasn't so much
24 a matter of promoting clinical trials, it was a matter
25 of electing for a much better way of assessing these new

1 products than this random named-patient usage?

2 A. Yes.

3 Q. Yes.

4 THE CHAIRMAN: Professor Ludlam, I can understand the
5 objection to random testing from the point of view of
6 you and your colleagues in respect that it reduced the
7 number of people who were potentially available for
8 proper study. What was the advantage to
9 a pharmaceutical company of staging random tests, when
10 they wouldn't lead to licensing, approval or any other
11 form of official recognition of the validity of the
12 outcome?

13 A. I think at this stage there wasn't the ISTH protocol and
14 there was, if you like, some doubt as to how rigorous
15 the testing should be, how often should the blood
16 samples be taken. If you don't want to demonstrate
17 hepatitis or don't want to detect it, then you would
18 take infrequent blood samples.

19 THE CHAIRMAN: Yes.

20 A. And unless the manufacturers said, "If we give this to
21 you on a named-patient basis, in return you must take
22 fortnightly blood samples," then maybe a named-patient
23 basis would be all right but that is not, I think, how
24 the product was being offered.

25 THE CHAIRMAN: I see.

1 A. But they didn't come to me because, you know -- for
2 reasons that are well established. So I'm a bit
3 surmising but I sat in through some of these discussions
4 nationally and certainly Professor Bloom was -- and
5 Dr Rizza were very, very keen, repeatedly, to have CTX
6 studies, not named-patient. It's right through lots of
7 the documents of this time.

8 THE CHAIRMAN: It doesn't paint a very attractive picture of
9 the pharmaceutical industry if they were prepared to
10 resort to staging tests so as to avoid an adverse
11 outcome.

12 A. I'm being a little hard and I apologise. I don't really
13 mean to be that hard on them but there wasn't, if you
14 like, an established protocol, I think would be a better
15 way to put it.

16 MS DUNLOP: Right. Can we turn to look at your own personal
17 participation in trying out product, and we know that
18 that was NHS product.

19 Can we move to page 2 of the statement, please,
20 which is page 2 of [\[PEN0121688\]](#). There is a longer
21 answer headed "paragraph 26" and that was the question
22 that asked about this topic.

23 You say that you received a letter from Dr Cash
24 dated 13 June 1983, inviting you to infuse three
25 patients with heat-treated Factor VIII, batch NY761.

1 That letter is actually [\[SNB0065498\]](#).

2 There has obviously been a telephone conversation
3 between the two of you about it beforehand. I think we
4 know that the situation wasn't 100 per cent as people at
5 PFC had intended it because they had wanted to use
6 a matching pair, as it were, you know, half of
7 a particular batch would have been heat-treated and the
8 other half wouldn't have been, and that presumably would
9 have been the best experiment to see what the effect of
10 the heat treatment was but the unheated half had failed
11 a pyrogenicity test.

12 So all they had was the heat-treated half. He says:

13 "We have a small amount of heat-treated material
14 only."

15 They didn't want to waste it so he says:

16 "If you are able to show in 2 or 3 patients that its
17 behaviour was broadly similar to previous data you,
18 Chris and Frank have collected on cryoprecipitate and
19 intermediate VIII, then it would considerably boost the
20 confidence of the PFC team and, I should hasten to add,
21 the Licensing Authority ..."

22 Then he goes on to say that he would turn your
23 attention to the point you rightly raised with regard to
24 the possibility of molecular damage during the heat
25 treatment process. I'm going to ask you about that

1 next, I think, really. It would make sense to go to the
2 correspondence about that but we will just finish
3 looking at this letter. There is a suggested protocol
4 and the profile of batch NY761:

5 "The osmolality is higher than existing products."

6 In a nutshell, osmolality of Factor VIII?

7 A. It's the degree of salt solution in the finally
8 reconstituted vial. In plasma the sodium solution is at
9 a concentration of 0.9 per cent. It appears that the
10 salt solution here was probably above 0.9 per cent, not
11 a problem if it's a little bit raised but it's likely
12 you would be injecting a stronger solution, as it were,
13 into the blood stream, it's very rapidly diluted as it
14 goes in, and I think most products aim to be what's
15 called isomolar, the same osmotic strength as the
16 plasma.

17 Q. What effect does that have on a patient then if it's
18 higher than 0.9 per cent?

19 A. If they received a lot of that product, I mean, a litre
20 or two, it draws in fluid from outwith the blood
21 vessels, so the tissues will get a bit lax but more
22 importantly the blood volume would expand and it would
23 probably leak out into the lungs, so you would get
24 pulmonary oedema and breathlessness. But to get that
25 you would have to infuse large volumes of hypertonic.

1 Q. Is this similar reasoning to why we should cut our salt
2 intake to keep our blood pressure down?

3 THE CHAIRMAN: That's an essay in itself.

4 MS DUNLOP: Professor James is shaking his head.

5 A. I'm not an expert. I wonder if I should attempt to
6 answer it. I think rather not.

7 MS DUNLOP: Let's not go there.

8 Can we just look at the second page of the letter
9 then, please? "Practicalities". Frank Boulton is going
10 to be arranging for you to get the vials of batch NY761
11 and then he is also suggesting that you might consider
12 giving an infusion to a von Willebrand's syndrome
13 patient.

14 Just to look at your letter about the possible
15 molecular damage. That was [\[SNB0064708\]](#). We have
16 looked at this already. But we know that you had
17 written in March 1983 to Mr Watt, articulating your
18 concern about neoantigens. Is the final paragraph
19 a separate point or is it connected to the neoantigen
20 concern?

21 A. Well, it's to do with the functioning and potentially
22 neoantigens of the von Willebrand factor. We have been
23 talking all along about Factor VIII but Factor VIII
24 adheres to the von Willebrand factor in the plasma, so
25 they go round as a twosome, and the von Willebrand

1 factor is essential for what we call primary
2 haemostasis. When you get damage to a blood vessel,
3 it's the von Willebrand factor that acts as the sort of
4 glue that sticks the platelets to help seal up the hole
5 in the blood vessel. And if heat treatment was to
6 damage the von Willebrand factor, then maybe it wouldn't
7 be such good glue and therefore maybe you would have
8 a more prolonged bleed after trauma.

9 Q. Right. I wasn't aware of a reference to Factor VIII
10 ristocetin. Is that a correct pronunciation?

11 A. This, I think, is dated 198 --

12 Q. ... 3?

13 A. ... 3. There was a lot of debate in the early 1980s as
14 to whether the von Willebrand factor and the Factor VIII
15 were the same protein or were they two proteins, and my
16 mentor in Cardiff, Professor Bloom, was really
17 instrumental in demonstrating they were two separate
18 proteins. So they tended to get sort of rolled together
19 in their name. Nowadays it would be VWF ristocetin
20 co-factor activity. It was a time of transition.

21 Q. Thank you.

22 In the second paragraph you are mooting the
23 possibility of looking at the inhibition of Factor VIII
24 concentrate activity by a variety of anti-Factor VIII
25 inhibitors. Could you simplify that a little bit please

1 and explain what you were suggesting?

2 A. If you give Factor VIII to a patient with haemophilia,
3 as you know, about a quarter of them will develop
4 antibodies.

5 Q. Yes.

6 A. But they will produce antibodies to one or more specific
7 parts of the Factor VIII molecule. The Factor VIII
8 molecule is very large.

9 Q. 2,351 amino acids, I believe?

10 A. You are right.

11 Q. Thank you.

12 A. It's a very large protein and so it has quite a number
13 of different, if you like, bits that stick out and
14 interact with other proteins or with other cells. And
15 some patients produce antibodies to one of these parts
16 of the molecule, some to others.

17 Q. I understand.

18 A. So it would be theoretically possible -- and practically
19 possible as well, if you have the right facilities -- to
20 take, if you like, native Factor VIII and see how it
21 reacts to a panel of patients' antibodies that may all
22 be slightly different and your heat-treated Factor VIII
23 and see how it reacts with the panel, and if the
24 heat-treated Factor VIII reacts differently with the
25 panel, then you will begin to suspect that the surface

1 characteristics of Factor VIII might be different.

2 Q. I understand. You have a library or you had a library
3 of these different inhibitors?

4 A. We had patients, we had roughly half a dozen or a few
5 more patients with these inhibitors, whom we had stored
6 samples. So that's a possibility. We could have
7 acquired some from colleagues elsewhere.

8 Q. Right. Thank you. I think I have a better
9 understanding of what you were wanting to do.

10 In fact, we know that actually some work was done.
11 I think Dr Joan Dawes was involved. Is that right?

12 A. Yes.

13 Q. And results were positive. There wasn't any particular
14 concern demonstrated as a result of Dr Dawes' work,
15 I think?

16 A. That's right.

17 Q. Can we move away from that letter then, please, and go
18 to this question of the two slightly different reports
19 of what happened to the patient. The first, in terms of
20 time, I think, we should look at is the meeting, the
21 minutes of the meeting. Yes, that's the meeting between
22 the haemophilia directors and the SNBTS directors on
23 14 November. If you bear with me a moment, I'm not sure
24 that I actually have the reference to that in my list.
25 [\[SNB0015188\]](#). It has actually been the first item

1 of substance discussed. We can see for ourselves what
2 your report is said to have contained. So you had
3 actually only tried it on one patient. Is that right?

4 A. That's correct, yes.

5 Q. Is that because there was an adverse reaction, you
6 didn't move on to try it on another one or two?

7 A. I think that must be the reason, yes.

8 Q. Yes. I appreciate it's a long time ago. So in terms of
9 its actual activity, it seems to have worked reasonably
10 well. Is that correct?

11 A. That's correct, yes.

12 Q. But then you said:

13 "The patient experienced minor adverse reactions on
14 each occasion and had become anxious. It wasn't clear
15 whether or not the product was the only cause of his
16 upset. Dr Forbes had just received a supply of material
17 from a different batch and was about to put it to
18 trial."

19 So that was one account and then there is the letter
20 of 11 January 1984, which is [\[SNB0015311\]](#).

21 Let me reassure you, professor, I don't suggest that
22 this is a big point at all; it's just that there does
23 appear to be a bit of a discrepancy between the report
24 at the meeting and the report in the letter. The report
25 in the letter seems to sound like a more significant

1 adverse reaction. I think it's probably the
2 quantitative terminology used. You know, on the one
3 hand we had "minor adverse reaction" but here it says
4 "significant and unacceptably adverse reactions".
5 I know one possibility, you say, is that the minute
6 taker might have got it wrong?

7 A. I think there are a number of ways in which patients can
8 react, as I think I may have mentioned in my witness
9 statement.

10 Q. Hm-mm.

11 A. A major reaction would be if they got anaphylaxis, they
12 dropped their blood pressure and their pulse went up and
13 they nearly died. That can happen, particularly with
14 cryoprecipitate. I have had patients who have done that
15 on cryoprecipitate and have ended up on ventilators. So
16 some of these reactions are not trivial, they are very
17 major. Obviously I am afraid I can't remember exactly
18 how I described it at the meeting. The note-taker was
19 not, if you like, a doctor and I -- there were clearly
20 reactions.

21 If it's helpful, what I can add to that is I have
22 recently looked at this patient's notes. Unfortunately
23 he is no longer alive but I have his notes and I have
24 been back through his notes and he is not an individual
25 who reacts to either cryoprecipitate or Factor VIII

1 concentrate. Some patients react to practically
2 everything you give them, particularly in those days
3 when they were relatively impure, other patients who get
4 no reactions at all and the majority of patients in the
5 middle who react some of the time. I went back through
6 a good bit of this patient's notes and I couldn't find
7 any reference to any reactions, and as you know, in this
8 letter there is attached a description of him receiving
9 concentrates, trial concentrates on a number of other
10 occasions.

11 So I think he is not someone who normally reacts to
12 concentrates. Here he has reacted. And then, as you
13 see, I think it was on 7 December, so that was after the
14 meeting at the Scottish Office, I gave him an infusion
15 of ordinary Factor VIII and he didn't react and that
16 emphasised in my mind that these were real, organic
17 reactions.

18 Q. Indeed. I think our interest in the apparent
19 discrepancy was really twofold: firstly, whether this
20 hiccup interfered with progress, I suppose; and then
21 secondly, whether the writing of the letter -- and this,
22 I freely admit was speculation, but whether the writing
23 of the letter was connected in some way with a case that
24 had to be made for funding or something of that sort.
25 My understanding of the first is that it didn't derail

1 or delay progress towards a heat-treated product. Does
2 that accord with your understanding of this event?

3 A. I think so, yes.

4 Q. And as far as the second is concerned, you say you don't
5 have any recollection of whether there was any use to be
6 made of the letter?

7 A. No -- I'm sure Professor Cash didn't prompt me to write
8 the letter or to emphasise any particular aspect. I was
9 a bit surprised by the question --

10 Q. Right.

11 A. -- that was posed. No, it was just a straightforward
12 letter. I'm a bit embarrassed it was a month after the
13 last infusion but I suppose Christmas had intervened.
14 But I have set out there my view, and although in
15 a sense it was "a minor reaction", this was a product
16 potentially -- and this was what's called a benchtop
17 production of 9,000, or the aim was to produce 9,000
18 units. That it would have been quite unacceptable to
19 scale up this without doing further studies, if it gave
20 even these sort of degrees of reaction, because you
21 couldn't accept this as being a viable product for
22 treating patients.

23 Q. I quite accept that, professor, and I think we
24 understand the point that even if a reaction can be
25 described as "minor", that doesn't make it acceptable.

1 So I think we can move away from that.

2 Can we go back to the statement, please? That's
3 [\[PEN0121688\]](#) at 1690. We also referred in our questions
4 to a circular letter from Professor Bloom, Dr Craske and
5 Dr Rizza, listing virally inactivated concentrates. Can
6 we just have a look at that letter, please, it's
7 [\[DHF0028963\]](#). Is this actually part of the
8 correspondence leading up to your letter back saying
9 that you don't think you will be participating in any
10 commercial trials? It looks from a time point of view
11 as though this must have been part of the build-up to
12 that?

13 A. I think it might have been because my letter was dated
14 some time in April, I think.

15 Q. Yes, it's 10 April, your letter saying that you are
16 preferring not to. It does look to have been quite
17 a systematic plan actually, if we look at what's said.
18 So listing the products currently available, including
19 at 3:

20 "Heated NHS Factor VIII. One brand is manufactured
21 at the PFC in Edinburgh and will be shortly available.
22 The second manufactured at Elstree should be available
23 later this year."

24 Actually we see a reference also to Behring and no
25 doubt a predictable consequence of the low yield of the

1 Behring product, that it might be coming in at around
2 40p per unit, which I take it at that time would have
3 been jolly expensive. You probably don't carry around
4 in your head what the price would have been prior to
5 1984?

6 A. Prior to heat treatment, my recollection is that
7 Factor VIII was about 10p a unit in this country. I may
8 be wrong. It was round about that.

9 Q. And the letter goes on to say that:

10 "All products, except those derived from NHS
11 Factor VIII, are coming from plasma imported from the
12 USA and carry a putative risk of transmission of AIDS."

13 Can we look on to the next page, please? It's
14 really quite a methodical approach here to possible
15 trials and coordinated by Oxford as well?

16 A. Yes, this was an attempt to prevent the companies
17 arranging for giving it to patients on a named-patient
18 basis if there was a national arrangement.

19 Q. But I think perhaps even also if there were going to be
20 localised clinical trials, that there was to be some
21 co-ordination of that too?

22 A. Yes.

23 Q. Yes?

24 A. This is why we have a national organisation.

25 Q. Well, indeed.

1 Can we go back to your statement then, please,
2 [\[PEN0121688\]](#) at 1690?

3 This is picking up a point that I think
4 Professor Cash made as well about the attempts in early
5 1983 to establish dialogue between PFC and Dr Rizza. So
6 with a view to possibly having some English patients
7 available for trials of Scottish product as well,
8 contact seems to have been made, and I think the letter
9 you are referring to on this topic is [\[SNB0073483\]](#). If
10 we could have a quick look at that, please.

11 So Mr Watt to Dr Rizza, 22 February 1983. I don't
12 think he actually says in terms in the letter -- or not
13 in this letter -- that he is wanting to test the product
14 on patients in England but he certainly seems to be
15 keeping Dr Rizza informed, and actually also I think
16 seeking some advice. We can see that Mr Watt is to some
17 extent rehearsing possible ethical issues with Dr Rizza
18 as well. We can see that towards the foot of the page.

19 A. Yes.

20 Q. Can we look on to the next page, please? Can we go back
21 to the statement again, please, at 1690? I'm not going
22 to ask you any questions about Hemofil T because we have
23 talked about Hemofil T a lot this week and I think we
24 have the picture about the early trials of it. But can
25 we move down and look at your answer to our question 36?

1 Perhaps it would do no harm just to glance again at the
2 question. So can we go to the schedule of questions,
3 please, which is [\[PEN0121531\]](#)? Question 36 starts on
4 1538.

5 We can see question 36. Can we just read to the end
6 of it, please, by going on to the next page?

7 Then reverting to your answer, and I'm reading from
8 the second sentence of the first paragraph:

9 "If effective heat treatment against NANBH virus
10 (es) had been part of the routine manufacturing process
11 and all concentrates issued after the beginning
12 of January 1984, then it is likely that batch ..."

13 Which I think is referred to as "0090" for short:

14 "... would not have contained infectious HIV."

15 But you say that:

16 "The question suggests a misunderstanding about the
17 initial reasons for developing heat treatment. It was
18 to prevent hepatitis."

19 I don't think, Professor Ludlam, that we failed to
20 understand that the efforts that began in the 1970s and
21 the early 1980s were in the context of hepatitis,
22 firstly perhaps Hepatitis B and then latterly non-A
23 non-B hepatitis as well, but you seem to be saying that
24 there wasn't a read-across between the work that was
25 being carried out to develop a heat-treated product and

1 the threat of AIDS.

2 We have looked already this week at some of the
3 material from 1983. We looked at a talk Dr Foster gave
4 at the Royal Infirmary in March 1983 in which he does
5 mention, in the context of heat treatment, that AIDS may
6 be a possible problem or issue. We have also looked at
7 his memorandum dated 3 May 1983 and I should let you
8 have a look at that. That's [\[SNB0073635\]](#).

9 We have studied this memorandum in some depth
10 already but the thrust of it, I think, really is that
11 Dr Foster is referring to the then current strategy,
12 which was pasturising up to 30 per cent of the total
13 Factor VIII and using that for patients who had mild or
14 moderate haemophilia, but then suggesting that it may be
15 necessary to develop a different strategy:

16 "The possibility that another more serious
17 infectious agent, AIDS, is now involved suggests that we
18 may need to review this strategy."

19 Just perhaps scrolling down to the bottom of the
20 page, in this first part of his memorandum explaining
21 his thinking. Then a question of timing and then over
22 on to the back, please, he does what I have been
23 referring to as a "worked example" of what might be
24 possible in reasonably early course.

25 Then just as another example of documentation from

1 the time, can we also look at [\[DHF0024489\]](#), please?
2 This is from England. I think this is actually
3 dated July 1983. I don't see the date on it at the
4 moment but the date may be at the end. Central Blood
5 Laboratories Authority, headed "AIDS: progress with heat
6 treatment of human plasma products". We can see that
7 actually the theme of this is that very read-across,
8 heat treatment in the possible context of AIDS.

9 Can we just look down through it, please? It does
10 say:

11 "Heat treatment of blood products is still primarily
12 directed at the inactivation of transmissible viruses
13 causing hepatitis in recipients."

14 Can we look on to the next page, please? "AIDS":

15 "The syndrome is likely to include in its aetiology
16 transmission of an infective virus. This aetiological
17 observation has promoted more activity in the area of
18 blood products' pasteurisation with the empirical view
19 that a virus is involved and, as with hepatitis virus,
20 is likely to be partially or completely inactivated by
21 heat."

22 And then goes on to discuss means of heat treatment.
23 I think there is another page as well. It's the final
24 page and there is the date, 26 July 1983.

25 So it does look, Professor Ludlam, as though at

1 least some of those more directly involved with
2 developing heat treatment processes were making
3 that read-across and thinking, "We may need to deal with
4 AIDS as well". Would you accept that?

5 A. I fully accept that.

6 Q. Yes.

7 A. But to have instituted heat treatment in January 1984,
8 I think would have jumped the gun because there was no
9 way of knowing whether the virus that causes AIDS was
10 heat sensitive or not. It might have been like
11 parvovirus that's extremely resistant to heat.
12 Hepatitis A was being discussed, I think, yesterday,
13 that is relatively resistant.

14 So if, if you like, clotting factor concentrates had
15 been heated on the offchance it might inactivate the
16 virus -- it might well have done because we now know
17 that it's very heat sensitive but we didn't at that
18 time -- then people like me would have been even more
19 anxious about neoantigens for absolutely no proven gain,
20 just a possible gain. Even December 1984 when the heat
21 treatment was introduced, as I am sure you are aware,
22 there was some uncertainty as to how effective it would
23 be.

24 So I don't think there is anywhere in the world that
25 would introduce heat treatment on a large-scale

1 in January 1984 for concentrates. Had it been
2 introduced then, I think the question was: would it have
3 prevented the very unfortunate episode of the -- I wish
4 it would have done, but my understanding is that that
5 batch was made in November 1983 and, if you like, would
6 have missed out on the heat treatment.

7 Q. I'm sorry, the question didn't make it clear. It was
8 kind of rolled into the premise of the question that
9 exactly the same would have happened in January 1984 as
10 happened in November/December 1984, so that stock would
11 have been recalled and heat-treated as it were, and
12 there would have been a recall of product.

13 So if you include all these details in your premise,
14 then as a matter of practicality, it could have been
15 prevented, and obviously it's part of our function as an
16 Inquiry to probe whether that's something that ought to
17 have happened, which is simply why we asked the
18 question.

19 Everybody has answered it, I think, or pretty much
20 everybody to whom we put this schedule, and I'm just
21 baldly summarising here, but their answers have really
22 revolved around three points: firstly, that it was not
23 clear at the start of 1984 that the AIDS agent had been
24 found -- and we know about the whole
25 Barre-Sinoussi/Gallo debate, if you like. Secondly,

1 that it was not clear that that AIDS agent, whatever it
2 was, would be inactivated by heat and in this context
3 there was some negative information about Hemofil and
4 the continued development of hepatitis. Then thirdly,
5 it was not clear that a heat-treated product would not
6 cause harm to patients. So I take it that you would
7 align yourself with all three of those points of view?

8 A. I think that's what I have been trying to say.

9 Q. Yes.

10 A. Yes.

11 Q. There is one other factor also, which I think is only
12 mentioned by Dr Smith. Do you know Dr Smith? Did you
13 ever meet him?

14 A. Oh, yes.

15 Q. All right.

16 A. Not recently.

17 Q. He is certainly a very well known name in this area.

18 A. He is a delightful man.

19 Q. Can we look at his statement, [PEN0121551] at 1565,
20 please? This is Dr Smith's statement. Don't be thrown
21 by the fact that it is shown as answer 34. It is in
22 fact the same question but he makes several points in
23 response, but the one I wanted to put to you is the
24 second bullet. He says:

25 "I'm not sure that in early 1984 it was generally

1 perceived that AIDS had entered the UK donor population.
2 No test was generally available, validated for
3 application to large populations of donors."

4 That's true as well, isn't it, Professor Ludlam?

5 A. Absolutely.

6 Q. And that must be part of the answer?

7 A. Yes.

8 Q. Yes. Thank you very much.

9 THE CHAIRMAN: Mr Di Rollo?

10 Questions by MR DI ROLLO

11 MR DI ROLLO: In relation to cryoprecipitate and the
12 photograph you were shown earlier by counsel to the
13 Inquiry, am I right in thinking that that
14 cryoprecipitate comes from plasma which is obtained from
15 a large number of donors?

16 A. Yes, that's pooled plasma.

17 Q. Pooled plasma?

18 A. Yes.

19 Q. So it would be wrong to think that that's similar to the
20 cryoprecipitate that would be obtainable from a small
21 number of donors and therefore virally safer than that
22 one would be?

23 A. Yes, that's correct, yes.

24 Q. The second point I wanted to ask you about was in
25 relation to Factor IX and heat treatment in respect of

1 that. As we know, the heat treatment for Factor VIII
2 came in sooner than it did for Factor IX. In December
3 or towards the end of 1984, do you recall what
4 information you were given about when Factor IX would be
5 heat-treated successfully or what the sort of timescale
6 was in relation to that? Were you given any
7 information? Do you recall what it was at that time?

8 A. I know it was discussed. I can't remember whether
9 a timescale was offered. There was concern about, as
10 you probably know, thrombogenicity after heat treatment,
11 quite apart from solubility and efficacy, and I think it
12 was a matter of getting the animal studies done, I think
13 was probably what was holding it up.

14 I'm sorry, I don't remember if we were told how long
15 that would take.

16 Q. Did you give any consideration yourself to what to do in
17 the meantime in relation to patients who were receiving
18 untreated or unheat-treated Factor IX?

19 A. Yes, I did. Because I had a few patients with
20 particularly moderate Haemophilia B. That was
21 difficult. I think there was commercial heat-treated
22 Factor IX of unproven safety from a donor pool that was
23 likely to have many more HIV positive donors in it,
24 versus NHS clotting Factor IX.

25 We knew at that stage in December 1984 that the

1 prevalence of anti HTLV-III positivity in Haemophilia B
2 was very much lower than in Haemophilia A, and we
3 presumed that that was because the virus to a large
4 extent was excluded in the manufacturing process,
5 excluded from the final Factor IX product.

6 So Factor IX was seen as a much safer product from
7 the point of view of HTLV-III, even unheated.

8 So the national recommendation was to continue to
9 use unheated NHS Factor IX concentrate in those who had
10 already been exposed to it and to use fresh-frozen
11 plasma in patients who hadn't been exposed to it, if
12 possible. If they had severe new patients with severe
13 haemophilia, they might anyway have to be put on to the
14 concentrate but to use UK concentrate.

15 So it wasn't an entirely black and white issue. It
16 was in a sense slightly easier to not use the
17 heat-treated commercial because the epidemiology at that
18 stage was that patients were much less likely to get
19 infected with anti HTLV-III. Does that help?

20 Q. Thank you very much. Yes, it does.

21 THE CHAIRMAN: Is that all?

22 MR DI ROLLO: Yes, thank you.

23 THE CHAIRMAN: I wondered if you did want to go back to the
24 information we have already heard about, when Factor IX
25 did become available, you remember it's set out in

1 Kasper, but I don't know whether you want to go back to
2 that.

3 MR DI ROLLO: No, I'm content.

4 THE CHAIRMAN: Mr Anderson?

5 MR ANDERSON: I have no questions.

6 THE CHAIRMAN: Mr Johnston?

7 MR JOHNSTON: No, thank you very much.

8 THE CHAIRMAN: Anything you want to follow up with?

9 MS DUNLOP: No, Professor Ludlam is free to go.

10 THE CHAIRMAN: Those are words that usually have some
11 comfort for the witness, Professor Ludlam. I don't know
12 whether that's a permanent comfort or merely a temporary
13 one.

14 MS DUNLOP: I think Professor Ludlam will probably only have
15 to come back once more. I hope that's good news too.

16 THE CHAIRMAN: For the time being, thank you very much.

17 A. Thank you.

18 MS DUNLOP: Sir, I did say it was likely to be a short day
19 and indeed so it has proved. So I don't have any
20 further witnesses.

21 THE CHAIRMAN: Thank you very much. I hope you all have
22 a good weekend.

23 (10.54 am)

24 (The Inquiry adjourned until Tuesday 13 September 2011 at
25 9.30 am)

1	
2	
3	PROFESSOR CHRISTOPHER LUDLAM1 (continued)
4	Questions by MS DUNLOP (continued)1
5	Questions by MR DI ROLLO40
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

