

Penrose Inquiry

The following transcript is for Day 31 of the Oral Hearings of The Penrose Inquiry, held on 10th June 2011.

Please note that this session comprised two parts:

The first was an open session, and the transcript is a verbatim account of the proceedings with all supporting documents referred to in the course of evidence available through hyperlinking.

The second was a closed session during which a patient or relative gave evidence anonymously to protect their privacy.

Supporting documents referred to by this anonymised witness during the course of evidence, such as medical records and witness statements, will *not* be hosted on the Inquiry website, in the interests of confidentiality. These supporting documents have been made available on the basis of specific undertakings of confidentiality to the legal representatives of Core Participants and have been considered by Lord Penrose and the Inquiry Team. Except to the extent that they are published by the Inquiry, the evidence given by these witnesses in closed sessions and documents relating to those witnesses are the subject of a Restriction Order made by Lord Penrose under sections 19 & 20 of the Inquiries Act 2005 preventing further disclosure or publication.

Consequently, unlike other transcripts on the Inquiry website, hyperlinking has been disabled for the closed part of the session.

1

2 (9.30 am)

3

PROFESSOR IAN HANN (continued)

4

Questions by MR GARDINER (continued)

5

THE CHAIRMAN: Good morning. Yes?

6

MR GARDINER: Thank you, sir, good morning, Professor Hann.

7

Can you hear us all right?

8

A. Yes, very well.

9

Q. Good morning, Professor Hann.

10

A. Good morning.

11

Q. The last time you gave evidence to the Inquiry the

12

session was cut off and so I have just one or two

13

further questions to ask you. Before I do that, I would

14

like to clarify certain points of your evidence and I'm

15

going to be referring to the transcript of your

16

evidence, if you have that in front of you. Now, the

17

first thing --

18

A. Just give me a few seconds.

19

Q. Sure. (Pause)

20

A. Right.

21

Q. Thank you. It's at page 63 I would like you to look at

22

first of all. Line 18, if you can find that. The

23

question is really about --

24

A. Sorry, page 63 of my evidence?

25

Q. Page 63 of the transcript, yes. At the bottom of the

1 page, line 8, where you say:

2 "Answer: Yes."

3 Do you have that?

4 A. Just a moment. (Pause)

5 Yes.

6 Q. The context here is results, testing, discussions and so
7 on, and your answer is:

8 "Answer: I mean, basically, for many years in
9 paediatrics, and certainly before this time, the old
10 idea that you basically gave partial or unworrying
11 information to people had almost entirely gone and
12 certainly had gone in this unit. So if people asked you
13 about things, you answered them honestly. We had
14 a problem, which wasn't entirely resolved, over what we
15 could tell to the children, the so-called Gillick
16 competence was coming through and we game more confident
17 in that respect and then less confident with the
18 pronouncements after Lord Scarman from Brazier and
19 Donaldson and others."

20 I just want to clarify with you there, when you
21 refer to the Gillick competence, you are referring to
22 the House of Lords case, Gillick v West Norfolk and
23 Wisbech Area Health Authority. Is that right?

24 A. Yes.

25 Q. Yes. That was a case that dealt with the prescription

1 of contraception to children under 16 and it contained
2 an test set out by Lord Scarman, which was called the
3 "Gillick competency test". That's right, isn't it?

4 A. Correct.

5 Q. Broadly it said that parental rights to determine
6 treatment terminated when the child could understand
7 fully what the treatment was. Would you agree with
8 that?

9 A. Yes, able to make up their own mind.

10 Q. Yes, thank you. Then subsequently there was a case,
11 R v R, where Lord Donaldson seemed to contradict that
12 test. Is that why you are referring to Lord Donaldson
13 there?

14 A. Yes, I think it made things less clear for us as
15 clinicians.

16 Q. Am I right in thinking that when you referred to
17 Brazier, you are talking about Margaret Brazier, the
18 professor of law at Manchester University?

19 A. That's correct, yes.

20 Q. She introduced further questions about the tests that
21 had been formulated. Is that right?

22 A. That's correct, yes, and I did know her at the time and
23 she gave us -- basically she sort of put it into
24 a practical form for us, interpreting the medical law,
25 if you like.

1 Q. Yes. This would have been around about the middle of
2 1985. Is that right?

3 A. I thought it was a little earlier than that but I'm not
4 sure.

5 Q. Yes, thank you. Just to look at how you approached the
6 question of discussing treatment with the children,
7 having considered the advice that you were getting, what
8 was your approach at that time -- I'm talking about 1984
9 and 1985 -- to the children.

10 A. Yes, this continued to be a problem in fact. It wasn't
11 just a problem around that time, because obviously we
12 were also looking after a lot of children with
13 leukaemia, bone marrow transplant et cetera, with a high
14 mortality instance and it was particularly difficult in
15 the adolescent age groups and in the more confident
16 children, if you like.

17 The attitude was always try to take the families
18 with you and to get them to agree what you said to the
19 children, and that they would lead the way in this
20 respect, because obviously our idea wasn't to
21 disenfranchise them as parents, it was to encourage them
22 if possible to adopt an approach which was open with
23 their children as well. Because, as had been shown
24 quite clearly through psychological studies in the past
25 and subsequently, if the child knew what was going on,

1 there was a great deal less resistance to, for instance,
2 invasive procedures et cetera and less long-term
3 psychological disturbance.

4 Of course, some parents felt that the least known,
5 the better, and that using words like "leukaemia",
6 "caner", "HIV", "AIDS" et cetera, was only going to be
7 frightening, would only raise anxiety et cetera. So our
8 attitude was this: in the very young children, those who
9 obviously didn't reach that level of Gillick competence,
10 as it was first described, we basically encouraged the
11 parents and developed literature, in fact, especially in
12 the leukaemia field, for children themselves and for
13 parents to guide them as ways in which they could
14 approach consent and information, then basically left it
15 up to the parents as to what they did. Although clearly
16 we had to repeatedly remind ourselves of what their
17 attitude was so that people didn't speak in ways that
18 disrupted the confidence within the family.

19 With regard to adolescence, it was obviously a great
20 deal more difficult because if the family chose not to
21 inform an adolescent about what was happening, it made
22 our job difficult and, you know, we, as doctors, nurses,
23 healthcare professionals, do not like prevaricating to
24 people. So it was a difficult situation. There were
25 a few families in which this persisted as an attitude

1 even for years to come.

2 I think that's where, legally, the legal information
3 was sometimes not precise enough for our means,
4 understanding.

5 Q. The Inquiry is particularly interested in the testing
6 for HTLV-III in 1984 and 1985. Could I ask you to think
7 back to how you approached passing on that information,
8 whether it was given directly to the children, whether
9 it was given first to the parents and then the children.
10 What was your approach at that particular time?

11 A. Well, one thing is for certain, it would never have been
12 first to the children, even if they were 15, 14,
13 whatever, unless they were -- and I don't remember any
14 18/19 year olds. Obviously, if they were legally in
15 every way adults, it could have been different but
16 I don't think that was the case. So I have already, if
17 you like, admitted that we didn't get pre-test
18 counselling right in the HIV area, we certainly did not
19 and that was shown up in Patricia Hewitt's work
20 subsequently and in the response that at least one
21 parent gave to me, which I have already spoken about.

22 What we learned in this era -- I have said this
23 already -- is that when you have something that has such
24 a life changing consequence, you have to explain the
25 reasons for the test, explain the possible outcomes with

1 the possible positivity/negativity and so on and so
2 forth. We didn't do it well. I don't think anybody did
3 actually -- and mea culpa, that was not good and by the
4 time -- and I'm not defending myself here -- we got to
5 the 1990 Hepatitis C episode, some people were still
6 getting it wrong despite all this, but by that time,
7 certainly at Great Ormond Street and Yorkhill, we had
8 fully taken Patricia Hewitt's very good work that, you
9 know, we needed independent counselling, we needed
10 pre-test counselling, we needed, if you like, proper
11 consent not, you know, "Trust us, we will always do the
12 right tests". Obviously we need to do the tests
13 et cetera.

14 So -- a long-winded answer to your question -- the
15 fact is I don't remember exactly how we approached the
16 pre-test counselling or if in fact we did very much at
17 all to be perfectly frank. The attitude in those days
18 the, blood tests were there, they were taken for
19 hepatitis, we had explained and they knew all about
20 hepatitis and if anyone asked, we would certainly have
21 told them that this testing was carried out, and I do
22 not recall anybody complaining that the tests were done.
23 There was certainly one complaint, which was quite
24 valid, that we had done it and we had told somebody and
25 they didn't really want to know at that stage.

1 As far as informing people, then informing them, in
2 my view, was when we were sure that the test was
3 correct, even though -- and I think Mark Winter and
4 others have pointed this out -- we did not know a great
5 deal about what the positivity of the test meant at the
6 time. I differed from some other directors in that
7 I believed it was wrong to keep that information from
8 people, even though there was very significant
9 uncertainty about the consequences of the positivity or
10 negativity.

11 Q. Thank you, Professor Hann. My question is very
12 specific; it's really who was told about the results of
13 these tests? Was it the children on their own, the
14 parents first then the children? I think you have told
15 us that the children certainly wouldn't be told on their
16 own. Can you recall, Professor Hann, what your practice
17 was in terms of did you sit down with the children and
18 the parents to pass on or did you speak to the parents
19 first?

20 A. To be honest, I don't remember, but in these
21 circumstances I would be very surprised if it were not
22 the case that we spoke to the parents on their own and
23 then would offer -- because this is what we did with
24 leukaemia et cetera. We would say, "Do you want to pass
25 that information on yourself? Would you like us to talk

1 to them separately or with you?"

2 That was a policy from the late 1970s onwards in
3 paediatric units. I would be very surprised if we did
4 it in any other way.

5 Q. So you effectively had a policy in place already about
6 that?

7 A. Yes, because it was part of a big unit and that was
8 just -- you know, I'm not belittling it, it was one part
9 of a large unit, where there were a lot of very serious
10 illnesses and a passing on of a lot of very serious
11 information, dying children, half the children with
12 leukaemia in that era would have died. So we obviously
13 had to have a policy towards such events. And it wasn't
14 a written policy because obviously it's adapted to the
15 family and the age of the child and all the rest of it.

16 Q. Yes, I understand. So that would mean that when the
17 results arrived, you wouldn't have to discuss with
18 Dr Pettigrew what your policy was specifically about
19 that particular issue?

20 A. No, I mean, if obviously she wanted to say, you know,
21 "How do we approach this family with this adolescent who
22 doesn't know what's going on", et cetera, then we would
23 have discussed it, but in the end this is a process of
24 trying to take people with you; it's not just a one-off
25 event.

1 Q. Thank you.

2 A. But, yes, he would have obviously been aware of the
3 general ethos.

4 THE CHAIRMAN: Professor, I'm anxious to know how far the
5 practice you have described would be common among
6 haemophilia directors. You have explained to us that
7 your background in paediatric medicine included a great
8 deal of interest in leukaemia and that's what took you
9 to Stirling, for example. Do you have any sense of
10 whether your practice was particularly shaped by your
11 previous clinical experience and might have been
12 different from another haemophilia directors or would
13 this be common throughout the profession?

14 A. Please stop me if I'm being too long-winded but I need
15 to explain the background here in order to answer that.

16 Basically, in this era, it was a period of change in
17 adult medicine in particular. I grew up, if you like --
18 I had to do a joint training because you couldn't just
19 train in paediatric haematology in those days. So I had
20 to do a lot of adult haematology. And having been a
21 paediatrician and subsequently, I was shocked by the
22 fact that people still spoke to patients, adult
23 patients, in a way which was often concealing the truth,
24 if you like. In other words, "No, you don't have cancer
25 you, have a nasty ulcer that's not getting better".

1 That was very much the attitude of the time in adult
2 medicine. You would tell the relatives, the wife, the
3 brother, the whatever, what was happening but you know,
4 "Why unnecessarily worry people?"

5 It was a very, very strong attitude at the time.

6 Obviously, I didn't work in the adult units in
7 Scotland. I did spend a lot of time in the adult units
8 in the UK and at least one of those, the Royal Free, was
9 very much ahead of the times in this respect, in that
10 they had psychologists, they had counsellors, they were
11 very much open about what they did and they provided
12 counselling, et cetera. But it would not have been
13 uncommon -- and I took part, as you probably saw from
14 some of the minutes of meetings, in meetings where there
15 was a great deal of discussion about, "What's the point
16 of telling people when we don't know what the test is?"
17 And my attitude was: I understand that but I can't see
18 the point in being like that because, apart from
19 anything else, we need those people to know that there
20 is a disorder which can lead to life-threatening
21 pneumonias for instance.

22 So it isn't a cough that you go to your GP with or
23 put up with or whatever it may be. In order to be able
24 to manage the patients properly -- and I suppose this is
25 part of my defence as to why we went ahead and did

1 pre-testing without full counselling and consent. We
2 had to know those results. But let me put it this way.
3 There were two camps in the adult field in particular,
4 much less so in paediatrics because it's very much more
5 difficult to keep things from parents than it is from
6 adult patients anyway.

7 There were two camps with the adults. There was
8 a camp that said, "Let's just do these tests. Let's see
9 how it goes. Let's tell them when it's necessary or we
10 may tell their relatives, and if we are forced to do so,
11 let's tell them. But why worry them unnecessarily when
12 a positive test might become negative, when we don't
13 know how many positives are going to become AIDS,
14 et cetera. Why worry people unnecessarily?" I don't
15 know the proportions but I would say there was a very
16 significant proportion of adult treaters who went down
17 the, "Let's keep it under wraps until we know where we
18 are" sort of thing.

19 Sorry, very long-winded answer. But I think in
20 paediatrics, it would be highly unlikely that attitude
21 would have existed.

22 THE CHAIRMAN: Yes. Don't be concerned about making that
23 too long. It's very difficult, looking back, even for
24 you to capture the atmosphere at the time and I have the
25 impression that I really have to know how things were

1 changing since, as you know, patients and their
2 relatives are commenting adversely on the fact that they
3 discovered later that testing had been carried out.

4 A. I think, you know, it's one of the regrets I have that
5 we didn't do as well as we could in retrospect, but
6 I just would make one point for the Inquiry: this was
7 a time of great change and HIV was one of the things
8 that had prompted it. It was a time of great change in
9 the attitudes towards consent, towards information
10 giving, towards all sorts of things and HIV was one of
11 the things that changed. It came out of a clear blue
12 sky as a terrible shock and by the late 1980s, things
13 had changed out of all proportion.

14 THE CHAIRMAN: So one should understand that HIV really
15 provided a focus for change, making --

16 A. Very much so.

17 THE CHAIRMAN: Making clinicians think.

18 A. Not just a change with regard -- it kick-started
19 virology essentially, and so on the clinical/medical
20 side -- I mean, virology/infectious diseases really
21 hadn't developed as a specialty in the UK in a big way
22 but it also changed other things, like it was the first
23 time that we had a disorder really that affected
24 people's lives completely with regard to they couldn't
25 get mortgages, they couldn't get insurance, you know,

1 their wives might be infected, their families. You
2 know, it changed their lives overnight and that was the
3 first time really that that sort of event had occurred
4 in my medical life.

5 THE CHAIRMAN: Yes, thank you. Thank you very much.

6 MR GARDINER: Thank you, sir.

7 Professor Hann, I would like to move on to the next
8 point of clarification, which is really to do with the
9 dates. Could you have a look at page 67 of the
10 transcript of your evidence. If you look around about
11 line 10, the question is about the initial descriptions
12 of HIV transmission. You say at line 3:

13 "Answer: My memory is that this became a real issue
14 during 1983. That's my memory."

15 Then at line 8 you say.

16 "Answer: I happen to have started on 1 January."

17 So you started at Yorkhill, 1 January 1983?

18 A. Yes.

19 Q. You say:

20 "It definitely wasn't immediately obvious as
21 a problem but as Dr Forbes said, it sort of hit us later
22 that year that this was going to be a major issue."

23 So can I just be clear, what you are referring to
24 there is the knowledge at that time that there was
25 a possibility or a good chance that factor concentrates

1 were transmitting a virus? That's what you are
2 referring to, is it?

3 A. Yes. A possibility, yes.

4 Q. A possibility? By that stage there were haemophiliacs
5 who had become infected and died of AIDS?

6 A. There were reports in early 1983 of, I think it was
7 eight or nine or so haemophiliacs in the United States.
8 The first cases in the UK were later that year.

9 Q. Yes.

10 A. I have no reason to doubt the figures in the preliminary
11 report. But I would agree with Dr Forbes. My memory --
12 and you know, we had lots of meetings and I had lots of
13 meetings with other haemophilia directors at the time --
14 is that it was not plainly obvious at this time, until
15 later that year -- and I would say the second half of
16 that year -- that this was a blood product transmitted
17 issue in haemophilia.

18 Q. So from about May 1983?

19 A. Yes, I would say the latter half but around about that
20 time, yes.

21 Q. Okay. If we could go to line 20 on that page, you are
22 talking about discussions about this question. You say.

23 "Answer: We would have said that there had been
24 a few cases described of haemophilia and we didn't know
25 if this was going to be a major problem."

1 When you say that, are you meaning described of
2 infection in haemophiliacs when you say "of
3 haemophilia"?

4 A. Sorry, it should say "AIDS and haemophilia".

5 Q. Yes, thank you. If you could go forward to page 69 and
6 if you look around about line 14, and again you are
7 discussing possible therapies. From line eight you say.

8 "Answer: So yes, later on we would certainly expect
9 them to have detailed discussions with us about where we
10 go from here, and so if they were newly diagnosed,
11 et cetera, and they were very young, then the use of
12 cryoprecipitate would have been a real possibility that
13 was offered to them and may even have been recommended
14 as the first option in that difficult interim period."

15 Can I be clear with you, Professor Hann, what is the
16 "difficult interim period"? I presume it's starting
17 in May 1983?

18 A. Yes, and going through to the period when the virus was
19 found and we found the antibody in a proportion of
20 patients. One of the many problems being, as I quoted
21 from Peter Jones, is that, you know, the incidence of
22 AIDS amongst the haemophilia population was apparently
23 very low, and particularly low in -- and I know you have
24 seen lots of evidence on this -- a country like Germany,
25 using vastly more Factor VIII than we were using.

1 Q. Yes, but just focusing on the interim period question,
2 you say the other end of the period is when antibodies
3 were found in Scottish patients, I presume you are
4 meaning?

5 A. Yes, I mean, the test came through in late 1984,
6 I believe, autumn/winter of 1984.

7 Q. Yes.

8 A. Then we found the antibodies although we didn't know
9 what that meant either, but at least the extent of the
10 problem was far greater than we had imagined because our
11 patients were asymptomatic.

12 Q. So the interim period is from about May 1983 to late
13 1984?

14 A. Yes.

15 Q. Yes. Thank you, that's very helpful.

16 Could I ask you to have a look, please, at another
17 document, to help us with the dates. That's a note of
18 the meeting of haemophilia directors in November 1984.
19 That has a reference [SNF0010255](#).

20 A. Can you say that number again, please?

21 Q. Yes, it's [SNF0010255](#). It's a note of the meeting of
22 haemophilia directors and SNBTS representatives on
23 29 November.

24 A. I'm sorry I'm going to have to look --

25 Q. Yes, just take your time, Professor Hann. (Pause)

1 A. I'm really sorry, I was sent an awful lot yesterday.
2 I have it.

3 Q. You have it? Thank you.

4 This is a note of a meeting of the haemophilia
5 directors in November 1984. So I want to try and use
6 this to try and help us with the dates for testing. Do
7 you have that document, Professor Hann?

8 A. Yes.

9 Q. Right. If you look at the top of the page, you will see
10 "present: Dr Forbes, Dr Gibson."

11 A. Yes.

12 Q. Do you see that, the left-hand column?

13 A. Yes.

14 Q. Could you just remind us about Dr Gibson. She worked
15 with you at Yorkhill. That's right, isn't it?

16 A. Yes, and basically she spent six or nine months as
17 a trainee, as most of them did, and then was
18 appointed -- gosh, I think it was late 1983/early 1984
19 and it was a proleptic appointment. So she spent
20 between three and six months in Manchester doing some
21 additional training in paediatrics, on the leukaemia
22 solid tumour side to complete her training in that
23 respect.

24 Q. Yes.

25 A. When she took up the post, obviously, for the first time

1 we were two-handed and therefore if I was away or on
2 holiday, for the first time, she was able to stand in.
3 Essentially she was my deputy on this side and she took
4 the lead in solid tumours and leukaemia et cetera, and
5 we worked together as a team otherwise.

6 Q. When would you have started to work together as a team?

7 A. It was some time in 1984.

8 Q. 1984, thank you.

9 A. I'm not sure. I think -- did she not give you a date in
10 her evidence. July 1984 she says in her evidence.

11 Q. Thank you.

12 A. That rings true.

13 Q. As well as being involved in the solid tumours side, did
14 she also help you with the haemophilia side of things as
15 well?

16 A. Yes, basically, her training had included a great deal
17 of haemostasis, which is why she took over from me when
18 I left in 1987 or 1988, having trained in McMaster(?),
19 which (inaudible) probably the best centre in the world.
20 So her input would have been obviously when I was away
21 but, as I say, we worked as a team, so we would do
22 alternate nights on-call, alternate weekends and so on.
23 Also she had particular expertise in the laboratory side
24 and helped me to put right a dysfunctional laboratory
25 and also was a very useful opinion actually when it came

1 to difficult problems with regard to surgeries,
2 management inhibitors, difficult clinical problems like
3 that.

4 Q. So from July 1984 were you sharing on-call
5 responsibilities equally with Dr Gibson?

6 A. Yes.

7 Q. Yes. So she would have occasion to deal with
8 haemophilia patients and she was competent and qualified
9 to do so. Is that correct?

10 A. She was highly qualified to do so, yes.

11 Q. She would have dealt with haemophilia patients as well?

12 A. Yes.

13 Q. Thank you. Professor Hann, would you usually have been
14 at this meeting?

15 A. I tried to go to them all but for various reasons
16 I couldn't always, like maybe there was a very sick
17 patients on the ward or whatever it might be. If
18 I didn't, then Dr Gibson would go but that would be rare
19 actually. I usually went.

20 Q. Yes. Okay, thank you.

21 THE CHAIRMAN: Professor, looking at this minute, one can
22 see contributions from three different sources of
23 information about tests. In the second paragraph there
24 appears to be a very general reference to the finding of
25 HTLV-III antibodies. Then Dr Ludlam deals with what we

1 have been calling the "Edinburgh cohort", I think. Then
2 Dr Forbes describes the findings that were subsequently
3 published under the name of Melbye and others, the
4 comparative study, involving Dr Forbes' patients and the
5 Danish patients, and then Dr Gibson reports on the
6 treatment in Yorkhill and says:

7 "Five out of ten patients were HTLV-III antibody
8 positive."

9 We know, I think, from general information that the
10 Melbye study was using a French-derived test. It refers
11 to "LAV" in the article. We have some information about
12 Professor Ludlam's patients. How did the results for
13 patients at Yorkhill come to be discovered?

14 A. To be honest with you, I don't remember. But I'm sure
15 that Dr Pettigrew's memory is correct, in that it came
16 from Dr Follett and in the form of a letter. For some
17 reason I don't remember receiving that letter but the
18 fact was that I did get the results and we communicated
19 them.

20 When those results had been verified, the problem
21 with the test at the time was not only did we not know
22 about its sensitivity, we also didn't know about its
23 specificity, and also we didn't know what positivity
24 meant. Was it transient, as it is often with other
25 viruses? Was it persistent? What proportion went on to

1 form AIDS? Et cetera. And there were a number of
2 reports, as you have seen in your Inquiry, of antibodies
3 being positive and then becoming negative. As it turns
4 out, that was a rarity and was almost certainly related
5 to the test producing false positives, as opposed to
6 losing your antibody.

7 So the answer is that we, like, I think, all other
8 directors, got some results and then required to repeat
9 them and my memory is that the, if you like, gold
10 standard in medical terms test was then repeated with
11 the antibody test, which was the Western blotting which
12 was supposed to be absolutely specific, a molecular
13 test, if you like. So that took some time to come back.

14 So basically it was a two-step process. The results
15 came through and we tested those who were positive and
16 negative again and also we tested those who hadn't
17 previously been tested over a period of some weeks. And
18 my view was, when we are talking about consent, that
19 there was no point telling people that a test was
20 positive when we didn't even know if that was true. So
21 we got on with doing those repeats as soon as we could
22 and got the results through as soon as we could.

23 MR GARDINER: Yes, thank you, sir, I would like to follow
24 that up.

25 Professor Hann, our information is that

1 in November 1984 there weren't any commercial testing
2 kits available and that at that time testing in Britain
3 was done by Dr Tedder with an experimental kit. We have
4 been advised by Dr Forbes that samples were sent to
5 Dr Melbye in Denmark of his patients. Is it possible
6 that Yorkhill samples were sent to Denmark as well and
7 that's how we have the results?

8 A. I think that's very unlikely because I don't remember
9 anything about that. I mean, I happen to know Dr Tedder
10 because I have worked in London and I was a UCL person
11 and all the rest of it, and I think that we had
12 organised -- you need to check this because I'm not
13 certain about it -- for him to do the Western blot
14 follow-up and repeat antibody testing some short time
15 later.

16 As it happened, we were one of the units where
17 I don't think there were any false positives or false
18 negatives. So whatever we got from him in the first
19 instance proved to be correct. I'm almost certain
20 that's true.

21 Q. Well, leaving aside the type of test that was done, is
22 it possible, Professor Hann, that the results that
23 Dr Gibson is telling the meeting about here are the
24 results of tests that have done by Dr Tedder?

25 A. Yes, probably.

1 Q. So it's possible that the initial results at Yorkhill
2 were from Dr Tedder and not from Dr Follett?

3 A. It's possible but I really cannot remember. I'm sorry,
4 I just don't know.

5 Q. It's our information that the kinds of tests that you
6 are talking about, the Western blot, were developed some
7 time after this period.

8 A. If it was developed some time after, it was very close
9 to that period of time.

10 Q. Okay.

11 A. It wasn't a year later or something like that. It was,
12 if anything, a few months later. But I could be wrong.
13 We certainly repeated the antibody tests in all
14 patients.

15 Q. Yes. Thank you. I want to go on to another
16 clarification now. Could you, please, go to page 68.

17 A. Of ...?

18 Q. Of your transcript. Do you have that?

19 A. Not yet no. (Pause)

20 Yes.

21 Q. The context here is the possibility of going back to
22 cryoprecipitate treatment from concentrate therapy, and
23 the question is would you have given patients the option
24 to take up a different therapy, for example to go back
25 to cryoprecipitate? You say.

1 "Answer: Yes, to put it the other way, we would not
2 have resisted that suggestion from them, that it is for
3 certain from our point of view, for those patients who
4 were receiving treatment at the very early stages of
5 their disorder, we offered cryoprecipitate treatment if
6 it was possible logically to give them it, if their
7 veins were adequate et cetera. My memory is -- which
8 may be incorrect, that -- there were some patients,
9 certainly in 1984, who may have reverted to
10 cryoprecipitate treatment for a period of time. That is
11 my memory. I certainly think there were some guidelines
12 coming through -- I can't remember exactly when they
13 came out -- that very young children should be
14 considered for cryoprecipitate treatment and I do
15 believe that we offered that as a possibility."

16 I just want to clarify: a patient who was on
17 concentrates in late 1983, would you have specifically
18 offered him or his parents the possibility of stopping
19 concentrate therapy and returning to cryo?

20 A. Yes, I believe that we did.

21 Q. Okay. It is just in this paragraph you seem to be
22 distinguishing between patients who are in the early
23 stages of their treatment.

24 A. Yes, I mean, the point here is related, first of all, to
25 reactions, secondly, logistics and thirdly, home

1 therapy.

2 As far as home therapy is concerned, it's extremely
3 difficult and unlikely that you can maintain home
4 therapy with cryoprecipitate and so, you know, the lives
5 of these families, as the Haemophilia Society repeatedly
6 made the point during this period, would be changed
7 dramatically if they were to revert to cryoprecipitate
8 treatment, and therefore the majority of families
9 throughout the UK actually chose not to have to go on to
10 cryoprecipitate therapy. Logistically, the second point
11 is that with children with extremely difficult veins,
12 cryoprecipitate could be very difficult indeed to give
13 and therefore there was not much choice.

14 Thirdly, very young patients were usually managed as
15 hospital-based patients, as opposed to home
16 therapy-based. So you know, they would be using
17 cryoprecipitate in the first instances often. But there
18 were patients also -- sorry, I forgot to say -- who had
19 had severe reactions to cryoprecipitate and who could
20 not tolerate cryoprecipitate, both for logistic reasons
21 and for reasons of reactions, and one of the reasons why
22 a home therapy was largely abandoned in the vast
23 majority of patients in the 1970s, before concentrate
24 became available, was because there were
25 life-threatening episodes of anaphylaxis and reactions

1 at home in those patients.

2 So the answer is that I think my memory is, in late
3 1983 people like Peter Jones and others were -- and may
4 be the UKHCDO in late 1983 -- suggesting that children
5 could be treated with cryoprecipitate and this might
6 become some sort of policy.

7 There was no written policy that I was aware of and
8 it had to be tailored to the patient and that was the
9 period when I'm almost certain we did change some
10 patients over to cryoprecipitate treatment and continued
11 others for longer than we would have done previously.

12 Q. So did you then have a policy of speaking to every
13 single patient and offering that possibility?

14 A. Yes, I mean, basically again these patients were often
15 coming up regularly. We also had instituted a clinic
16 and a parent support group and all of these issues were
17 discussed and also, of course, the Haemophilia Society
18 was putting out information at the time.

19 So we made every effort to do so. If people fell
20 through the net -- to use a horrible term in this
21 respect -- then I regret it but we certainly made every
22 effort to do so.

23 Q. Okay, thank you. I would like to move on to the topic
24 of testing that we discussed previously. Could I ask
25 you to have a look at page 73 of the transcript?

1 A. Yes.

2 Q. Look at line 13. The question is about your
3 communications with Dr Pettigrew but what I'm interested
4 in is your answer, line 12.

5 "Answer: We had discussions and had had discussions
6 at national level."

7 This is about what policy to pursue in terms of
8 advising patients about their results. Can I ask you to
9 have a look at a document which I think you should have
10 a letter from Dr Craske dated October 1984. I can give
11 you the number, [SNF0014020](#).

12 A. Yes.

13 Q. Do you have that? Thank you.

14 You will see that this is a letter from Dr Craske
15 and the heading is:

16 "Factor IX, batch HL3186. Possible risk of
17 infection with human T cell lymphotropic virus type 3
18 with subsequent development of AIDS."

19 It's advising about a donor to a plasma pool having
20 been diagnosed with AIDS. We don't need to look at it
21 in detail but later on in the letter there is
22 a discussion of the strategies to be pursued in passing
23 over results to patients.

24 What I'm interested in, Professor Hann, is whether
25 you remember seeing this letter at that time, late 1984?

1 A. I think so. Certainly the tenor of it rings bells in
2 the memory.

3 Q. Yes. Well, if we could just have a quick look at it.
4 If you go to page 3, which is 4022.

5 A. Yes.

6 Q. In the middle of the page Dr Craske is talking about the
7 follow-up to patients and talks about two alternative
8 strategies. Number 1:

9 "If the patient has been informed of the risk."

10 Number 2:

11 "An alternative strategy would be not to tell the
12 patient."

13 Then he says at the bottom of that section:

14 "The ethical problems involved in these two
15 alternative methods of follow-up are discussed in an
16 appendix at the end of this letter."

17 If we go to the appendix, which is 4024, this is
18 headed "Ethical problems associated with HTLV-III
19 infection in haemophiliacs". Again, he repeats:

20 "Informing the patient and his family of the risks
21 and then restricted follow-up."

22 So this is a discussion about what to do with
23 results. At the end he concludes:

24 "In my view, option 1 is the only one tenable on
25 moral and ethical grounds."

1 This is advocating informing the patient for various
2 reasons.

3 Do you remember if this letter that you saw at that
4 time informed the way that you approached this question?

5 A. I think it was one of many actually. We had lots of
6 discussions about this at the time and this was one of
7 many. I think it helped to crystallise the situation,
8 if you like, in, I think, quite a nice way and I tended
9 to agree with him, whereas quite a few others didn't.

10 You know, in the end, I think, as a clinician, there
11 is one test above all others and that's a need to know.
12 There are moral, ethical -- you know, you can go round
13 in millions of circles with those discussions -- and
14 legal ones too. But in the end, if you have a disorder
15 which can be transmitted and where people can develop
16 treatable sequelae, then it's not such a major issue in
17 my view. The prion problem that came later was much
18 more difficult -- much, much more difficult, and --
19 I think, you know, we still go round in ever decreasing
20 circles with that but the fact is that in this
21 circumstance I thought the argument against information
22 was very weak.

23 Q. But --

24 A. Other than one point, which was that, you know, there is
25 no point giving inaccurate information, which is just

1 going to cause anxiety and will do no good whatsoever.

2 Some people would disagree with that view even but
3 ... You know, for instance -- sorry to go on but if,
4 for instance, we were going round to patients and taking
5 tests again, we would have said the tests are still not
6 accurate, you know, we need to do them again. We don't
7 say, "We have a positive test. We don't know what it
8 means. It could mean nothing at all," et cetera. So we
9 would give partial information, if you like.

10 Q. But you are saying that there was a section of the
11 medical community that took the opposite view from you?

12 A. Yes, and it went down these lines but also made the
13 point what treatment is there for this, and the answer
14 is it was beginning to come in the late 1980s and so
15 things changed. And the thing is that ethical questions
16 change over time, but also we knew that there were
17 effective treatments for pneumocystis in particular.
18 You know, we had been treating pneumocystis for many
19 years. So it would be, in my view, wrong not to make
20 people aware that the sequelae of the infection were
21 treatable.

22 Q. Was your view the prevailing view, would you be able to
23 say, at that time?

24 A. My view in paediatrics certainly was. In the adult
25 view? I think, probably the majority, but there was

1 a very significant minority that didn't. I can't even
2 remember who they were exactly but there were adult
3 treaters who were understandably concerned about passing
4 on information that they felt would just be unduly
5 worrying.

6 Q. Yes. Thank you. In the same vein, could I ask you to
7 have a look at the notes of the haemophilia reference
8 centre directors' meeting from 10 December 1984. That's
9 [SNF0013850](#).

10 A. Yes, I have it.

11 Q. Could you have your responses to our questions handy as
12 well, Professor Hann?

13 A. Yes, document number?

14 Q. That is [PEN0120270](#).

15 A. Yes.

16 Q. Thank you. Just looking at the notes of the haemophilia
17 reference centre directors' meeting, I think you told us
18 that you don't remember seeing this at that time, late
19 1984?

20 A. No, I don't.

21 Q. Yes. Thank you. If we look at your responses, at
22 page 4. That's your response to our questions. Do you
23 have that?

24 A. Yes.

25 Q. So the question is a reference to that document, and you

1 say.

2 "Answer: I'm not aware --"

3 A. Sorry, could you tell me the paragraph number?

4 Q. Sorry, it's 7.1, bottom of page 4.

5 A. Yes.

6 Q. "I'm not aware of exactly what was discussed at the
7 reference directors' meeting on 10 December but I was
8 fully aware of the many discussions going on around the
9 UK with regard to the issue of withholding test
10 information. And this is a very important point because
11 it relates to the then very thorny issue of why the
12 testing was done."

13 And you say:

14 "There was, in my view and that of many others, an
15 absolute imperative to ensure that we picked up on any
16 other infected batches with prospective testing ..."

17 And so on. This is a separate issue but just
18 because it's raised there, are you aware whether any
19 investigations were ever done in order to try to
20 determine whether any batches of blood resulted in the
21 infections of these children?

22 A. My memory is that was carried out but was very difficult
23 to do. It was certainly done in the UK because I had to
24 provide the evidence for Lord Justice Ognall's
25 investigation there and we went through that in detail.

1 But, of course, the problem is that this was the period
2 prior to Mrs Thatcher's act, basically, the
3 Product Liability Act, and so on, and recording was not
4 perfect, and batch allocation -- in other words, you
5 know, trying to maintain single batches for single
6 patients, et cetera -- was also not being carried out.

7 I think that Dr Crawford and Dr Mitchell and others
8 attempted to bring that in in Scotland way before the
9 rest of the UK in fact, and I think that began to happen
10 while I was in Scotland. But the fact was, when you
11 looked back, the situation was extremely heterogeneous
12 and therefore trying to allocate anything to anybody was
13 virtually impossible.

14 Q. So it was difficult to work out which batch might have
15 infected which patient. Is that right?

16 A. That's right but that's why I said "prospective" here.
17 I believe -- but I can't remember the timing of this --
18 that an effort was made in Scotland -- and the
19 transfusionists should be able to remember this -- to
20 restrict batches to individuals. That certainly
21 happened to an extent while I was in Scotland and
22 therefore one could begin to say, "Right, this is a
23 Hep C high risk batch," or whatever it may be: Prions,
24 subsequently, and so on.

25 Q. So you think there was an investigation but it was

1 inconclusive, for the reasons you have given?

2 A. I know that there was an intention to do so. I don't
3 recall any outcome from it and I wasn't particularly
4 surprised. That's really all I can say.

5 Q. Okay, thank you. I would like to move on to something
6 you have touched on already: Confirmatory testing.
7 Could I ask you to go back to the transcript and go to
8 page 73, please? Could I ask you to look at line 20?
9 Do you have that?

10 A. Yes.

11 Q. So the context here is analysing the results of the
12 test, and you say:

13 "What did a test mean? That was the original
14 question. So we had to do several things. First of all
15 we had to confirm that test with the gold standard and
16 the gold standard at that time was Western blotting. So
17 we requested that that be done."

18 Just to help us understand, could you very quickly
19 explain the difference between the two tests? The first
20 test would be the ELISA test. Is that right?

21 A. Well, it's an antibody test; I can't remember the
22 details, I'm sorry. I must apologise if I have got the
23 timing of the Western blotting wrong. That's my memory,
24 that it was available shortly thereafter. Basically,
25 the tests that came in immediately were based on the

1 production of an antibody; in other words, for instance,
2 if you get virus infection, you produce an antibody over
3 a period of time -- like hepatitis or whatever,
4 Hepatitis B, antibody -- and that antibody says you have
5 been exposed to that antigen, the antigen being the
6 virus.

7 That begs a lot of questions about what that means.
8 Does it mean immunity? In this circumstance it didn't.
9 We didn't really know that -- we certainly didn't at the
10 time. Does it mean that it will go away? What does it
11 mean? It's the body's immune response.

12 The Western blotting test is a molecular test, not
13 an antibody test, that was looking for the virus itself,
14 or virus products, or whatever. As I say, I must
15 apologise if I have got the timing wrong here. That's
16 my memory and we certainly did do the Western blotting.
17 I thought it was very shortly after this time.

18 I apologise if I'm wrong.

19 Q. Yes. Well, Professor Hann, we have found a reference to
20 the Western blot testing in America in the MMWR
21 in January 1985 but we don't know whether this testing
22 was available in a laboratory in Glasgow at that time.

23 A. My memory is that it was available very shortly
24 afterwards. I could easily be wrong, but Dr Tedder and
25 Dr Follett will be able to answer those questions.

1 Q. Yes. I'm glad you have mentioned Dr Follett because,
2 since you were last here, we have communicated with him
3 and unfortunately he hasn't been able to help very much.
4 Perhaps we could just have a quick look at his
5 statement, which is [PEN0120800](#). I'm not sure if you
6 have got that, Professor Hann, but don't worry, I'll
7 read it out to you.

8 A. I don't.

9 Q. The context here is that you can't remember whether it
10 was you or Dr Follett who initiated the testing on
11 stored samples. That's right, isn't it?

12 A. Yes, that's right.

13 Q. Now, Dr Follett has written back. The Inquiry received
14 his letter on 27 May. What he says is:

15 "Thank you for your letter regarding the
16 Penrose Inquiry. I am afraid I'm not going to be of
17 much help to you. In the middle of September I will be
18 76 and I have noticed recently that my memory of past
19 events and even recent events is poor. According to
20 your letter, these tests were carried out over 25 years
21 ago and as such I cannot recall any detail in this
22 regard."

23 Sir, we have followed that --

24 A. I want to be completely honest here. My initial
25 response was that I didn't initiate this testing but I

1 can't be sure and I'm quite prepared to accept the
2 possibility.

3 Q. Yes. If we just look at another bit of page -- I'm
4 sorry, could you just repeat what you said,
5 Professor Hann? We didn't quite catch it.

6 A. Yes, my initial response was going to be, when
7 I received this, that I did not initiate this testing,
8 that I got the results, that I probably knew that it was
9 happening but I didn't sort of say, "Please test all of
10 this". But I can't be sure of that. I am perfectly
11 prepared to accept the view that I initiated this
12 testing, although I do not remember doing so.

13 Q. Yes.

14 THE CHAIRMAN: I thought the word was "responsibility".

15 MR GARDINER: It was "responsibility" -- we wanted to
16 clarify what you meant.

17 THE CHAIRMAN: It would be quite difficult for
18 Professor Hann to reconstruct it.

19 A. Responsibility for your patients and for what happens to
20 them, and if it was done without my knowledge then
21 I should have objected and made a strong representation
22 and so on and so forth. So I'm not going to devolve
23 myself from the responsibility. My best memory was that
24 it wasn't me that initiated testing but ...

25 Q. Could it have been another doctor other than yourself

1 or --

2 A. Not in the hospital, no. It could have come from the
3 Blood Transfusion Service. It could have come from
4 virology. I don't know. I suppose it's most likely
5 that it came from me, I suppose, is the most likely,
6 although that isn't my memory.

7 Q. Yes, and certainly looking again at page 73, if you
8 could go back up the page to line 7, you are saying
9 there that, although you can't quite remember how
10 testing was initiated, you remember receiving the
11 results?

12 A. I remember that I had received the results. I don't
13 remember the letter that Dr Pettigrew refers to.

14 Q. Yes. What you have told us is that, before you would go
15 back to the patients or speak to the patients, you would
16 want to do a confirmatory test first?

17 A. Yes, absolutely.

18 Q. So the stage at which you are discussing the results
19 with Dr Pettigrew, is that after the confirmatory test?

20 A. No, we would have discussed them as soon as they came
21 through and talked about the state of knowledge at the
22 time -- which she was very well aware of anyway, through
23 her contacts with the adult unit and so on -- and how we
24 approached this and what tests needed to be done and the
25 reliability of such tests.

1 As it turned out, we were rather fortunate and we
2 weren't one of the units that had false positives, as
3 far as I remember. But it was absolutely imperative
4 because there were false positives coming through that
5 we had a repeat and that the repeat was done as soon as
6 was feasible, although obviously there was no medical
7 emergency because the patients were asymptomatic.

8 Q. Yes. The reason I'm asking is that if you have to do
9 confirmatory tests, that's going to extend the process
10 by some time.

11 A. Yes.

12 Q. How much longer is it going --

13 A. I would say it was weeks, it wasn't a larger number of
14 months.

15 Q. So when you first speak to Dr Pettigrew, there is still
16 a further few weeks of confirmatory testing that needs
17 to be done?

18 A. Yes.

19 Q. Yes. The confirmatory testing, would that come through
20 as a batch or patient by patient?

21 A. I don't know is the answer, because basically the way
22 that virology works is that tests are batched because
23 it's much more efficient, cost-efficient and actually
24 safer to do a series together with internal controls et
25 cetera, et cetera. So I would guess that over a period,

1 there would be a batching of the results in the
2 laboratory, as we sent them in along with the other
3 units throughout Scotland and the UK.

4 Q. Yes.

5 A. Then we would get the results of those tests within
6 a relatively short period of time.

7 Q. Tell me if I'm wrong, Professor Hann, but I'm getting
8 the impression that there wasn't a point where you sat
9 down with Dr Pettigrew and divided responsibility for
10 who would tell which patient about the results. Is that
11 right?

12 A. No -- well, yes. Basically, those results would come
13 through as we did the clinics together, as we did day
14 care together, et cetera, and as she was available, or
15 I was available, or, for instance, if she had known
16 a family for a very long time, it was often better for
17 her with the haemophilia sister and then, as we
18 developed counselling services, the arrangements
19 thereafter.

20 Q. Yes.

21 A. So it was on a patient by patient basis.

22 Q. Yes.

23 A. The majority would probably have been through
24 Dr Pettigrew.

25 Q. Yes. I mean, was there anything potential --

1 A. Initially. Sorry, I mean initially.

2 Q. Was there any potential, Professor Hann, for a patient
3 to get missed because of confusion between who was
4 telling which patient?

5 A. I think it was too serious a problem, too much in our
6 minds, at forefront of our minds. It wasn't a vast
7 number of patients. I mean, it was of the order of ten.
8 We knew who they were exactly and we had to devise all
9 sorts of -- subsequently -- ways of dealing with those
10 patients with regard to those samples et cetera.

11 You know, there was a massive amount of hoo-ha as to
12 how the sampling from those patients was managed in the
13 laboratory, how those patients could be managed on the
14 ward and in day care, et cetera. So there was
15 absolutely at the forefront of our mind.

16 Q. Yes. Thank you.

17 I would like to move on to another topic now. The
18 last time you were here, and also this morning on
19 several occasions, you have referred to, I think,
20 Patricia Hewitt and I think you mean Patricia Wilkie.
21 Is that right?

22 A. I'm sorry. There is a Patricia Hewitt who works in the
23 blood transfusion -- sorry, senility.

24 Q. No problem. Just very quickly, Professor Hann, the
25 Inquiry is going to hear from Patricia Hewitt -- Wilkie.

1 A. It so happens there is a Patricia Hewitt who is a blood
2 transfusion/hepatitis/HIV person who is very well-known
3 to us all.

4 Q. The Inquiry is not going to hear from Patricia Hewitt.
5 I'm sorry, it's Dr Patricia Wilkie that the Inquiry is
6 going to hear from. Could you tell us briefly what your
7 involvement with her was?

8 A. Yes, I don't want to take any credit for this -- or very
9 little. This was something that was set up, I believe,
10 by Charles Forbes and Professor Lowe with the support of
11 a research grant from the Haemophilia Society, and
12 basically it was part of a two-pronged response to the
13 fact that we are responsible doctors and we have
14 realised that first of all this was a new problem that
15 we wanted to deal with better if it ever happened again,
16 and secondly, because there had been instances,
17 certainly in my own practice, where I wasn't happy that
18 we had done it as well as we possibly could.

19 We basically had a two-pronged approach to this. In
20 the children Dr Fiona Logan, whom I have already
21 referred to, carried out a study in the families and the
22 children to see the effect that this had had upon them
23 and how we dealt with it et cetera, but mainly are they
24 growing up in an acceptable manner.

25 Secondly, Dr Wilkie did a very good thesis with the

1 department of psychiatry. And I would just mention that
2 Professor Ivana Markova in Stirling, whom I had had many
3 contacts with, a world renowned expert in the area of
4 psychology and of the effects of haemophilia on persons
5 and families with haemophilia, basically showed -- one
6 thing that we weren't really expecting -- that you
7 needed independent counselling in this process
8 subsequently, something that I and the people in
9 Scotland took on board very much when Hepatitis C came
10 along. Ie a counsellor not wearing more than one hat,
11 as I think she put it. And obviously described what we
12 were seeing in a way, which I suppose we already knew,
13 which was the Sword of Damocles-type of problem that
14 these families were having to face, and I suppose none
15 of us could have failed to realise the terrible damage
16 that that did.

17 But I also took from that -- and I think others
18 did -- the fact that we didn't get the right approach
19 when it came to pre-test counselling, test counselling,
20 post-test counselling. I think we had the post-test
21 counselling pretty well organised eventually, when
22 resources were eventually allocated, and I think we got
23 the test counselling itself part right, and I think we
24 got the pre-test counselling not very right at all.

25 Q. Just for information, sir, that research paper is in

1 court book at [PEN0120998](#).

2 THE CHAIRMAN: Thank you.

3 MR GARDINER: Just talking about what you got right and
4 didn't get right, Professor Hann, would you accept that
5 the way in which news is passed over, news like this
6 news of results, is something that is important for
7 a clinician?

8 A. Yes. It's vital. It changes everything. Because not
9 only does it affect the way that the families can deal
10 with this but it also affects your relationship with
11 that family and the hospital's relationship with that
12 family and taking them with you. I mean, the fact is
13 I grew up in an era where people had ultimate trust and
14 you know, that was unhealthy.

15 We were coming into an era -- this was, if you like,
16 a phased-in era -- of a time when people realised that
17 we often did get it wrong and being honest about that
18 and open about it was far better, but what we hadn't got
19 right by this time was the approach to counselling.

20 I will just give you one example of that. In the
21 latter part of my training in Manchester, the department
22 of psychiatry there showed that the interactive skills
23 of doctors was severely inferior to that of nurses,
24 something that perhaps a lot of people realised, but
25 that led -- and I have seen the ethics information that

1 you received from -- I can't remember the name now --
2 Dr Nathanson -- about the training that doctors get now,
3 but that again was something that came out of the HIV
4 era and made us realise that we weren't doing it ideally
5 and weren't always placing ourselves in the situation
6 where we were giving information in the best possible
7 circumstances.

8 We had difficulties of resources, both resources of
9 space and time and of personnel, although we made huge
10 efforts to get that right and that certainly is the
11 case. We didn't always do it ideally and I would just
12 make one final point. Passing on information -- and we
13 all knew this at the time and subsequently -- to
14 families about children at an initial interview is not
15 actually the most important aspect of passing on
16 information because it has been very clearly shown that
17 families don't take in a great deal of information
18 immediately you hit them with it.

19 We, in other areas of paediatrics, especially the
20 oncology transplant side, had being very used to the
21 fact that you are pass on a certain amount of
22 information, you ask what further information is
23 required but it is the follow-up and the repetition of
24 what you say that's very important.

25 So, yes, I'm sorry, another too long-winded answer,

1 but basically, the initial impression is very important.
2 We didn't always get it right. The follow-up is vital
3 and we put a huge amount of effort into getting more
4 resources, and Anna, the haemophilia sister, and
5 subsequently the social worker and counsellors that
6 eventually came on board, followed that up and provided
7 the information, as did the Haemophilia Society,
8 et cetera.

9 Sorry, finally, there is another forum for
10 information, which is the support groups that we set up
11 for the first time. So it wasn't that we weren't
12 interested in doing this right, we just didn't have it
13 as ideally, optimally at the time.

14 Q. So you accept that you didn't get the communication of
15 these results right at that time?

16 A. Not always. But even now it's impossible to -- in every
17 circumstance -- get every family's needs. As I have
18 said, there was one thing that sticks in my mind very
19 much, and I have said it before, the family who hadn't
20 realised that testing was underway, that was informed
21 and then was very angry about the fact that they had
22 been informed because they didn't want to know. That's
23 one circumstance that you have to be able to deal with
24 but it's a very heterogeneous situation and you can only
25 deal with this by an approach that doesn't just rely on,

1 you know, you come in and out of the doctor's office.

2 Q. I want to come to that in a minute but just before we
3 do, do you have any personal experience of patients not
4 taking in this kind of news?

5 A. I would be almost certain that I would be correct in
6 saying that 100 per cent of people do not fully take in
7 this type of news first time around, no matter how
8 clever they are, how scientific they are or whatever.
9 And that is an everyday job of somebody, for instance,
10 who has to go and tell a family that their child has
11 leukaemia, that they have a chance of dying et cetera,
12 et cetera.

13 It's a matter of judgment how much you can say to
14 people at any one time and how much you have to come
15 back on a daily basis, and that's why the social workers
16 and people like that, who can come back and spend
17 literally hours a day talking to people, are so vital
18 and we had not fully developed that type of role at the
19 time.

20 Q. I think you described it before as a process?

21 A. Yes.

22 Q. So were you meaning it's not just the first meeting,
23 when the news is given; it's subsequent meetings that
24 are important as well?

25 A. You are right that the first meeting is important

1 because, you know, you have to generate the view that
2 they have the ability to be, to a certain extent, in
3 charge of the situation, not disenfranchised, able to
4 ask, encouraged to ask et cetera, and told how to ask.
5 Nowadays, a lot of time is spent saying, "Right, if you
6 want to go to the Internet and all the rest of it, this
7 is how you do it". Things change and that's how it
8 happens nowadays.

9 They may want to talk to parent support groups, for
10 instance, they may want to talk to the Haemophilia
11 Society, which isn't exactly a parent support group and
12 so on. So it's a process. The process has to be
13 followed through but some families choose not to join
14 the Haemophilia Society, not to join support groups,
15 et cetera, and those in some ways are the ones who can
16 fall through the net.

17 Q. Yes.

18 THE CHAIRMAN: Mr Gardiner, are we going to have a break?

19 MR GARDINER: I think we should, my Lord.

20 THE CHAIRMAN: Yes. I'm just concerned about the technology
21 and --

22 MR GARDINER: I understand that we have the booking until
23 about 1 o'clock. So I think we have time for a break.

24 THE CHAIRMAN: Yes. Professor, I think we will have a short
25 break now. The stenographer can't keep up indefinitely

1 and some of us have the sort of problems you referred to
2 earlier with growing age and need a break for other
3 reasons.

4 A. Can I ask, am I speaking too fast?

5 THE CHAIRMAN: It's not too fast, I think the stenographer
6 might like you to speak up a little bit.

7 A. We can turn the volume up. How long is the break?

8 THE CHAIRMAN: I usually say ten minutes but my capacity for
9 imposing discipline is strictly limited.

10 A. Thank you.

11 (11.00 am)

12 (Short break)

13 (11.20 am)

14 MR GARDINER: Professor Hann, before the break you were
15 telling us about a family who were unhappy about the
16 results being given to them and I think you deal with
17 that at page 5, paragraph 7.45.

18 A. Yes.

19 Q. You say:

20 "I can remember occasions ..."

21 Let's just get that. It's page 5 of [PEN0120270](#). So
22 paragraph 7.5:

23 "I can remember occasions when attempts to breach
24 that confidentiality ..."

25 This is about the results:

1 "... were made and we all fought very hard to block
2 that activity, with complete success as far as I know.
3 I'm aware that we did not manage this as well as we
4 should have done ..."

5 And you have dealt with that:

6 "I would imagine that with time they would be aware
7 that the stance with regard to a child was untenable in
8 the longer term."

9 Then you go on to talk about examples of attempts to
10 breach confidentiality. This is in 7.6:

11 "I had contact from dentists and other healthcare
12 professionals wanting to know a patient's HIV status.
13 I always refused to disclose this. There was a great
14 deal of uncertainty with regard to the patient's
15 infectivity of others and I recall that some children in
16 Scotland were unable to attend school because of actions
17 of other parents. I believe that there were contacts
18 from teachers, dentists and possibly GPs but I have no
19 detailed recollection apart from one major incident ..."

20 Over the page you talk about the major incident.
21 Could you just tell us again, in your own words, what
22 happened with this major incident that you are referring
23 to?

24 A. It was major to me but did not lead to any major
25 consequences, hopefully. Basically, I was contacted by

1 a senior person, asking for the names of persons with
2 haemophilia who were HIV positive in a particular area
3 of Scotland. I can't remember exactly where. And
4 I said, "Well, why do you want to know that?" and the
5 answer was, "So that I can inform the dentist so that
6 they can get special precautions put in place because
7 there is a risk that they will develop AIDS."

8 I said, "Well, what else?" and he said, "Well, I'm
9 going to let the GPs probably know and we will perhaps
10 have to have special arrangements in those surgeries for
11 them to be dealt with, et cetera."

12 And my response was twofold. Could I just make the
13 point, actually, personally this is just yet another
14 example where we didn't have guidelines in place for
15 anybody in a timely manner anywhere in the UK actually
16 at this time and we were really struggling.

17 So I mean, basically what I said was, "Look, as far
18 as we can tell at this moment in time, this is quite
19 a fragile virus, you should always have procedures in
20 place -- antiseptics et cetera -- which deals with
21 Hepatitis B. The information we have at the moment,
22 albeit limited, is that that should be adequate, and I'm
23 not going to give you those names because what you have
24 told me is what I don't want to happen because these
25 people are already becoming pariahs", and, you know,

1 just being a person at that time with haemophilia meant
2 that you could easily be labelled with the "gay plague"
3 as it was often known.

4 So the outcome of that was that I was told that
5 I had to tell him and I said I wasn't going to, and
6 I then received a contact from Dr McIntyre, either at
7 a Home and Health Department meeting or by telephone,
8 I can't remember which, during which he wanted to know
9 why I had been so rude to the doctor and that he had to
10 support him in his public health role. I said that this
11 is not a communicable disease in the legal or sense.
12 I was under no obligation to go outside my own medical
13 ethics and that I thought that there was a level of
14 ignorance here which needed to be dealt with.

15 Dr McIntyre accepted that but had understood that
16 I was refusing to give any epidemiological information,
17 which was required in Scotland at the time in order to
18 provide resources, and I said that that was fine by me
19 so long as it was completely anonymous, it was numbers
20 only, nothing else, and was related to large areas so
21 that people could not be identified -- you know, you are
22 a haemophiliac in a small town, et cetera. He said,
23 "Fine, that's all I was really wanting to get out of
24 you", and we left it at that. And actually I don't
25 think they even followed that up, but it was one of many

1 contacts at the time, and one of the areas that was most
2 difficult was trying to get things done in the
3 laboratory in the hospital with people demanding
4 containment facilities that were way beyond what was
5 necessary, and it was a very difficult time because,
6 despite the fact that the hospital gave us some money to
7 improve those facilities, we still couldn't always get
8 the tasks done in a timely manner.

9 Q. Yes. So Dr McIntyre would be in the chief medical
10 officer's office. Would he be a principal medical
11 officer perhaps?

12 A. Probably, something of that nature.

13 Q. Thank you.

14 A. I have to say he was very supportive in the end when he
15 fully understood the situation.

16 Q. Yes. Thank you. Just on that question of
17 confidentiality, when Dr Pettigrew gave evidence to the
18 Inquiry, she said, when she was talking about keeping
19 records -- and if we could maybe look at page 58 of the
20 transcript for Dr Pettigrew's evidence. I'll read it
21 out for you Professor Hann, if you don't have it. If we
22 go down to line 23. The context here is that
23 Dr Pettigrew said that there was a reluctance to write
24 to the parents of patients about the results, even to
25 get them in for a meeting, because of confidentiality.

1 So the question to Dr Pettigrew was.

2 "Question: So was there a concern that committing
3 it to paper would --

4 "Answer: Yes, in fact I don't even think the
5 results were initially entered into the case notes."

6 So she told us that she didn't think that the
7 initial results of a positive antibody test were entered
8 into the case notes. Does that accord with your memory,
9 Professor Hann?

10 A. We had to be very careful indeed what we put into any
11 letter with anyone. I can't remember exactly what we
12 told general practitioners even but the fact was that
13 general practitioners were rarely involved in the
14 management of these patients, and for those who were
15 positive, basically they used us as their general
16 practice, and many of them, most of them, as their
17 general dental practice.

18 The hospital was wonderful in taking all of that on
19 for these people until it was possible to be sure that
20 the information that got out was treated with the degree
21 of confidentiality that was necessary. You cannot be
22 100 per cent confidential about someone.

23 We certainly wouldn't have entered anything into the
24 case notes when we first got the results, when the
25 results were verified, and after a period of time we

1 would have written to the general practitioners to say
2 that the retrovirus testing was positive and, you know,
3 it would have been "strictly private and confidential"
4 and "for your eyes only", and all that sort of thing, so
5 that it wasn't opened by the practice nurse, et cetera,
6 or secretary anyway.

7 So, yes, initially we didn't enter everything into
8 the case notes and we had to deal with every problem on
9 an ad hoc basis as it came up until people's minds were
10 turned on to the fact that these people could be treated
11 as normal, essentially, or with the same precautions as
12 if they were, you know, possibly hepatitis positive.

13 Q. Yes. So it is possible that the records of the results
14 of the tests were kept separately from the main records.
15 Is that right?

16 A. Initially, yes.

17 Q. How long would that have been for?

18 A. It would have been for a few months during the initial
19 period when we were trying to get all the systems set up
20 in the hospital to deal with this. The parents -- we
21 certainly wouldn't have put it into the notes until they
22 had been informed so that they knew what contacts they
23 could make, who would be looking after them and they
24 could get their dental care et cetera, et cetera.

25 Q. What happened to those records subsequently?

1 A. The case notes?

2 Q. The case notes that were kept separate.

3 A. Oh, no, we didn't keep separate case notes. That was
4 never the case. That's only ever done for psychiatric
5 patients, and I didn't look after psychiatric. But
6 basically we knew the names of the patients and I would
7 have a list and Anna would have a list and the
8 haemophilia sister would have a list, and that would be
9 it.

10 Q. So at some point, would this information find its way
11 into the case notes some months later?

12 A. Yes, and there was a period of time, even when I was at
13 Great Ormond Street, where, you know, do you have a
14 specific means of identifying these case note? What do
15 you call the clinic that these patients come to? Et
16 cetera, et cetera. It wasn't so much of a problem here
17 actually because there were fewer numbers but, for
18 instance, we had to call the clinic at Great Ormond
19 Street, the "ABC" or the "long-term follow-up
20 haemophilia clinic" or something like that. There were
21 a lot of euphemisms in the early days.

22 The fact was that none of these patients were
23 symptomatic at the time and there was no overriding need
24 for other people who were involved to know about the
25 positivity unless there were procedures being carried

1 out or whatever. And then the families would know to
2 contact us or for us to be involved, and I don't recall
3 that it was ever a problem.

4 Q. Yes, thank you.

5 A. But we didn't keep separate case notes, we just had
6 a list.

7 Q. I understand. Just to move back to something that you
8 mentioned before, and I would like to try and deal with
9 this quite quickly.

10 In paragraph 7.5 of your responses on page 5, you
11 tell us that you remember one family initially feeling
12 that they should not have been told the results, and you
13 mentioned that before the break. What was the nature of
14 the complaint from the family?

15 A. The nature of the complaint basically relates to the
16 problem here in that, "You have told us something now
17 that is going to be the sword of Damocles over our head.
18 You can't tell us when the outcome is. There is no
19 treatment for it I. Would rather not have known."

20 Q. Yes. So if --

21 A. How do you approach that sort of problem? I mean,
22 I suppose with pre-test counselling nowadays you would
23 say, you know, "These are the potential outcomes. Do
24 you want to know or not?" or whatever. This is what we
25 learnt.

1 Q. But you couldn't do that in this case because the test
2 had already been carried out?

3 A. Yes.

4 Q. That's right, isn't it?

5 A. Exactly but also, you know, the fact is we did have
6 a need to know that the patients were positive and the
7 families did eventually.

8 Q. Yes. Thank you.

9 I would just like to move on to another separate
10 question, which is to do with a meeting that was held
11 in December of 1984 in Edinburgh. This isn't in your
12 responses but if you could just try to remember. Were
13 you aware in 1984 of a meeting which Professor Forbes
14 attended, when haemophiliacs were told that at least
15 some of them had been infected with the virus?

16 A. No. The only recollection I have is that there was
17 a meeting set up between Glasgow and Edinburgh
18 essentially, where I know that Dr Pettigrew was aware of
19 it, I believe, which was supposed to be for support --
20 it was like setting up a support group, if you like.
21 There was no question that information about diagnosis
22 in the children's group would be passed on in a group of
23 people in that manner.

24 Q. Yes. So you had no knowledge, in that case, of this
25 meeting in December 1984?

1 A. I have a recollection that a meeting was set up for
2 parents between Edinburgh and Glasgow, where families
3 attended and -- I mean, it was an open invitation as far
4 as I know, but my recollection of it is very vague, I am
5 afraid. We had our own groups. So I doubt that any of
6 ours attended but they may have done.

7 Q. Whereabouts was the meeting that you remember? Where
8 did it take place?

9 A. We had regular meetings, parent support meetings, which
10 were held, as far as I remember, within the hospital.
11 There were obviously of course Haemophilia Society
12 meetings, et cetera, and they were doing their own
13 thing, if you like, but as there was a need for medical
14 input and nursing input, and I had been used to this
15 being set up in London in the couple of years before
16 I took up the post and found it very useful, and
17 actually became even more useful with time. Starting
18 groups of parents with leukaemia, whose children had
19 died. That was a paradigm, if you like, and then
20 shortly after I started at Yorkhill we started up
21 parents' groups. And I believe one of those was more
22 HIV/hepatitis focused and the other was just general
23 information.

24 Q. Professor Hann, we are beginning to run out of time
25 a bit so I would like to move this on. I'm asking you

1 specifically about a meeting in Edinburgh
2 in December 1984, when a group of haemophiliacs were
3 advised by doctors that some of them had been infected
4 with the virus. Do you have any personal recollection
5 of that meeting from that time?

6 A. No.

7 Q. No? So would I be correct in surmising that you don't
8 remember being asked to write to any of the parents of
9 your patients about such a meeting?

10 A. I do not remember that at all.

11 Q. Just on that question, doing the best you can, when do
12 you think that you became aware that Scottish
13 haemophiliacs had become infected?

14 A. It was I suppose when the letter from Dr Follett --
15 I don't have that letter so ... it's round about very
16 late 1984/very late 1985.

17 Q. Thank you. A general question: would you have
18 considered it appropriate for information about
19 children's results to be communicated at an open meeting
20 at Edinburgh Royal Infirmary?

21 A. It would be completely inappropriate.

22 Q. Even on an anonymised basis, without naming the
23 children, simply advising that some had been infected?

24 A. I think if you are talking in general terms about,
25 "There are, you know, X number, per cent, et cetera,"

1 that's the type of information that families were
2 requesting, and if you are talking about HIV in general
3 or hepatitis in general or whatever, then people like
4 figures and the levels of risk to be discussed.

5 Q. Yes. Thank you.

6 A. But you don't say, "John has got it," so and so has got
7 it, whatever. That's a purely individual matter.

8 Q. Professor Forbes has told us that he attended this
9 meeting in December 1984. Can I ask you just a general
10 question: what were your communications like with
11 Professor Forbes at that time? Did you have weekly
12 meetings, monthly meetings? How did you pass on
13 information?

14 A. I mean, basically, if you like, the modern term is
15 "translational care" or "transitional care"; in other
16 words, who provides the interface between the children,
17 adolescents, et cetera, as they go to the adult unit,
18 and that was provided by Dr Pettigrew who worked at the
19 Royal Infirmary and knew them very well. My main
20 liaison was Gordon Lowe, in fact. We had actually
21 regular meetings with him. I would see him probably
22 once a month. Anna would see him more frequently than
23 that, every couple of weeks.

24 Q. Thank you.

25 A. Eventually we set up a clinic there for transitional

1 care of patients and patients who have just transferred.

2 Q. Yes, thank you.

3 Professor Hann, that concludes my questions about
4 the B5 area. I have one question to ask you which is on
5 the B2 area and it's just to clarify something that you
6 mentioned in your statement to us. So this is
7 Professor Ian Hann's statement to Penrose Inquiry dated
8 13 September 2010, and it's [PEN0150370](#).

9 A. Yes.

10 Q. Could we go to page 0374, which is page 5 on the paper
11 copy under the heading "Lessons to be learned". In the
12 third paragraph you say:

13 "Much has been learned from this period. We now
14 have recombinant prophylaxis and haemophiliacs are
15 growing up normally as Dr Peter Jones had jumped the gun
16 and said in the early 1980s."

17 We just want to try to make sure that we understand
18 what you are saying there about Dr Jones. Do you mean
19 that Dr Jones regarded that the problem of haemophilia
20 had been solved when it hadn't really been solved at
21 that stage, that perhaps he went too far too fast?

22 A. I think it just emphasises the fact that this came out
23 of a clear blue sky. I'm talking about the era before
24 we knew anything at all about HIV/AIDS or any of the
25 subsequent problems. He basically gave a number of

1 interviews, which were very understandable and his unit
2 had led the way in many respects in Newcastle, and
3 basically he talked about the fact that all the children
4 were going on to home treatment, et cetera, et cetera,
5 and that they could enjoy a normal lifespan for the
6 first time.

7 You had to remember that when I was growing up and
8 when he was growing up, persons with haemophilia -- as
9 I should be saying, not haemophiliacs, I apologise --
10 had a very short lifespan and to meet a person with
11 haemophilia over the age of 50 when I was doing my
12 training was very unusual and that's the point he was
13 making, and unfortunately this came and hit us like
14 a sledgehammer.

15 Q. Thank you. Thank you very much, Professor Hann.

16 No more questions, sir.

17 THE CHAIRMAN: Mr Di Rollo, is this a matter that you have
18 delegated to Mr Dawson?

19 MR DI ROLLO: Yes, it is.

20 THE CHAIRMAN: Mr Dawson?

21 Questions by MR DAWSON

22 MR DAWSON: You haven't given evidence so far in this
23 Inquiry on what the Inquiry has described as topics B2
24 and B5, and we have heard mostly about the latter of
25 those this morning. I'm going to ask you some questions

1 about both of those topics and I'm going to start with
2 the B2 topic on which you have just been asked a single
3 question at the end of your evidence this morning.

4 Could we, please, have up on the screen
5 Professor Hann's CV, which is [WIT0030296](#), and in
6 particular page 3.

7 You have given some evidence already, professor,
8 about your medical training and you can see there your
9 various training from house surgeon in St Barts and
10 training in various paediatric posts down to the bottom
11 of that page, where we see registrar in paediatrics,
12 Alder Hey.

13 Could we just skip over to the next page, please?
14 We see there reference to the Royal Manchester hospital.
15 I'm particularly interested in the fact that at entry 10
16 there, that appears to be the first reference to
17 "haematology". That's your employment at
18 Great Ormond Street between 1978 and 1980. I just
19 wanted to ask you whether that was your first experience
20 in the haematology field or whether your previous posts
21 had involved haematology responsibilities as well.

22 A. Basically, if you go back to number 3,
23 Professor Sir David Weatherall was and still is a very
24 famous haematologist. That job was mainly haematology.
25 That's number 3. The next job: Dr Martin was

1 a paediatric haematologist and the heart of that job was
2 haematology. The next job, number 5, Dr DIK Evans was
3 a haematologist and a haemophilia specialist and became
4 chairman of the medical advisory panel of the
5 Haemophilia Society. And neonates and so on.

6 Number 8, registrar in paediatrics, is again
7 paediatric haematology for half the time. Number 9 is
8 haematology again. Dr Morris Jones was a clinical
9 haematologist and Dr Evans, the haemophilia doctor.
10 Then doctor and subsequently Professor Chessells and
11 Professor Hardisty were the haematologists at
12 Great Ormond Street and so on.

13 Q. If I can just interject there because I am going to ask
14 you a question about number 11, which you have reached.
15 That was your time working at the Royal Free and I think
16 already you have made some reference to having worked
17 with Dr Kernoff. That was at that time, is that
18 correct? -- between 1980 and 1982?

19 A. Yes, Dr Kernoff and Dr Tuddenham were the
20 haemophilia centre directors at that time.

21 Q. In one of your statements you refer to Dr Kernoff as
22 having been a practitioner who led the way in managing
23 patients in the safest ways. What was it that he did at
24 that time to improve safety for patients?

25 A. Several things. First of all, on the, if you like

1 holistic side, he appointed, to my knowledge, the first
2 haemophilia counsellor and set up a patient counselling
3 group, support groups, et cetera. And I think basically
4 that was very new at the time.

5 Secondly, the Royal Free at that time, with
6 Dame Sheila Sherlock, was probably the leading hepatitis
7 service in the world, and the first descriptions of
8 non-A non-B hepatitis et cetera, were all carried out
9 there, and he and Dr Tuddenham were then working on
10 finding -- and in fact did find -- the gene for
11 Factor VIII which has revolutionised things.

12 This was a world shattering event,
13 Professor Tuddenham discovered that gene. Also they
14 spent a great deal of time trying to address what we
15 thought was one of the problems -- although not, we
16 thought at the time, a severe one, which was non-A non-B
17 hepatitis -- through the development of heat treatments.
18 Specifically their main interest was finding the gene
19 for Factor VIII and developing recombinant safe
20 Factor VIII and IX blood products, but Factor VIII was
21 what they did.

22 Q. Would it be accurate to say that your time working with
23 these doctors at the Royal Free, in particular
24 Dr Kernoff, had a significant influence over your
25 attitude towards treatment of haemophiliac patients?

1 A. Yes, very much so.

2 Q. What was Dr Kernoff's attitude towards the use of factor
3 concentrates in the treatment of patients?

4 A. I think the best way to describe this was -- I mean, he
5 published widely in the area and in fact 1985 showed
6 that there was a high risk of non-A non-B hepatitis,
7 whether you were treated with NHS concentrates or
8 commercial from the USA. At the time that I was leaving
9 the Royal Free and coming to Glasgow, we had had
10 a series of presentations from Dame Sheila Sherlock
11 herself and from the Oxford group and from the Sydney
12 group, Rickard, Fletcher -- these are all things your
13 preliminary Inquiry very well summarised -- basically
14 showing that patients treated on concentrates had
15 a virtually 100 per cent or 100 per cent risk of non-A
16 non-B hepatitis, whether or not they received commercial
17 or NHS concentrates. And -- somewhat depressing -- that
18 was the Oxford Fletcher study and then the rather
19 depressing study from Sydney from Rickard, showing that
20 even if you adopted what was thought to be the least
21 worst practice at the time -- which was single donor,
22 unpaid donor, cryoprecipitate -- then you still had more
23 than a quarter risk of developing non-A non-B hepatitis.
24 And in fact there were very, very few units in the
25 world, including in Scotland, that could achieve that

1 approach. That was a study in which you only had
2 250 haemophiliacs.

3 So basically, what I learnt at that time was that
4 whatever you used was likely to be problematic from the
5 hepatitis risk, which was all we knew about at the time,
6 and that also, one other point -- sorry, I'm being too
7 long-winded -- but one other point was there was a huge
8 problem with lack of self-sufficiency, that it would be
9 better if the UK were self-sufficient and that there was
10 a theoretical reduction in risk if that had been
11 achieved.

12 Therefore, my attitude was go with NHS concentrate
13 if you possibly could.

14 Q. What was the prevalent attitude at that time towards
15 prophylactic treatment with factor concentrates?

16 A. It was very, very sceptical for a series of reasons,
17 first of all because it wasn't feasible in most places
18 and because, sadly -- and I was culpable to some extent
19 in this respect -- people didn't believe the fantastic
20 results that were beginning to come out of Sweden at the
21 time from Inga Marie Nilsson and others. And in fact it
22 took years after this, probably until nearly 1990 or
23 thereafter, for people to at last accept that
24 prophylaxis worked, and in fact Dr Willoughby was ahead
25 of his time in this respect, and all I can say in my own

1 defence was that we at Great Ormond Street were the
2 first unit to get everybody on to recombinant
3 prophylaxis in around about 1990.

4 So, no, there was a great deal of scepticism, both
5 from the logistic point of view -- the belief that it
6 really worked point of view -- and the supply point of
7 view.

8 Q. Was there scepticism at that time amongst the doctors at
9 the Royal Free about the safety of prophylactic
10 treatment?

11 A. A little bit because there was a worry, which still
12 exists to a far lesser extent, that early prophylaxis
13 might increase your risk of developing inhibitors, the
14 antibodies to treatments which make you resistant to
15 treatment.

16 There was also a worry that, of course, there is to
17 an extent a dose response risk in relation to whether
18 you get these viruses or not. Having said that of
19 course, Dr Kernoff believed that all severe
20 haemophiliacs would eventually become infected. So that
21 was a lesser consideration which became possibly more
22 relevant with HIV. There were some small reservations
23 in those respects. The biggest reservation is: was this
24 feasible? How are you going to give it two or
25 three time a week treatment to little screaming babies

1 with very poor veins? It was really only with the
2 development of indwelling right atrial portacath in the
3 late 1980s and proof of their safety that we were able
4 to replicate what was going on in Scandinavia.

5 Q. Thank you very much.

6 As we have your CV up in front of us, I just wanted
7 to digress slightly to a different topic at this point
8 and ask you about something you have talked about
9 already, which is your involvement with the Haemophilia
10 Society.

11 Could we go to page 6, please, of the CV? We see
12 there under "Charity committees" that you were a medical
13 adviser from 1997 to October 2005 to the Haemophilia
14 Society. In one of your statements you have pointed out
15 that you had contact with the Haemophilia Society when
16 you were the haemophilia director at Yorkhill as well.

17 What did the role of medical adviser within the
18 Haemophilia Society involve?

19 A. Yes. These are things I have been trying to remember
20 and I think it was nearer to 1987 than 1997 that
21 I became the adviser, because I certainly was contacted
22 by Dr Evans, who was the chairman, when I was still in
23 Glasgow but, you know, they will have records of that.

24 Yes, obviously Philip Dolan was, I think, an
25 extremely good advocate for the Haemophilia Society.

1 There were many contacts at that stage and for years
2 thereafter. The role of the medical adviser was to
3 provide independent advice to the Haemophilia Society
4 about medical events and to keep them up-to-date
5 et cetera, but to work as their advocate, if you like.
6 And I very well remember the phone call from Dr Evans
7 saying, "Look, we are not interested in having any more
8 doctors on our panel who just adopt a sort of prowl
9 mentality. We don't want that. We want somebody who is
10 there." I have to say my impression of the medical
11 advisers when I joined was that they were strong patient
12 advocates actually and provided independent advice which
13 wasn't always, you know, just sticking by what everybody
14 in the medical fraternity might be saying at the time.
15 They didn't make decisions for the Haemophilia Society,
16 they were there literally to give them advice. At this
17 stage, when I was there, the vast majority of the time
18 was spent talking about viruses and how you manage it
19 and how you, you know, avoid it, et cetera.

20 Q. At that time, would it be fair to say that the
21 Haemophilia Society members, whom you were advising,
22 were dependent on your advice for information about the
23 safety of products?

24 A. Partly so, yes. You know, obviously these were often
25 very intelligent people who had other means of finding

1 out about safety, but things weren't always as widely in
2 the public domain as they are nowadays, so you couldn't
3 necessarily get yourself, as a haemophilia person,
4 information that was only available to haemophilia
5 directors via the UKHCDO et cetera.

6 So, yes, they did depend to an extent on what was
7 being presented to them. As I have said many times
8 before, it is a pre-Internet era, and therefore things
9 like congress abstracts and outcomes et cetera, were not
10 readily available to the general public unless they
11 spent forever in the library. So there was much more
12 dependence then than there would be nowadays probably.

13 Q. Against that background, Professor Hann, what would be
14 the other means, to which you have referred, of
15 Haemophilia Society members finding out about the safety
16 of products, other than the advice that you were giving
17 them?

18 A. Well, to be honest with you, I cannot remember how much
19 of things like CDC, MMWR, et cetera, like that, was
20 available to the general public at the time. That's the
21 sort of thing that is readily available now. The UKHCDO
22 do did provide some information, and I well remember
23 them giving information to the Haemophilia Society as
24 asked.

25 The Haemophilia Society was represented very

1 strongly at some open meetings of the UKHCDO but
2 I imagine their best means of information was through
3 the World Federation of Haemophilia, which was a unique
4 meeting in the early era; the Haemophilia Society being
5 one of the oldest patient/parent support groups. This
6 was a meeting that was open in almost every respect to
7 patients, all healthcare professionals, and those
8 sessions on HIV, et cetera, were attended by members of
9 the Haemophilia Society and persons with haemophilia
10 themselves.

11 Q. Would it be correct to say that the sessions that you
12 have referred to would be sessions in which information
13 was given by doctors to patients?

14 A. Yes, there were but there were also Haemophilia Society
15 meetings and you know, the chair of the meeting would be
16 the Reverend Tanner et cetera. They were fully
17 involved, but, yes, mostly it came from the medical
18 profession who were in possession of those facts.

19 Q. Okay. Thank you very much.

20 Could I move on now to ask you some questions about
21 your experiences at Yorkhill, and first of all your
22 arrival there. You have given a good deal of evidence
23 about this already and you have explained in particular
24 the fact that when you arrived, I think it would be fair
25 to say, you were spread very thin over a number of

1 different departments, that you were doing a job which
2 I think latterly was done by three consultants.
3 I wanted to ask you whether the administrative pressures
4 that were imposed upon you, in your view compromised to
5 any extent the quality of the care which the hospital
6 was able to offer to its haemophilia patients?

7 A. With regard to haemophilia, I would have spent more time
8 in the haemophilia field, in the leukaemia field and the
9 solid tumour and the brain transplant et cetera. Yes,
10 I was too thinly spread in every area. I think you say
11 three, I think there were four or five consultants
12 there, but it was a job, at that stage, for a minimum of
13 three people.

14 Q. What I was trying to get at is whether in your view that
15 administrative arrangement impacted in any real sense on
16 the quality of the care that the haemophiliac patients
17 received?

18 A. I don't think that it did. I think that the greater
19 impact was the lack of physical resources, et cetera.
20 We were very fortunate in having Dr Pettigrew there and
21 the haemophilia sister. The social work counselling
22 input was not ideal. I would like to have spent more
23 time personally with the parent support groups, speaking
24 to individual patients' parents et cetera, myself.

25 So in that respect I think there was some -- I would

1 hope quite limited -- impact by the fact that I was
2 trying to wear about six hats at the time.

3 Q. I think you should have a copy of your transcript,
4 professor. I want to ask you in connection with
5 something you talked about on this subject on page 26,
6 going over to page 27. If we could have that up on the
7 screen, please.

8 A. Of what, sorry?

9 Q. This is the transcript of your earlier evidence, the
10 bottom of page 26. You were asked --

11 A. Just a second, sir.

12 Q. Sorry. (Pause)

13 A. Right.

14 Q. You are being asked there about the approach which you
15 adopted when you arrived at Yorkhill, and you said:

16 "This was an era when we had gone from basically
17 each doctor doing it his own way, almost to a much more
18 protocolised approach to things. It was in its very
19 early inception but because Dr Pettigrew wasn't always
20 there, because I had many other things to do, it was
21 important that there was guidance for those people who
22 weren't particularly expert in this area, so we followed
23 the best practice at the time, if you like."

24 I wanted to ask you first of all, what you meant
25 when you said at this time there was a more

1 "protocolised approach to things".

2 A. Yes, I'm not talking here about the psychological --
3 whatever, it's basically how do you manage the patient
4 with a haemarthrosis of the knee. You know, what sort
5 of levels you get to, how you calculate the dosage
6 et cetera. There was no unit in the UK at the time,
7 including the Royal Free, that was not covered at night
8 or at weekends by people who were not experts in the
9 area. Sorry, too many negatives.

10 But you would always have to accept the fact that
11 there would be non-experts at the time who had access to
12 a consultant but who might need to know, for instance,
13 how you treat pain in the knee in a haemophiliac, you
14 know, what should you be aware about with regard to
15 life-threatening bleeds, what dosages, how you work out
16 dosages, and what type of product, for instance, to use
17 for Haemophilia A versus B versus von Willebrand's
18 disease, et cetera. Could it be that you could manage
19 these patients with tranexamic acid, DDAVP et cetera.

20 None of this was written down when I came there and
21 that was not unusual, but I had come from an extremely
22 well organised international reference centre which had
23 gone down that line and I was very impressed by it.
24 I was also working in the area of leukaemia, where for
25 a few years only -- and this was pretty unique in

1 Merson(?) -- the treatment protocols were actually
2 detailed and set down and could be followed as
3 a standard working practice, if you like. This was all
4 new medicine but I felt very strongly that we had to
5 have that.

6 So that was what I mean by a "more protocolised
7 approach". There is an additional advantage of that, of
8 course. If you treat patients in a standard way, even
9 if there isn't an actual national guideline, at least
10 you know what you have done and you can change things to
11 a better approach, if needs be.

12 Q. Thank you. Could.

13 I ask you some questions about something, again,
14 that you have talked about to a certain extent already,
15 which is the process involved in the selection of
16 products in the treatment of your haemophiliac patients.
17 I think you have said already, as was the position of
18 Dr Pettigrew, that your preference when you arrived at
19 Yorkhill, was to use SNBTS concentrates to the extent
20 that that was possible. Is that an accurate reflection
21 of the position?

22 A. Yes.

23 Q. The position from the information that we have
24 statistically is that in around 1980, in terms of
25 Factor VIII concentrate use, before your arrival about

1 85 per cent of the factor concentrate that was being
2 used within Yorkhill was commercial concentrate. Do you
3 have an insight into why it was that at that time the
4 usage was so high?

5 A. I won't go into all the detail of what I have said
6 before because it's there in the transcript, but
7 basically I had one or probably two conversations with
8 Dr Willoughby about this because I was somewhat
9 concerned that although I had come from, as you know,
10 units that were almost entirely commercial
11 treatment-based, because that's all we had in England,
12 largely, basically his attitude was that he had been let
13 down by supply in emergency, that there was not enough
14 for prophylaxis. And as I have said, he was ahead of
15 the time in regard to that, that, as you have heard from
16 Dr Forbes, they needed to use significant amounts of
17 cryoprecipitate, et cetera, on the adult side, that he
18 was concerned about low purity and poor recovery and
19 that he felt that it was difficult to draw up because of
20 impurities and wastage was significant, and that there
21 had been several patients who had had significant and
22 severe reactions to the SNBTS Factor VIII.

23 Also, you know, when I said, "Well, this is
24 American-derived and all that" and I didn't know at the
25 time what the supply was like in Scotland, but I said,

1 "Is it not possible to use the Scottish product?" he
2 basically said, "The donor pool has been improved in
3 America. Hepatitis B is far less of a problem.
4 Hepatitis C, there is no evidence it is going to be
5 a severe disease. So that's the supply. We can get it.
6 The authority is funding it, so you will never run into
7 difficulties with it. It's a more pure product. It's
8 readily available, less reactions. That's what we have
9 chosen to do."

10 Q. The statistical material which we have suggests --
11 I have already quoted a figure for 1980 -- that in 1981
12 the figure had dropped to somewhere around 58 per cent
13 and in 1982 the figure was around about 48 per cent. In
14 the first year in which you were the centre director at
15 Yorkhill, the use of commercial Factor VIII appears to
16 drop dramatically to a figure of somewhere just above
17 3 per cent. Does that reflect a conscious decision on
18 your part to stop using commercial concentrates in
19 favour of the SNBTS product?

20 A. Yes, and for the reason that I have already stated: both
21 cost effectively, economically and for the possible --
22 probable, depending on who you listen to -- lesser risk
23 because of the hopefully better donor pool, that's what
24 I want to do. But there were several caveats to that
25 which I have said in my evidence already, one of which

1 is that I was also brought up not to chop and change
2 products too much because there is no doubt that when
3 you do so, there is a small risk of inhibitor
4 development, which is a devastating development because
5 it makes the patient largely in that era untreatable.

6 Also there were some patients who had severe
7 reactions and there were some -- there was a worry in
8 Scotland of using the SNBTS product for major procedures
9 where there had been some evidence of not adequate
10 recovery in the body and possibly bleeding problems as
11 a consequence.

12 But, you know, I had all those worries in my mind
13 but at the same time for me the lower risk of
14 infectivity was the paramount one.

15 Q. Thank you. Could I ask you to have a look at one of
16 your statements that I think we have had a look at
17 already? This is [PEN0120203](#), and in fact I'm looking
18 at the second page, which is 0204. Could we have that
19 up, please?

20 A. Paragraph which?

21 Q. This is paragraph 5 but I'm looking over the page, at
22 the top of the second page of this two-page report, and
23 this is a paragraph in which you are talking about this
24 subject and the attitude which you held towards the use
25 of products when you arrived at Yorkhill. You said:

1 "I thus did everything I could to minimise pooled
2 plasma product use throughout the hospital and not just
3 in the haemophilia centre, as we knew that cardiac
4 patients, leukaemia patients and others were at risk."

5 A question I wanted to ask you about that -- it may
6 be a misunderstanding on my part: does that suggest that
7 there was a exposure amongst the non-haemophiliac
8 population to pooled plasma products?

9 A. Yes, there was some, and a large exposure to non-pooled
10 plasma products.

11 Q. In relation to pooled --

12 A. Which was also a risk.

13 Q. What exposure would non-haemophilia patients have?

14 A. Well, the biggest use group would be cardiac. You know,
15 these are patients who are getting bleeding problems
16 post surgery, very complex, very high risk surgery in
17 congenital heart defects, but there are also surgical
18 patients who were bleeding and being treated with mainly
19 fresh-frozen plasma, cryoprecipitate, which was to
20 a certain extent pooled.

21 My memory isn't very good in this area but my memory
22 is that cryoprecipitate was to a certain extent pooled,
23 maybe ten persons per unit. I can't exactly remember.
24 But whatever we knew subsequently, of course, the risk
25 was of the order of 1 in 1,000 for donor units with

1 regard to non-A non-B hepatitis. That was in
2 retrospect.

3 There was a small amount of usage of pooled
4 concentrates in patients who were bleeding with
5 life-threatening bleeding, in order to replace, for
6 instance, Factor VIII in patients with disseminated
7 intravascular coagulation, et cetera. Of course, this
8 was something that we monitored as closely as we could.
9 But again from the HIV era this is something else that
10 we learned, that you have to have what's now called
11 "haemovigilance" and we just didn't have the resources
12 to do that in that era in any formal fashion.

13 Q. You go on to say in that paragraph, just about half way
14 through it, starting at the word, "However":

15 "However, my memory is that we did not have enough
16 SNBTS factor concentrate to deal with all the
17 emergencies and significant operations, eg on patients
18 with inhibitors or those needing orthopaedic
19 procedures."

20 Would I be correct to say that in those
21 circumstances, where you didn't have enough, you would
22 rely on commercial product?

23 A. Yes, but I have to say that then SNBTS did everything
24 they could to help us and so the usage -- that's why
25 I was able to drop dramatically -- and possibly to the

1 detriment of the Royal Infirmary. As far as I remember,
2 they gave preference to us to change this from
3 a commercial to a SNBTS-using unit. There were episodes
4 where we could delay operations because they weren't
5 emergency and we did that.

6 Dr Crawford, Bob Crawford, was our main contact and
7 he was as very helpful as he could be. But at that
8 time, because of the increasing evidence that we should
9 move away from commercial concentrates, we actually
10 stopped prophylaxis in some patients because of that.
11 You are weighing up there does prophylaxis really work
12 on those patients and the evidence in that era was
13 ambivalent. Should we be exposing those persons to
14 commercial concentrates?

15 If they were having recurrent severe bleeding
16 problems, then the balance would tip towards using
17 commercial concentrates. If they, for instance, had
18 developed an inhibitor, then you have no choice but you
19 use whatever you have there because the bleeding is
20 life-threatening.

21 When it came to things like surgery, then, if
22 possible, we delayed the surgery and used SNBTS product.

23 Q. Would it be fair to say that, given the fact that you
24 were using just over 3 per cent commercial product in
25 1983, the issue of patients with inhibitors was not

1 a particularly large one in the context of all of the
2 patients you were treating?

3 A. No, but I'm almost certain there was one patient with an
4 inhibitor. The use of concentrate in inhibitor patients
5 is dramatically more than in other patients. We are
6 talking about tens of thousands of units a year, using
7 ten times dosages, in order to try to overwhelm the
8 inhibitor. So the use of that single patient can
9 overwhelm the whole population, to an extent.

10 We had one patient -- I'm afraid I can't remember
11 when -- during that period of time. It's possible that
12 that patient required some commercial concentrate
13 because it was the least worst option. I don't remember
14 but that would be a possible scenario.

15 Q. Is it possible that that patient could have used all of
16 the 3.19 per cent of the total factor concentrate?

17 A. Yes, or that that was that patient that had severe
18 reactions to the SNBTS product. I don't remember.

19 Q. Thank you.

20 A. But, yes, that is my best memory actually, but I'm
21 guessing to an extent.

22 Q. Thank you, professor. You have touched on prophylaxis,
23 which is something I would like to come back to, but
24 could I just stick with this statement just now? You
25 say in the final paragraph:

1 "I have not retained the details, but we would
2 source factor concentrate products that we believed
3 carried the lowest risk, bearing in mind that, in the
4 absence of a test defining safety, this would mean going
5 mainly on the product's record and any reports of
6 adverse events if they came through the UKHCDO."

7 You have already made some comment on this but
8 I just wanted to ask you whether commercial products
9 were ones in connection with which there had been
10 reports of adverse events or in connection with which
11 there was a bad record at the time when you came to
12 Yorkhill?

13 A. Not at that specific time, although -- it's easy to get
14 memory recall from reading things but I have a memory
15 that there was a worry about Hemofil to an extent.
16 Certainly not long after I was at Yorkhill there was an
17 episode of a recall of Factorate maybe -- that being the
18 commercial product Factorate -- because of an
19 association with an acute episode of hepatitis.

20 Those are the sort of events I'm talking about.
21 Later on there were episodes of Hepatitis A in Ireland,
22 for instance, in other products. So those are the types
23 of events that we really would respond to immediately.

24 Q. Thank you very much. I'm going to move away from that
25 statement just now and I would like to move on to

1 a slightly different topic, which is the administration
2 as regards the ordering of products. Again, this is
3 something that you have commented on to a certain extent
4 in your evidence but I would just like to ask you a few
5 more questions.

6 THE CHAIRMAN: I'll interrupt you before you go there,
7 Mr Dawson.

8 Professor, you have mentioned that blood products
9 would be used other than in the treatment of
10 haemophiliacs and I understand from Professor James that
11 people who do have major operations lose clotting
12 capacity and that they therefore require a supplement.
13 Do you have any feeling for the sort of proportion of
14 use of blood products in the case of non-haemophiliac
15 treatment as against haemophilia treatment?

16 A. Yes, I'm talking about plasma products here. Obviously,
17 red cell use is vastly more in the non-haemophilia.

18 When you talk about plasma products, again separate
19 it out from concentrate because concentrates would not
20 be used very commonly in non-haemophilia sufferers.

21 Basically, the only relatively common use there of
22 a concentrate would be a fibrinogen concentrate, which
23 is used up in those circumstances, but occasionally we
24 would also use Factor VIII concentrate because
25 Factor VIII is one of the factors that's consumed when

1 you get this so-called "consumptive coagulopathy
2 disseminated intravascular coagulation", or "DIC" -- too
3 much of a mouthful -- for short, which happens quite
4 commonly after cardiac operations, for instance, because
5 they become septic because they have long periods of
6 hypothermia, et cetera, et cetera.

7 But that's not all. There are, for instance, women
8 who get DIC during child birth and so on. So there is
9 an exposure of concentrate which is far less than in
10 haemophilia, far, far less, like 1 per cent, 2 per cent,
11 something like that. But the use of non-concentrate
12 plasma products, cryoprecipitate and fresh-frozen
13 plasma, in particular, would be higher in the surgical
14 area, in my unit anyway, than in the haemophilia area,
15 whereas in some units, like the Royal Infirmary, where
16 they are having to use a lot of cryoprecipitate, then
17 maybe it wouldn't have been that way round.

18 THE CHAIRMAN: Thank you very much.

19 The other question that I would like to ask arising
20 out of Mr Dawson's questions so far relates to the
21 pressure on you and your colleagues at the time. He has
22 concentrated quite naturally on the impact on
23 haemophilia care. Was the care of the haemophilia
24 patient affected to a significantly greater degree than
25 the care of the leukaemia patient and the other groups

1 within your ambit?

2 A. I am afraid it was largely the other way round. The
3 fact is that leukaemia, solid tumours, brain tumours,
4 bone marrow transplant, is a minute by minute problem.
5 They can be well one minute and they can be bleeding to
6 death, septic, dying, the next.

7 As a single person you can't be on the ward
8 providing -- I mean, it would be a joke to say this was
9 consultant-led care, a bad joke, and nowadays,
10 obviously, consultant-led and often delivered care is
11 the norm. In that era you were more than of an
12 orchestrator, a conductor, than a provider of clinical
13 service on a minute by minute basis.

14 So, no, haemophilia was a chronic disorder. The
15 time limitation that was upon me limited the amount of,
16 if you like, talking time that I had rather than
17 anything else. If there was a need for me to see
18 something whose knee was swollen or whatever, then
19 I could always go there and say, "Yes, do this, follow
20 that protocol." What I did not have time for as much as
21 I would like is the parent support groups, seeing
22 everyone in the haemophilia clinic as frequently as
23 I would like. The clinic hadn't existed before I was
24 there, by the way, and the day-to-day time on the day
25 care. But they had very good care on the whole.

1 The deficiencies that existed occurred in casualty,
2 which is a problem area always at night, and when
3 Dr Pettigrew was away, when I had to divide myself up,
4 if you had a good trainee, that would be fine; if you
5 had a trainee who was very inexperienced, it wouldn't be
6 ideal. So that's where the deficiency lay.

7 THE CHAIRMAN: Thank you very much.

8 Mr Dawson?

9 MR DAWSON: Thank you, sir. I was just moving on,
10 Professor Hann, to the question and questions about the
11 administrative system for the ordering of products.
12 I'll just clarify, first of all, my understanding of
13 your position about who decided in principle which
14 products would be used. That was your decision and you
15 have explained already that your general philosophy,
16 when you arrived at Yorkhill, was that you tried as much
17 as possible to use the PFC product. Is that correct?

18 A. That is correct.

19 Q. As regards situations where commercial product was
20 necessary, who decided which commercial product would be
21 purchased?

22 A. I mean, again it would be me but there was a stock
23 control point of view, which I think has been alluded to
24 you in some of your -- this is very expensive product
25 and obviously that's not the first consideration,

1 otherwise you wouldn't use commercial product in the
2 first place probably, but the fact is, if you have got
3 thousands of units of Factorate there and it's in date,
4 then you use that. You don't say, "Let's go and use
5 something else."

6 I can't ever personally remember ordering in new
7 commercial concentrate. It may have been the case that
8 we would do so. If that was the case, then we would
9 have just stuck with the product that we had been using
10 before for the reasons I have already alluded to because
11 of the risk of inhibitors, et cetera, and because you
12 can react to one product and not the other.

13 As far as I remember, the costs across the board
14 were roughly equivalent anyway, but the vast majority of
15 ordering was done through the Blood Transfusion Service.
16 I don't recall having to order a commercial product. If
17 we did order commercial product, then it was probably
18 done by the senior chief in the blood bank in liaison
19 with the unit manager/treasurer of the hospital and
20 basically we just stuck with what was used.

21 Q. You have made reference already to the Armour Factorate
22 product. Is there any reason why the Armour product
23 would have been preferred in the treatment of children
24 at Yorkhill, as far as you are concerned?

25 A. There is no reason that I know compared with other

1 commercial products, unless you had felt that the,
2 I think, Baxter, product, Hemofil, had got itself a bad
3 name because of the publicity, which was sort of
4 vaguely, vaguely in the back of my mind, I think.

5 But there was a problem with all plasma donation at
6 this time in several respects. So the deciding factor,
7 if we ordered any, was that you stuck with what you had
8 used.

9 Q. But there is no clinical reason or anything like that
10 why the Armour product would be favoured over any other
11 commercial product available at that time, as far as you
12 are concerned?

13 A. Obviously in a later era you had much higher purities,
14 et cetera, so therefore you had lots of debates about
15 which purity concentrate you had. Then there were
16 differences in price and then we went to European
17 tendering and all of this changed again as part of this
18 era.

19 As I say, I do have a vague recall that there was
20 a particular worry over the use of Hemofil at the time.
21 Whether that was justified in overall clinical terms
22 compared with the other commercial products, I just
23 don't know. As far as comparing it on a clinical purity
24 basis or reaction basis or whatever, there was no
25 evidence to support a difference.

1 Q. In her statement Dr Pettigrew made reference to ordering
2 being done by a senior chief technician in the
3 haematology department. In her evidence she recollected
4 an individual called Mr Jewel in that role. Do you
5 recall his involvement in the ordering of products?

6 A. I don't and, to be honest with you, I'm just reiterating
7 what she said. I do know Mr Jewel. I did know him
8 well. He retired a couple of years later but, yes.
9 I think that was just because, if you like, he was
10 responsible for the blood bank. This is a blood
11 product, you know, it was stored as such. That was also
12 the case at Great Ormond Street, when I went there. It
13 was not that Mr Jewel was making a decision to order
14 a specific product; that's not his responsibility at
15 all. He was there -- if he was the person who did it --
16 to just logistically order it and make sure that it went
17 through proper financial channels.

18 Q. Do you remember a sister working in the haematology
19 department called Sister Wright?

20 A. I don't remember that specific person, no.

21 Q. Would sisters in the haematology department have any
22 input into the ordering of products?

23 A. I don't think so. Haemophilia sisters did in fact
24 subsequently develop into haemophilia clinical nurse
25 specialists and did actually do that as part of their

1 job and when I went to Great Ormond Street, that was
2 exactly what was the situation. I don't think that that
3 was the case here.

4 Q. Thank you. Could I just refer you to one of your other
5 statements? There are a number which you have provided
6 to the Inquiry. This is [PEN0150035](#). This is the
7 document which is entitled "Professor Ian M Hann,
8 response to Penrose Inquiry." Dated 5 June 2010.
9 I think it's a response to a number of specific
10 questions you were asked. I'm looking in particular at
11 page 0037, which is page 3 of this document.

12 A. I'm sorry, I haven't got the numbering. Could you just
13 give me the title of the section?

14 Q. Certainly. The title of the question?

15 A. Or question.

16 Q. It's the first question you were asked:

17 "Systems regarding blood products used."

18 A. Yes.

19 Q. Do you need any more than that or have you got it?

20 A. I have got it.

21 Q. This is the bottom of page 0037. You say:

22 "When it came to the use of commercial product, the
23 plan would always be to use that which was available and
24 which had a good track record. I cannot remember how
25 payment for such products was actually organised within

1 the Health Service at the time within Scotland, but that
2 would not, to the best of my knowledge, have been
3 a deciding factor in any treatment decisions."

4 You say there that budgetary or payment
5 considerations would not have been a deciding factor.
6 Would they have been a factor in the determination of
7 which products would be used?

8 A. If you are talking about commercial versus commercial,
9 no, because I don't think I even knew. In fact I'm
10 pretty sure I didn't know. The fact is that a great
11 number of units within the UK at the time -- and I think
12 probably within Scotland -- were unable to get -- we
13 were in a fortunate position to be able to order this
14 and were very much supported by the unit manager, who
15 basically just said, "Go ahead and order whatever you
16 need."

17 This was a very old-fashioned era. There was no
18 such thing as tendering, there was no such thing as
19 tendering committees or committees that looked at one
20 thing versus another; it was up to individual
21 consultants to decide what to do, essentially.

22 Q. But the position, as I think you have alluded to already
23 today, is that commercial product was very expensive.
24 Isn't that right?

25 A. Yes, but again I would not have even known what it cost

1 necessarily to produce the Scottish product if you
2 factored in -- you know, did we even know at that time
3 how much it cost to produce a unit of Factor VIII if you
4 actually were tendering versus a commercial organisation
5 on a commercial basic. Certainly, when I was in the UK,
6 we didn't know that -- sorry, in England. In England at
7 the time the Blood Transfusion Service would say, "Oh,
8 it costs so much for us to produce this." But is that
9 really all the overheads, et cetera, on a commercial
10 basis?

11 So the answer is I would be surprised if the
12 commercial concentrates weren't a roughly equivalent
13 cost. I'm sure they cost considerably more than the
14 SNBTS product, which was one of the drivers, obviously,
15 to try to become self-sufficient. But we were not aware
16 at that time of real commercial costs across the board.

17 Q. There has been a suggestion in some of the evidence
18 which the Inquiry has heard to this point -- and this
19 may be a matter of administration more than anything --
20 that where a hospital was using SNBTS product, there
21 wouldn't be any direct cost to the hospital for that but
22 that the hospital would be responsible for the purchase
23 of any commercial product which it wished to use. Is
24 that your understanding of the position or is that not
25 accurate?

1 A. I am afraid I just can't remember. My feeling is that
2 the hospital paid for commercial products and that there
3 was no specific deduction from the hospital for SNBTS
4 products. So, therefore, you would be sort of mad in
5 a way not to use them if they were safe. But I could be
6 wrong there.

7 What I know is that subsequently in England
8 cross-charging came about. But certainly in England in
9 1988 or 1987 there was no such cross-charging. So
10 I doubt that it had occurred in Scotland by then. But
11 that's speculative.

12 Q. Thank you. Could I just move on to a slightly different
13 topic, something we have touched on already, basically
14 relating to prophylaxis and the position of
15 Dr Willoughby in that regard?

16 You have given some evidence about that already and
17 I think you may have repeated today as well that he was
18 very keen on prophylaxis. Could I just ask you whether
19 it is an accurate representation of your understanding
20 of Dr Willoughby's attitude towards treatment that it
21 was based on a desire to treat children prophylactically
22 with concentrates and also a certain concern which he
23 had about the purity of domestic products? Would those
24 be the major themes, as you understand it?

25 A. Yes. The supply, obviously, yes, and all of that, yes,

1 all of those factors.

2 Q. And presumably the position was, as I think you have
3 already outlined, that he required to rely very heavily
4 on commercial products, principally because of the fact
5 that he wished to treat children prophylactically. Is
6 that right?

7 A. I wouldn't say principally. I think there were two or
8 three main reasons: one, that he had patients who had
9 had reactions who he couldn't treat with the product;
10 two, that there was a need for prophylaxis and he
11 couldn't get supply for such; and, three -- I mean, he
12 made it very clear to me that he had been let down in an
13 emergency with inadequate supplies. I don't know when.
14 That's all I know.

15 Q. How much more product is required to treat a child
16 prophylactically, as compared with non-prophylactically,
17 if that makes sense?

18 A. It obviously depends on their age, but three times in
19 the randomised trial.

20 Q. How many haemophilic patients were there in your care
21 who were on prophylactic treatment at the time when you
22 arrived?

23 A. There were roughly six or seven, something like that.

24 Q. I think you have made reference already, in response to
25 some of the questions from the Inquiry counsel, to the

1 fact that you required to curtail the prophylactic
2 programme, if you like. Why was that necessary when you
3 arrived?

4 A. Right. The reason was twofold. First of all, the
5 evidence that it worked in the circumstances that he was
6 using it was not compelling at the time. It turns out
7 that he was right, and in fact in my own defence, if you
8 like, I was the first to show that in the non-Swedish
9 group. What you have to do is persist with it. The
10 fact was that some of these patients were receiving
11 prophylaxis with no or very little benefit and were
12 using vast amounts of product and it was becoming very
13 difficult to give it two or three times a week. We had
14 also not learned how to use it properly and manage the
15 levels adequately and such like. So that was one
16 reason.

17 The other reason was that there simply was a lack of
18 supply, related to a number of events. First of all, we
19 had a number of patients who at virtually the same times
20 developed severe problems with their knees, with their
21 synovium, and required synovectomy and used huge amounts
22 of Factor VIII. And there was a patient subsequently --
23 I can't remember when -- who developed an inhibitor and
24 who required emergency treatment for what's called
25 a compartment syndrome, where there was compression, I

1 think in the arm, and used huge amounts of Factor VIII
2 during that period.

3 So I would be reluctant to be critical of the SNBTS
4 because what you do when you have what is
5 a semi-commercial venture is produce a volume of
6 product, and our product had huge blips in it. So
7 basically we had to stop prophylaxis in this
8 circumstance.

9 Could I just make one other point? There are two
10 main types of prophylaxis. There is the type that
11 Dr Willoughby was keen on, which is called "secondary
12 prophylaxis", and there was the type that eventually
13 proved to be the godsend, which was primary prophylaxis;
14 in other words, starting treatment at a very young age
15 and preventing bleeds. So one is truly prophylactic and
16 the other, which Dr Willoughby had approached, was not
17 truly prophylactic; it was settling down a very, very
18 troublesome problem and trying to reduce or even prevent
19 further bleeds and further joint damage.

20 Secondary prophylaxis, which he had adopted, proved
21 to be very, very difficult and require at least
22 three years of treatment before it showed much effect.
23 We published that under the first name of Liesner from
24 Great Ormond Street a few years later.

25 So the answer is, yes, supply would never have been

1 enough. Also, there was some lack of belief that
2 continuing was going to be of benefit to those patients.

3 Q. The six or seven boys whom you have mentioned as being
4 on prophylactic treatment when you arrived, they would
5 have been on prophylactic treatment with predominantly
6 commercial concentrates before your arrival. Is that
7 right?

8 A. Oh, yes.

9 Q. And how many of them went on to develop HIV infection?

10 A. I don't know the answer to that, I am afraid. I don't
11 know. I can't break it down. Out of the ten or
12 whatever it was who developed it I'm sure there were
13 some that did and some that didn't but I don't know the
14 exact numbers.

15 Q. Okay, thank you. You have mentioned the numbers
16 infected there. So I'm just jumping to that because I
17 wanted to ask you some questions about that too.

18 Basically, as I understand it, your position, when
19 asked questions by Ms Dunlop previously, was that she
20 had sent you a schedule which indicated that there were
21 21 individual children who had been infected at
22 Yorkhill, and I think your reaction to that was that you
23 thought that that figure was a bit high and in fact, as
24 I think you have just mentioned, your recollection was
25 a figure nearer 10.

1 I just wondered whether I could put to you
2 a possible explanation, at least to a certain extent,
3 for why those figures are different. In her evidence
4 Dr Pettigrew suggested that, when testing was being
5 done, you had some responsibility for testing patients
6 who were no longer under the care of Yorkhill and had
7 moved on somewhere else.

8 The figure of 21 that you were given indicates the
9 result, as I understand it, of a collaboration between
10 a number of different doctors in Glasgow to work out how
11 one allocates the responsibility, if you like, for the
12 place of initial infection. Is it possible that, at
13 least to some extent, the divergence in the numbers is
14 based on the fact that you are thinking of how many
15 people in your care in 1984 were infected and the table
16 shows how many people were infected at Yorkhill?

17 A. Yes, I'm as sure as I can be that that's the case and
18 it's one of the reasons why I feel -- and I'm not
19 devolving responsibility from myself. It's one of the
20 reasons why I feel that I didn't initiate the first set
21 of testing because there is no reason why I would have
22 initiated testing on patients who have already
23 transferred. It was quite right that it was done,
24 I personally believe. I don't know the process, and
25 I'll take responsibility for it, but I don't see why

1 I should have initiated testing on patients who'd gone
2 elsewhere. I think that it's very unlikely. We know
3 from at least my recollection -- and the publication at
4 the time was from the Royal Free, which I continued to
5 be in touch with -- that the vast majority of infections
6 were between 1979/1980 and 1982 or the end of 1982 sort
7 of period, and so a number of the patients would have
8 been transferred. My best memory -- and I think it's
9 probably Dr Pettigrew's best memory as well -- is that
10 we were still looking after about ten. One had gone
11 somewhere else altogether, I think, and the other maybe
12 ten had gone on to the Royal Infirmary. We certainly
13 had transferred quite a few patients in the year or two
14 after I went there because they were sort of getting
15 rather long in the tooth.

16 THE CHAIRMAN: Mr Dawson, I think I'm getting rather long in
17 the tooth too. I'm not sure that I'm learning anything
18 new from this passage of evidence. I am, of course,
19 absolutely sure that your time is running out.
20 I wondered if you might just take care and restrain this
21 line.

22 MR DAWSON: I was going to move on from that. The
23 particular reason for that question, sir, was just to
24 try and see if that was some explanation for the anomaly
25 in the numbers. But I'm moving on.

1 You were asked some questions earlier,
2 Professor Hann. I would just like to ask you a couple
3 of brief matters on the use of cryoprecipitate at
4 Yorkhill. There seems to be a number of references in
5 the paperwork to the fact that cryoprecipitate might be
6 used for younger children. I wonder if I might just be
7 able to explain why that might be an appropriate choice
8 for it to be used for younger children.

9 A. I suppose for two reasons. One is that younger children
10 in that era, certainly up to about the age of at least
11 five or six, were usually treated in hospital because we
12 didn't have indwelling catheters, et cetera, and
13 therefore the many problems of using cryoprecipitate at
14 home, which basically meant you couldn't do it in the
15 vast majority of cases, could be overcome.

16 Where you could not give cryoprecipitate a clean
17 bill of health because of the Rickards, et cetera, you
18 could say, especially if we could go down to a single
19 donor, unpaid donor, Scottish donor use, then we can
20 minimise risks. So the problems of volume, reactions,
21 logistics, getting the needle in, et cetera, et cetera,
22 were much easier in that group. That didn't always
23 work, of course, because the volumes could be too great
24 and the veins too difficult it meant sometimes that we
25 did have to use concentrates in those patients.

1 The second consideration, very briefly, is that if,
2 certainly going towards 1984, you are talking about
3 a population that might already have been infected, then
4 I suppose the greatest protection you want to give is to
5 the youngest patients. Yes, I suppose ...

6 Q. Thank you. On the issue of cryoprecipitate, you were
7 asked some questions earlier in connection with the
8 possibility of treatment reverting to cryoprecipitate,
9 I think, in 1984, and you discussed the circumstances
10 surrounding that being suggested.

11 What was the reason for you suggesting that patients
12 might revert to cryoprecipitate in 1984?

13 A. Basically, it was because by the latter part of 1983 we
14 were becoming more convinced that this was a blood
15 product transmissible disease, that although people were
16 saying it's one in 1,000, et cetera, 1 in 500, would
17 maybe develop AIDS, we had to do everything we could at
18 that awful interim stage, no matter even if it was just
19 theoretical or possible or whatever it might be, to
20 reduce risks. So that was one of the things that was
21 proposed. I remember it quite well. It was, I'm almost
22 sure, Arthur Bloom and Peter Jones who suggested it
23 towards the end of 1983, and that's about that time of
24 early 1984 that some patients reverted to the use of
25 cryoprecipitate. But it meant a major change in

1 lifestyle, giving up home therapy, et cetera, in the
2 majority of those cases.

3 Q. Which types of patients -- and I'm thinking typically
4 about the severity of haemophilia -- would that have
5 been suggested to?

6 A. Obviously, we had for some time been trying not to treat
7 mild and moderate patients with concentrates during this
8 era, especially mild patients. As far as the severe
9 patients were concerned, it was logistically much more
10 difficult and virtually impossible on a home treatment
11 basis. I don't think any persons in this era were able
12 to manage home treatment with cryoprecipitate and
13 therefore they became hospital-based patients again, and
14 with the information coming out of the Haemophilia
15 Society and the logistical difficulties, et cetera,
16 there were definitely some who continued their use of
17 concentrates.

18 Q. Was there any consideration, as regards severe
19 haemophiliacs, given to the possibility of reducing the
20 amount of concentrate they were using at that time?

21 A. Yes, there was. I know from speaking to the adult
22 treaters that there were a number of adult haemophiliacs
23 who basically stopped treating themselves and turned
24 back to the Tsarevich approach -- you know, just rest
25 and all the rest of it -- and there was a little bit of

1 that in the paediatric area as well.

2 From our position as treaters, we would discourage
3 that approach as much as possible and if there were
4 serious concerns and if it was feasible, we would
5 certainly revert to cryoprecipitate as a somewhat safer
6 approach --

7 Q. Okay, thank you very much.

8 A. -- theoretically.

9 Q. Could I just move on to ask you a few questions on the
10 B5 topic? I think most of the matters I wish to cover
11 with you have been covered already this morning.

12 However, could I ask you first of all a couple of
13 questions about information that would be given to
14 parents of children whom you were treating in the early
15 1980s about product uses. In particular, could you tell
16 me whether ultimately it was your decision as to what
17 products would be used for the children and whether the
18 parents had any influence over that?

19 A. Yes is the first answer but, of course, they were
20 informed and aware from myself and the Haemophilia
21 Society, et cetera, of the position they were in. There
22 were lots of discussions with parents whose -- for
23 instance, if their children had had reactions or severe
24 reactions to the SNBTS product, whether they were
25 prepared to go back on that product again. I'm pleased

1 to say that in fact, I think, almost in all instances we
2 were able to do so with some pre-medication, et cetera,
3 as required, and then the purity improved.

4 So, yes, there were lots of discussions of that
5 nature.

6 Q. So if a parent were to say to you that they wanted
7 a particular product to be used, for example they wanted
8 cryoprecipitate to be used rather than concentrates,
9 would you have acceded to that request or would there
10 have been other considerations?

11 A. Yes, absolutely, but we would have to make them aware
12 that that was something that only very rare parents
13 could achieve at home and if they were prepared to go
14 down that line, then we would try to support them but it
15 was exceedingly difficult and it would change -- I hope
16 that we weren't totally discouraging in this respect.
17 We would have to point out the pluses and minuses.

18 Q. Okay. Could I just ask you a couple of quick questions
19 about the topic you have touched on already, which is
20 information given to patients and their parents about
21 test results.

22 Could I just ask you: why did you think it was
23 important that the information about the testing and the
24 results of the testing be communicated to patients and
25 parents?

1 A. Two reasons, I think: First of all because there was
2 a need to know, and a need to know had many aspects,
3 including sexual health, et cetera, but also from our
4 point of view it was necessary to know because, as
5 I have said in my statement, otherwise you are managing
6 a problem blindfolded. We knew more and more as time
7 went by of the sequelae of HIV infection, whether it be
8 Kaposi's sarcoma, pneumocystis, whatever it might be.
9 If you are in the dark about those things, there is no
10 possible way. You can die within days of pneumocystis
11 and just present with a cough. We knew that from
12 leukaemia treatment. So we needed to know.

13 The second aspect is that I just felt ethically that
14 that was the best approach for reasons that we have
15 already discussed. I think that being secretive with
16 families is hardly ever justified, unless you are doing
17 more harm than good by doing so.

18 Q. This is my final question, Professor Hann. In your view
19 would it have been appropriate in late 1984 to have
20 a meeting at which patients and families as a group were
21 told that some of them had been infected and that they
22 could come and ask about specific details if they wished
23 to do so?

24 A. In my view, the way you deal with this -- and I have
25 already held my hands up and said we didn't do it

1 perfectly by any stretch of the imagination and that's
2 my responsibility.

3 The fact is, if you tell a family that their child
4 or a patient adult has a serious disease, you tell them,
5 you don't tell somebody else, or whatever. I don't know
6 the circumstances of this meeting. What I know is that
7 you communicate such things.

8 This came up again with Hepatitis C. Do you write
9 people a letter saying such and such or how do you go
10 about it? And with Hepatitis C it was very difficult
11 because they had only had minor contact with the
12 hospital. We did it through GPs and GP nurses,
13 et cetera.

14 You don't do it in some sort of very impersonal way.
15 I was dead against writing letters to people, I was dead
16 against doing it other than face-to-face and in as kind
17 a way as is possible and as informative a way as
18 possible.

19 Groups have a very important role with regard to
20 support, with regard to information, with regard to all
21 sorts of things, but it does not have a role in
22 informing people about individual issues with regard to
23 medical diseases.

24 Q. Thank you very much, professor. Thank you, sir.

25 A. Thank you.

1 THE CHAIRMAN: Mr Anderson?
2 MR ANDERSON: I think not, sir, thank you.
3 THE CHAIRMAN: Mr Sheldon?
4 MR SHELDON: I have no questions, sir.
5 THE CHAIRMAN: I think that has to be it.
6 A. We do have a few minutes' latitude here if you want.
7 MR GARDINER: I have nothing further, thank you.
8 THE CHAIRMAN: The temptation is great, Professor Hann. You
9 have been extremely helpful and have, I'm sure, tried to
10 answer all these very difficult questions to the very
11 best of your recollection and ability. I'm very
12 grateful, thank you very much, but we won't keep you
13 longer than we need.
14 A. Thank you.
15 MR GARDINER: I wonder if I can bring up something about
16 timing.
17 THE CHAIRMAN: We are sitting again at half past one.
18 MR GARDINER: We were planning to. I wonder if we could
19 propose 1.45. We are quite keen to propose 1.45.
20 THE CHAIRMAN: If the witness is available at half past one,
21 why?
22 MS DUNLOP: Fine.
23 THE CHAIRMAN: Half past one.
24 (1.01 pm)
25 (The short adjournment)

1 (1.30 pm)

2 ELAINE

3 Questions by MS PATRICK

4 THE CHAIRMAN: Good afternoon.

5 MS PATRICK: This is Elaine.

6 THE CHAIRMAN: Elaine, we just start right away without any
7 preliminaries. But Ms Patrick will introduce all the
8 people here and tell you what's happening before she
9 begins to ask questions.

10 MS PATRICK: Hello, Elaine. I would like to start by, as
11 Lord Penrose says, introducing you to everybody in the
12 room, so that you know who everybody is and why they are
13 here. There is Lord Penrose on the bench and next to
14 him is Professor James, the medical adviser to the
15 Inquiry.

16 You know Margaret, the witness liaison manager, who
17 is sitting next to you, and coming along the front row
18 we have the two stenographers, who are noting down
19 everything that's said this afternoon and that's for the
20 transcript of the hearing.

21 Next to them we have Sarah Noble, who is the deputy
22 secretary to the Inquiry and then Oli Stempt, who is in
23 charge of documents this afternoon. So when I refer you
24 to a document, it should appear on the screen in front
25 of you and that will be Oli's job to make sure it gets

1 there. Next to me is Laura Dunlop, senior counsel to the
2 Inquiry and next to her is Yasmin Shepherd, who is the
3 paralegal to the Inquiry, who is helping us with this
4 topic. Along this side of the room we have the lawyers
5 who are representing the different parties interested in
6 this Inquiry. I think you know the lawyers closest to
7 me, who are representing the patients, relatives and
8 Haemophilia Society.

9 In the middle we have the lawyers representing the
10 health boards and the Blood Transfusion Service, and
11 closest to you we have the lawyers for the
12 Scottish Government.

13 You are being known for today's hearing as "Elaine"
14 but that's not your real name, and a year or so ago you
15 helpfully provided the Inquiry with a statement.

16 A. Yes.

17 Q. The statement number is WIT0040045. Do you have
18 a hard copy of that in front of you? One is on its way
19 but in the meantime, if you look at the computer screen
20 in front of you. Is that all right?

21 A. Yes.

22 Q. In your statement you told us about your deceased
23 husband ██████'s infection with the HIV virus from his
24 treatment with blood products. In paragraph 1 of your
25 statement, at the time you gave us your statement you

1 were 65 years old. Is that still the case?

2 A. No, I'm 66, nearly 67 this year.

3 Q. Okay. You and ██████ were married in 1964?

4 A. That's right.

5 Q. Where did you meet ██████?

6 A. At the dancing.

7 Q. And was he good at the dancing?

8 A. Pardon.

9 Q. Was he good at the dancing?

10 A. Not bad.

11 Q. Can you tell us a bit about ██████?

12 A. He was -- at that time he didn't like drink. He was

13 a man for going out in the fields. He loved animals.

14 I think it was because he was in the hospital all his

15 days as well, he liked outside all the time. Any time

16 he wasn't ill, he was outside and completely, completely

17 in love with animals.

18 Q. That's helpful. Thank you. You tell us in paragraph 3

19 of your statement that ██████ was one of, is it four or

20 five brothers?

21 A. Four brothers.

22 Q. That's a typo. And all four brothers had Haemophilia A?

23 A. Yes.

24 Q. You say that ██████'s haemophilia was quite severe and

25 hardly a week went by when he didn't need treatment?

1 A. That's correct.

2 Q. Do you know that from having lived with him, that hardly
3 a week went by when he didn't need treatment?

4 A. Sometimes it was a couple of weeks but very rarely much
5 after. Maybe some weeks maybe just once a week he went
6 to go over, other times it was two or three times in the
7 week. It was not a set time.

8 Q. Right. Did [REDACTED] have other relatives with haemophilia?

9 A. No. It was just him and his brothers and in the end he
10 just -- well, that was years ago. They didn't know much
11 about it at that time. So the only answer I can come up
12 with is maybe if mother and father had married other
13 people, it wouldn't have happened. That was the only
14 explanation they could have come up with at the time.
15 They couldn't trace it at all.

16 Q. Do you know if [REDACTED]'s haemophilia was described as
17 mild, moderate or severe by the doctors?

18 A. I think it was moderate. It wasn't mild and I don't
19 know about severe, but it was at least moderate.

20 Q. Right. Do you happen to know what percentage of
21 clotting factor that [REDACTED] had?

22 A. No.

23 Q. That's fine. Was his haemophilia similar to his
24 brother's haemophilia?

25 A. I would say so.

1 Q. Yes. Well, you tell us in paragraph 3 that his
2 treatment for haemophilia was very similar to that of
3 his brother?
4 A. Yes.
5 Q. You will be aware that the brother you are talking about
6 there also provided a statement to the Inquiry?
7 A. That's correct.
8 Q. We are going to have a look at that. You tell us there
9 that from a young age [REDACTED] was treated with bed rest,
10 then he was treated with plasma and then with factor
11 concentrate. And you think that he started using plasma
12 and factor concentrate about the same time as his
13 brother?
14 A. Yes.
15 Q. The brother who provided the statement?
16 A. Yes. His brother would know more about the clotting
17 factors and things like that.
18 Q. Yes. Well, I wonder if we could have a look at his
19 brother's statement now, which I think you have seen?
20 A. Yes.
21 Q. You have and it's WIT0040136. What was the age
22 difference between --
23 A. Two and a half years.
24 Q. I think we will see from paragraph 2 that this brother
25 was the youngest of the four?

1 A. Yes.

2 Q. Yes. He tells us that he was diagnosed with
3 Haemophilia A when he was born and his haemophilia is
4 classified as moderate?

5 A. Yes.

6 Q. So does that bear --

7 A. I would say they were both the same, I would say.

8 Q. They were both the same, okay. He says there he had
9 three older brothers, all of whom had Haemophilia A.
10 One of his brothers died in 1961 as a result of
11 a motorcycle accident when he was 21 years old.

12 A. I didn't know him. I wasn't married at the time.
13 I knew of him but I didn't actually know him.

14 Q. Then he relates that his other two brothers, one of whom
15 is ██████, died from AIDS having acquired the HIV virus
16 from infected blood products. I think he is talking
17 about ██████ first when he says he was 48 years old?

18 A. 47.

19 Q. 47?

20 A. 48 that year. He died in the February and he would have
21 been 48 in the June.

22 Q. So ██████ was 47 when he died in February 1992 and the
23 other brother was 42 years old when he died in about
24 1995?

25 A. No, that's not right, no.

1 Q. Is it not?

2 A. His other brother was older than [REDACTED].

3 Q. Was he?

4 A. Hm-mm.

5 Q. But he also died as a result of AIDS?

6 A. As far as we know because they were estranged. They

7 didn't talk for years, that other brother, but, yes, I

8 am positive he did. He would maybe be 52 when he died

9 maybe, he definitely wasn't 42.

10 Q. Could we move down the page, please, to paragraph 4,

11 where [REDACTED]'s brother tells us about his treatment for

12 haemophilia as a child. He says that he was first

13 treated for his haemophilia when he was about three or

14 four years old and was treated at the Princess Margaret

15 Rose Hospital, Edinburgh under the care of

16 a DrStirling. Do you know if [REDACTED] was treated at

17 Princess Margaret Rose Hospital?

18 A. I know they went to the Princess Margaret. I know there

19 were three hospitals they went to, because their mother

20 and father used to have to often, at that time, get

21 a taxi, get the ferry at that time and then get a taxi.

22 They would spend ten minutes with each of them at the

23 three hospitals. Sometimes the three of them would

24 probably be in hospital at the same time, and I know

25 they went round to two or three hospitals in that one

1 period to actually see them, to give them ten minutes
2 each or something. I know that. And the
3 Princess Margaret Hospital was definitely one of them.
4 I know that.

5 Q. I take it you know these things from what [REDACTED] told
6 you?

7 A. Yes, plus I heard his mother talking about that as well
8 before she died.

9 Q. His brother goes on to say that his treatment initially
10 consisted of mainly bed rest?

11 A. Yes.

12 Q. Is that what you heard from [REDACTED]?

13 A. Yes.

14 Q. Did he --

15 A. Even when I was first married to [REDACTED], a lot of it was
16 just bed rest because there was nothing really out at
17 that time. Maybe plasma later on but to begin with it
18 was a lot of bed rest, a lot of bed rest.

19 Q. [REDACTED]'s brother says there that sometimes they would
20 have to have bed rest for nine to ten months at a time?

21 A. Yes.

22 Q. Do you know if [REDACTED] spent long spells like that in bed?

23 A. Not as long as that when I married him, because that was
24 64, but at least weeks, four to five or six weeks, yes.

25 Q. Which must have been very difficult for a child?

1 THE CHAIRMAN: When he did have to have bed rest, was he
2 able to get up at all after you married him, or was he
3 very confined to his bed for weeks at a time?
4 A. When the haemorrhage was really bad, no, they couldn't
5 get up at all, and in those days we didn't have duvets,
6 it was blankets and sheets, and he couldn't even bear
7 the weight of them. When I was first married to [REDACTED],
8 I honestly didn't know what I was getting into.
9 I didn't know about haemophilia. And I couldn't even
10 walk across the room. [REDACTED] felt the pain.
11 THE CHAIRMAN: So even the vibration --
12 A. The vibration of walking across the room.
13 THE CHAIRMAN: What did you do about bedclothes, did you use
14 a cage?
15 A. It was just bed rest at the time, until the haemorrhage
16 went down and went away.
17 THE CHAIRMAN: But he would have to be covered in some way
18 or he would get cold --
19 A. Pardon -- what they done was it was like a --
20 THE CHAIRMAN: A cage was it?
21 A. A wire cage where the covers would go over that to keep
22 it free from his legs and that, because it was always
23 [REDACTED]'s knees that haemorrhaged. He haemorrhaged other
24 places but his knees were the worst, and nine times out
25 of ten that's where the haemorrhage was.

1 THE CHAIRMAN: So you would have to feed him in bed and look
2 after all his needs in bed?

3 A. Yes.

4 MS PATRICK: Do you know if he had spells of bed rest in
5 hospital as well as at home?

6 A. Not so much when I married him because, as I say, he
7 would rather -- sometimes they would want to keep him in
8 hospital and he would say, "I would rather go home and
9 bed rest".

10 Q. But as a child, do you know?

11 A. I'm sure he did.

12 Q. If we turn over to page 2 of [REDACTED]'s brother's
13 statement, his brother describes also being treated with
14 plasters on his legs and says that once -- this is
15 obviously his situation -- he had calipers put on his
16 legs to straighten them but this made the bleeds worse?

17 A. That's correct.

18 Q. Do you know if [REDACTED] ever had treatment like that as
19 a child?

20 A. I think he had plasters. I think he told me he had
21 plasters. I don't know about the calipers. I know his
22 older brother, [REDACTED], he was in hospital for about six
23 years at one time. The one that died. He was in the
24 hospital about six years. They tried everything:
25 plasters, calipers, everything. He was in for about six

1 years at one time. [REDACTED] was definitely in plasters, he
2 told me that.

3 Q. So unsurprisingly, having heard about the extent of this
4 treatment, [REDACTED]'s brother says he didn't go to school
5 until he was six years old and he left school at
6 11 years old and together with [REDACTED], he was home
7 tutored from then on?

8 A. That's right.

9 Q. This is obviously his brother, but you think that the
10 treatment was similar. [REDACTED]'s brother says that in
11 about 1956, when he was nine years old, he started
12 receiving treatment with blood products?

13 A. As I say, I can't mind the dates of that. It definitely
14 was about the same time as his brother.

15 Q. He says that he received treatment with blood plasma in
16 about 1956 and from about 1959 he was treated with
17 cryoprecipitate?

18 A. I would say so, yes.

19 Q. The amount of his treatment varied from year to year.
20 Sometimes he would have two bleeds a year, I think this
21 is when he is older and other years he could have ten.

22 He only receive the treatment in response to bleeds
23 and I think [REDACTED]'s brother didn't feel that the
24 cryoprecipitate helped him very much. So sometimes he
25 would not go into hospital but try and rest at home

1 instead?

2 A. That's right.

3 Q. Did [REDACTED] do that too?

4 A. Yes.

5 Q. So did he try and avoid going into hospital?

6 A. Yes.

7 Q. He must have known his own condition very well. So did

8 he realise --

9 A. He knew when a haemorrhage was coming on. He would go

10 over and get the treatment or just go to bed straight

11 away.

12 THE CHAIRMAN: What did he tell you that sort of indicated

13 to him that it was about to happen? Did he tell you

14 what he was feeling?

15 A. Well, it would be pain for a start.

16 THE CHAIRMAN: Right.

17 A. And I don't know the actual feelings inside him

18 because -- it was definitely pain to start with and

19 I think he would feel like blown up inside. It was

20 definitely pain.

21 THE CHAIRMAN: What I'm interested in is the possibility

22 that someone like [REDACTED] would have a sort of forewarning

23 before the bleeding actually started. He might just

24 feel something, because I have heard that suggested, you

25 see, that they could sort of sense that the thing might

1 be coming. But you remember him having --

2 A. He definitely knew when he was going to take a bleed.
3 He knew that. What he actually felt, I couldn't tell
4 you.

5 THE CHAIRMAN: You couldn't tell that?

6 A. Because once they started the Factor VIII, whenever they
7 knew it was coming on, they went straight over or by
8 that time they had it in the house as well, taking it
9 right away to try and shorten the length of it.

10 MS PATRICK: Looking at paragraph 5 of [REDACTED]'s brother's
11 statements, he says that when he was 16 or 17 years old
12 in about 1963 or 1964, he started receiving treatment
13 for his Haemophilia A at the Edinburgh Royal Infirmary
14 under the care of Dr Davies.

15 A. That's correct.

16 Q. That he was first treated with factor concentrate in
17 about 1969 and he says it was like a miracle cure?

18 A. That's correct.

19 Q. Was that [REDACTED]'s view too?

20 A. That's right. I'm saying, when they knew the
21 haemorrhage was coming on, at that time you went to the
22 hospital, got it. I'm never saying they stopped haemorrhaging
23 right away but it shortened the days they were ill with
24 it.

25 Q. Could we now return to your statement, to page 2, which

1 is WIT0040046? How did [REDACTED]'s inability to go to
2 school affect his life?

3 A. It didn't bother him. He was the kind of person -- he
4 actually always says to me that the time he spent with
5 the home tutor, that one hour/two hours, he learned more
6 than he ever thought he would do in the classroom,
7 because it was one-to-one and he always maintained that.
8 And he wasn't a stupid person. He wasn't a stupid
9 person.

10 Q. Did he manage to make friends?

11 A. Yes, yes.

12 Q. So by the time he was at school-leaving age, did he have
13 any qualifications?

14 A. No.

15 Q. Or exam results that were able to help him move on?

16 A. No.

17 Q. I take it there were many activities as a child that he
18 couldn't do?

19 A. Yes, well, he wasn't one for, like, football or anything
20 anyway. It was animals, outside, fresh air, animals.
21 No time for football. I don't know if it was because he
22 couldn't do it, I don't know. He absolutely had no time
23 for football. He liked to swim a bit but other than
24 that -- no, outside, fresh air, that was all he ever
25 wanted.

1 Q. Okay. So you tell us at the top of page 2 that you
2 think that [REDACTED], when you married in 1964, was using
3 plasma treatment for his haemophilia?

4 A. Yes.

5 Q. You remember that you were not long married when he was
6 admitted to hospital for a tooth extraction?

7 A. Yes.

8 Q. Sir, some medical records of [REDACTED] came into the Inquiry
9 office on Wednesday lunchtime, which had unfortunately
10 been filed away in [REDACTED]'s solicitor's office. So we do
11 now have them and I may refer to a couple of the records
12 and we will lodge them in court book after. But if any
13 issues arise out of them, which I think is unlikely,
14 then we can revisit the documents.

15 THE CHAIRMAN: Are they in electronic form or paper form?

16 MS PATRICK: They are in electronic form, so it shouldn't
17 take too long to get them into court book.

18 But one of the documents that the Inquiry has
19 received was a document showing that [REDACTED] was admitted
20 to hospital on 9 September 1964 for dental extractions
21 and I'm wondering if this is the episode you are
22 talking about here?

23 A. It maybe was 10 October. We were married in June and
24 I knew it was not long after that. I knew that.
25 I thought it was October but September/October.

1 Q. He was kept in hospital until 19 September and received
2 treatment with fresh-frozen plasma. I think in the same
3 records there is record of [REDACTED] having been admitted to
4 the hospital again about three years later, 1967, for
5 a treatment of a bleed resulting from a fall. Do you
6 remember that?

7 A. No.

8 Q. I think he had hurt his knee but please say if you can't
9 remember?

10 A. I can't (inaudible) but he will have been at the
11 hospital but long before that he is there between those
12 dates, and nine times out of ten, it was his knee.

13 Q. His knees gave him the most problems?

14 A. Most times when he haemorrhaged it was his knee. Well,
15 both knees actually.

16 Q. Okay.

17 THE CHAIRMAN: I take it he wouldn't always be admitted,
18 sometimes he would just go and be treated and get home?

19 A. Yes, but once that treatment started to come out, he was
20 going over to the hospital more as well to get the
21 treatment as well.

22 MS PATRICK: So it seems that [REDACTED] then received treatment
23 with cryoprecipitate in the 1970s and sometimes
24 treatment with Factor VIII as well, and then medical
25 records, which we have and will lodge, show that in 1981

1 ██████ was treated with cryoprecipitate on 32 occasions
2 that year for different types of bleed in the joints and
3 he was treated with cryoprecipitate on 12 occasions in
4 1982.

5 Then in 1983 he received a mixture of
6 cryoprecipitate and factor concentrate on 19 different
7 occasions for bleeds in different joints and for dental
8 extractions.

9 A. Right.

10 Q. So obviously dental problems brought with them treatment
11 as well?

12 A. He never ever went with to a local dentist.

13 Q. Where did he go?

14 A. The oral, the Edinburgh Royal Infirmary. He always went
15 for his dental treatment. He was never, ever under --
16 I think the only time he was under a local dentist just
17 before he was taken really with AIDS, and he had to get
18 all this -- he got dentures, and that was going to get
19 the dentures, not to get the treatment at the local
20 dentist. Every time it was the oral surgery at the
21 Royal Infirmary he went to.

22 Q. Okay. I would like to refer you to a document,
23 WIT0010437, which is a treatment sheet for ██████ for
24 most of the year of 1984. As you will see from the
25 columns on the left-hand side, this shows treatments

1 from the 1 January down to 3 October and we can see that
2 the sites of the bleed are recorded in a column, and you
3 have already told us the knees caused him the most
4 problems so unsurprisingly knees are often
5 mentioned?

6 A. That's right.

7 Q. The two knees are mentioned frequently there.

8 Looking down the batch numbers, we can see that the
9 batch numbers are recorded of the treatment which [REDACTED]
10 received and that between 7 March and 1 August, [REDACTED]
11 received batch number 90?

12 A. Right.

13 Q. Do you recognise this treatment sheet?

14 A. I have got a copy of that.

15 Q. You have a copy of it?

16 A. When I asked for his records, I hardly got anything but
17 this one was in it.

18 Q. Right. So do you think that's quite a typical example
19 of the bleeds that [REDACTED] suffered from?

20 A. Yes.

21 Q. And the amount of times he needed treatment?

22 A. Yes, sometimes not as much, sometimes more. You could
23 never put a time on it or an amount on it, that it
24 happened.

25 Q. Yes. At this time he is obviously just being treated

1 when a bleed happens?

2 A. Yes.

3 Q. Was there a time when he took treatment to prevent

4 bleeds occurring?

5 A. Not to my knowledge. It was only whenever he felt it

6 coming on or if he had the treatment in the house at

7 that time, take it.

8 Q. Okay.

9 A. I never heard him going over and -- I never knew they

10 could do that, go over and take anything to prevent

11 anything.

12 Q. Right. The records we have seen suggest that [REDACTED]

13 might have started treating himself at home about this

14 time?

15 A. Yes.

16 Q. Does this sound right to you?

17 A. I would say so, yes.

18 Q. I'm just wondering if the 'H's might suggest home

19 treatment, but you wouldn't be able to remember when

20 exactly he started that?

21 A. I don't know, I couldn't tell you.

22 Q. No. When [REDACTED] treated himself at home with

23 Factor VIII, did he keep records of his treatment?

24 A. Yes, he did.

25 Q. Yes?

1 A. Yes, did he.

2 Q. Was he very good at that?

3 A. Yes.

4 Q. Yes?

5 A. Yes.

6 Q. What did he note down? Did he have a specific form
7 from the hospital that he had to compete?

8 A. I think he just kept the date it happened and the batch
9 numbers and that. He used to write all that down.

10 Q. And the reason for the bleeds?

11 A. Yes.

12 Q. Then what happened to those records?

13 A. I honestly can't mind.

14 Q. Right. Going back to your statement, please, to
15 paragraph 5, you tell us that nothing was discussed with
16 [REDACTED] regarding the risks and benefits of his treatment?

17 A. No.

18 Q. You say the only thing he was ever told about was the
19 risk of another hepatitis virus but not the Hepatitis C
20 virus?

21 A. No.

22 Q. Or the HIV --

23 A. I had never heard of Hepatitis C.

24 Q. What do you think [REDACTED] would have done if he had known
25 that there were any risks of his treatment?

1 A. He wouldn't have taken it. He wouldn't have. Do you
2 mean before -- if he knew -- risks like that? No, he
3 would have went back to the old treatment.

4 Q. Would he?

5 A. Yes.

6 Q. I would like to move on to the second part of that
7 paragraph, which is about when you first heard of the
8 HIV virus, and you say that you first heard about it
9 when you were 40 years old and went to Canada?

10 A. That's correct.

11 Q. You say there was something in a newspaper there which
12 described how a person with haemophilia had contracted
13 the HIV virus through receiving contaminated blood
14 products?

15 A. That's correct.

16 Q. So had you heard about the virus on its own before then?

17 A. Hepatitis, but the hepatitis -- was it A or B? -- years
18 ago, but never, ever Hepatitis C, no.

19 Q. Had you heard about HIV before then?

20 A. No.

21 Q. No. So the first time you heard about HIV, it was at
22 the same time as you heard that it had --

23 A. No, at that time when I went to Canada, it was HIV
24 I heard about, not Hepatitis C.

25 Q. Yes.

1 A. HIV I heard about not Hepatitis C at that time.

2 Q. Right.

3 A. HIV, it was that I found out about.

4 Q. Because obviously what you heard about there was

5 a person with haemophilia contracting HIV?

6 A. Yes.

7 Q. What I was wondering was if before that, you had heard

8 of HIV but not in connection with a person with

9 haemophilia?

10 A. I think we did but it was supposed to be other people,

11 nothing at all, nothing at all to do with haemophilia,

12 nothing.

13 Q. Okay. But you might have heard of the virus, of HIV

14 before then?

15 A. Yes, I'm sure I heard of the virus through the media and

16 things like that.

17 Q. But this was the first time that you heard there might

18 be a connection?

19 A. Yes, yes. That's what I have wrote there. I actually

20 cut it out and brought it home and showed it to my

21 husband.

22 Q. Yes.

23 A. And he completely dismissed it. Told me it couldn't

24 happen here.

25 Q. And why did he think that?

1 A. Because he always was led to believe that Scotland
2 produced their own. It was never -- it was always
3 tested, it wouldn't be infected or anything. He was
4 always led to believe that and he believed that right up
5 to the end, he believed that.

6 Q. Right. So he believed that all the treatment he was
7 receiving was Scottish?

8 A. Yes.

9 Q. Okay. So you were obviously worried about the article?

10 A. Well, I wouldn't say I was worried, I just thought it was
11 a bit funny, a haemophilic. When I brought it home and
12 showed him, he just completely dismissed it. "It can't
13 happen here, it won't happen to us. We don't get that
14 blood. They sell their blood, they sell their blood and
15 it's contaminated with drug addicts and prisoners. It
16 doesn't happen here." Completely, completely dismissed
17 it.

18 Q. Okay. Moving on to paragraph 6 of your statement, you
19 say in about 1986 your husband got word from the
20 Haemophilia Society about practising safe sex, and you
21 had been married 20-odd years by that time and couldn't
22 understand why you were being told about this?

23 A. That's correct.

24 Q. You then go on to talk about a meeting at Edinburgh
25 Royal Infirmary of people with haemophilia and

1 DrLudlam.

2 A. Yes.

3 Q. I think you are aware that such a meeting took place in
4 1984?

5 A. Pardon?

6 Q. A meeting like the one you are talking about there took
7 place in 1984. So I was wondering if your date of late
8 1986 --

9 A. That's right, 1986 -- no, I said 1986 was when my
10 husband went over and asked to be tested.

11 Q. Right.

12 A. It was December 1986. My husband went over and asked to
13 be tested.

14 Q. Which we see in the next paragraph. So do you think
15 this was earlier?

16 A. Late 1984 that meeting has been, yes, after I came back.
17 That bit's wrong.

18 Q. Could this have been 1984 --

19 A. Yes, it could have been.

20 Q. -- that you are talking about here?

21 A. Yes.

22 THE CHAIRMAN: So we get the sequence. You have been in
23 Canada, brought back the --

24 A. I come back from Canada in July 1984, and maybe late
25 1984 then. We started getting word about --

1 THE CHAIRMAN: You clearly wanted to know what the position
2 here was.

3 A. Yes.

4 THE CHAIRMAN: So you can say fairly clearly that it would
5 be before the end of the year that the meeting took
6 place?

7 A. Yes, I would say so, yes.

8 MS PATRICK: Okay. You say that [REDACTED] went to the meeting
9 but you didn't go.

10 A. No, it was only -- that first meeting, to my knowledge
11 it was only the men.

12 Q. You say:

13 "The doctors there (I am not sure which doctors were
14 actually at the meeting) were asked if the HIV virus
15 could be transmitted through blood products."

16 A. Yes.

17 Q. "The doctors told everyone there not to worry. They
18 were still maintaining that it was coming through the
19 gay community."

20 A. Yes.

21 Q. "The doctors said, 'We are only telling you about this
22 virus but it won't affect you'."

23 A. That's correct.

24 Q. And [REDACTED] stood up at the meeting and said:

25 "Of course it won't affect us. Scotland makes its

1 own."

2 A. That's correct.

3 Q. So that was [REDACTED] stating his belief that the treatment

4 he was getting was Scottish?

5 A. Yes.

6 Q. Then one of the doctors there -- and you are not very

7 sure which doctor -- said:

8 "No. We have been giving you not home grown stuff."

9 A. That's correct.

10 Q. You say there that [REDACTED] could be volatile and he

11 erupted at this. He told the doctors that they had no

12 business giving them stuff from abroad and asked why he

13 had not been told about this?

14 A. That's correct.

15 Q. The doctors said that they could do what they wanted.

16 They said that Scotland had been running low and they

17 had to give the patients something.

18 A. That's correct.

19 Q. You say that you know what happened at the meeting

20 because [REDACTED] told you about it word for word.

21 A. He was that kind of person. He wanted -- he always

22 wanted to know things himself and he would tell you

23 them. He was just that kind of person. He had to dig

24 and dig and dig until he found the answers, and then he

25 would tell you straight off.

1 Q. So did he come straight back from the meeting and tell
2 you --

3 A. Yes, he told me everything that happened at the meeting.

4 Q. You say that he was very, very angry --

5 A. Yes.

6 Q. -- after that meeting. Why was he angry?

7 A. Because they hadn't -- he wasn't told. They weren't
8 telling him. They were under the impression that
9 nothing was going to happen to them.

10 Q. That was obviously the first time he heard that he might
11 have been treated with something that wasn't Scottish?

12 A. Yes.

13 Q. I wonder if we could move on to paragraph 7, which is
14 just at the bottom of this page. You say that in
15 about December 1986 you went with [REDACTED] and your son to
16 see Dr Watson, a consultant haematologist at Edinburgh
17 Royal Infirmary?

18 A. Yes, I was convinced it was Henry Watson. It
19 was December 1986 we went to him and I was convinced it
20 was Dr Henry Watson at that time.

21 Q. Well, the Inquiry has been made aware that Dr Watson
22 didn't start working at Edinburgh Royal Infirmary
23 until February 1990. So it may have been another
24 doctor?

25 A. It was definitely December 1986.

1 Q. Right. Yes, because there is a letter confirming --

2 A. There is a letter to prove it. Balfour Manson, the

3 lawyers got the letter confirming it from DrLudlam.

4 THE CHAIRMAN: Ms Patrick, was that when Dr Watson was

5 appointed a consultant haematologist?

6 MS PATRICK: Yes, he was in Swansea until 1990.

7 THE CHAIRMAN: I suppose it's possible that you got to know

8 the name "Henry Watson" a bit later and that's what

9 stuck, but you are fairly certain?

10 A. I was convinced. Maybe I'm entirely wrong.

11 THE CHAIRMAN: It's not the most important thing.

12 A. It was definitely December 1986, I know that for a fact.

13 MS PATRICK: I'll show you the letter you are talking about

14 there, which is WIT0010439. I'm sorry, it's not the

15 most easy to read. I think the paper was grey, which

16 hasn't helped the photocopying.

17 Can you see this on the screen?

18 A. I have actually got it in the house anyway. I know.

19 Q. So you know what it says. It's a letter from lawyers.

20 Was this to you and [REDACTED]?

21 A. Yes.

22 Q. It's the second paragraph that says:

23 "We have been awaiting a letter from DrLudlam

24 confirming when you were informed of your diagnosis and

25 this has just come to hand. He informs us that your

1 anti-HIV status was made known to you in
2 approximately December 1986."

3 A. That's correct.

4 Q. So going back to your statement in paragraph 7, you tell
5 us that [REDACTED] had arranged that appointment as he wished
6 for you all to be tested for the HIV virus?

7 A. That's correct.

8 Q. Do you know what prompted [REDACTED] to do that?

9 A. As I say, with that meeting and then they said nothing
10 was going to happen, but there was more and more and
11 more in the media about HIV. There was more and more
12 coming out about haemophiliacs. They were getting more
13 and more transfers up from the Haemophilia Society. As
14 I tried to say to you, he was that kind of person:
15 things had to go in his mind and the form -- and he has
16 got to find out, and it just come to the point he wanted
17 to find out. And it wasn't for himself, it was because
18 he thought we were going to be -- me and my son was --
19 he wasn't bothered about himself, it was us. This was
20 what was getting him.

21 THE CHAIRMAN: Had he been going on about this for a while
22 before the arrangement was made for a meeting?

23 A. Everything was just coming up. I said, "Slow, just bit
24 by bit". And it was creeping in about more
25 haemophiliacs being infected. He said, "What's going on

1 here? They have said to us 'Have safe sex'. We have
2 been married for 20-odd years. What are we going to
3 have safe sex for?" Alarm bells just started to ring in
4 his mind and he said, "No, there is something going on
5 here". He was just a very suspicious man, especially
6 about medical matters.

7 THE CHAIRMAN: Maybe "suspicious" isn't the right term but
8 it is building up inside him.

9 A. Yes.

10 THE CHAIRMAN: As information comes out.

11 A. Inquisitive.

12 Q. It just reaches a point he has to do something about it?

13 MS PATRICK: As you have just told us there, he was not so
14 much worried for himself but for you and your son.

15 A. That's correct.

16 Q. And you had one son. How old was he at this time?

17 A. 86, the same -- he was born in 1967.

18 Q. 19.

19 A. 19.

20 Q. And the doctor you saw tried to tell [REDACTED] that your son
21 didn't need to be tested for the virus but [REDACTED]
22 insisted and you all gave blood samples for testing.

23 A. That's correct.

24 Q. About one or two weeks later [REDACTED] went back alone to
25 see the doctor for the test results and the doctor said

1 to him, "Your family is okay, and [REDACTED] said, "Fine" and
2 the doctor then said to him, "But you are not asking
3 about yourself"?

4 A. That's correct.

5 Q. And [REDACTED] replied that he had assumed when the doctor
6 told him the family was okay that that meant all of you,
7 but he now took it that the doctor hadn't meant that and
8 the doctor said, "You are right, you are HIV positive"?

9 A. That's correct.

10 Q. Did [REDACTED] tell you about this?

11 A. Whenever he come in the door. Whenever he come home.

12 Q. How was he when he came home?

13 A. Upset. Relieved for us. But he was upset. More upset,
14 I would say -- no even knowing what had happened to him
15 was what he hadn't been told. That was really upsetting
16 him.

17 Q. In paragraph 8 of your statement you refer to a letter,
18 WIT0010438, which is a letter from DrLudlam, and
19 I think was that the letter to you?

20 A. That come to me in 2003.

21 Q. Yes. You had obviously been asking him for some
22 information?

23 A. Yes, I had been wanting his records at first, and this
24 was when I started hearing about -- reading about the
25 Hepatitis C, because up until then I hadn't been told

1 anything about Hepatitis C. And I was like [REDACTED],
2 I started to get inquisitive, and I asked for records
3 and I got this letter off DrLudlam.

4 Q. If we look at the fourth paragraph, it stated that he
5 looked back at [REDACTED]'s records and found that he was
6 negative for the HIV antibody test on 31 January 1984
7 and was found to be positive on 29 May 1984, and during
8 that period he was treated exclusively with Scottish
9 national blood transfusion Factor VIII concentrate and
10 it seems highly likely that he became infected from that
11 concentrate. During that period we know, having looked
12 at the treatment sheet, that he was treated with an
13 implicated batch, number 90?

14 A. Yes, you said that.

15 THE CHAIRMAN: I have a bit of a worry about this letter.
16 You see it says that he was negative on 31 January 1984
17 and was found to be positive on 29 May 1984. I don't
18 think he actually could ever have been tested on
19 31 January 1984. How did you read this letter. What
20 did you understand you were being told?

21 A. When I read it, to me the -- he has been tested in
22 the January and he was negative, but he has been tested
23 again on the May 1984 and he was positive.

24 THE CHAIRMAN: That's the way you read it, and I can
25 understand that but it's just possible that what ought

1 to have been said was that samples taken in these two
2 dates were tested later. It's just possible but you
3 didn't read it that way at all?

4 A. No.

5 THE CHAIRMAN: I can understand why you didn't but it's one
6 of these letters that maybe creates more confusion than
7 it solves, but we will be looking to try and find out
8 what actually happened, so don't worry too much about
9 the letter itself.

10 MS PATRICK: If we go back to paragraph 8 of your statement,
11 you tell us after referring to that letter that [REDACTED]
12 asked the doctor why he had not been told that he had
13 the HIV virus sooner. Was this at that appointment when
14 he found out that he had the HIV virus?

15 A. Yes.

16 Q. So if [REDACTED] was asking that, he obviously thought that
17 the doctors had known about the virus before and that he
18 was positive for it?

19 A. Yes.

20 Q. Do you know why he thought that?

21 A. Well, by that time -- it was 1986?

22 Q. Yes.

23 A. I'm trying to think. He just assumed -- we hadn't got
24 him tested at that -- that they are bound to have known
25 before that. This is not just about that date and

1 been tested and found there and then that he is HIV
2 positive. He says, "It has no just come from the last
3 time I was at the hospital. I have asked for this
4 test." He said, "They are bound to have known".

5 Q. So that was why he asked why he hadn't been told sooner?

6 A. Yes.

7 Q. The doctor told him that DrLudlam didn't like telling
8 anyone that they were HIV positive and you wouldn't be
9 told about your diagnosis with the virus unless you went
10 and asked about it?

11 A. That's correct.

12 Q. He told him that DrLudlam didn't like giving people
13 that kind of news and in relation to the HIV virus, the
14 doctor didn't say much more than that?

15 A. No.

16 Q. Other than that it might not develop into full-blown
17 AIDS?

18 A. Yes, he was told that.

19 Q. Is this what [REDACTED] recounted to you when he came back
20 from the meeting?

21 A. Yes.

22 Q. You say in paragraph 9 he came home and he came in the
23 door and told you right away. He was glad that you and
24 your son did not have the HIV virus. You say:

25 "To be truthful, we didn't know much about the virus

1 other than that it affected gay people."

2 A. That's correct.

3 Q. "We had no idea what we were in for."

4 A. That's correct.

5 Q. You tell us that he thought that they had known for

6 a while that he had the virus. How did he feel about

7 not having been told the result earlier?

8 A. Very angry. As I say, again not for himself, it was in

9 case it had infected me. This was his whole, whole

10 thinking. He was never ever bothered about himself; it

11 was in case it affected any of us.

12 Q. You tell us in paragraph 10 that [REDACTED] had no idea that

13 he had been tested --

14 A. No.

15 Q. -- for the HIV virus prior to the time when he asked --

16 A. That's correct.

17 Q. -- for the test. And these tests were carried out by

18 the doctors without his consent and he usually gave

19 blood samples when he attended the haemophiliac clinic.

20 You say, if he had known he had been tested for the

21 virus, he would have asked for you and your son to be

22 tested?

23 A. That's correct.

24 Q. You tell us in paragraph 11 that after [REDACTED] was

25 diagnosed with the HIV virus, you just continued the way

1 you were doing?

2 A. Yes.

3 Q. What was your family life like before [REDACTED] was
4 diagnosed with the HIV virus? Did [REDACTED] manage to work?

5 A. No, very rarely, very rarely.

6 Q. Was this due to his haemophilia?

7 A. Yes. Even when he was all right, people wouldn't -- we
8 come from a small village and people -- nine out of ten
9 knew him and they wouldn't have taken him on for
10 insurance point of view. If they knew him -- it's the
11 factories and that, you were provided with what they
12 called at that time a "green card" and then you were
13 classed as disabled. And you wouldn't have been taken
14 on by a lot of places at that time, if he revealed he
15 was a haemophilic. He used to say, "I'm all right,
16 I could do such and such a thing", but nine times out of
17 ten they wouldn't have taken the chance.

18 THE CHAIRMAN: Disability discrimination just ruled, did it?

19 A. Never had that in their days, not at that time.

20 MS PATRICK: Did you work at that time?

21 A. No.

22 Q. Was your son living with you at that time?

23 A. Yes.

24 Q. And had he left school by then?

25 A. Yes.

1 Q. What was he doing?

2 A. He was -- a cement thing. He has been at they jobs
3 later than that. He is married and that now.

4 Q. So you say that you just continued the way you were
5 doing?

6 A. Yes.

7 Q. You weren't offered any advice, counselling or support?

8 A. No.

9 Q. In about 1987 [REDACTED] was referred to Dr Richardson,
10 a clinical psychologist?

11 A. That's correct.

12 Q. After a rocky start you tell us --

13 A. Very rocky start.

14 Q. A very rocky start. Do you want to tell us about that?

15 A. Well, as I have tried to put in that, I don't swear,
16 I have never sworn in my life but my husband was the
17 opposite, very volatile. And at that time, as I say, it
18 was coming out about the gays and everything, and
19 I don't mean any harm to anybody. And when Alison first
20 come there she was exclusively for the gays with for
21 HIV, and when he was introduced to her and told, well,
22 he says, "You are not coming near me". Words to that
23 effect. He told he would have nothing to do with her.
24 But he got over that and Alison herself used to laugh
25 about it later on. She was good to him. She was good

1 to him.

2 Q. He saw her quite a lot?

3 A. Yes.

4 Q. He found that helpful?

5 A. Yes.

6 Q. You say at the end of paragraph 11 that he asked her all
7 the things which could happen to him?

8 A. Nobody was telling us a thing. We didn't know what --
9 you know when somebody takes cancer what side effects
10 you can get, things like this. Nobody was telling us
11 what could actually happen. What -- we were sitting
12 there in the dark. And I asked Alison one day and
13 Alison completely told us. She says it could be
14 different things, it could be cancer, it could be brain.
15 Alison went through all of it with us. She said, "I'm
16 not saying you are going to get that". But nobody was
17 telling us that. We were just in the dark, we weren't
18 getting told nothing except for Alison.

19 Q. You say there that [REDACTED] spoke to her for a while about
20 suicide?

21 A. Yes.

22 Q. Then he got past that idea.

23 A. But I didn't even know until we started doing this
24 Inquiry that he had started speaking to his brother
25 about it. I didn't even know that he had actually been

1 to his brother about it as well.

2 Q. But then you say he got past that idea and that

3 Dr Richardson was very supportive to both of you and you

4 continued to see her after [REDACTED] died?

5 A. Yes.

6 Q. You tell us in paragraph 12 that you do not know what

7 [REDACTED] was told about the risk of transmission and steps

8 to take to prevent or reduce the possibility of

9 transmission of the virus, but after he was told of his

10 diagnosis he never again had relations with you.

11 A. That's correct.

12 Q. And you say you tried to reassure him but he was that

13 paranoid and petrified of infecting you that side of

14 your marriage was over forever.

15 A. That's correct.

16 Q. You tell us also that he took to drink for a long time?

17 A. That's right.

18 Q. Which, from what we have heard earlier, was not the kind

19 of man [REDACTED] was?

20 A. Exactly.

21 Q. Your son had grown up and you had started going out at

22 weekends sometimes together?

23 A. That's correct.

24 Q. And --

25 A. It was always together, he never went out on his own.

1 It was always together.

2 Q. That was good until he was told of his diagnosis with
3 the HIV virus and then he started drinking more whisky?

4 A. That's correct.

5 Q. It was very difficult for you to cope with that and you
6 say that this was perhaps ██████'s way of coping with his
7 fear and frustration?

8 A. Yes.

9 Q. You say that he eventually calmed down and by that time
10 he was getting weaker and he wasn't able to --

11 A. He wasn't able to go out after that as the time went on.

12 Q. In paragraph 13 you tell us that the first symptoms of
13 the HIV virus that ██████ had, that you were aware of,
14 were loss of appetite and loss of weight?

15 A. Yes.

16 Q. You think that he had these symptoms for a couple of
17 years before he was diagnosed with the virus?

18 A. Yes, I think so.

19 THE CHAIRMAN: Before we go on to the symptoms that you are
20 coming to deal with, you have really given us
21 a conclusion that ██████'s life for the period that he
22 was drinking wasn't very good, and you have to suffer
23 the spin-off. I have to try and get a complete picture.
24 Can you give me some sort of impression of what was
25 actually going on? Was he drinking every night of the

1 week or ...?

2 A. No, no. As I say, he was never a drinker. When we went
3 out, he would drink and drink and drink and then he
4 would come home and it would be argue, argue, argue.

5 THE CHAIRMAN: So it affected his mood and his attitude to
6 you, did it?

7 A. Yes, his personality changed altogether.

8 THE CHAIRMAN: And you got the brunt of it?

9 A. I got the brunt of it.

10 THE CHAIRMAN: Was that over quite a long period of time?

11 A. Maybe about at least six months, maybe more. Maybe six
12 months in the year, yes.

13 THE CHAIRMAN: I think the picture is clear enough.

14 A. It was a long time to me because I was never used to
15 that.

16 THE CHAIRMAN: Indeed.

17 A. As I say, at one time if you wanted to go out for
18 a drink, he would just walk away, but when we went out,
19 he would just drink, drink, drink. I realised what it
20 was. It was his way of coping with it. But he didn't
21 realise everybody else was getting the brunt of it.

22 THE CHAIRMAN: I think that's probably enough to fill in the
23 picture.

24 MS PATRICK: Okay.

25 THE CHAIRMAN: You do understand that it helps the Inquiry

1 to know more rather than less but --

2 A. I mean for somebody that never acted like that, it's
3 a terrible thing to see, that their personality changing
4 like that. And completely going down that other road
5 and being -- even "nasty" is not the word for it. It is
6 more than nasty. You have to try and think to yourself,
7 "Well, that's not him". You are trying to convince
8 yourself.

9 It wasn't easy and it wasn't easy for my son to be
10 in the middle of it. My son was still in the house at
11 the time, as you know, and he tried to give his dad the
12 benefit as well, but it's hard when your family is in
13 the middle of it as well. He didn't want to see me
14 hurting but he didn't want to hurt his father as well.

15 MS PATRICK: Thank you. We were looking at paragraph 13 of
16 your statement and you just mentioned that you thought
17 [REDACTED] had had symptoms of loss of appetite and loss of
18 weight before he found out that he had HIV.

19 A. Yes.

20 Q. I wonder if I could refer you to WIT0040144.

21 Sir, we tried to recover medical records from the
22 health board. There is a letter, WIT0040143, which
23 explained that they were unable to release them as they
24 unfortunately couldn't be located but what was provided
25 was this data stored on a historical database. There

1 was another page of it.

2 THE CHAIRMAN: I hope so because this page is not telling me
3 much.

4 MS PATRICK: It's not telling you very much at all but for
5 what it's worth, it's here and I just wanted to refer to
6 the reference of "PGL" in August 1985, which I wonder if
7 might refer to persistent generalised lymphadenopathy,
8 which is swollen lymph nodes.

9 A. Pardon?

10 Q. PGL may be persistent generalised lymphadenopathy, which
11 is swollen lymph nodes.

12 A. That's right.

13 Q. Which is one of the symptoms of the HIV virus?

14 A. Right.

15 Q. So that's why that's there.

16 THE CHAIRMAN: Do you remember hearing ██████ talk about
17 that, lymphadenopathy? He wouldn't get the rest of it.

18 A. I wouldn't have known the name, but I mind him saying
19 when he started to go -- when he started to feel ill and
20 they were testing him for in here and that. I minded
21 that now. Your lymph glands are in there -- that's
22 right.

23 MS PATRICK: We were wondering, sir, if the CDC column is
24 the grading of the symptoms in terms of CDC.

25 THE CHAIRMAN: That won't mean much to you either?

1 A. It doesn't.

2 THE CHAIRMAN: CDC, I think, is an American --

3 A. Actually, I have got a letter from DrLudlam saying that
4 they have not got any record -- his records from 1985,
5 1986 and 1987. And in his opinion [REDACTED] wasn't at the
6 hospital and being treated.

7 THE CHAIRMAN: Yes, well, I think, if we start at the bottom
8 and work up, it's fairly clear that he was being seen
9 and that he has to have been tested in some way for
10 a CDC score to be in.

11 A. That's correct. Even taken -- even -- they are saying
12 that by this time he was diagnosed with HIV. So was he
13 not getting treated then if there were no records for
14 him?

15 THE CHAIRMAN: If we just look at this sheet, it looks as if
16 in the beginning of August 1985, information has been
17 available that led to the comment about his lymph glands
18 being --

19 A. I never got no records for those dates.

20 THE CHAIRMAN: And no one has told you anything about this
21 sheet yet? Is this the first time you are seeing it?

22 A. No, I got this just from the Inquiry --

23 THE CHAIRMAN: Yes, I know. Sorry, in the context of the
24 Inquiry.

25 A. Not from the hospital or anybody, no. They have got

1 this, no.

2 THE CHAIRMAN: I'm sure Ms Patrick --

3 A. I've got a letter from DrLudlam stating, when I asked
4 why I never got all these record, he says 1985, 1986 and
5 1978, they couldn't get them.

6 MS PATRICK: Do you want me to show you the letter?

7 A. Yes, please.

8 Q. It was the one we looked at before, WIT0010438.

9 THE CHAIRMAN: I'm sure if Ms Patrick can help you
10 understand any of it, she will do it so that you get
11 some information now.

12 MS PATRICK: I think this is what you are explaining here,
13 Elaine. It's in relation to the third paragraph,
14 because you are wanting ██████'s treatment records. Yes,
15 and in the third paragraph DrLudlam is saying there
16 that he didn't have any treatment in those years and
17 therefore there would not be any transfusion records
18 available.

19 A. That's correct.

20 Q. You talk about that in paragraph 20 of your statement,
21 where you say basically there is no way that you feel
22 that he didn't have treatment in those three years?

23 A. Plus -- they are saying that he was diagnosed in 1984
24 with HIV, so was he not getting treatment for that HIV
25 for those three years, never mind the haemophilia?

1 Q. I think this is in relation to the treatment records for
2 haemophilia?

3 A. Yes.

4 Q. Yes. Because I think you felt that they were missing
5 from the records that you did recover?

6 A. Yes.

7 Q. Is that right? That is the explanation that you got
8 from DrLudlam for that?

9 A. Yes. You have already seen the draft for 84, when he
10 had been at the hospital for his haemophilia for
11 the January to the October, 22 times, and then DrLudlam
12 saying he wasn't there for the next three years. It was
13 a big jump.

14 Q. Could I take you to the next page of the data records
15 that we were looking at, which has a bit more
16 information on it than that page did, WIT0040154.
17 This tells us a bit more and that in April 1989 the
18 entry is irregular pentamidine, which I hope
19 Professor James will know, is a treatment for PCP, the
20 pneumonia?

21 A. I heard about pneumonia two or three times.

22 Q. So it's suggesting maybe that he was getting some
23 irregular treatment of that drug to try and prevent
24 pneumonia.

25 A. I know at least twice he had that pneumonia.

1 Q. He does have that because we can see that further up on
2 the sheet -- it actually goes up in time -- you will see
3 that along the line from 1 June 1990, it says "PCP",
4 which I think is referring to pneumocystis pneumonia?

5 A. That's correct, yes.

6 Q. "Start AZT ..."

7 Which is treatment for HIV:

8 "... and PCP prophylaxis."

9 Which is suggesting that he carries on taking
10 a medication to stop PCP, the pneumonia, coming back.
11 Because you tell us that in paragraph 13 of your
12 statement -- you don't need to go back to it -- that in
13 about 1988/1989 [REDACTED] developed pneumonia.

14 A. Yes.

15 Q. But could it have been June 1990, as shown here?

16 A. Yes, that's what I'm saying, I wasn't sure about the
17 dates. I found out that right date. It was June 1990.

18 Q. Yes. It is quite a wee way back. So don't worry about
19 that.

20 THE CHAIRMAN: You think 1989 and if we look at

21 1 April 1989, [REDACTED] was getting Pentamidine, which is
22 related to that disease. Do you remember if he did have
23 lung-type problems, shortness of breath, things like
24 that?

25 A. Yes, I think he did. Yes.

1 THE CHAIRMAN: There had to have been something that would
2 spark off treatment.

3 A. As I say, I just can't remember -- go through
4 everything. What was it? It was a lack of appetite to
5 begin with and then everything just kept coming on with
6 that, and then he lost the weight and he did start
7 getting a bit chesty, things like that, and then I can't
8 mind the first time he attended with pneumonia the first
9 time, because they said at that time, when he had taken
10 the pneumonia the first time he was kind of lucky,
11 because to begin with, maybe a few years before it, you
12 only got that pneumonia once and you usually died not
13 long after that, but they cured him of it. Well, they
14 got it. It must have been about June 1989, he had taken
15 it again. I just can't mind when it was the first time
16 he actually took the pneumonia.

17 THE CHAIRMAN: Perhaps it doesn't matter terribly much, but
18 if we take it that there must have been some symptoms
19 earlier.

20 A. He has had this before that. So he has obviously had
21 the chest problems and that as well.

22 Q. In paragraph 13 you tell us that he developed pneumonia,
23 and it may be this June 1990 time?

24 A. I know there wasn't much time between them when he had
25 the pneumonias then.

1 Q. This suggests it could have been June 1990
2 and January 1991?

3 A. That's what I'm saying. I knew it wasn't long between
4 them. He seemed to be just getting over it and he was
5 getting it again.

6 Q. Yes. Can you remember if it was the first or the second
7 time that [REDACTED] had the pneumonia that he was told that
8 he developed AIDS?

9 A. It was the last time.

10 Q. It was the last time?

11 A. It was the last time he had pneumonia, yes.

12 Q. You tell us that he was in hospital and Dr Watson was by
13 then at Edinburgh Royal Infirmary?

14 A. Yes.

15 Q. He told [REDACTED] that he had developed full-blown AIDS and
16 tested him for this and he told him that he would come
17 back and give him the results of that test?

18 A. He told him -- he was saying to him it was pneumonia and
19 he was going to be testing him for full-blown AIDS, and
20 he would come back. [REDACTED] said, "Will you come back
21 and tell me the result," and he said "yes", but he
22 didn't. It was another young doctor.

23 Q. [REDACTED] said that the doctor just said he was in for
24 full-blown AIDS and walked out of the room, and [REDACTED]
25 was very upset to have been told the news that he had

1 AIDS --

2 A. They said to him it was that type of pneumonia and that
3 means you are in the full-blown AIDS, and he just walked
4 out the room again.

5 Q. [REDACTED] later got an apology from Dr Watson for not having
6 been told.

7 A. Yes, he did.

8 Q. You tell us that [REDACTED] then did have pneumonia two or
9 three more times, you say, and his body started to give
10 out and he had to have a nasogastric tube inserted?

11 A. Yes.

12 Q. This is at the bottom of paragraph 13. He had a lot of
13 infections.

14 Sorry, I wonder if we could just go back to that
15 form we were looking at, just so we could finish off
16 what it told us. 0145. This also tells us that [REDACTED]
17 started AZT treatment, which was treatment for the HIV
18 virus, in June 1990. How did [REDACTED] find that treatment?
19 Did he have any side effects from it?

20 A. I don't know if -- I don't know if it was thought there
21 were side effects of the treatment or was it the effects
22 of the actual virus. He had a lot of diarrhoea. His
23 face was always covered. It was things like that.
24 Tired all the time. I don't know -- we just took it to
25 be the actual virus.

1 Q. So his AZT was increased in January 1991 and it's noted
2 that he is on Pentamidine, which is this drug we were
3 explaining that is to try to prevent the pneumonia
4 happening.

5 A. Right.

6 Q. Then it's recorded, April 1991, "HIV wasting", losing
7 weight, which you have described to us already. Then
8 in July 1991, oesophageal candidiasis, which is an
9 infection?

10 PROFESSOR JAMES: Fungus infection.

11 A. Like thrush and that you mean?

12 PROFESSOR JAMES: It is thrush, absolutely right. That's
13 what it is.

14 MS PATRICK: Do you remember that?

15 A. That's right.

16 Q. Then in November 1991 he stopped AZT and it's noted
17 cytopenia, which is I think is a reduction in the number
18 of blood cells. Could that have been the side effect?

19 PROFESSOR JAMES: Yes.

20 MS PATRICK: So maybe he stopped the AZT there because he
21 was having bad side effects, which was cytopenia. Then
22 in December 1991, he restarted AZT treatment.

23 You say, going back to paragraph 13 of your
24 statement, that you became his carer and did everything
25 for him?

1 A. Yes.

2 Q. He had a nasogastric tube inserted?

3 A. Yes.

4 Q. Did you help with feeding him?

5 A. Yes.

6 Q. Through that tube?

7 A. Yes.

8 Q. Presumably, as his condition deteriorated, more and more

9 of your input was needed to look after him?

10 A. Yes.

11 Q. What support did you get during that time?

12 A. The local doctor -- as I say, the only support was when

13 Alison came out. My local doctor would come out and the

14 nurse -- the local nurse came Monday. That was maybe

15 [REDACTED]'s fault in one way. He was that kind of man. He

16 said, "I don't need help, my wife will do it". I had

17 nobody from the hospital or anything. The only help --

18 it was Alison come out, give us advice and my doctor was

19 there if I needed anything. That was it.

20 Q. Did your son help too?

21 A. I didn't ask my son. My son would do -- my son is

22 a very deep person. And I would even help [REDACTED] in the

23 bath and everything. He was complaining one night I was

24 going to give him pneumonia. He was not going to die

25 with the HIV, he was going to die from the pneumonia.

1 Because this new chair to try and get him in -- we
2 didn't have a shower, we had to get a shower later on --
3 and I'm trying to get him on the chair in the bath and
4 he is saying, "Would you get the water on, I'm going to
5 die of pneumonia, not the HIV". Those things, you had
6 to kind of laugh, or you would just break down. So I
7 nearly killed him with pneumonia by not bathing him
8 right. I done everything for him, everything.

9 MS PATRICK: Which was obviously exactly how he wanted it to
10 be.

11 A. Yes, that's how I wanted it as well.

12 Q. In paragraph 14 of your statement you tell us how you
13 didn't know how to tell people about his diagnosis?

14 A. Hm-mm.

15 Q. You tell us that you didn't tell many people?

16 A. That's right.

17 Q. Who did you tell at the time that [REDACTED] was diagnosed?

18 A. There was a person we used to go to when we went out to
19 have a drink, and that was a person he went out -- and
20 he told this person, and nothing was said that night but
21 later on, a couple of weeks later, it was New Year, and
22 we had been at their house and he came over to [REDACTED] and
23 he said, "Don't you kiss my grandchild again", and [REDACTED]
24 just went home and completely broke down. It broke his
25 heart. For a start he loved children. He would never

1 hurt a child in his life and that just...

2 Alison used to say that. She said, "I don't know
3 how you are with that. You are in a small village.
4 I don't know if it will work for you or it will work
5 against you. If people know, they might rally around
6 you, lend a hand, and everybody would know then." You
7 didn't know what to do.

8 Later on, I don't bother now. [REDACTED] never done any
9 harm now. And more people know now -- especially the
10 fact that -- [REDACTED] comes from a big family, same thing
11 in a small village, every second person is
12 a (inaudible), and that's true. And I let them all go
13 daft now, say, "Why did you not tell us?" But we didn't
14 know how people would react and after he done that --
15 and it wasn't for himself. He didn't want my son -- my
16 son was at that age. He didn't want anything coming
17 back on my son.

18 My son was -- it's his wife. My son was going with
19 a girl at that time. He didn't know how she would
20 react. You have to look at all that kind of thing. She
21 is his wife now, I have got two wee grandchildren now.
22 So it worked out that way but after the boy done that
23 to him he just -- he didn't want to tell anybody else.
24 Q. You can understand why he took that view. You tell us
25 also that he became good friends with a 30-year old boy

1 with haemophilia who had acquired the HIV virus and
2 sadly this boy died a couple of months before [REDACTED] and
3 that broke [REDACTED]'s heart. You tell us that
4 in January 1992, it was the only time that [REDACTED] broke
5 down about his condition. So he had obviously been very
6 strong and he had been to the hospital and had told the
7 nurses there that he thought he only had six weeks to
8 live?

9 A. That's right.

10 Q. They had told him not to speak like that and he had
11 perhaps a year, and [REDACTED] came home and told you about
12 this and you told him that he promised you he would keep
13 fighting, and he said he would keep fighting but he was
14 tired.

15 A. He came home that day and he broke down. I said to him,
16 "What's wrong with you?" and he said, "I've been told
17 today I have only got six weeks to live". I said to
18 him, "Nobody can tell you that." He said -- it turned
19 out they hadn't told him that but that boy dying, that
20 finished it. And he was upset about that and he says
21 what he had actually said, "I will be the next. I have
22 only got about six weeks", and they said to him, "No,
23 [REDACTED], you haven't, you have got at least another year".

24 And he was spot on, he. Only lasted another six
25 weeks and that's when I says to him, "You promised me

1 you wouldn't give in". And looking back, I said why did
2 I say that because he says, "I'm not giving in," he says
3 "I'm tired," he says, "I'm tired". And I will never
4 forget him saying that.

5 Q. As you said, [REDACTED] died sadly about five weeks later on
6 8 February 1992, and he died at home?

7 A. Yes.

8 Q. He had asked the doctors not to put AIDS on his death
9 certificate?

10 A. Yes.

11 Q. So that lists the cause of his death -- this is in
12 paragraph 15 -- as septicemia, pneumonia,
13 immunosuppression and haemophilia.

14 You tells us that you were tested for HIV yourself
15 about a year later.

16 A. Yes, I. Had to go into the hospital myself for a minor
17 operation and I says to my own doctor, "I would like to
18 be tested". She said I have already been tested and I
19 said, "But that was before [REDACTED] died". I said, "Look,
20 I want to be tested again. Nothing has happened but
21 I don't want to go into a hospital -- I have had it done
22 to me. There is no way in this world I would go into
23 a hospital not knowing for certain." And I went and got
24 the HIV test again myself and it was negative.

25 Q. Right.

1 A. That would be about 1992/1993, something like that.

2 Q. In paragraph 16 you tell us about what happened to [REDACTED]
3 just after he died. I wonder if you could tell us about
4 this, please?

5 A. As I say, when my husband died -- my husband was that
6 kind of person. He was from the old school. He always
7 says, when he died he would be kept in the house. He
8 was cremated. He always wanted cremated anyway.
9 I said, "All right." And he died that night, and as
10 I told you, it's a small village, it was an old, old
11 undertaker we had, and he come. He was sorting him out.
12 And he is saying, "I'll sort him and everything", and
13 I said, "I had better tell him". So I told the
14 undertaker about [REDACTED]'s HIV and he just tied everything
15 up. He said, "I can't do anything more. I can't sort
16 him. He has to be taken away". And my son was the
17 one -- with my brother-in-law -- that put my husband in
18 a body bag to take him out the house. And to this day
19 nobody has told me where my husband went to.

20 I don't know where they took my husband. When --
21 Alison actually phoned that day and I says to her, "They
22 have taken them away". All she says to me that day,
23 "I thought you understood they would have to take him
24 away". But nobody still says to me where. And then my
25 cousin come up and she was actually on the phone to my

1 undertaker saying, "Look, where is he? Let her go and
2 see him". They said, "It will not be any good. She
3 won't get to see him". And to this day nobody has told
4 me where they took my husband. It was my son at that
5 age who put his father in a body bag to take him out the
6 door.

7 Q. Are you okay to carry on?

8 Following on from that in paragraph 17 you tell us
9 that you feel very upset and angry at the way your
10 husband was treated.

11 A. Yes.

12 Q. And you tell us also that you received treatment for
13 depression for a few years after he died and as you will
14 be aware, your general practitioner has provided
15 a report, which I think you have seen, which is
16 WIT0040704. This is a report by one of the GPs in
17 your GP practice.

18 A. Yes, that's right.

19 Q. The GP who writes this didn't personally meet you
20 until December 2004?

21 A. Yes, and the doctor was actually there when my husband
22 died. She is retired or in another practice now. It
23 has all changed round about.

24 Q. So the majority of this report is taken from entries in
25 your medical notes and it says that in 1987 you were

1 diagnosed with anxiety, depression and on 18 May 1990
2 you were treated for anxiety. On 10 February 1992, you
3 were visited for bereavement and on 9 March 1992
4 reactive depression was diagnosed. This appears to have
5 persisted and you received medical certificates stating
6 you were unfit for work from 10 February 1992 until at
7 least 1998. And during 1992, you attended a counselor/
8 psychologist, but you didn't wish any medication at that
9 time?

10 A. No, I tried to work through it at times myself, rather
11 than take medication. I try and not be dependent on
12 pills. And a lot of times I try and just work myself
13 through it, but at sometimes I can't. And my doctor
14 realised that. She knows when I go up, I need it at
15 that time. A lot of time I just try and work through it
16 myself. I don't want to be dependent on it.

17 Q. It says that about your HIV test, which was negative on
18 5 July 1993. It was documented that you felt guilty
19 about this. I think since you have seen this, you have
20 told us that that should read "Why not me?"

21 A. That's correct. I felt guilty that I wasn't -- I did
22 not have it. Why did [REDACTED] have it and why did
23 I escape? I felt guilty.

24 Q. Over the page it tells us that from this
25 time onwards you were seen on a fairly regular basis and

1 received a variety of different antidepressants, which
2 you took and then you discontinued after some time.
3 In August 1998 you were verging on panic attacks?
4 A. Yes.
5 Q. In August 2000 you were concerned about Hepatitis C
6 infection and you have been tested for that.
7 A. Yes.
8 Q. Thankfully this was negative.
9 A. Yes, I asked for the test myself, the Hepatitis C test.
10 At my local doctor.
11 Q. Yes. Because I think you found out that [REDACTED] had had
12 Hepatitis C but after he died?
13 A. No, I didn't know he had Hepatitis C until 2003.
14 Q. Yes.
15 A. I wasn't told -- I was told nothing about Hepatitis C.
16 I didn't know -- I had seen DrLudlam in 2003. That was
17 the first time I had known -- 11 or 12 years after [REDACTED]
18 had died -- about Hepatitis C.
19 Q. The test result for that, which we don't need to look
20 at, is WIT0010440, for Hepatitis C virus.
21 THE CHAIRMAN: The date?
22 MS PATRICK: I will tell you. If you would like to have
23 a look at it.
24 THE CHAIRMAN: No, just give me the date.
25 MS PATRICK: Date reported January 1992.

1 THE CHAIRMAN: Did [REDACTED] never say anything to you about
2 Hepatitis C?
3 A. No.
4 THE CHAIRMAN: He doesn't sound to me to be the sort of man
5 who would have kept things from you.
6 A. That's what I'm trying to explain to people. I know for
7 a fact, I'm 200 per cent sure -- I mean [REDACTED] come home
8 and told me about the HIV. If he knew there were
9 anything wrong with Hepatitis C as well -- not for
10 himself again, for me -- I would have definitely been
11 told, and I can -- 200 per cent, I can tell you that for
12 a fact.
13 THE CHAIRMAN: Because January 1992 is very near the time he
14 died. It's very late on.
15 A. But why was I not told myself by a doctor then?
16 THE CHAIRMAN: Maybe he wasn't told in the circumstances,
17 I don't know.
18 A. Sorry, who wasn't told?
19 THE CHAIRMAN: Maybe [REDACTED] wasn't told.
20 A. I know for a fact [REDACTED] wasn't told, because he would
21 have told me. Why was -- why did I have to ask again?
22 Why did I have to go through -- and go for the test
23 myself again? This is the answers I'm wanting. That's
24 12 years. I have to go and go through -- go to my own
25 doctor and ask for a test, go to DrLudlam and ask if

1 ██████ -- I asked DrLudlam, "Why did you not tell? Why
2 not even me?" And I have not got proof. I was by
3 myself with DrLudlam. His answer to me was partners
4 are not at risk. Hepatitis C is not through -- through
5 sex and families, as through needles and transfusions.
6 That's what he told me in 2003. That's not true.
7 I mean, I could have had Hepatitis C all these years.

8 THE CHAIRMAN: Yes.

9 MS PATRICK: Sir, that's recorded in paragraph 19 of the
10 main statement, for your reference.

11 Going back to your GP's report, it states that the
12 10th anniversary of ██████'s death in February 2002
13 prompted another spell of antidepressant therapy and
14 you continued on treatment intermittently from then:

15 "In June 2007, the inquiry into her husband's death
16 from HIV prompted a further spell of depression, again
17 requiring antidepressant medication."

18 What Inquiry was that?

19 A. That must have been when I started hearing about the --
20 that was when the Inquiry was coming up and you were
21 starting to hear all the different stories and this --

22 Q. Brought it all back?

23 A. Yes. When I've hit my head up against a brick wall.

24 Q. The last evidence of antidepressant medication being
25 prescribed is 2 February 2009, some 17 years after ██████

1 died.

2 Paragraph 18 of your statement, which is
3 WIT00400052, you tell us that in 1990 [REDACTED] was
4 advised by his GP to claim for special attendance
5 allowance?

6 A. That's correct.

7 Q. You tell us there about the difficulties despite the GP
8 supporting the application, that it took it being
9 completed on three separate occasions, visiting your MP
10 and being medically examined by an Edinburgh-based GP
11 whilst he was in hospital before his claim for this
12 allowance was granted --

13 A. When they finally -- Geraldine Brown -- and she finally
14 phoned me to say they had finally received word. They
15 had finally admitted. And she says, "But I have got
16 good news and bad news", and I said, "Why", and she
17 says, "Because he has got to have a medical". And that
18 was the day -- I had just got him home with the gastric
19 to feed him, and I remember he had to stand that day and
20 I had him hooked on to the wall to feed him. And I said,
21 "There is a doctor to come out." I said, "Just forget
22 it. I don't want their money." She said, "No, it will
23 be somebody from your own practice that will come out
24 and give him a medical". I says, "You are joking," she
25 says, "I'm not".

1 It was not my actual practice. It was another
2 village next to me. By the time the doctor phoned
3 a couple of weeks later, [REDACTED] had been taken back to
4 hospital with pneumonia again. But they ended up
5 sending a local Edinburgh doctor from Edinburgh Royal
6 Infirmery. They gave him a medical for that attendance
7 allowance.

8 Q. You tell us also that while [REDACTED] was alive -- this is
9 about the bottom third -- he received money from the
10 Macfarlane Trust?

11 A. Yes.

12 Q. You received £1,000 when he died?

13 A. That's correct.

14 Q. At the same time the trust wrote to you and said that,
15 as you had no dependents, your son being grown up,
16 I take it, you would only receive the widow's allowance
17 for six months. But after you wrote to them, they
18 continued to pay you £80 a month and then £100 a month.
19 And they wrote to you in 2009 to say the money was
20 running low and they would need to stop payments to
21 widows and widowers, but at the time of your statement
22 that hadn't happened?

23 A. They have actually got more money now. They actually
24 got more money last year, and the truth about that,
25 I have actually got more money now. I don't know if it

1 was the Government or not, but up to the end they were
2 ready for cutting a lot of people off at that time.

3 Q. Sorry, could you bear with me a minute? Thank you.

4 (Pause)

5 THE CHAIRMAN: Ms Patrick, the stenographer wants a short
6 break anyway.

7 MS PATRICK: Okay.

8 THE CHAIRMAN: You can work things out with Ms Dunlop. We
9 will have a short break.

10 (3.17 pm)

11 (Short break)

12 (3.22 pm)

13 THE CHAIRMAN: Yes?

14 MS PATRICK: Thank you. Elaine, there are a couple of
15 points that we thought might be helpful for
16 Professor James, the medical adviser to the Inquiry, to
17 assist us with. The first of these is what treatment was
18 available for [REDACTED] for his HIV because it seemed that
19 you were a bit anxious that he didn't get treatment
20 until 1987.

21 A. He didn't get treatment until 1987.

22 Q. Yes.

23 A. I never had any records about what he was getting,
24 that's correct.

25 Q. So I was going to ask Professor James to explain to you

1 about when AZT became available.

2 A. All right.

3 PROFESSOR JAMES: Are you happy with that Elaine?

4 A. Yes.

5 PROFESSOR JAMES: So it looks from those records as if [REDACTED]
6 did attend the clinic several times in 1985 and 1986 and
7 from what we can make of those -- as you saw almost like
8 a computer record -- it appeared that they knew that he
9 had HIV, and they were monitoring him quite carefully to
10 see if he had any bad symptoms at that time.

11 The records suggest that actually he was in pretty
12 reasonably good health during 1985 and 1986. So, number
13 one, if any treatment for more advanced HIV moving
14 towards things to do with AIDS had been then, then they
15 would have been in a position to give it to him but he
16 didn't need it. That's number one.

17 But more important, the Inquiry has been told by an
18 expert that the AZT treatment actually wasn't available
19 anywhere in the world until 1987. So as a matter of
20 fact, he didn't miss out on some treatment because there
21 was no treatment until 1987, and he started to get ill,
22 as you know, shortly after that really and he, in my
23 view, having seen the computer records, got very good
24 and appropriate treatment at that time.

25 There was no kind of prevention treatment in 1985

1 and 1986. There is now but this is 25 years later. So
2 I really don't think he missed out on any treatment that
3 he should have had that would stopped him getting what
4 became AIDS or would have saved his life, to be honest.

5 That's the first thing.

6 THE CHAIRMAN: Is that helpful to you to know?

7 A. Yes.

8 THE CHAIRMAN: You are still -- you have got your doubts?

9 A. No, you are saying that he was getting tested in 1985?

10 PROFESSOR JAMES: I'm saying that they knew the result of
11 the test actually, probably -- we are not certain --
12 right at the end of 1984. They knew the result of the
13 test. So the meaning of that letter from DrLudlam was
14 that they had saved up blood samples, which they did for
15 loads of the haemophiliac patients, and they sent them
16 all off for testing and when it first became available,
17 what they found was that [REDACTED] had been negative from
18 a blood sample that they, if you like, had in the fridge
19 from when he had attended the clinic at the very
20 beginning of 1984. But from another blood sample
21 in June 1984, which they only had tested probably in
22 about November 1984, actually it turned out that he was
23 positive.

24 It wouldn't be appropriate for me to comment on why
25 he wasn't told at that time or anything like that.

1 A. That's my question. That's my question.

2 PROFESSOR JAMES: That's part of the Inquiry. So it's not
3 fair for me to make any remarks.

4 A. No, I just want to establish they were testing him at
5 that time?

6 PROFESSOR JAMES: The first time there was a test available
7 was probably about November/December, but they had
8 samples of his blood stored in the fridge, which loads
9 of people had. And it wasn't for anything bad, it
10 wasn't for experiments for anything like that. So when
11 a test became available, they said for all the
12 haemophiliacs all over Britain, "We have got these
13 samples in the fridge. Let's test them and see if our
14 patients might be positive because we ought to know that
15 so we can monitor them and see what happens or if they
16 are still negative."

17 He probably turned out -- we are not certain -- to
18 be positive at that time. Then what we have seen from
19 those records is that they did take quite lot of care in
20 seeing whether he had anything that made them suspicious
21 that he was going on to get very ill, and for those two
22 years, 1985 and 1986, nothing terrible was going on.
23 Anyway, there was no treatment. The first treatment,
24 the AZT treatment, available anywhere, was in 1987 and
25 that's around the time that he started to get ill, and

1 actually he started to get correct treatment for the
2 things that he was ill with.

3 I don't think there is any real doubt about that.

4 I don't think anything bad has been done there.

5 THE CHAIRMAN: Except you don't think he was told.

6 PROFESSOR JAMES: That's a different matter and I can't
7 comment on that.

8 A. Right you are.

9 MS PATRICK: The second matter I was going to ask

10 Professor James to help us with was in relation to
11 Hepatitis C. It was obviously a great concern to you
12 that you didn't know that ████████ had Hepatitis C.

13 A. Correct.

14 Q. And you feel that you were at risk of infection of
15 Hepatitis C from him?

16 A. That's correct.

17 Q. So Professor James is going to explain --

18 PROFESSOR JAMES: I'm on surer ground now because I'm
19 a liver expert, so I know about hepatitis.

20 It's quite right that Hepatitis C is much, much,
21 much, more commonly transmitted by needles -- and this
22 is part of this query -- transmitted by infected blood
23 in blood transfusions. Again, there was no test for
24 Hepatitis C before around about 1990. That's the sort
25 of time when the test first came in.

1 So that's number 1. Number 2 is that it's very,
2 very uncommon for the partner or spouse of a person with
3 Hepatitis C to be infected by the partner or spouse by
4 sex. It does happen but it's as rare as hen's teeth.
5 It's very, very uncommon. So in my view, it's not
6 really surprising that it was not thought necessary for
7 you to be told that your husband had had Hepatitis C.
8 And, remember, the first time they appear to have tested
9 him was a few weeks before he died, when obviously
10 everybody was concerned with the fact that he was dying
11 effectively of AIDS with all the terrible, terrible
12 story that you have so well and clearly told to us.

13 So honestly, I wouldn't blame a hospital specialist
14 in any circumstances, however it had arisen, for not
15 saying to the wife of the person, "Your husband had
16 Hepatitis C. You should get tested."

17 In an ideal world, maybe they should have said to
18 you but to be honest, it's not a big issue. And it's
19 easy for me to say this but if I was you, I wouldn't
20 kind of go on worrying and ruminating about it. In
21 a sense, that's the least of your worries in my opinion.
22 It's very uncommon, very, very uncommon.

23 A. But it has happened.

24 PROFESSOR JAMES: It certainly has.

25 A. If there is one bit of doubt -- no, I don't think --

1 PROFESSOR JAMES: I can't answer the question.

2 A. Why was I not told?

3 PROFESSOR JAMES: I can't answer the question of why you
4 weren't told. Again, you may be sure that Lord Penrose
5 will look into that and that's why everybody is here,
6 you included. There will be a great part of the Inquiry
7 dealing with Hepatitis C and people who got it and so
8 on. You are quite right, there are family members of
9 people who were infected with Hepatitis C who did get
10 it. All I'm saying to you is it is very uncommon, one
11 in 500 or something like that, not very likely at all.

12 THE CHAIRMAN: So that's Professor James's advice to me as
13 well as to you. But I think you can leave here with any
14 help you get from that, but you can be sure that I will
15 be asking these questions about why not and you will get
16 to know if we can find out in due course. Is that all
17 right?

18 A. Thank you.

19 MS PATRICK: I just have a couple more questions for you
20 Elaine. The first of these is how did [REDACTED]'s illness
21 and death affect your son?

22 A. My son still doesn't -- my son is a very deep person
23 and -- actually, when this Inquiry started to come
24 about -- my son goes out and has a drink, he likes to go
25 out, and he had had a drink one night and he says to me,

1 "Forget it all. Don't go near the lawyers. Don't go
2 near anybody, forget it." He just wanted it all out of
3 his mind. I said, "No, I'm not forgetting it". But
4 then a couple of weeks ago he says, "Mum, if you need
5 any help, just tell me and I'll come with you". He is
6 a very, very deep person, very deep and he just --
7 I still say that has affected him as well, that day he
8 had to do that for his father. I don't think it has
9 ever left.

10 [REDACTED] died on the February and my son -- a couple of
11 weeks after he died my son come to me and he said, "I'm
12 going to do what my dad asked me to do". [REDACTED] took him
13 aside -- when my husband died [REDACTED] did everything. He
14 told had him -- as I told you, he was that kind of man.
15 Everything was sorted out. [REDACTED] -- I never done
16 a thing, [REDACTED] done everything.

17 Then a couple of weeks later he comes to me and
18 says, "I'm going to do so what my dad asked of me". He
19 said, "I'm going to get married". He had got a house in
20 the November. He said "Well, you'd better get married,
21 mind, you just got a house". And he come and says to
22 me -- and he said, "I'm going to do it", and they got
23 married in the May. And I still say what he done with
24 his dad that day -- putting him in a body bag -- has
25 really, really affected him. Because about a year

1 after, his wife came to me and she says, "I'm having
2 problems with him and he will not talk to me at times",
3 and she said, "I think it's a lot to do with this". He
4 went through that as well.

5 As I say, a couple of weeks ago. Maybe if you need
6 any help now ... But it has taken him a long time.

7 Q. And lastly, how do you feel that [REDACTED]'s illness and
8 death have affected you beyond what we have already
9 seen?

10 A. Just -- I will never get over it. Never, never. I have
11 just not got the words. Just tried to explain it on the
12 thing I gave you.

13 Q. Yes. Well, thank you very much for that. It has been
14 very good of you to come here today and to tell us about
15 [REDACTED] and what happened. Thank you very much.

16 THE CHAIRMAN: Mr Di Rollo, are you content?

17 MR DI ROLLO: Yes. Again, just to thank the lady very much
18 for coming and giving her evidence.

19 THE CHAIRMAN: We can be sure that we will be trying to tell
20 your story in due course and if possible answer those
21 questions that are still outstanding.

22 Thanks for coming.

23 A. Thank you.

24 MS PATRICK: That concludes today.

25 THE CHAIRMAN: That concludes today, and we come back on

1 Tuesday?

2 MS PATRICK: That's correct, sir.

3 THE CHAIRMAN: I hope that everyone can have a better
4 weekend than we have had a week.

5 (3.43 pm)

6 (The Inquiry adjourned until Tuesday 14 June 2011 at 9.30
7 am)

8

9 I N D E X

10	PROFESSOR IAN HANN (continued)	1
11	Questions by MR GARDINER (continued)	1
12	Questions by MR DAWSON	64
13	ELAINE	112
14	Questions by MS PATRICK	112

15

16

17

18

19

20

21

22

23

24

25