

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Wednesday, 11 May 2011

(9.30 am)

DR PETER FOSTER (continued)

Questions by MS DUNLOP (continued)

THE CHAIRMAN: Good morning.

Ms Dunlop, Professor James has had a look at the Minor article and if you find it convenient at some time, he can let you know what he discovered about the results. Very briefly, the difference between the United Kingdom and the American samples does appear to be, in the first place, one or other of two, that the first generation test perhaps wasn't as sensitive to what was not then known as a genotype difference but as the sort of typing generally, and also there was a dilution factor because it emerged that when the American samples were diluted down, the measurements were roughly the same. But Professor James can give you the full detail if you wish to get it some time.

MS DUNLOP: I should say, sir, I did look at an abstract of this paper in my preparation but I decided that it was more for hepatitis-related issues.

THE CHAIRMAN: It is.

MS DUNLOP: Rather than getting into that at the moment, it might be best to defer it.

THE CHAIRMAN: That's why I'm not expanding on it at the

1 moment but just to tell you that Professor James does  
2 have the material.

3 PROFESSOR JAMES: It was just a loose end yesterday, so  
4 I thought I would tie it up.

5 MS DUNLOP: Thank you.

6 Good morning, Dr Foster. Could we go back to your  
7 statement, please, which is [\[PEN0150101\]](#). If we turn on  
8 to the second page, perhaps even the third page, that's  
9 really where we left it yesterday, when we digressed to  
10 a large degree, but we went from the end of that first  
11 paragraph on page 3 to look at the paper that you had  
12 provided and we concluded that yesterday.

13 To return then to your statement and to take it from  
14 that section you have labelled A2, "The policy of the  
15 United Kingdom Government on self-sufficiency", you  
16 refer to the establishment of policy by the UK  
17 Government and you say that there is a mention of 1974  
18 in the preliminary report. In fact we have also now  
19 looked at statements from Hansard in January  
20 and February 1975, which you also mention and you refer  
21 to in your paper.

22 You then go on to tell us about December 1980 and  
23 a proposal to privatise BPL, and you outline your  
24 involvement. That you have developed a little bit over  
25 the next few pages. Could we perhaps look at what you

1           have said. So can we scroll down. We note that you  
2           were assisting via the trade union, ASTMS, of which  
3           I take it you were at the time a member?

4   A.   That's correct.

5   Q.   Those of us over a certain age can probably remember the  
6           general secretary, Clive Jenkins. So that was the  
7           profile of the union if you like at that time, the  
8           public face of the union. I suppose this relates to  
9           some extent to there having been a change of government  
10          in 1979, does it?

11   A.   I think the policy concerning the possibility of  
12          privatising certainly would have been due to the change  
13          of government.

14   Q.   If we look on to the next page, we can see that what you  
15          are actually telling us about is not the World in Action  
16          programmes with which we are more familiar, but  
17          World in Action in 1980. So five years beyond the  
18          programmes we have watched. Taking it really short,  
19          there was an intention to show a World in Action  
20          documentary about the proposed privatisation, which  
21          seems to have been going to take the form of a sale of  
22          BPL to Beechams. You were involved in that but then, if  
23          we read down to what you say about November 1980, we can  
24          see that the sale did not go through. If you go on to  
25          the following page. That change of course seems to have

1           been described in the programme as a surprise U-turn.

2           Then in the section headed "Impact on Scotland", you  
3           have looked at what might have happened if that  
4           privatisation had gone ahead, but it's not my intention  
5           to ask you any questions about that, Dr Foster, because  
6           I think you will accept -- and indeed you say so  
7           yourself -- that this is hypothetical because the sale  
8           didn't go ahead.

9   A.   Absolutely.

10 Q.   Yes.  Then can we move on to page 6 as well, please?

11           Can we go into section B and go through your  
12           chronological response to the matters raised.  Before  
13           doing so, however, I did want to ask, I don't think you  
14           tell us about the 1975 World in Action programme.  Did  
15           you see that at the time?

16 A.   Yes, I did, we were well aware of it because John Watt  
17           took part in it and they filmed him on site.  So we all  
18           knew something was going on and we all sat by the  
19           television and watched it.

20 Q.   I can imagine.  Do you remember it being quite a talking  
21           point for some time?

22 A.   It probably was, yes.

23 Q.   So that's less clear than the recollection of you all  
24           sitting round the television watching, is it?

25 A.   We certainly would have all watched the programme and

1           talked about it. But it was a very long time ago, so  
2           I can't say anything more than that.

3   Q.   Yes. Just noting what you have said from 1981  
4       onwards --

5   THE CHAIRMAN: Sorry, can you remember what impact the  
6       programme made on you at the time?

7   A.   It's really hard now, with so much hindsight, to really  
8       comment on that, but, I mean, I think we thought it was  
9       something that certainly supported what we were doing.

10   THE CHAIRMAN: Sorry, Ms Dunlop.

11   MS DUNLOP: Yes. I just wanted to note, I think really  
12       without questioning you, what you say, firstly about  
13       1981 and then 1982, the congress in Budapest, and we  
14       have actually already looked at the section from your  
15       report in which you record Dr Aledort's reference to the  
16       problem in the treatment of haemophilia. You clarify  
17       that the copy of your report -- and now we are reading  
18       from the next page -- cited in the preliminary report is  
19       complete, and actually I think the footnote in the  
20       preliminary report is inaccurate in saying we didn't  
21       have a complete copy. It was written when we didn't but  
22       then we did and the footnote wasn't changed. So we  
23       recognise that we have a complete copy of your report,  
24       which is a very full one.

25           It's perhaps worth noting that you have given us

1 your own response to the information from Dr Aledort at  
2 the end of the first paragraph. You say:

3 "I assumed that these patients must have been  
4 homosexual men who were also haemophiliacs."

5 So not really a piece of information that had a big  
6 effect on you when you heard it?

7 A. I do remember the presentation and I do remember looking  
8 around the room and there was no response from anybody  
9 whatsoever, and my assumption was these must be gay men  
10 who are haemophiliacs, because I was aware that this was  
11 known as a gay-related immunodeficiency. That was the  
12 title that the illness was given.

13 Q. I suppose what you are saying about your assumption,  
14 your assumption that the patients must have been  
15 homosexual men who were also haemophiliacs, if that were  
16 so, then the mechanism, whatever it was, would be the  
17 same in these three people as it had been in the other  
18 people of homosexual orientation who had acquired the  
19 infection, and the fact that the people also had  
20 haemophilia would just be incidental?

21 A. Whatever the cause of the condition, that would be  
22 because of this sort of link with gay people. It would  
23 have been responsible.

24 Q. Yes. Then you say in relation to the MMWR, when you  
25 attended the congress, you hadn't read the account of

1 the cases -- that's the three people -- in the July 26th  
2 issue of MMWR:

3 "Although PFC subscribed to MMWR, delivery of the  
4 journal from the USA was slow."

5 Was this a journal that was circulated around PFC  
6 with a circulation list with certain names on it and  
7 people ticked their names off? Is that correct?

8 A. Quite the contrary.

9 Mr Watt, he actually wasn't very adept at reading  
10 many journals, but it was the one he always looked at  
11 and he actually insisted that as soon as it came in the  
12 librarian would give it to him and he would read it and  
13 mark whatever he thought anyone else should look at, and  
14 then those pages would be copied and circulated.

15 When he had finished with it, it might go to  
16 Dr Cuthbertson who would do something similar, then it  
17 would be filed in the library for anyone else to go and  
18 look at. I have to admit, because I had many other  
19 things to get on with, I would rely on Mr Watt's  
20 judgment as to what I should read and shouldn't read  
21 from this journal. We actually still have the original  
22 copies and we can go back and see which pages he marked  
23 and which ones he didn't.

24 Q. I was just thinking of what you said yesterday about  
25 your responsibilities for the library.

1 A. Normally you are right. The journals would come to the  
2 library and they would go on the stand and people would  
3 go and read them in the library. This was not the case  
4 with MMWR. It would go to Mr Watt into his office and  
5 it would almost be his personal copy that he would then  
6 annotate for people to circulate copies to.

7 Q. Although you had a great deal on your plate, would you  
8 pay attention to whatever he had marked?

9 A. Oh, certainly, yes. I relied on his judgment very much.

10 Q. So that was a must-read?

11 A. Yes.

12 Q. Right. Then you say -- and this is (iv) -- you saw  
13 another television programme on AIDS in late 1982 and in  
14 that programme a parallel was drawn with hepatitis, and  
15 that comment led you to believe that a blood-borne  
16 infectious agent was the most probable cause of the  
17 syndrome.

18 Then you take us to 1983. You were invited by  
19 Dr Ludlam to give a talk to his department on the  
20 progress towards the development of non-infective blood  
21 products. We are just going to have a quick look at the  
22 notes of your presentation, Dr Foster. That's  
23 [\[SNB0073503\]](#).

24 Dr Foster, can I just ask you, when I see this, it's  
25 a particular typeface. Nowadays I want to call it



1 a "font" but I think in the 1980s we probably called it  
2 a "typeface". What were the arrangements in the early  
3 1980s for the preparation of typed documents? Did you  
4 and Dr Perry share somebody who always typed in this  
5 font?

6 A. We had a number of secretarial staff and I guess they  
7 used that style. I can't really say more than that.

8 Q. Right. It's just that from time to time we come across  
9 a document which is anonymous, it is not signed or named  
10 or anything, but this is quite a common typeface. So --

11 A. This was something Mr Watt was really quite fastidious  
12 about. So he may have had said, "Please, all use this  
13 same typeface". But I'm speculating.

14 Q. Right. But he didn't say to everybody that they must  
15 put their name on any document they authored?

16 A. I don't remember him saying that, no.

17 Q. I don't imagine that anybody, Dr Foster, ever imagined  
18 that here today we would be looking at these documents  
19 and puzzling over who wrote them. So it's not a point  
20 of any significance, it's just that it's quite helpful  
21 sometimes if you can work out who is behind a particular  
22 document.

23 Just to look at page 2 of this, please, why did you  
24 put Factor VIII and Factor IX in the high risk column?

25 A. Because, compared with albumin, they were regarded as

1 products that had a risk of transmission of hepatitis.

2 Q. Yes. And this is really hepatitis you are talking  
3 about, obviously?

4 A. That's correct.

5 Q. Yes. But if we look at page 5, I think this is the  
6 reference that you are meaning when you say you referred  
7 to the possibility that AIDS might be caused by a  
8 blood-borne infectious agent. Is that it?

9 A. That's right.

10 Q. And problems?

11 A. These are basically bullet points as an aide-memoire  
12 while I'm giving the talk. This is not the whole talk  
13 obviously. But the bullet point is there to remind me  
14 just to mention AIDS as a possible infectious agent.

15 Q. Thank you.

16 Can we go back to the statement, please, just to  
17 read on. You don't remember if you commented  
18 specifically on commercial products as opposed to  
19 UK-derived products. But you say:

20 "As commercial products were derived from USA donors  
21 and the epidemic of AIDS was much more advanced in the  
22 USA than elsewhere, I believe that this would have been  
23 self-evident."

24 So to you it wasn't a complicated puzzle?

25 A. I mean, it seemed to me at that time that AIDS was very

1           much the epicentre of that was in America and therefore  
2           you would almost certainly assume that, if there was  
3           a problem with blood products, then you would see that  
4           in the American products first.

5    Q.    You wrote a memo to Mr Watt on 3 May, concerning the  
6           strategy on heat treatment, and that's something we are  
7           going to look at when we come to have our evidence on  
8           topic B3.

9    A.    Can I just comment that I would regard that as what  
10           I would call scenario planning for the future. I wasn't  
11           by any means being definitive about that.

12   Q.    Indeed, but it was in your mind that this was a risk  
13           that you were possibly, probably, going to have to take  
14           into account in your viral inactivation work.

15   A.    Yes, looking into the future and planning out scenarios,  
16           this was a possible scenario, yes.

17   Q.    I don't want to put words in your mouth. How would you  
18           like to put it? Was it sensible to plan for it or was  
19           it a possible risk, a probable risk? How would you  
20           pitch it?

21   A.    Somewhere between possible and probable. It's maybe in  
22           between there but I don't know if there is a word that  
23           would fit it.

24   Q.    Then you say you were not aware of Dr Galbraith's  
25           recommendation on 9 May 1983. You mention a letter that

1           you wrote on 9 June 1983 to the ASTMS divisional  
2           officer, Gordon Craig, again. And we are going to come  
3           back to that. May 1983, Dr Boulton's letter. Did you  
4           know of this letter at the time?

5   A. No, I didn't.

6   Q. Can we move on to the following page, please? You  
7           clarify for us the proceedings in Sweden. I don't think  
8           we fully understood until we had your explanation what  
9           the nature of the proceedings was -- that firstly, there  
10          was the congress of the World Federation of Haemophilia  
11          between 27 June and 1 July, that was at the Karolinska  
12          institute, which is, what, an university, teaching  
13          facility, or a medical research facility?

14   A. It's a university-type facility.

15   Q. Yes. Then secondly, there was the congress of the  
16          International Society of Thrombosis and Haemostasis,  
17          following immediately afterwards. Between 2 and  
18          8 July 1983, not at Karolinska but at the conference  
19          centre in Stockholm. Is that right?

20   A. That's correct.

21   Q. Just if you could go back up, please. You gave a paper,  
22          invited by Dr Mannucci, which was actually about yield  
23          of Factor VIII but you also remember that at the  
24          congress Dr Evatt gave a very detailed account of the  
25          situation concerning AIDS and you were obviously at

1           that?

2    A.   I did attend that, yes.

3    Q.   Yes.  I think it's one of these moments that those of us  
4           who have attended conferences will recognise, that  
5           people, speakers are asked to submit their papers in  
6           advance so they can be bound and issued to the  
7           delegates, and it looks as though Dr Evatt hadn't  
8           managed to do that?

9    A.   That's correct.  There was a book of abstracts handed  
10           out and his abstract was blank.  Perhaps because the  
11           field was moving so quickly that he wanted to give us  
12           the most up-to-date information.

13   Q.   You say the proceedings of the congress were published  
14           in the Scandinavian Journal of Haematology, and there is  
15           actually also quite a full account of it in  
16           Douglas Starr's book.  No doubt a much more narrative  
17           account.  You may be familiar with it?

18   A.   I have seen his account, yes, I'm not sure I would  
19           recognise it, but I read it.

20   Q.   Right.  Can we move on then, please, to the following  
21           page.  You talk about Mr Watt's membership of the  
22           biological subcommittee of the Committee On the Safety  
23           of Medicines.

24                 Dr Foster, we need to show you a set of minutes of  
25           the meeting on 13 July 1983, which has been de-redacted.

1 That's [\[MIS0010291\]](#). We can see that he was there. You  
2 say that he regarded these meetings and their  
3 proceedings as strictly confidential and never discussed  
4 them with you or, as far as you know, with anyone else.

5 A. That's correct.

6 Q. Yes. What was the reason for the confidentiality?

7 A. I think all of these committees were regarded as, it  
8 says at the top, "Commercial in confidence". And he  
9 followed that very strictly. He kept the papers in his  
10 office, locked away in a cupboard, and really didn't  
11 discuss it with anyone, and we didn't even know he was  
12 going to meetings. You would go to see him, he wouldn't  
13 be there and you would say to the secretary, "Where is  
14 he?" "Oh, he's in London at a meeting". That's all you  
15 would know about it.

16 So really he kept this very much to himself. I have  
17 been thinking about what would John's position have been  
18 at this meeting, and because he didn't discuss it with  
19 me, I can only speculate, but knowing the way that he  
20 worked -- and it has occurred to me that what he would  
21 have done, he would have picked up the telephone and  
22 called David Aronson at the FDA, because he was very  
23 friendly with him. And he had been to visit the FDA  
24 in January of that year, and spent a day with  
25 David Aronson talking about this topic. So I'm quite

1 convinced, knowing how he worked, he would have picked  
2 up the telephone to David Aronson, and that's probably  
3 how he would have informed himself.

4 So it would be worth trying to found out what the  
5 views would have been of the FDA, where David Aronson  
6 was the head of the coagulation factor group, what their  
7 views would have been. And I have found a note that  
8 does indicate that they regarded the risks as very low  
9 at that time. So that may well have been the position  
10 that Mr Watt would have adopted.

11 Q. Certainly, Dr Foster, the magnitude of the risk is  
12 something that featured in the discussions at the  
13 meeting and we have looked at various documents. There  
14 is a suggested agenda in advance. There is a note of  
15 main points, and then there are the minutes. But you  
16 have no doubt looked at them as well. It does also  
17 appear that considerations of supply were prominent in  
18 the debate at the meeting.

19 A. Yes, and I can understand that.

20 Q. Right. Could we go back to the statement, please.

21 You have in section C, which is just below what we  
22 are looking at, provided what you call  
23 a non-chronological response, and you have done that by  
24 firstly highlighting the specific questions that were  
25 contained in the Inquiry's schedule. So in fact most of

1 the ensuing pages represent your replication of our  
2 schedule. So if we could just look quickly through  
3 them. Page 11, 12, 13, 14 and in fact if we move to 16,  
4 we get C2, your response to the questions in the  
5 schedule. You mention again the talk that you were  
6 asked to give by Dr Ludlam. We have covered that.

7 On to the following page. I have to say that you  
8 are not the only person I think who slightly  
9 misunderstood the thrust of this question and that's my  
10 fault, but, "Why was there no discussion about the  
11 possible connection between AIDS and commercial blood  
12 products?" That was really meant to be at the meeting  
13 of 21 January 1983, but since you weren't at that  
14 meeting I don't think we can take that any further  
15 forward. But the question wasn't meant to imply that  
16 there was no discussion in general terms, just at that  
17 meeting of 21 January there didn't appear to have been  
18 a discussion?

19 A. That's the meeting with haemophilia directors.

20 Q. Yes.

21 A. I see.

22 Q. The joint meeting, as we would call it, of haemophilia  
23 directors and the Blood Transfusion Service directors  
24 and the government officials.

25 A. Yes. I missed that meeting.



1 Q. Yes. The next question has really been superseded  
2 because we now know that Dr Ludlam was present at the  
3 meeting of the reference centre directors in May 1983.  
4 Then 2(vi), you mention again ASTMS. And, as I have  
5 said before, we are going to come back to that. Then on  
6 to the following page, Dr Boulton's letter. We have  
7 covered that and then a number of questions to which,  
8 because of your particular job at the time, you can't  
9 provide an answer.

10 We have really covered all of the material in the  
11 next few pages.

12 What I do want to do now, and perhaps we can just  
13 let everyone have a look as we pass, at 19, 20, 21, just  
14 to make sure that we have really covered the material  
15 that's dealt with there or Dr Foster has no information  
16 in response to the particular questions.

17 Biological subcommittee, we can see. Again we have  
18 covered that.

19 The following page. If we could look on to 22,  
20 please. At this point, Dr Foster, I would like to ask  
21 you about the ASTMS correspondence. You have provided  
22 an appendix to your statement, appendix 6, which  
23 contains quite a lot of the correspondence to which I'm  
24 going to refer, but before we look at that, perhaps we  
25 could just look at a newspaper cutting, if it's in court

1 book. [\[DHF0014352\]](#).

2 Just of interest, given the contents of appendix 6?  
3 This is 6 May 1983. You have presumably seen this  
4 before, as well, Dr Foster, have you?

5 A. I have seen it, yes.

6 Q. Obviously a lot of this is to do with funding,  
7 investment, but it does go on to mention, just at the  
8 bottom of the left-hand column, that two haemophiliacs  
9 in London and Cardiff are reported to have contracted  
10 AIDS, Acquired Immune Deficiency Syndrome, from  
11 contaminated Factor VIII from the United States:

12 "The cases have not been confirmed but the Social  
13 Services Secretary, Mr Norman Fowler, will be asked by  
14 Labour MPs what steps he is taking to ban imports of  
15 contaminated blood."

16 "On the right-hand side:

17 "Backed by the Labour leader, Mr Michael Foot, ASTMS  
18 has launched a campaign to ban all imports of blood from  
19 paid donors because of the risks of infection. 'In the  
20 US people sell blood to buy food to make products, which  
21 is often contaminated,' said Mr Jenkins. 'You can only  
22 have effective controls if the blood is donated as an  
23 act of social responsibility. We want all trading in  
24 blood to be declared illegal'."

25 Did you see this at the time?

1 A. I can't be certain but I mean, I did tend to buy  
2 The Guardian so it's quite likely.

3 Q. Please can we look then at appendix 6, which is  
4 [\[PEN0131231\]](#). This is to pick up the reference you make  
5 in your statement to a letter you sent of 9 June. That  
6 is page 2. That's your inventory, which you have very  
7 helpfully supplied for us. Then on the next page we can  
8 see your letter of 9 June, and I think we just need to  
9 take a moment and read it for ourselves, if we could.

10 (Pause)

11 We note that at the end of the second paragraph you  
12 say that:

13 "It should be recognised that the risk from UK  
14 unpaid donors may still represent a problem."

15 And that really in your view the answer to the risk  
16 is going to be a guarantee either by donor screening or  
17 treatment of the products to render them non-infective.  
18 So nothing else was really going to provide a complete  
19 solution in your view?

20 A. That's correct.

21 Q. Paragraph 4, you are making the point about PFC being  
22 underused. Then on to the next page, please. (Pause)

23 Can we deduce from the last sentence of the letter,  
24 Dr Foster, that if steps that you were suggesting had  
25 led to the demise of the commercial blood industry

1 internationally, you personally would not have mourned?

2 A. I personally very much favoured the not for profit  
3 sector.

4 Q. Can we look on to page 4, please? Sorry, your reference  
5 to the international congress is obviously Sweden?

6 A. That's correct.

7 Q. Yes. Page 4, thank you.

8 This is a letter from Sheila McKechnie back to you,  
9 dated 28 July, and she is interested because she is  
10 representing the Trades Union Congress on the Advisory  
11 Committee On Dangerous Pathogens. The focus of which,  
12 as I understand it, Dr Foster, was really on hazards to  
13 staff. Is that correct?

14 A. I think there was concern at this time about the safety  
15 of the Hepatitis B vaccine and that was her principal  
16 concern at that point in time.

17 Q. But also generally, risks about staff possibly  
18 contracting infection in the course of their work?

19 A. Yes, that would be correct. She was the National Health  
20 and Safety Officer for ASTMS at the time, so that would  
21 be her main preoccupation.

22 Q. She is asking, at the end of the penultimate paragraph:

23 "How would you check that the AIDS agent(?) was  
24 ineffective if you don't know what the agent is?"

25 Can we then look on to, I think it's page 5, just to

1 show that this is you writing back.

2 This is you writing back on 5 August. Some  
3 recommended reading for Ms McKechnie. Then if we look  
4 at the end of paragraph 1 on page 6, we can see that  
5 paragraph there about the critical question. You allude  
6 to the possibility that the incubation period is such  
7 that the disease is already with us:

8 "We should know the answer in the next six to 18  
9 months."

10 So your take on the difficulties as at the beginning  
11 of August 1983. Just look through the rest of the  
12 letter, thank you:

13 "Safety of the Hepatitis B vaccine."

14 Why would the Hepatitis B vaccine have been risky?

15 A. It was prepared from material obtained from homosexual  
16 donors.

17 Q. You are inferring -- and we can see this from the bottom  
18 of the page -- from the fact that there have been no  
19 AIDS cases associated with albumin infusion, that the  
20 AIDS agent may be inactivated by the pasteurisation  
21 procedure thereto.

22 A. That's correct.

23 Q. If we go to the next page, please, appended to this  
24 letter, Dr Foster. You gave Sheila McKechnie some  
25 suggested contacts. We can see that one of them, if we

1 look on to the next page, please, was Dr Evatt. Was the  
2 meeting in Sweden the first time you had heard Dr Evatt  
3 speak?

4 A. It was, yes.

5 Q. I take it then that the fact that you were recommending  
6 him as the best person to contact, that you were quite  
7 impressed by his presentation, were you?

8 A. It was an excellent presentation and he explained a lot  
9 of things that I hadn't previously known about. So it  
10 was one of these moments, as you said earlier, that  
11 sticks in your memory. It was an excellent  
12 presentation. But you will note I also have on this  
13 list Dr Aronson at the FDA as a contact.

14 Q. And Dr Philip Mortimer at Colindale and Dr Craske.

15 Can we look on to 9, please? The paper included --  
16 back to material we looked at yesterday -- but more  
17 figures about commercial products in the United Kingdom,  
18 1981 to 1982. Really the same sort of picture, Armour  
19 are way out in front. Just read your handwritten  
20 annotation. Can you just read that out for us, please?

21 A. It says:

22 "A threefold increase at PFC (see my letter of  
23 9 June 1983) would produce an extra 20 million units of  
24 Factor VIII."

25 So that was my projection if the option of using PFC

1 had been taken up.

2 Q. Then look at page 10. This is a letter that contains  
3 statements, I think we will recognise. This is  
4 Lord Glenarthur, who was the Joint Parliamentary  
5 Under-Secretary of State at the DHSS. Not every copy of  
6 this letter has a date on it but this one does and the  
7 date is 26 August 1983, which it seems reasonable to  
8 take as the date of the letter.

9 A. I think this might be the date it was received by --

10 Q. Well, possibly, yes. But anyway, if we assume it's  
11 around the end of August. Lord Glenarthur is thanking  
12 Clive Jenkins for his letter of 7 July about AIDS and  
13 Lord Glenarthur feels he should emphasise that there is  
14 no conclusive evidence that AIDS is transmitted through  
15 blood products. He mentions the preparation of  
16 a leaflet referring to steps that have been taken in the  
17 United States of America. Then the middle of that  
18 paragraph:

19 "We have to balance the risk of AIDS against the  
20 severe risks to haemophiliacs of withdrawing a major  
21 source of supply of Factor VIII, which cannot be made  
22 good from elsewhere in sufficient volume. The  
23 Haemophilia Society is aware of the situation and has in  
24 fact made known to me its opposition to any move to ban  
25 American Factor VIII."

1           Then on to page 11, please. Sheila McKechnie,  
2           having by this time realised that you would be able to  
3           offer scientific assistance to her, asked you to comment  
4           on this letter. We can see that if we look at the next  
5           page.

6   A. I think it's important just to point out that she was  
7           assisting Clive Jenkins in his correspondence.

8   Q. Yes. The second paragraph she says:

9           "I would be particularly grateful if you could  
10           comment on the letter that Clive Jenkins recently  
11           received from Lord Glenarthur. There is no great hurry  
12           to reply as, in my experience, such correspondence goes  
13           on for months, not weeks. I have also written to  
14           Dr Jones of The Haemophilia Society to try and establish  
15           if they have any principled objection to Britain being  
16           self-sufficient in Factor VIII."

17           He wasn't strictly Dr Jones of the Haemophilia  
18           Society but obviously a prominent figure among  
19           haemophilia clinicians in those days. She has ordered  
20           the book you suggest. This author, the Piet Hagen?

21   A. That's correct.

22   Q. He has continued to write in this area, has he not?

23   A. He did write another book after this. I only know of  
24           two books.

25   Q. I think he is involved in a Council of Europe book which



1 has a useful table about rates of infection in people  
2 with haemophilia, which we are hoping to obtain but  
3 haven't yet. You no doubt have it?

4 A. Might have it, yes.

5 Q. I think we have ordered it. So we don't have to ask to  
6 borrow your copy.

7 You did assist by commenting on the letter. This is  
8 jumping on quite a bit because a lot of papers were sent  
9 to you, which were background papers relating to the  
10 meeting of the Advisory Committee On Dangerous  
11 Pathogens. There are assorted papers enclosed including  
12 extracts from papers from MMWR and so on, which I don't  
13 propose to look at. But could we go on, please, to  
14 page 45 of this appendix, just to show that that was one  
15 of the papers that was included in the bundle and we  
16 recognise that letter. Then look at page 50. This is  
17 the letter in which you accepted Sheila McKechnie's  
18 invitation to comment on the letter from  
19 Lord Glenarthur. I think we should just read for  
20 ourselves what you said. (Pause)

21 On to the next page, if we could, please. You  
22 comment specifically on what Lord Glenarthur had said  
23 about the Haemophilia Society. You said:

24 "I'm not sure that the Haemophilia Society are fully  
25 aware of the UK situation and particularly the true

1 capacity of the Scottish fractionation centre and the  
2 reasons for its neglect. (In my opinion this is  
3 a scandal which deserves an inquiry in its own right."

4 A. We did discuss that quite a bit yesterday and there was  
5 quite a bit of background there over the years.

6 Q. Yes. You say:

7 "In seeking the views of users of Factor VIII (eg  
8 clinicians and patients), one should be aware that many  
9 users are associated with commercial companies, eg  
10 clinicians who act as paid consultants to the  
11 companies."

12 Can we go on to the end of the letter, please.

13 Dr Foster, you expressed your reasoning and your  
14 views very clearly in this letter. There isn't much  
15 point in my asking you to express them again in  
16 different words but I just wanted to offer you the  
17 opportunity in case you wanted to take it, of adding to  
18 or explaining anything you said in the letter.

19 A. No, I think it's quite clear. That's what I wrote at  
20 the time.

21 Q. Thank you. Can we look then at page 53.

22 THE CHAIRMAN: Before you go on, I think that you are right,  
23 the letter is a very clear expression of your views.

24 Did you discuss these views with anyone else in Scotland  
25 at the time?

1 A. This was, of course, trade union business if you like,  
2 and I did discuss it with Dr Perry because he was  
3 a member of the trade union so he was my closest  
4 colleague, so there was some discussion with him.  
5 Whether he remembers that or not, I don't know.

6 THE CHAIRMAN: That's not something you kept to yourself,  
7 you did share it at least with Dr Perry.

8 A. That's correct.

9 THE CHAIRMAN: Thank you very much.

10 MS DUNLOP: I should follow that, sir.

11 There is a reference, Dr Foster, later in the  
12 correspondence to a degree of confidentiality about your  
13 involvement, so I just wondered, was this something that  
14 perhaps wasn't widely known, that you were assisting, as  
15 it turned out, in the writing of these letters?

16 A. It wasn't known at all. It was private correspondence  
17 on trade union business. Obviously certain people  
18 within the trade union were aware of that but beyond  
19 people who were trade union members, no, that wasn't  
20 known.

21 Q. We are now at page 53. This is a letter which is dated  
22 12 October, and you are making some additional comments  
23 on papers that you have been sent. These are really  
24 papers relating to the Advisory Committee On Dangerous  
25 Pathogens. You comment in paragraph 3 on

1 Professor Bloom's letter. Again, I think we should just  
2 read that for ourselves. (Pause)

3 Then on to the next page, please.

4 Mr Di Rollo is making a point about it not being in  
5 the transcript, but the document will be hyperlinked in,  
6 as I understand it, so people will be able to read the  
7 whole of the letter at home. As I said, and you have  
8 said as well, sir, it is a letter in which Dr Foster's  
9 views are expressed with great clarity.

10 THE CHAIRMAN: It is also very important information.

11 MS DUNLOP: I can read it out if you would prefer, sir, but  
12 these are quite long letters and it might be better, if  
13 people are interested, the facility will be there for  
14 them to read these letters themselves.

15 THE CHAIRMAN: I have a personal interest, of course, in  
16 having some of the material in the transcript since  
17 that's the only way I can cut and paste rather than  
18 retype substantial amounts of text. So perhaps the  
19 general interest will be served by the hyperlinking of  
20 it, but if there are particularly important passages,  
21 I think they should be read in. But Mr Di Rollo,  
22 I don't think that's going to help if we read all of the  
23 correspondence in. That will simply give a very  
24 extended passage that won't help us much.

25 If there is anything that you feel you want to have

1 read into the transcript, then take the opportunity when  
2 you get the chance to ask questions making sure that  
3 things are recorded for everybody to see. I'm sure that  
4 the interested public will be very interested in this  
5 correspondence.

6 MS DUNLOP: Yes.

7 Perhaps I should say, Dr Foster, that this appendix,  
8 appendix 6, was the answer to something that had struck  
9 members of the team, that the letters from Clive Jenkins  
10 were based on a considerable level of scientific  
11 expertise. And then, of course, we understood that  
12 a lot of the comment had been informed by your own  
13 input. We can see that if we look at page 55.

14 It's slightly puzzling when this letter was sent  
15 because if you read the following letters, it looks as  
16 though Mr Jenkins was drafting and redrafting the letter  
17 he wanted to send, and as at the beginning of November  
18 Ms McKechnie doesn't seem to think a letter has gone,  
19 but it does look from this letter, in particular the  
20 stamp on it, that the date, 27 October 1983, must be  
21 about right. I mean, this looks like the letter. Did  
22 you obtain this letter by other means?

23 A. Yes, I got this letter -- you can see in the top  
24 right-hand corner it has a number, 2834 -- that's the  
25 Department of Health freedom of information; that's

1           where I got that from.

2   Q.   So notwithstanding the fact that later correspondence  
3       shows Ms McKechnie is under the impression the letter  
4       hasn't gone, it did go and this is it?

5   A.   That's correct.

6   Q.   Some of the wording in this we recognise, having looked  
7       at your letter. Paragraph 2 you say that:

8           "There is no conclusive evidence that AIDS is  
9       transmitted through blood products. I would argue that  
10       the evidence is very strong."

11        Then the end of that paragraph:

12        "I'm tempted to ask you what you would consider to  
13       be conclusive evidence, particularly in the  
14       circumstances where the agent or agents for AIDS are as  
15       yet unidentified."

16   THE CHAIRMAN: You have probably gathered that that's  
17       a question that I have been asking myself, Dr Foster.

18   MS DUNLOP: Then on to the next page someone has annotated  
19       paragraph 5. Dr Foster, we can never know but it does  
20       look rather like Lord Glenarthur's writing, if you  
21       compare it with the signature. Someone is querying the  
22       statement that:

23        "The Scottish fractionation plant is substantially  
24       underused and this seems to be being ignored by your  
25       department."

1           Is this so? I suppose we don't know whether the  
2           writer means is the plant underused or is this  
3           department ignoring that fact. It could be either. We  
4           can see that paragraph 6 seems to have been less  
5           informed by your comments -- is that right?

6   A. Yes, I would agree with that.

7   Q. Yes. It looks as though Mr Jenkins has himself been  
8           talking to members of a "haemophiliacs" group in ASTMS:

9           "They cannot be expected to support a ban on  
10          American blood products until we are self-sufficient."

11          Then on to page 58. This is the letter from  
12          Sheila McKechnie to you. Then 59. Did you meet  
13          Ms McKechnie in December?

14   A. No, I did not meet her in December.

15   Q. Then 61, please. There is an ASTMS AIDS working group  
16          and we see your name on it. The reference to the HSE,  
17          the Health and Safety Executive. The containment levels  
18          required would suggest that this is really again about  
19          hazards to members of staff.

20   A. Yes, that's correct.

21   Q. Can we look on to the next page, please. You sent the  
22          draft of the WHO report. Then the next page, please.  
23          This is the letter back. We can see from the date stamp  
24          at the top, it seems to have been received  
25          in January 1984.

1           There is another copy of this letter, Dr Foster,  
2           which has a handwritten date of 5 January on it. So  
3           again, not possible to be precise about the date of the  
4           letter but good enough, I think, to take it  
5           as January 1984. A letter back from Lord Glenarthur to  
6           Clive Jenkins. We can see from the first indented  
7           paragraph that the line, if we can call it that, seems  
8           to have changed slightly:

9           "It remains the case that there is no conclusive  
10          evidence of the transmission of AIDS through blood  
11          products, although the circumstantial evidence is  
12          strong. These two statements in no way contradict one  
13          another, as you will readily appreciate from an analysis  
14          of a similar argument which you use in paragraph 7.  
15          Whilst there is strong evidence to suppose             
16          that the hepatitis vaccine will not transmit AIDS, the  
17          evidence is not conclusive            and cannot be so  
18          until a means of testing for AIDS has been devised. In  
19          both cases the conclusive evidence awaits the  
20          development of a test which can identify the AIDS agent  
21          (or agents)."

22          Then on to the following page, please. This seems  
23          to be another response to the suggestion of using PFC.  
24          More of a practical objection that:

25          "PFC would not have the storage filling and



1 packaging facilities to handle a substantial amount of  
2 extra plasma even if it were available."

3 Paragraph 6:

4 "The statements made by the Haemophilia Society are  
5 a matter of fact. It has been necessary to quote from  
6 them in order to illustrate to those who are  
7 ill-informed on these matters that to demand a total ban  
8 on the imports of US Factor VIII, so far from  
9 safeguarding the lives of haemophiliacs, would put them  
10 at greater risk."

11 Then the final page, please. The next page is your  
12 response on that. It's asking for your response. Then  
13 can we go to the following page, please. Your letter  
14 dated 23 January 1984. In relation to the no conclusive  
15 evidence point you said:

16 "I think Glenarthur is just being pedantic. The  
17 essential point is that a risk of contracting AIDS from  
18 blood and/or blood products, is recognised to the extent  
19 that many agencies (eg governments, transfusion services  
20 manufacturers) are all taking action. There are times  
21 when evidence is sufficiently strong that it is  
22 necessary to take action prior to scientific proof being  
23 absolute and certain. I'm sure this is commonplace in  
24 the world of health and safety."

25 Then can we just scroll through that letter, please.

1           Then on to the next. Obviously you made comment about  
2           what was being said in relation to the  
3           Protein Fractionation Centre. Just to complete this  
4           examination of appendix 6, can we look on to the next  
5           page, please.

6           Your information about PFC was relayed in February.  
7           Can we just go to the end of that letter, please? Then  
8           on to next page. We can see that the draft ACDP  
9           guidance was still under discussion. There is another  
10          Lord Glenarthur letter on page 71. This is a response  
11          to the letter of 14 February. Do you think that the  
12          detailed points you were making -- I understand that  
13          they were being made on behalf of ASTMS -- were matters  
14          for the Secretary of State for Scotland? That wasn't  
15          really the context of what you were saying, was it?

16        A. If PFC was going to be developed, then, yes, the  
17          Secretary of State for Scotland would have been involved  
18          in that decision.

19        Q. But it in terms of reaching a decision to use PFC to  
20          fractionate English plasma?

21        A. It still would have been a joint decision between the  
22          two departments.

23        Q. Just to look at the next page, if we could, please.  
24          That's really all I want to look at from appendix 6,  
25          Dr Foster.

1           Can we go back to Dr Foster's statement, please?  
2           That is [\[PEN0150101\]](#). We are now on page 22, which is  
3           on the screen. You go on to say on this page,  
4           Dr Foster, that you are aware of additional documents in  
5           which the position of the Haemophilia Society is  
6           described. And you quote from a letter to  
7           Baroness Masham of Ilton, dated 30 August 1983, not  
8           saying anything that we haven't seen elsewhere, I don't  
9           think.

10           Then the fact sheet, dated 22 September 1983. We  
11           have looked at that already but just for the notes,  
12           that's [\[DHF0014767\]](#). We should remind ourselves that  
13           all of this is an answer to a question that was posed by  
14           the Inquiry about an impression. I'll just read out the  
15           question so that we are not losing the focus. It wasn't  
16           posed as a specific question but it was suggested that  
17           the impression had been that cessation of use of  
18           American products in 1983 attracted a lot of opposition.  
19           I think I need to take a minute and find the question so  
20           that I'm not doing it from memory. (Pause)

21           The question is:

22           "In relation to the UKHCDO meeting and various  
23           communications from or relating to the Haemophilia  
24           Society around this time, the emphasis appears to have  
25           been strongly on maintaining the use of commercial

1 concentrates. Is this an accurate impression?"

2 So just to remind ourselves that this is the focus  
3 in this section of your statement, Dr Foster, your  
4 answer is that the impression is accurate. One of the  
5 documents you referred us to in support of that view was  
6 this fact sheet of 22 September 1983. So that's the  
7 document [\[DHF0014767\]](#).

8 If we look at the second page, please, it's  
9 obviously a leaflet and it has been copied, the back and  
10 the front, A4 size, but we can see the extract that you  
11 have quoted is on the right-hand side.

12 Can we go back to Dr Foster's statement, please?  
13 There then followed a succession of questions that  
14 aren't directly relevant to you, Dr Foster. If we look  
15 at page 23, we can see your answers.

16 Finally on to page 24. You were asked about  
17 heat-treated commercial concentrate and you have  
18 helpfully listed various licence applications made to  
19 the Committee On the Safety of Medicines and we can see  
20 that chronicled on page 24.

21 We notice that a number of heat-treated commercial  
22 concentrates were approved for use in the UK  
23 during February 1985. Actually we looked last week at  
24 a statement in Hansard from Kenneth Clarke from around  
25 that time in which he confirms that that is happening.

1           You say:

2           "According to the medical literature, patient  
3           samples from the clinical trial of Hemofil T were tested  
4           for HIV in late 1984 and found to be negative.  
5           A comparison with results from patients who had been  
6           treated with unheated commercial concentrate suggested  
7           that the heat treatment employed in the manufacture of  
8           Hemofil T was effective against HIV. These results were  
9           published on 2 February 1985."

10           That's a reference to the Lancet, which  
11           Dr McClelland provided to us and which we took him to  
12           when he was here on Friday and which is going to be in  
13           our court book. So if people want to read that for  
14           themselves, again that will appear and when it is, we  
15           will be able to give the court book reference.

16           Lastly, Dr Foster, I just wanted to make reference  
17           to another article that you have provided for us.  
18           I think it came from you. It's by Herbert Perkins and  
19           Michael Busch. Is that correct? Did you provide the  
20           article entitled "Transfusion-associated infections:  
21           fifty years of relentless challenges and remarkable  
22           progress."

23

24    A. Yes, that's a recent publication.

25    Q. Yes, it is October 2010.

1 A. Yes.

2 Q. I'm not going to take you through it, Dr Foster, for two  
3 reasons. One, much of the material is now reasonably  
4 familiar to us and two, it is not yet in court book but  
5 we do have hard copies and we endeavoured to circulate  
6 those yesterday. Just to say, we will be putting it  
7 into court book, so that will be available for people to  
8 read as well. As you say, it is noteworthy because of  
9 how recent the publication was. Was there anything  
10 specific you wanted to draw to our attention in this  
11 article?

12 A. I think perhaps what's interesting is that Dr Perkins  
13 was head of the blood bank in San Francisco where the  
14 child that was reported in 1982 as been infected with  
15 AIDS, he was actually director of that blood bank. So  
16 he has that historical background.

17 Q. I suppose one of the striking things with this  
18 article -- I'll just allude to this, sir, having said  
19 I'm not going to go through it. On page 2085 of the  
20 article -- it is an article from "Transfusion" -- the  
21 authors say:

22 "The most startling fact in the San Francisco  
23 analysis ..."

24 This is the San Francisco analysis once screening  
25 was available:

1            "... was that more than 1 per cent of the blood  
2            distributed by that blood bank was infected with AIDS by  
3            the end of December 1982. This rate of infected units  
4            was vastly different from the estimate of risk given out  
5            at the time: 1 in 1 million, an estimate that appeared  
6            in the PHS publication, "Facts about AIDS", as late  
7            as April 1984. The huge underestimate of the risk at  
8            the time transfusion-associated AIDS became  
9            a possibility is the main reason the public lost  
10           confidence in blood banks."

11           Obviously that's a comment made about American blood  
12           banks?

13           A. That's correct.

14           Q. "At the beginning of 1983 there was a possibility that  
15           AIDS was transmitted by blood transfusions. By the end  
16           of 1983 the possibility had become a probability."

17           Then I'm cutting out a bit but:

18           "The probability became a certainty with the  
19           publication of four papers by Robert Gallo's group in  
20           'Science' in May 1984."

21           Thank you, Dr Foster, that, sir, would seem  
22           a natural point at which to break.

23           (11.01 am)

24           (Short break)

25           (11.30 am)

1 MS DUNLOP: Sir, just before passing over to Mr Di Rollo,  
2 can I narrate for the transcript that the document  
3 Dr Foster has provided today is a memorandum, dated  
4 21 July 1983, from Dennis Donohue in the Department of  
5 Health and Human Services and we will put that into  
6 court book as well.

7 THE CHAIRMAN: Mr Di Rollo?

8 Questions by MR DI ROLLO

9 MR DI ROLLO: Dr Foster, I just want to ask you a number of  
10 questions really relating to the issue of  
11 self-sufficiency or otherwise.

12 If we start with your curriculum vitae, which is  
13 [WIT0030389], and go to the third page of that, we see  
14 at the top you are going through your career and the  
15 second entry is 1976 to 1981, and you say:

16 "Developed methods and technology to increase  
17 Factor VIII yield and process capacity enabling Scotland  
18 to achieve self-sufficiency in Factor VIII supply."

19 Do you see that?

20 A. I do, yes.

21 Q. I mean, is it right then that as far as you are  
22 concerned -- and I realise that people's definition of  
23 self-sufficiency will vary -- but in terms of your  
24 understanding and your definition of self-sufficiency,  
25 that had been achieved as far as you are concerned by



1 1981?

2 A. No, what this refers to are the discoveries that I made  
3 in that period, that then were applied -- that assisted  
4 the manufacturing process. So actually the outcome, if  
5 you like, the end result might not have been seen until  
6 a little bit later.

7 Q. When you say a little bit later -- I know we discussed  
8 it in detail yesterday --

9 A. I was asked this question by the Scottish Executive in  
10 2000, and I went through the same kind of discussion  
11 then and my figure then was some time in 1983, which is  
12 again reflected in the paper that you saw yesterday.

13 Q. Yes. It does appear that notwithstanding that  
14 achievement, if you like, there doesn't seem to have  
15 been a conscious or definite decision made by anybody  
16 that as from that moment Factor VIII from elsewhere  
17 should not be used. Am I right about that?

18 A. I'm not aware of any decisions of that type, no.

19 Q. I mean, it does appear that there was knowledge as at  
20 that time, in 1983, that it would be safer to use home  
21 grown or home produced Factor VIII or Factor VIII from  
22 plasma obtained in Scotland. There was that awareness.

23 A. That would have been my view but I can't speak for other  
24 people.

25 Q. Well, it certainly seems to have been the view of

1 a number of clinicians and we have heard evidence from  
2 some of them. In the correspondence we have seen, for  
3 example this morning, much of the discussion seems to be  
4 based on the idea that there is no alternative but to  
5 use imported material. But what I'm trying to get at is  
6 in Scotland there does seem to have been an alternative  
7 in the period that we are talking about. Do you agree  
8 with that?

9 A. Yes, I would agree with that.

10 Q. If we look at your letter or the correspondence that we  
11 saw this morning, some of the material we see this  
12 morning as well, it does appear that you at the time  
13 held fairly strong views about the need to use Scottish  
14 product rather than importing commercial product. You  
15 had strong views at the time and those are views that  
16 remain today. Is that right?

17 A. Exactly. It's clear in the correspondence at the time,  
18 yes.

19 Q. You did give evidence to the Archer Inquiry and I'm not  
20 going to go over that with you but can I take it that  
21 the evidence that you gave to the Archer Inquiry you  
22 would still stand by? There is nothing in that that you  
23 would want to alter or change in any way?

24 A. I would have to review it and reflect on it but I can't  
25 think of anything.

1 Q. I appreciate that and I don't want to take time going  
2 over that, but with the caveat that you haven't reviewed  
3 it or reflected upon it, there is nothing that you can  
4 think now that you have said then that you would want to  
5 alter or change?

6 A. I can't think of anything now, no.

7 Q. Right. If we look at the letter then, which is  
8 [\[PEN0131231\]](#). If we go to page 50, this is the letter  
9 dated 29 September 1983 that you wrote to  
10 Sheila McKechnie, who was then Health and Safety Officer  
11 with the white collar union which you were also a member  
12 of. Is that right?

13 A. That's correct.

14 Q. Obviously this correspondence that we have had our  
15 attention drawn to is in the context of you making  
16 certain feelings about PFC known to your union, and the  
17 union had a position about that in terms of the role of  
18 PFC in the crisis that was ongoing at that time. Is  
19 that right?

20 A. I'm not sure I can speak for the trade union. All I was  
21 doing was trying to assist in some of this  
22 correspondence and also, when I initiated the  
23 correspondence, from my point of view it was just to  
24 point out this situation in Scotland, that I didn't  
25 think the facility was being used to its full potential.

1 Q. Yes. This is obviously in the context again of  
2 correspondence that we have seen, that there was no  
3 alternative to using commercial material, that you were  
4 pointing out that in England as well there was  
5 a possibility of using more Scottish product if PFC was  
6 used to its full potential?

7 A. The whole point was really about how to help England  
8 obtain more local, ie UK-derived product. Looking at  
9 the UK as a whole, rather than England and Scotland,  
10 I felt that PFC could make a stronger contribution if it  
11 was further developed.

12 Q. This is plainly in the context and understanding that  
13 British plasma would be safer than imported material?

14 A. That's right. I think that was the general view,  
15 certainly in terms of hepatitis and a growing view in  
16 terms of AIDS.

17 Q. There are various comments made about The Haemophilia  
18 Society and I appreciate that you are obviously, in this  
19 particular letter, making certain comments about certain  
20 assertions that have been made by, I think it is the  
21 Minister of State, Lord Glenarthur, and you are making  
22 your comments known in relation to what he has stated.

23 The Haemophilia Society plainly would be dependent  
24 on scientists -- either doctors, clinicians, possibly  
25 other scientists -- in order to get information. The

1 Haemophilia Society in and of itself would have no  
2 information of its own as to the safety or otherwise of  
3 any material that its members might be using. Would you  
4 be aware of that at that time?

5 A. No. I did not know how The Haemophilia Society obtained  
6 its advice.

7 Q. We have --

8 A. Other than the Dr Bloom letter, of course.

9 Q. I beg your pardon?

10 A. Other than the letter that quotes Dr Bloom.

11 Q. The Dr Bloom letter, which I won't put up on the screen,  
12 we have already seen that. We have heard evidence that  
13 that contained inaccurate information or information  
14 that would be apt to mislead, I think. But The  
15 Haemophilia Society, I'm suggesting to you, would not be  
16 in a position to know any better -- it doesn't have any  
17 expert evidence or expert material other than from  
18 people that give it advice, such as the UK  
19 haemophilia centre directors or other medical people or  
20 scientists who are in the field. The Haemophilia Society  
21 itself doesn't have any information other than from that  
22 source?

23 A. I am afraid I have no knowledge of the workings of that  
24 society. So I would have to defer to whatever you might  
25 suggest.

1 Q. What Glenarthur is quoted as saying is that:  
2 "The Haemophilia Society is aware of the situation  
3 and has in fact made known to me its opposition to any  
4 move to ban American Factor VIII."  
5 Then you comment:  
6 "I'm not sure that The Haemophilia Society are fully  
7 aware of the UK situation and particularly the true  
8 capacity of the Scottish fractionation centre and the  
9 reasons for its neglect. In my opinion this is  
10 a scandal which deserves an Inquiry in its own right."  
11 Then you go on to say:  
12 "In seeking the views of users of Factor VIII, for  
13 example clinicians and patients, one should be aware  
14 that many users are associated with commercial  
15 companies, for example clinicians who act as paid  
16 consultants to the companies."  
17 Do you see that?  
18 A. Sorry, what's your question?  
19 Q. The question I was going to ask you was: what  
20 information did you have as to clinicians who acted as  
21 paid consultants to the companies?  
22 A. At that time I had information from Mr Watt about one  
23 person in particular.  
24 Q. Right.  
25 A. But there seemed to be the notion that there was more

1           than one person, but I can't say that I had evidence of  
2           that.

3    Q.   I beg your pardon?

4    A.   I cannot say that I personally had evidence of that but  
5           I had been told this by Mr Watt.

6    Q.   Right.  I think we do know that at least one consultant  
7           did indicate that at a meeting; he declared an interest  
8           at one stage --

9    A.   That's correct.

10   Q.   -- that he was a paid consultant.  That was Dr Jones?

11   A.   That's correct.

12   Q.   So we know of at least one.  Obviously you are referring  
13           in the plural, to clinicians who act as paid consultants  
14           but was that your understanding at the time?

15   A.   That was my understanding at the time from conversations  
16           with Mr Watt, and I am afraid I can't verify that.

17   Q.   Right.  You are obviously expressing a concern here that  
18           the views of clinicians might have been affected by  
19           a relationship that they may have had with the  
20           commercial companies.  Is that right or not?

21   A.   I'm certainly wondering if that's a possibility, yes.

22   Q.   Yes.  Whether that is or is not the case, whether they  
23           did have any paid relationship, it does appear that  
24           clinicians -- or some clinicians in the UK -- have been  
25           quite strongly of the view that commercial material

1           should continue to be used. Is that right?

2    A.   Sorry, I wasn't party to those sort of discussions. So

3           I can only look at the documents that you have seen.

4    Q.   Right. But what I'm suggesting to you is that as far as

5           The Haemophilia Society itself is concerned, it did not

6           have any relationship with any of these commercial

7           companies and was entirely dependent on, as I say,

8           medical and scientific advice that it obtained from the

9           clinicians. You are not in a position to dispute that?

10   A.   I am afraid I can't answer that one because I do not

11          know enough about The Haemophilia Society to know what

12          its relations were with whatever organisation.

13   Q.   It does appear -- and I think you have already agreed

14          with this -- that the situation seems to have been that

15          notwithstanding the ability in Scotland to avoid using

16          commercial material, commercial material continued to be

17          used, albeit less of it, even after 1983, the time when

18          self-sufficiency was achieved. Is that right?

19   A.   Sorry, are you asking me what I knew at the time or what

20          I know now?

21   Q.   What you know now.

22   A.   Certainly what I know now from the information that has

23          been gathered by this Inquiry, yes.

24   Q.   Are you able to give us any explanation as to why that

25          might have been?



1 A. No, I cannot.

2 Q. Can you, for your part, with the information that you  
3 have, offer any justification for the continued use in  
4 Scotland of commercial material after self-sufficiency  
5 was achieved?

6 A. It's very difficult because you are talking about  
7 medical doctors taking decisions on how to treat  
8 patients. I'm not medically qualified and it's not my  
9 position to question medical judgment. I'm sorry,  
10 I really don't feel it's appropriate for me to try to do  
11 that.

12 Q. Thank you, Mr Chairman, that's all I have to ask.

13 THE CHAIRMAN: Mr Anderson?

14 MR ANDERSON: I have no questions, sir.

15 THE CHAIRMAN: Mr Sheldon?

16 MR SHELDON: No question, sir. Thank you.

17 THE CHAIRMAN: Dr Foster, inevitably in an Inquiry like  
18 this, there will be other sources of evidence that won't  
19 quite coincide with yours and there may be scope for  
20 conflict, so a final view on your evidence will have to  
21 await the completion of the Inquiry, but it is clear  
22 that you have done an enormous amount of work and I'm  
23 very, very grateful for the effort that you have put in  
24 and for the way you have given your evidence. Thank you  
25 very much.

1 A. Thank you very much.

2 THE CHAIRMAN: Ms Dunlop?

3 Presentation of statements of non-attending witnesses

4 MS DUNLOP: Yes, sir. It is only ten to 12 and there are no  
5 other witnesses cited for today. However, I thought it  
6 would be a good opportunity just briefly to mention the  
7 statements from those witnesses who are not coming to  
8 give evidence on this topic. It just seemed like an  
9 opportunity to do that and, as it were, clear that piece  
10 of work out of the way, and certainly I can do that  
11 before lunchtime.

12 THE CHAIRMAN: Very good. Do we need Dr Foster here or  
13 would I benefit from having him here to listen?

14 MS DUNLOP: No. Certainly Dr Foster is free to go, I think.

15 THE CHAIRMAN: Thank you very much.

16 Yes?

17 MS DUNLOP: Sir, there are five witnesses to whose  
18 statements I wanted to draw attention. I should say that  
19 these are five witnesses who are not coming to give  
20 evidence on this topic, either because they didn't  
21 appear to have anything really to contribute or for  
22 reasons of health.

23 THE CHAIRMAN: Right.

24 MS DUNLOP: The first of those individuals is  
25 Dr George McDonald and we should look at two documents

1           that Dr McDonald has provided to the Inquiry. The first  
2           is [\[NHS0010150\]](#). From this, we can see that Dr McDonald  
3           was the co-director of the haemophilia centre at  
4           Glasgow Royal Infirmary between 1968 and 1990. And this  
5           particular document was provided in June 2010 in  
6           response to some questions about systems concerning the  
7           use of blood products.

8           This is obviously interesting material. Dr McDonald  
9           narrates the supply of blood units and blood products to  
10          the department of haematology at Glasgow Royal Infirmary  
11          from the centre at Law:

12          "Stock was delivered each morning and not  
13          infrequently also in the afternoon ... The Consultant  
14          in clinical charge of the patient ordered the blood  
15          units or blood product required."

16          I think there is a slight difficulty with this  
17          document, in that sometimes it seems to move between  
18          blood products and blood, and no doubt there will have  
19          been slightly different arrangements for the two, but he  
20          sets out the use of the form. Then, when the product  
21          arrived in the blood transfusion section, the  
22          information on the request form was checked along with  
23          the information on the label of the blood sample.

24          THE CHAIRMAN: The blood sample would be a sample from the  
25          patient who was to be treated -- for matching or for

1           what?

2   MS DUNLOP:  That's how I read it, sir, yes.

3   THE CHAIRMAN:  I see the reference to the matching

4           laboratory down there.

5   MS DUNLOP:  Yes.

6   THE CHAIRMAN:  Yes.

7   MS DUNLOP:  That all the wards had blood transfusion storage

8           refrigerators.  This does read more as though it would

9           relate to inpatients than people who were on home

10          treatment but ...

11                 Then on the following page there is a succession of

12          questions and answers.  He says in answer to a question:

13          What type of product would they receive?

14                 "SNBTS products were always used.  Commercial

15          products were only used when SNBTS were not available."

16   THE CHAIRMAN:  But if one looks at the material we had

17          yesterday, it might indicate that SNBTS products were

18          very frequently not available, given the volume of usage

19          of commercial.

20   MS DUNLOP:  It's very difficult to know.  I suppose, sir, it

21          is also rather difficult to know what's meant by "not

22          available"; not in the fridge, in the ward or not at

23          Law?

24                 We also have a statement from Dr McDonald.

25   THE CHAIRMAN:  Yes.  The next answer, before you go to the

1 statement:

2 "For patients receiving commercial, the decision as  
3 to which commercial product should be used was made  
4 following a full review of the current medical  
5 literature and also following full discussion with the  
6 directors of the Scottish National Blood Transfusion  
7 Service."

8 MS DUNLOP: Yes.

9 THE CHAIRMAN: Have we any documentary evidence that relates  
10 to that topic?

11 MS DUNLOP: Well, sir, there isn't anything to suggest that  
12 that happened in individual cases but I infer that  
13 Dr McDonald is really thinking in the generality, that  
14 if there was a particular choice of a supplier at any  
15 one time, people would look at medical literature and  
16 discuss the matter with the directors of SNBTS.

17 I'm not aware from the minutes we have looked at, of  
18 any particular discussion about whether Armour was to be  
19 preferred to Hyland or anything of that nature, but  
20 Dr McDonald does make the point that -- he himself has  
21 been retired for over 21 years and it's no doubt not  
22 very easy to remember what happened in practice.

23 THE CHAIRMAN: I have seen somewhere a reference to the  
24 practice of rotating commercial products to ensure that  
25 no one manufacturer appeared to be preferred and that

1           was, I suggest, a fairly frequent review.

2   MS DUNLOP: That would be a different kind of exercise,  
3           obviously, from thinking: what's the state of play in  
4           the literature, what's the best?

5   THE CHAIRMAN: Dr McDonald is one of those who is not well?

6   MS DUNLOP: Yes, Dr McDonald is not really able --

7   THE CHAIRMAN: Yes.

8   MS DUNLOP: It would have been, I think, a huge ordeal for  
9           him.

10           His statement is [\[PEN0150489\]](#). I should say also,  
11           sir that, a considerable journey would have been  
12           required, which wouldn't have helped.

13           The first paragraph contains an important statement,  
14           sir, in that he says his clinical duties did not involve  
15           the clinical care of patients with haemophilia.

16   THE CHAIRMAN: Yes, I see it.

17   MS DUNLOP: Yes, sorry.

18   THE CHAIRMAN: So quite a lot of his experience would be  
19           with whole blood or other blood components.

20   MS DUNLOP: Yes. He was not involved in home treatment.  
21           Then he refers back to the earlier document. He vaguely  
22           remembers the World in Action programme and otherwise  
23           makes no comment.

24           He has no idea why there was no representative from  
25           Glasgow at the meeting of 13 May 1983, not strictly

1 speaking just a UKHCDO meeting but meeting of the  
2 reference centre directors which Dr Ludlam attended.  
3 But there was no mention of Glasgow.

4 THE CHAIRMAN: Could we go down a little bit, please?  
5 (Pause) Paragraph 13 in the middle, Dr McDonald is  
6 indicating that if the clinicians wanted a particular  
7 commercial product, they ordered it through the hospital  
8 pharmacy.

9 MS DUNLOP: Yes.

10 THE CHAIRMAN: There is no reference to the Blood  
11 Transfusion Service being an intermediary at that point.

12 MS DUNLOP: No. I don't know whether this would be patients  
13 with particular difficulties perhaps, for whom  
14 a specialist commercial product would be the only  
15 suitable material.

16 THE CHAIRMAN: Of course, he doesn't acknowledge that  
17 possibility in the earlier part of the statement.  
18 Commercial products are treated by him as simply  
19 plugging a gap.

20 MS DUNLOP: Yes.

21 THE CHAIRMAN: The same in paragraph 14 that follows.

22 MS DUNLOP: Then on the last page, in connection with  
23 self-sufficiency, he draws a distinction between  
24 capacity and actual supply.

25 THE CHAIRMAN: Yes, we will have to wait and see what to

1           make of it, I think.

2   MS DUNLOP:  Yes.  The second statement, sir, was

3           Professor Prentice and this is [\[PEN0150045\]](#).  We can see

4           that he gives information about the period between 1974

5           and 1983.  He was co-director with Dr McDonald, one

6           assumes, between 1974 and 1983.  He in fact left

7           Glasgow Royal Infirmary at the end of February 1983.  He

8           says in the third paragraph that at the joint meeting of

9           21 January 1983 it was the MMWR weekly report of

10          16 July 1982.

11                 I'm not myself sure how he knows that, sir, because

12          I have tried to work out which MMWR extract it was.

13          I don't think it matters but he may be supposing that it

14          will have been that one.

15   THE CHAIRMAN:  In a sense it may not be terribly important.

16          What's important is that this shows that MMWR data was

17          in circulation at that time, disclosing some information

18          about the AIDS problem.

19   MS DUNLOP:  Yes.

20   THE CHAIRMAN:  Of course, he says it was an article that

21          dealt with haemophiliacs.

22   MS DUNLOP:  Yes.  I'm not sure.  I suppose he has looked at

23          this now through the means of the preliminary report and

24          whether in fact that was the one that was circulated.

25          There was also the one in the December 1982 MMWR about



1           the infant.

2   THE CHAIRMAN: Does he deal with it later?

3   MS DUNLOP: No. I was just thinking, we can ask

4           Professor Cash if he remembers what MMWR it was but

5           I suspect, sir, it doesn't really matter. It is the

6           fact that it was the nature of the problem that was

7           being identified, rather than which particular text was

8           being used to vouch it.

9   THE CHAIRMAN: Of course, if we had access to the hard

10          copies that Dr Foster tells us still exist in the

11          library, we would get, in the first place, John Cash's

12          instructions and perhaps a wider range of information

13          about what was circulated.

14   MS DUNLOP: Well. We have certainly done quite a lot of

15          searching to find out what was circulated in relation to

16          this particular meeting.

17   THE CHAIRMAN: Yes.

18   MS DUNLOP: We know the Observer was.

19   THE CHAIRMAN: Yes.

20   MS DUNLOP: On the second page he gives us a little bit of

21          the history of his own involvement in the care of

22          patients with haemophilia. He started in 1964 at

23          Glasgow Royal Infirmary with Professor Douglas and

24          Dr McNicol. He refers to Factor VIII concentrate as

25          mandatory treatment for haemophilia patients.

1           If we go on to the next page, please, where he has  
2           a section on Hepatitis C and liver disease. (Pause)

3   THE CHAIRMAN: Yes.

4   MS DUNLOP: Then on to the next page, please. (Pause)

5           A reference to freeze-dried cryoprecipitate in the  
6           West of Scotland.

7   THE CHAIRMAN: Yes.

8   MS DUNLOP: The next page, please. (Pause)

9           That's Professor Prentice's contribution, sir.

10   THE CHAIRMAN: Not much there that's particularly novel.

11   MS DUNLOP: Indeed, sir. Perhaps just slightly different  
12           ways of expressing things.

13           We also contacted Dr Brenda Gibson because of  
14           mention of her at Yorkhill. There are two statements.  
15           The first one is from November 2010 and I think it's  
16           [\[PEN0150040\]](#).

17           Yes. Dr Gibson was appointed a consultant  
18           paediatric haematologist at Yorkhill in July 1984 and  
19           she says that from then onwards, her involvement with  
20           haemophilia care related mainly to emergency  
21           out-of-hours cover, until August 1988 when  
22           Professor Hann left and she became director of the  
23           haemophilia unit.

24           You may remember, sir, there is a bit of debate  
25           about whether Professor Hann left, in 1987 or 1988.

1 I can't at the moment see that anything will turn on  
2 that.

3 Can we go on to the next page, please? (Pause)

4 THE CHAIRMAN: It reads as if it has been written by  
5 a lawyer, Ms Dunlop, this part.

6 MR ANDERSON: I'm told it hasn't.

7 THE CHAIRMAN: It hasn't?

8 MR ANDERSON: It hasn't been --

9 THE CHAIRMAN: Goodness, then I worry about her involvement  
10 in litigation. She must have extensive experience of  
11 it.

12 MS DUNLOP: She obviously mentions Dr Pettigrew as well.

13 It's not surprising. Then on to the next page. Perhaps  
14 just for purposes of forward reference, if we note the  
15 statement that she did not attend any meetings of  
16 haemophilia directors:

17 "... either Scottish or UK or meetings of SNBTS  
18 directors, either as a trainee or as a consultant, prior  
19 to 1988. Neither was I involved in or a part of any  
20 discussion about the appropriate and safe use of blood  
21 products for the management of haemophilia."

22 I think it would be fair to say that Dr Gibson's  
23 position, if one were trying to sum it up, is that she  
24 wasn't really involved and that because, even when she  
25 became a consultant in 1984, her involvement was

1           restricted to out-of-hours cover, she didn't become the  
2           haemophilia centre director until 1988.

3   THE CHAIRMAN:   Yes.

4   MS DUNLOP:   Can we look at the next page, please.

5           She was a trainee, she says, which I think, we can  
6           take from page 2 of her statement, corresponds to being  
7           a senior registrar.   Then the final page, please.

8   THE CHAIRMAN:   It's a terrible comment on her seniors at the  
9           time that a trainee was kept in such abysmal ignorance  
10          of anything that was relevant to haemophilia care.

11          Perhaps we should ask the people responsible why they  
12          didn't share information and knowledge with her.

13   MS DUNLOP:   We did notice, sir, that the meeting that took  
14          place in Edinburgh on 29 November 1984, which was to  
15          discuss the discovery that patients in Scotland appeared  
16          to have been infected with the virus, HTLV-III, that it  
17          was Dr Gibson who represented Yorkhill at that meeting  
18          in 1984.

19          So we asked her, in view of the statement to which  
20          I drew attention, that she didn't attend any discussions  
21          or wasn't part of any discussions of any significance  
22          before 1988, and she has provided a further document,  
23          which is [\[PEN0120284\]](#).

24   THE CHAIRMAN:   Yes.

25   MS DUNLOP:   Then on to next page, please.

1 THE CHAIRMAN: Yes.

2 MS DUNLOP: So that's Dr Brenda Gibson's comments, sir.

3 THE CHAIRMAN: Yes, thank you.

4 MS DUNLOP: We have also a statement from Dr McIntyre,  
5 formerly of SHHD. I think it's appropriate to indicate,  
6 sir, that Dr McIntyre had every intention of coming but  
7 he has had health difficulties recently and certainly  
8 his medical advisers didn't think it would be a good  
9 idea. So I think it's appropriate to put that on the  
10 record.

11 THE CHAIRMAN: Yes.

12 MS DUNLOP: His statement is [\[PEN0150330\]](#). He gives us on  
13 the first page some background to his own career.

14 THE CHAIRMAN: I like the idea of someone being a civil  
15 servant in various guises.

16 MS DUNLOP: Certainly for a long time.

17 THE CHAIRMAN: Yes.

18 MS DUNLOP: From paragraph 4 we can see that when he became  
19 a principal medical officer in 1977, he covered blood  
20 policy, among many subjects. He says:

21 "Our areas of responsibility included communicable  
22 diseases and environmental health. This covered food  
23 poisoning, water supply, sewage disposal, epidemiology  
24 of leukaemia in relation to radiation hazards, Chernobyl  
25 disaster and the aftermath."

1           Paragraph 6 he reported to Dr Scott and to the CMO.  
2           He refers to action being taken on the administrative  
3           side; that is recommendations and formal advice would be  
4           generated by our administrative colleagues and that  
5           they, the doctors, fed into that process.

6   THE CHAIRMAN: The beginning of paragraph 7 is quite  
7           interesting and perhaps does reflect an impression that  
8           one had, that in general blood transfusion wouldn't be  
9           at the top of the agenda for the officials generally,  
10          unless and until problems emerged.

11   MS DUNLOP: Certainly quite a portfolio, the list of  
12          different subject matters that he narrated in  
13          paragraph 4.

14          If we read on to the next page, please. He doesn't  
15          remember any of the detailed discussion from the meeting  
16          on 21 January 1983. That's paragraph 12. On the  
17          following page, the question now largely superseded,  
18          about the reference centre directors' meeting on  
19          13 May 1983.

20          I should explain, sir, in relation to paragraph 14  
21          that the Inquiry team in its research has followed  
22          various trains of thought, including the possibility  
23          that Dr Galbraith's letter -- and its contents -- might  
24          have been known among certain circles of people, but  
25          I think it would be accurate to say we have really drawn

1 a blank on that. There doesn't appear to be any  
2 reliable evidence that the fact that Dr Galbraith had  
3 sent this letter, and what his paper said was in any  
4 sense well-known, even in medical circles.

5 THE CHAIRMAN: Would Dr Bell be the person most likely to  
6 know?

7 MS DUNLOP: Possibly, yes, sir. We did ask also about  
8 Dr Bell because we were interested in finding out how  
9 the different doctors in SHHD related to each other and  
10 Dr McIntyre has addressed that in paragraph 15.

11 THE CHAIRMAN: Yes.

12 MS DUNLOP: Go to the next page. Thank you. (Pause)  
13 Then the second last page, please. Largely  
14 questions to which Dr McIntyre doesn't really know the  
15 answer.

16 THE CHAIRMAN: Yes.

17 MS DUNLOP: Many of them obviously relating to treatment.  
18 (Pause)

19 THE CHAIRMAN: Yes.

20 MS DUNLOP: The last page, please. (Pause)

21 THE CHAIRMAN: Yes.

22 MS DUNLOP: I think if we can just go to the end of the  
23 statement. We have a signed copy.

24 THE CHAIRMAN: Yes.

25 MS DUNLOP: The last one, sir, is a statement from

1 Dr Mitchell. It's [\[PEN0150004\]](#). Dr Mitchell I think  
2 has really just written generally on the topic without  
3 addressing the individual question, no doubt dealing  
4 with the same subject matter.

5 THE CHAIRMAN: There is no possibility of seeing  
6 Dr Mitchell?

7 MS DUNLOP: It is in my mind, sir, that we may have some  
8 questions about the organisation of supply and so on, on  
9 which we were not focused when we contacted Dr Mitchell  
10 last summer, and it may be necessary perhaps in the  
11 first instance perhaps to write to him and pose some  
12 specific questions. I was going to review that after we  
13 heard from Professor Cash.

14 THE CHAIRMAN: Right, yes. I would be happy if you did  
15 that.

16 MS DUNLOP: Yes. I think just that sentence at the end of  
17 the first paragraph, the reference to joint meetings in  
18 the preliminary report, refer in the main to meetings of  
19 haemophilia directors and not involving regional  
20 transfusion directors. Just to record that there were,  
21 of course, joint meetings between the Scottish  
22 haemophilia directors and the blood transfusion  
23 directors. We have looked, I think most often, at the  
24 one from 1983 but also the one in 1981.

25 There is some reference in this to our topic B1



1 about exclusion of particular donors. We see on the  
2 second page particularly, if we look to it, the first  
3 paragraph covers that area.

4 Just for the record, sir, at the end of that  
5 paragraph at the top of the page, the reference to the  
6 24 June. That's a reference to a letter, not a meeting,  
7 and it's the letter which appears to have followed the  
8 reference centre directors' meeting on 13 May at  
9 St Thomas' Hospital.

10 (Pause)

11 I suspect that the reference in the penultimate  
12 paragraph to the application to the High Court of  
13 Scotland for the removal of the anonymity of donors  
14 would leap out at a number of us, and we did make some  
15 attempts to get some more information about this,  
16 although it's fair to say not a sustained effort. We  
17 may return to that enterprise.

18 THE CHAIRMAN: Yes.

19 MS DUNLOP: So that's the conclusion of Dr Mitchell's  
20 statement. There are other pieces of correspondence and  
21 so on that I will need to refer to also, just to  
22 complete the topic. It formally is the case that we  
23 can't really complete the topic in this block anyway,  
24 because we have to have Professor Hann and Dr McClelland  
25 to complete their evidence, which they will do in block

1           3, but I will try before the end of block 2 to draw  
2           attention to certain pieces of correspondence. So they  
3           are as complete as possible.

4   THE CHAIRMAN: Having had this exercise, it does seem to me  
5           that one would wish to ask Professor Hann about the  
6           organisation of his department that left  
7           Dr Brenda Gibson in such a terrible state of ignorance.

8   MS DUNLOP: I entirely appreciate the point you make but the  
9           only observation might be that insofar as we can detect  
10          when the infection at Yorkhill occurred, it does seem to  
11          have been before Dr Gibson arrived.

12   THE CHAIRMAN: Yes. Does that make it less likely that it  
13          would have been a topic for discussion with a senior  
14          registrar? I don't think so.

15   MS DUNLOP: Well, it's more a question of investigating the  
16          aetiology of what had occurred, sir.

17                 So there aren't any other statements to which I need  
18          to draw attention at this point, sir. That would really  
19          conclude the business for today, all the business we can  
20          usefully transact.

21   THE CHAIRMAN: I hope you will review this because it does  
22          seem fairly clear that taking these statements as we  
23          have is less satisfactory than actually hearing some of  
24          the people give evidence, but one must have regard to  
25          the realities of the situation.

1           Gentlemen, I have not asked you whether you had any  
2           points to make on this. I think that comment isn't  
3           appropriate at the moment and can be reserved until such  
4           time as you think it's appropriate to make comments. We  
5           just simply take note of the statements as they stand.

6 MR ANDERSON: There is only one matter, sir. I think you  
7           made reference earlier to Dr Cash annotating the MMWR.  
8           I think you probably meant to say Dr Watt.

9 THE CHAIRMAN: Mr Watt. You are absolutely right.

10 MR ANDERSON: Just for the purposes of the transcript.

11 THE CHAIRMAN: Yes, thank you, that's correct. It was  
12           John Watt who was said to have done it.

13           And now?

14 MS DUNLOP: Yes, sir, I don't think there is any other  
15           business we can usefully transact at the moment.

16 (12.34 pm)

17 (The Inquiry adjourned until 9.30 am the following day)

18

19

I N D E X

20

21 DR PETER FOSTER (continued) .....1

22       Questions by MS DUNLOP (continued) .....1

23       Questions by MR DI ROLLO .....40

24 Presentation of statements of .....50  
25           non-attending witnesses

