

Thursday, 17 March 2011

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(9.30 am)

MS DUNLOP: The first witness today, sir, is
Professor Marc Turner.

PROFESSOR MARC TURNER (sworn)

Questions by MS DUNLOP

MS DUNLOP: Good morning, Professor Turner.

A. Good morning.

Q. We have a statement from you and we are going to look at
that and ask you some questions about it but before
doing so, I would like to look at your curriculum vitae.
Which is PEN0100116. That should appear on the screen
in front of you.

Professor, you are here in your capacity as, is it
medical director of the SNBTS, Scottish National Blood
Transfusion Service?

A. Yes, that's correct.

Q. I was just slightly thrown because I saw the words
"associate medical director"?

A. I was only appointed as medical director in December and
I started at the beginning of January this year.

Q. I think that possibly isn't recorded in your CV?

A. It isn't, I apologise.

Q. Not at all. It is just to clarify that that was the
position. Can we look, please, at the first page in,

1 which is PEN0100117. It gives us a bit of basic
2 biography and some outline of your education. Then if
3 you go down the page, your qualifications. We see that
4 you studied your undergraduate medical qualification in
5 Manchester and then you came up to study in Edinburgh.
6 Is that correct?

7 A. Yes. Between those two points I qualified in about 1983
8 and I did what were then junior house officer jobs and
9 general medical training around Manchester and then in
10 Derby Royal Infirmary. I came to Edinburgh in around
11 1987 to undertake higher specialist training in
12 haematology.

13 Q. I notice from your list of qualifications that the
14 fourth one is certificate in transfusion medicine. And
15 that you have also completed specialist training as
16 a haematologist?

17 A. Yes.

18 Q. I wonder if you could just give a bit of a description
19 of the difference between haematology and transfusion
20 medicine and where one stops and the other begins, if
21 you like.

22 A. In the UK transfusion medicine is thought of and treated
23 as a subspeciality of haematology. Haematology, as you
24 know, is the study of blood overall. There are
25 various subspecialities, for example, haematological

1 oncology, so the treatment of leukaemias and lymphomas,
2 coagulation and haemophilia and transfusion medicine.

3 So it is those who have gone through higher
4 specialism training in haematology will have spent some
5 time, usually three to six months, also training in
6 transfusion medicine.

7 THE CHAIRMAN: I think I'm again hearing the professor
8 naturally rather than through the system.

9 A. I apologise.

10 THE CHAIRMAN: It won't be your doing, professor. It is
11 just that this system is sensitive at both ends of the
12 spectrum.

13 A. I'll sit closer.

14 MS DUNLOP: Taking it from the point where you were saying
15 that transfusion medicine is a subset of haematology.

16 A. In this country now it is looked at as a subspeciality
17 of haematology and during higher specialist training one
18 would expect a haematologist to study in haematological
19 oncology, coagulation medicine, some paediatric
20 haematology and transfusion medicine.

21 In fact, during my training, because of the timing
22 of my training and there was some changeover in the
23 training structure, I spent two years from 1995 to 1997
24 as a senior registrar specialising in transfusion
25 medicine. So specialising in that subset of

1 haematology.

2 Q. Right. What would be the day-to-day role of
3 a specialist in transfusion medicine? Would you find
4 specialists in transfusion medicine in the
5 Royal Infirmary, for example?

6 A. We do have specialists in transfusion medicine in the
7 Royal Infirmary but that is because the blood bank in
8 the Royal Infirmary is managed directly by SNBTS, as it
9 is in four of our other centres. In general hospitals,
10 district general hospitals, the blood banks will
11 normally be managed by somebody with a general
12 qualification in haematology, who would have other
13 duties obviously within the hospital.

14 Q. Right. But it is not the case that, for example,
15 a surgeon with a patient thinks this patient may need
16 a transfusion and summons a specialist in transfusion
17 medicine?

18 A. No.

19 Q. The clinician makes the decision?

20 A. The clinician would make the decision on the ground and
21 order the blood from the blood bank, and the role of the
22 transfusion specialist or the haematologist with an
23 interest in transfusion is more over a general
24 professional management of the hospital blood bank and
25 in haematology, giving advice on difficult cases, either

1 difficult serological cases -- difficult matching
2 cases -- or difficult clinical cases.

3 Q. Just looking further on in your CV, can we turn to
4 PEN0100118, please. You explain for us, both your
5 general medical training and your higher specialist
6 training. If we look towards the bottom of the page, we
7 can see that you were a registrar in haematology in the
8 Royal Infirmary and the Royal Hospital for Sick
9 Children. Is that a rotation?

10 A. Yes, it was a rotation at the time, yes.

11 Q. Right. You progressed and became a senior registrar in
12 transfusion medicine within Edinburgh and Southeast
13 Scotland Blood Transfusion Service. From the next page,
14 PEN0100119, you say that:

15 "Since April 1997 [you] have held or continue to
16 hold the following positions."

17 Quite a number of positions, Professor Turner. You
18 are professor of cellular therapy?

19 A. I am now, yes.

20 Q. Is that what lay people would think of as stem cell
21 therapy or is it beyond that?

22 A. It would certainly encompass stem cell therapy but it
23 goes a little beyond that, yes.

24 Q. What sort of things are encompassed within the term
25 "cellular therapy"?

1 A. It would include hematopoietic stem cell, or what you
2 would think of as a bone marrow transplantation. That's
3 a cellular product. It includes among the newer
4 therapies that we are developing, things like pancreatic
5 islet transplantation, for example. The first
6 pancreatic islet transplant in Scotland was carried out
7 a few weeks ago here in Edinburgh.

8 Q. Is that for diabetes?

9 A. Yes, for specific groups of patients with diabetes and
10 unstable diabetes and hypoglycaemic unawareness. It
11 includes some therapies where we administer white cells,
12 lymphocytes, to patients with certain kinds of
13 infections. As you say, it includes the developing
14 field of broader stem cell therapies and regenerative
15 medicine, as an academic appointment. It's
16 a forward-looking appointment.

17 Q. You have a number of managerial positions. You show
18 that you are the clinical director of Edinburgh Blood
19 Transfusion Centre and the clinical director of Aberdeen
20 Blood Transfusion Centre. Is that out of date given the
21 change of position in December?

22 A. It should be out of date and once I find a colleague to
23 replace me, it will be out of date, yes.

24 Q. Right. It can't have been particularly easy to cover
25 both Edinburgh and Aberdeen?

1 A. No, but on the other hand I have very good colleagues
2 who work with me, who are perfectly capable of managing
3 both units without my interference.

4 Q. Then to the next page, please, PEN0100120. We see at
5 the bottom of that page, you detail clinical experience.
6 As an honorary consultant haematologist at the Royal
7 Infirmary until two to three years ago, you undertook
8 a general outpatient clinic and you provided
9 out-of-hours on-call coverage for the Royal Infirmary
10 and the RHSC haematology service. You say you currently
11 provide consultant cover for patients with primary
12 immunodeficiency requiring home therapy with
13 immunoglobulin. Firstly. Is that still the case?

14 A. That is still the case yes.

15 Q. Can you give us some examples of primary
16 immunodeficiency?

17 A. Yes. These are a small group of patients who have
18 usually deficiencies in antibody production of one form
19 or another. There are various causes, some of them
20 genetic, things like common variable immunodeficiency,
21 for example. Some, not all of such patients experience
22 recurrent infections, and require long-term
23 immunoglobulin infusions. Nowadays quite a lot of those
24 patients are able to give their own immunoglobulin at
25 home, so we clearly need to provide support for them,

1 predominantly nursing support, although medical
2 oversight is also required.

3 Q. I see. The point that's being made by the use of the
4 word "primary" is in distinction to acquired
5 immunodeficiency, or do you also get secondary
6 immunodeficiency?

7 A. Yes, one does get secondary immunodeficiencies, of
8 course, yes.

9 Q. As we realise, one also gets acquired immunodeficiency
10 and that's a large part of the remit of our Inquiry.

11 A. Yes.

12 Q. You have clearly had a number of different roles and
13 responsibilities, which you have detailed very carefully
14 in your CV. You have also told us about your research
15 experience on PEN0100125. You have led in the past
16 three areas of research, quite complicated for lay
17 people to follow, certainly 2 and 3. I think we can
18 understand the risk of transmission of variant CJD by
19 blood transfusion and the cell therapy group leader.
20 Then the first one is perhaps slightly beyond us but
21 basically it is to do with a form of antenatal
22 screening.

23 A. Yes. More broadly immunological matching in regard to
24 the blood; I would phrase it that way.

25 Q. Then if we look to the next page, [\[PEN010126\]](#), we see

1 that you have worked with Professor Sir Ian Wilmut?

2 A. Hm-mm.

3 Q. You mention, as the first challenge in that role -- that
4 is working in the centre for regenerative medicine --
5 establishing a presence in the chancellor's building.
6 Is that Little France?

7 A. Yes, it is the university medical school at
8 Little France.

9 Q. Is there a goal to bring as much as possible on to that
10 one site?

11 A. Yes, there is. Obviously there is the Royal Infirmary
12 on site at present. The intent, as I understand it, is
13 to bring the Royal Hospital for Sick Children up from
14 Sciennes Road onto that site. There is the university
15 medical school and the QMRI, the Queen's research
16 institute, so the major research institutes.

17 We are just finishing the completion of the Scottish
18 Centre for Regenerative Medicine, which is funded by the
19 Scottish Government, which is a highly complex bespoke
20 building. Around the back of that site in Little France
21 Scottish Enterprise have prepared ground to bring in
22 biotechnology and industry, I think the vision being that
23 that will be a centre of excellence for Scotland,
24 bringing together clinical, academic and biotechnology
25 firms in new fields, particularly regenerative medicine.

1 Q. Thank you. Then you tell us some professional
2 contributions. This is just edited highlights,
3 professor. But on PEN0100127, you have plainly
4 participated in a number of different groups and
5 provided advice on different topics to the UK Government
6 and indeed to other governments beyond Britain. Then
7 you tell us on PEN0100128 about lectures and talks,
8 even at the Science Festival which is trying to make
9 what you do comprehensible to a wider audience. But
10 plainly you must also give a lot of lectures and talk to
11 specialist audiences. Then a very long list of research
12 projects and publications, which goes indeed from 0129
13 to the final page, which is 0145.

14 So with that piece of background, can we now come to
15 look at your statement that you have provided for the
16 Inquiry today? That is [\[PEN0020452\]](#). Before we look at
17 the detail of this, professor, I want to clarify
18 something - because I used a bad metaphor at the end of
19 yesterday - that Scotland continues to operate
20 a voluntary, non-remunerated donor system for blood. Is
21 that correct?

22 A. That is correct.

23 Q. Our attempt today is to look at what happens both from
24 the perspective of those who collect the blood from the
25 donors and those who use the blood in a clinical or

1 therapeutic setting. So primarily I want to ask you
2 about the first part of that: the people who collect the
3 blood. How they do it and what they do with it.

4 In the first paragraph, which is on the next page of
5 your statement, you give us a little bit of background
6 on the current structure of SNBTS and I think we can see
7 that in the first paragraph, that, like many
8 organisations, seems to have had some administrative
9 changes in the period with which we are more familiar.
10 We are accustomed to seeing references to the five
11 regional centres, with the headquarters, if you like, in
12 Inverness, Aberdeen, Dundee, Edinburgh and Glasgow, the
13 West at least. It looks, at least in the period which
14 we are studying, as though these centres had
15 a reasonable degree of autonomy. Is that perhaps
16 slightly less so, now?

17 A. Oh, yes. I think it is a lot less so now. Probably
18 around shortly after I joined SNBTS, around 1997/1998,
19 the incoming new national director at the time,
20 Mr Angus MacMillan Douglas, undertook quite
21 a substantial restructuring of SNBTS on to national
22 functional basis. So that, for example, a donor
23 organisation, manufacturing -- that is red cell
24 preparation, tissues and cells and clinical
25 directorate -- are managed on a national basis rather

1 than on a regional basis. That's not to say, of course,
2 that we don't still have regional centres in those
3 cities that you have described.

4 Q. You tell us that the directors of the national services
5 are accountable to the SNBTS national directorate and
6 management board. The national director is not
7 necessarily medically qualified. Is that right?

8 A. That's correct, not normally medically qualified.

9 Q. Is that position vacant as we speak?

10 A. No, no, Mr Keith Thompson is national director of SNBTS.

11 Q. Sorry. The position which is vacant, is it the director
12 general health and chief executive of the NHS. Is
13 that the one ...?

14 A. Yes, I believe that is the case. I think
15 Mr Derek Feeley is acting in that position, although
16 I don't know him personally.

17 Q. Obviously, I have been doing some web research and I did
18 find that a Dr Kevin Woods had moved to New Zealand.

19 A. I believe that to be true.

20 Q. Just so that we are clear: there is the national
21 director of SNBTS, there is a board for SNBTS; SNBTS is
22 itself part of National Services Scotland and then
23 National Services Scotland is obviously part of the NHS.
24 The NHS now has, for Scotland, a person described as
25 director general health and chief executive of the NHS

1 in Scotland?

2 A. I believe that to be correct, yes.

3 Q. In fact that is just one person, director general health
4 and chief executive of the NHS. It sounds like a big
5 role?

6 A. Yes, it does.

7 Q. No doubt it is. Some more general information is
8 provided about the development of guidelines and we can
9 see the sorts of issues on which guidelines are felt to
10 be necessary: donor selection criteria, microbiological
11 screening, components preparation, and there is
12 obviously quite a lot of liaison with the other services
13 in the UK?

14 A. Yes.

15 Q. The service, as we say, south of the border is organised
16 for England and Wales, is it?

17 A. England and North Wales, yes. But the southern part of
18 Wales has the Welsh Blood Service.

19 Q. What about Northern Ireland?

20 A. It has its own blood service. So there are four blood
21 services within the United Kingdom.

22 Q. Then you tell us at the bottom of the page, towards the
23 bottom of the page, about some advisory committees,
24 standing committees, which provide advice on some of the
25 general issues affecting blood transfusion?

1 A. Yes.

2 Q. Can we look at the next page, please? You are in the
3 business of providing blood components as well as
4 a number of tissue and cell products, such as bone,
5 tendon, heart valves and haematopoietic stem cells.
6 I was interested to see that you produce heart valves,
7 I suppose because we had some discussions of heart
8 valves last week. But what sort of heart valves are you
9 producing?

10 A. They are recovered from deceased patients, quite
11 obviously, and they are processed and stored. They can
12 be stored frozen. It is not necessary to have viable
13 cells for a heart valve. Then they are used during
14 heart surgery, where a valve needs to be replaced. So
15 they will be taken by the surgeons, obviously thawed and
16 then used as replacement valves.

17 Q. You have helpfully listed for us in the same paragraph
18 a number of EU directives and in fact it looked to me
19 that there had been five directives in this area within
20 four years, which is quite heavy activity from the
21 European Union. Obviously, in the noughties the
22 regulation of Blood and Safety and Quality has become
23 pan-European, or the legislation with which you have to
24 comply is pan-European.

25 A. I think that's correct. It probably looks more complex

1 than it is. There is obviously an overarching mother EU
2 blood directive and then a number of subset amendments
3 and directives that flow down from that, most of which
4 are transposed into UK law, as I understand it, through
5 the Blood safety and Quality regulations. Then
6 similarly for tissues, there is the EU Tissue and Cells
7 Directive and some daughter directives which have been
8 transposed as the Human Tissue Quality and Safety
9 Regulations.

10 Q. You then address, I think, an issue which was put to you
11 by the Inquiry team: how and where blood is collected in
12 Scotland, including the use of regular and one-off
13 donors and sessions held within and without transfusion
14 centres. You tell us about the active donor base.
15 I suppose regular donors are particularly valuable, are
16 they?

17 A. Yes, they are particularly valuable, because we depend
18 on them for about 85 per cent of the blood that's
19 donated. We can call them up because we know who they
20 are, so we can put a base load of donors into
21 a particular session, for example. And because they are
22 regularly screened, there is a much lower deferral rate
23 for them, both on donor selection and on screening.

24 Q. People's motivations for doing this are altruistic?

25 A. They are entirely altruistic. They get no reward. From

1 time to time we hold donor ceremonies and they get
2 a small gift or something like that, small award, but
3 that's the only reward they ever receive, the only
4 material reward that they would ever receive.

5 Q. In blood donation circles we have noticed that very
6 diplomatically no one is ever rejected, people are
7 deferred. Is that right?

8 A. That's correct.

9 Q. If you are deferred, though, it is not really that you
10 are going to be invited back, is it?

11 A. Not necessarily. Some people are deferred temporarily,
12 for example, they might have a low-ish haemoglobin level
13 or they might have had a head cold for example,
14 something like that. So that would only be a temporary
15 deferral. Clearly other people either disclose
16 something in their donor history, in their personal
17 history, which means that they have to be permanently
18 deferred or if they test positive on a screening test,
19 they would have to be permanently deferred.

20 Q. Because -- and this is common sense, professor -- as you
21 explained to us, you have to have the health of the
22 recipients of the blood in mind but you also pay
23 attention to the health of the donors.

24 A. Absolutely.

25 Q. Yes. I noticed that you said at the bottom of the page

1 that blood and platelet donations are no longer accepted
2 from donors who themselves might have received a blood
3 transfusion since 1980. One or two aspects of that,
4 I would like to pick up.

5 The first is the use of the word "might". Obviously
6 it must be straightforward if someone knows they have
7 had a blood transfusion and they say, "I have had
8 a blood transfusion", but how do you detect the people
9 who might have received a blood transfusion?

10 A. We can only do that by asking them. Most people do know
11 whether or not they received a blood transfusion. But
12 we also ask is it possible, because some people, for
13 example, let's say, had a road traffic accident and they
14 were unconscious, they might be uncertain. So they
15 would be deferred as well on a precautionary basis.

16 Q. What about people who have just had surgery since 1980?

17 A. We don't routinely defer people who have just had
18 surgery because only a minority of them would really
19 have had a blood transfusion and many, many people would
20 have had surgery of one form or another, often trivial.

21 Q. You say that that particular measure, that is deferral
22 on a permanent basis, I suppose, to use the right
23 language, of people who have received a blood
24 transfusion since 1980, was introduced in 2004 and that
25 was because of the perceived risk of variant CJD. One

1 of the cases we looked at last week concerned somebody
2 who had a transfusion in 1990 and it transpired that
3 that transfusion had transmitted Hepatitis C. When the
4 donor was questioned about any possible risk factors
5 that the donor had had, it turned out that the donor
6 himself had had a blood transfusion. But obviously at
7 that time there was no thinking about deferring people
8 who had had a blood transfusion.

9 A. Hm-mm.

10 Q. I wonder if you could perhaps speak a little bit more
11 about how and why the thinking changed?

12 A. The thinking in the UK changed because in the early part
13 of 2004 the first documented clinical case of
14 transmission of variant CJD by a red cell product was
15 described. So at that point what had been considered to
16 be a possibility clearly became a clinical reality.

17 That decision was taken, I think, probably on the
18 advice of MSBTO at the time. I can't be certain about
19 that. It was probably the route by which that opinion
20 was reached.

21 Q. Could you remind us who that is?

22 A. That was the advisory committee on the Microbiological
23 Safety of Blood, Tissue and Organs. The committee which
24 preceded the current independent advisory committee,
25 called SaBTO. That was a preceding committee. I wasn't

1 a member of it but I did attend to give professional
2 advice from time to time. The rationale for that
3 decision, to be clear, was to exclude the possibility of
4 tertiary and higher order transmissions of variant CJD.
5 So if I can explain that a little bit better.

6 Q. I think you had better.

7 A. Obviously a primary transmission would be from
8 a BSE-infected cow to man. A secondary transmission
9 would be, for example, transmission from somebody who is
10 infected with variant CJD but not showing any clinical
11 signs, through, let's say, a blood transfusion to
12 a second person.

13 There is very little we can do at the present time
14 to obviate that risk. However, what we didn't want to
15 happen was then somebody who themselves had variant CJD
16 through a blood transfusion to carry on donating and
17 continue recycling the infection in the community, as it
18 were. So we didn't want blood transfusion to become
19 a route to continuation of the outbreak of variant CJD
20 in the population. So that's why that decision was
21 reached in the United Kingdom. That took out about
22 3.5 per cent of our donor population at that time;
23 a little bit more of the blood because actually at that
24 time, as you might expect, people who themselves had
25 received blood transfusions in the past are often very

1 keen to contribute something back to the community.

2 So they often paradoxically make some of the most
3 dedicated of our donors. So, as I say, that took around
4 about 3.5 per cent of our donors out at that stage and
5 probably we defer about 1 per cent of donors on that
6 basis on an ongoing basis.

7 The only other country that I'm aware of that defers
8 donors who have received previous transfusions on
9 a permanent basis is France, and I believe they
10 introduced that measure in around about 1997. I don't
11 know the rationale for that but I think it was part of
12 their reflection on the difficulties they had,
13 particularly with HIV during that period. They really
14 wanted to guard against other emergent infections being
15 transmitted through that route.

16 My recollection is that the EU directives to which
17 you just referred specify a six-month deferral for
18 people who have received previous transfusions and also
19 my understanding is, though I have less knowledge of
20 this, that the US and Canada and some other countries,
21 there is a 12-month deferral. So a temporary deferral
22 for such individuals.

23 Q. Okay. You referred to the motivation of people who
24 themselves have received a transfusion and it is not
25 difficult to understand the thinking, that people are

1 very grateful and decide themselves to become blood
2 donors. Dr Gillon referred yesterday also to the
3 possibility of transfusion in a close family member and
4 I imagine that that can be quite a powerful motivation
5 as well. If, for example, one's child has been saved by
6 a blood transfusion, then I think it is not difficult to
7 understand that that might motivate somebody to go and
8 become a donor themselves.

9 A. I think that's true, yes.

10 Q. Can we look at the next page, please? You tell us what
11 we have covered already, that there can be problems with
12 supply, you say particularly in maintaining supplies
13 from the universal donor of O rhesus D negative blood
14 group. That's in essence people whose blood could be
15 given to anybody?

16 A. More or less, yes. They would comprise about 7 per cent
17 of the general population.

18 Q. That's the blood which is presumably most in demand?

19 A. Most in demand because we use it for what we would term
20 "flying squad blood". So we would put O rhesus D
21 negative blood, for example, into an accident and
22 emergency department or into the fridge in an obstetric
23 unit. So if a patient comes in who is exsanguinating
24 rapidly, they can use that blood which is to hand while
25 sending samples to the laboratory for properly

1 crossmatched blood to be provided.

2 Q. Then you answer a question:

3 "What happens to a donation once collected?"

4 You tell us a bit about the donation pattern of most
5 donors. You say:

6 "Haemoglobin levels which are tested by HaemoCue on
7 a capillary sample."

8 Does that mean the pricking of a finger and taking
9 of blood and putting it in a flask or breaker? Has that
10 been superseded?

11 A. We still do a finger prick, as you say. We have tended
12 to move on from the old-fashioned flasks but we use a
13 small bench stop instrument, which is more accurate and
14 slightly less messy.

15 Q. Then you say there is testing, plainly. You are looking
16 for the ABO groups and rhesus D, and you say, sometimes
17 more minor groups. I think we should just ask you for
18 a general education about the ABO system. That is to do
19 with people who have certain proteins on their red
20 cells, or don't have proteins on their red cells, which
21 means that they will produce antibodies to blood of
22 a different type. Is that roughly correct?

23 A. Kind of.

24 Q. We had better let you explain it because you will do it
25 far better than I can.

1 A. The ABO system is carbohydrate antigen system, so
2 a sugar system rather than a protein system. Both kinds
3 of systems are expressed on red cells. There are over
4 400 antigens expressed by red blood cells, classified
5 into 12 systems.

6 Q. I knew it would be more complicated.

7 A. Which would make a very interesting lecture, which
8 I will spare you. But the ABO system is a carbohydrate
9 system. So that is expressed not just on red blood
10 cells but on all the cells of our body. For those
11 carbohydrates which we ourselves express, we do not
12 develop naturally occurring antibodies to them but if we
13 lack certain carbohydrate antigens, then we will develop
14 antibodies to those carbohydrate antigens during our
15 early development, usually when we are babies. That's
16 probably because carbohydrates are also expressed, for
17 example, on bacteria on our skin and in our
18 gastrointestinal tract.

19 So to make that a little bit more concrete, if you
20 are group O, for example, you will express naturally
21 occurring antibodies to group A and group B because
22 those are carbohydrate antigens you lack. If you are
23 group A, you will express antibodies to group B and vice
24 versa. And if you happen to be AB, then you will be
25 a universal recipient, you will not express antibodies

1 to either of those two blood groups.

2 Q. Yes. Because if O is a universal donor, AB is

3 a universal recipient. Is that right?

4 A. Yes.

5 Q. You test also for various pathogens, I suppose they are,

6 a number of viruses. We recognise the abbreviations

7 that we see there, Hepatitis C, Hepatitis B, HTLV. Is

8 that really HTLV1 and 2?

9 A. It is, yes, sorry.

10 Q. Yes. I think we will come on to this at a later point

11 in the Inquiry but HIV started life as HTLV3?

12 A. It did.

13 Q. And then was renamed "HIV"?

14 A. I believe that's the case, yes.

15 Q. Syphilis is a bacterial infection. Is that right?

16 A. It is.

17 Q. Yes. Then you say that you are also testing for HIV,

18 Hepatitis B and Hepatitis C by nucleic acid testing.

19 Perhaps you can explain the difference between the first

20 batch, which you say is testing using serology and then

21 the nucleic acid testing?

22 A. Yes. So syphilis, HIV, HCV and HTLV are all tested to

23 look for patients with antibodies to those infections.

24 Clearly, when one gets an infection, one develops an

25 immune response, as you know, and one can detect

1 antibodies. In the case of HBV, I'm sorry, that's not
2 exactly accurate because we test for the surface antigen
3 for Hepatitis B rather than for the antibody.

4 Nucleic acid testing is based on a technique called
5 polymerase chain reaction, which, in relatively simple
6 terms, amplifies RNA or DNA and so, therefore, is very
7 highly sensitive. So currently donations are tested by
8 both techniques.

9 Q. I think the difference for us to understand as lay
10 people is perhaps the difference between looking for
11 antibodies, which is essentially a form of screening,
12 and looking for active virus, which is the latter type
13 of test. Is that correct?

14 A. Yes.

15 Q. Right. A finding of antibodies represents, as
16 I understand it, a sort of clue that the virus has been
17 here?

18 A. Yes, I think that's fair.

19 Q. And then you say that you test also for a variety of
20 other infectious agents and then you develop a little
21 further the notion of the different tests, so the
22 hierarchy of tests, if you might put it like that, that
23 you take samples which are initially reactive on
24 screening and then subject them to a series of further
25 tests. I suppose the most valuable screening tests are

1 ones which are very sensitive?

2 A. Yes, they have to be very sensitive, quite obviously, or
3 we try to make them as sensitive as we possibly can
4 because we don't want to miss people with infection. So
5 we want a low false negative result.

6 Q. Yes.

7 A. But what that means, of course, is that you do then open
8 yourself up to more false positives. So, typically, in
9 modern screening -- because we are now on third or
10 fourth generation tests, so there has been a lot of
11 refinement of the technology, as you might expect, over
12 the last ten or 20 years -- we find that about
13 0.2 per cent of the donations are initial reactives.
14 You know, if you just screen the population, about
15 2 [sic - 0.2] per cent would come up with a positive for
16 one or another marker.

17 Then what we typically do is we retest that sample
18 twice using the same assay and we find that about
19 90 per cent of those are repeat reactive negatives, so
20 it was just a glitch in the system at that stage. So
21 perhaps only about 0.02 per cent are repeat reactive
22 positive on that initial screening test.

23 But even then we don't necessarily assume that this
24 means that the patient has that infection. At that
25 stage we would quarantine the donation, we would take it

1 out of the system, to give ourselves time to look in
2 much more detail, and we then would send the samples to
3 a reference laboratory, where we do a whole series of
4 different other kinds of tests, based on different kinds
5 of platforms and technology, to try and establish
6 whether it is a true positive or not. Again, in broad
7 general terms, around 10 per cent of those repeat
8 reactive samples turn out to be true infections and the
9 other 90 per cent tend to be technical artefacts, as it
10 were.

11 Q. So, just to assist our understanding with the first
12 round of testing, it is the false negatives that would
13 worry you because they would be infections that had
14 slipped through the system. The false positives you
15 cope with by doing further testing to find how many of
16 them are true positives?

17 A. That's absolutely correct, yes. Clearly, we would not
18 want to go back to a donor and tell them they were
19 positive for a particular infection unless we were
20 absolutely certain that that diagnosis was correct.

21 Q. And I suppose -- and we will come on to this much later
22 in the Inquiry too -- before you introduce any new form
23 of screening, you have to have a fairly accurate sense
24 of how it performs?

25 A. Yes.

1 Q. Is that right?

2 A. Yes, I think that's true. You need a test which is
3 obviously sensitive enough that it is going to work, it
4 is going to be worth doing in the first place, but has
5 a specificity level that is manageable without deferring
6 large swathes of people. Normally, you would want to
7 have at least one kind of confirmatory assay; otherwise,
8 you have no way of sorting out the false positives and
9 the true positives, as it were, and obviously when you
10 are screening large numbers of healthy people, the false
11 positive group far outweigh, as I have just described to
12 you, the true positives, so the positive predictive
13 value of the initial screening test is very poor from
14 that point of view, and then, of course, legally we need
15 a test which is CE marked.

16 Q. Which is, I'm sorry?

17 A. CE marked, under the In Vitro Diagnostics Directive,
18 which means it can be marketed in the European Union
19 and, therefore, in this country.

20 Q. I see. Just before we leave this page, the other word I
21 want to pick up, just because it is not an everyday word
22 for all of us, is that you are finding other viral -- or
23 there are -- you are not necessarily finding them but
24 there are other viral and bacteriological agents in the
25 general population, many of which are of uncertain or

1 unknown pathogenicity. Does that mean their capacity to
2 make people ill?

3 A. Yes, that's correct. Obviously, there are many, many
4 bacteria and viruses all around us all of the time, some
5 of which are known to cause disease, some of which can
6 cause disease in certain kinds of patient in certain
7 circumstances, such as CMV, for example, in patients who
8 are immune-suppressed, others which are known of but are
9 not known to have any disease-causing role, things like
10 TT virus, for example.

11 Q. What sort of virus?

12 A. It is a virus which has been described, for example,
13 called "TT virus", which is of uncertain significance in
14 the general population. I think what I would try and
15 get across is that, although we obviously focus on three
16 or four viruses, there are many, many microbiological
17 agents in our environment.

18 Q. Yes. Can we look at the next page, please? You were
19 asked about the different components a donation is
20 divided into and the time, place and methods of such
21 division. You have got the two processing sites and
22 they are covering blood donations from all five of the
23 centres, are they?

24 A. Yes, that's correct. Broadly speaking, Gartnavel covers
25 Glasgow and Inverness and the Lauriston Building covers

1 Aberdeen, Dundee and Edinburgh.

2 Q. And then you take us through the basics of what you do.

3 We have seen this term on a number of occasions and

4 I have again forgotten what it is and it sort of jumps

5 out at me: what is a buffy coat?

6 A. If you centrifuge blood, what you find is that the red

7 blood cells come down to the bottom of the tube or the

8 pack, the plasma sits at the top and the white cells and

9 platelets, depending on how hard you centrifuge, sit on

10 a kind of thin white layer between the two, and that,

11 for reasons that completely escape me is called the

12 "buffy coat".

13 Q. Right, thank you.

14 THE CHAIRMAN: I have looked at "buffy coat" from the

15 earliest days of opening papers and I have never yet,

16 I think, seen any explanation as to the source of the

17 name.

18 A. No, I am afraid I don't know the source of the name.

19 PROFESSOR JAMES: We don't think it is to do with vampire

20 destroyers.

21 MS DUNLOP: As we read through the paragraph, professor, we

22 see you describing the production of bespoke blood

23 components. One example you give is red cells for

24 intrauterine or neonatal exchange transfusion. So it is

25 actually possible to transfuse an infant in the womb.

1 A. It is, yes.

2 Q. Presumably only beyond a certain stage of development?

3 A. Yes, with modern ultrasonography and technology from
4 relatively early on -- 24 weeks, 25 weeks -- if
5 required.

6 Q. What would be an example of a condition which would
7 require that?

8 A. If, for example, you have severe anaemia in the foetus,
9 so, for example, a woman who has anti-D and a D positive
10 baby -- and that's rare now because of the prophylactic
11 regimes we have in place -- typically that will cause
12 haemolysis or breakdown of the baby's blood in utero. So
13 that kind of patient, that kind of child, might require
14 transfusion in utero, but it is quite rare and I think
15 there is probably only one specialist centre now in
16 Scotland that would carry out that kind of procedure.

17 Q. Then you say:

18 "All blood components except granulocytes are
19 leukodepleted."

20 A. Yes.

21 Q. So you are taking the white cells out of everything apart
22 from granulocytes. What are granulocytes?

23 A. They are white cells. So the leukodepletion filter
24 would take them out, obviously. We very rarely use
25 granulocytes in reality. Occasionally we use them for

1 patients, for examples, who are undergoing treatment for
2 leukaemia or a bone marrow transplantation where their
3 blood system is severely depressed, and if they have
4 infections which are not responding with routine
5 antibiotics, we might collect them and infuse them with
6 granulocytes, but it is a very, very specific and
7 bespoke indication.

8 Q. And the measure, leukodepletion, is thought to be a way
9 of reducing the risk of variant CJD?

10 A. That was the rationale on which it was introduced, yes.

11 Q. For those of us who are not completely familiar with
12 mathematical notation, at least in this form, reduction
13 by 10 to the power 3 to 10 to the power 4 log 10, that's
14 a lot of reduction, is it?

15 A. Yes, it is about a 1,000 to a 10,000-fold reduction.
16 Actually, in reality now we achieve more than that, so
17 most red cell components, platelet components, would
18 contain less than about 1 million residual leukocytes in
19 the whole component.

20 Q. Then you say there is some secondary processing -- it
21 could be irradiation or washing -- and then you say some
22 materials from commercial suppliers such as solvent
23 detergent treated plasma, patients undergoing plasma
24 exchange. That is really explained, is it, by the last
25 sentence, that you do not make much use of UK plasma

1 because of CJD? Is that why you are sourcing some
2 commercially, or is that the wrong thinking?

3 A. That's correct. Obviously, all plasma for plasma
4 fractionation does not use UK plasma any more. That was
5 demitted in about 1999. In terms of clinical plasma --
6 that is fresh frozen plasma -- there are two groups for
7 whom we import plasma. One is children up to the age of
8 16 years and, as you can see, that has been in the past
9 imported from the US but, going forward, will be
10 imported from Austria, and that receives methylene blue
11 treatment, which is a pathogen reduction treatment which
12 can be applied to plasma. For patients undergoing
13 plasma exchange, particularly for a condition called
14 TTP, methylene blue treated plasma is thought not to be
15 the best treatment. So pharmaceutically cooled plasma,
16 called "octaplas", which is manufactured again from
17 European plasma, is used. That again was advice given
18 by MSBTO and then followed up by SaBTO.

19 Q. Possibly the biggest difference between the situation as
20 it now is and the position in the 1980s, particularly
21 the early 1980s, is that there isn't fractionation of UK
22 plasma, indeed to the extent that PFC is closed. Is
23 that right?

24 A. PFC is closed. BPL is the English fractionation centre,
25 which is still open, but it imports plasma for

1 fractionation. So you are quite right, UK plasma is not
2 used for fractionation.

3 Q. And Scotland doesn't fractionate any plasma?

4 A. No.

5 Q. What about albumin? I'm just interested in albumin.
6 Are you still producing albumin?

7 A. No, albumin is again a fractionated plasma product, so
8 it is commercially supplied.

9 Q. I thought I should ask you at this point also about
10 immunoglobulins, just so that you could explain where
11 they fit into the picture.

12 A. Yes. Similarly, immunoglobulins are prepared by plasma
13 fractionation. So in the past they were supplied by the
14 SNBTS Protein Fractionation Centre, as you know, but now
15 they are supplied by commercial manufacturers.

16 THE CHAIRMAN: Does this mean that Scotland has lost its
17 capacity for fractionation?

18 A. Yes, it does.

19 THE CHAIRMAN: Not only has PFC been dismantled in fact but
20 the skill sets that were used there have gone?

21 A. Yes, those people have retired and left the
22 organisation. So, yes, you are quite right, we have
23 lost that capacity or capability altogether.

24 THE CHAIRMAN: And Scotland is therefore dependent on
25 importation?

1 A. It is.

2 THE CHAIRMAN: It takes the preventative principle rather
3 a long way, professor. Any comment on the current
4 position you care to make?

5 A. Well, the decision to move away from UK plasma was
6 driven by precautionary concerns at the time around
7 variant CJD risk. It had been historically clear that
8 sporadic CJD was not transmissible by blood components
9 or plasma products, but at that time -- variant CJD was
10 first described in about 1996 -- it was recognised that
11 it was a different kind of disease and there was concern
12 even at that stage that that might prove transmissible.
13 I think the view was taken, certainly at UK Governmental
14 level, so it was probably the committee of safety of
15 medicines, that it would be preferable to move away from
16 UK plasma, both because of the risk, because of the
17 pooling effect one individual might contaminate a whole
18 different series of batches of products, and also
19 because of the view that if we ended up at that time
20 having a lot of donors developing variant CJD -- you
21 will probably recall people were talking about
22 potentially very vast numbers of people developing this
23 disease, which thankfully has never come to pass, but
24 certainly that was thought to be within the realms of
25 the plausible at the time -- we would end up continually

1 recalling batches all the time. So we would enter
2 a shortage.

3 So that decision was made at that time for those
4 reasons. I think with regard to PFC itself, it changed,
5 if I could put it this way, the health economics of
6 fractionation in Scotland. PFC had become one of the
7 smallest fractionators in the world, particularly
8 compared to big corporate commercial fractionators. And
9 moving from a position where plasma was effectively free
10 at supply, because it was provided from the whole blood
11 collection programme, to one where it had to be
12 purchased on the open plasma markets, changed the
13 balance of economics as to whether it was worth
14 continuing to try and supply products fractionated by
15 ourselves from, in fact, US or German plasma, rather
16 than just purchase them from the international
17 community.

18 THE CHAIRMAN: There must have been an underlying assumption
19 that the risk of transmission of variant CJD from blood
20 collected in Britain was greater than the risk in source
21 countries from which substitute supplies might be found.

22 A. Yes, I think there is substance to that assumption. The
23 centre of outbreak of what really was a BSE epidemic was
24 in this country and of the, in order of magnitude, about
25 220/230 cases of clinical variant CJD, probably about

1 180/190 have been in the United Kingdom. So BSE was
2 predominantly a UK-centred outbreak, clearly with some
3 cases in Ireland and western Europe. There had been two
4 or three cases in the US of variant CJD but they are
5 mainly in individuals who spent time in other countries,
6 including our country. So I think that was probably
7 a reasonable assumption at the time.

8 MS DUNLOP: PFC was in the business of fractionation. We
9 will obviously be hearing a considerable amount of
10 evidence about the processes that were undertaken at
11 PFC. One chapter of that evidence we will look at is
12 heat treatment of the different fractions from plasma,
13 particularly in the manufacture of concentrated
14 Factor VIII and Factor IX. One question I thought
15 I should put to you, professor, is why there hasn't been
16 a programme for the heat treatment of blood just as
17 blood.

18 A. If you heat red blood cells, they will lyse. So they
19 will not work. Also if you were to transfuse that into
20 a patient, you would be transfusing cell free
21 haemoglobin, which is highly toxic.

22 Q. By lyse do you mean break down?

23 A. Break down. I apologise, yes.

24 Q. Is that L-Y-S-E?

25 A. Yes, it is.

1 Q. Just so we have an accurate transcript.

2 Can we turn to the next page, please. You take us
3 on in the journey of a donation by telling us firstly
4 about storage:

5 "Blood components are normally ready for release
6 within around 24 to 48 hours from collection on
7 completion of testing and processing."

8 You say that the sort of IT systems you have in
9 place now will not permit release of a component for use
10 if testing is incomplete. And then you tell us about
11 the various different storage requirements of the
12 different components.

13 Platelets have to be continually agitated.
14 Presumably that's done by machine, is it?

15 A. Yes, it is, yes.

16 Q. They just have to be shaken about?

17 A. Yes, correct.

18 Q. Then packs go to individual hospitals and you say there
19 are 42 hospital blood banks throughout Scotland.
20 Temperature controlled cold chain is maintained
21 throughout. Five are directly managed by SNBTS and you
22 list those. The remainder are managed by the
23 territorial health boards. So is it the case that you
24 send the components to the five and they then distribute
25 to the more local blood banks? Is that how it works?

1 A. It varies a little. So in the central belt the blood
2 will go direct from supply chain normally to the
3 hospital blood banks. So, for example, St John's
4 Hospital would receive blood direct from the
5 Lauriston Building. They wouldn't bother to send to the
6 Royal Infirmary first and then across to St John's for
7 self-evident reasons.

8 In the north, particularly for example Aberdeen and
9 Inverness, where we have a number of remote and rural
10 hospitals, places like Orkney, for example, Shetland,
11 the Western Isles, we keep a kind of secondary stock, as
12 it were, in those centres and further supply from those.
13 So it varies a little depending on the geography.

14 Q. So the logistics of it, particularly in the more remote
15 parts of the country, are not necessarily
16 straightforward, I imagine?

17 A. At times they can be very challenging.

18 Q. You say in this the last sentence in that paragraph:

19 "The SNBTS centres also carry out other specialised
20 transfusion work."

21 That's the five, is it, the five centres?

22 A. Yes, that's correct.

23 Q. So they are looking at red cell reference serology,
24 histocompatibility and immunogenetics. Can you give us
25 a slightly more lay explanation of what's going on

1 there, please?

2 A. Sure. So the majority of patients are reasonably
3 straightforward to transfuse but around 2 per cent of
4 patients will have specific antibodies to some of the
5 400 or so red cell protein antigens which I described to
6 you earlier. They will need blood which is specifically
7 matched for that patient, so lacks those specific
8 antigens. So that's what I mean by reference work.

9 That is additional work that requires to match the
10 blood to the patient over and above routine
11 pre-transfusion testing.

12 Histocompatibility and immunogenetics -- I'm sorry
13 that's a little bit of a mouthful -- is around tissue
14 typing. So these are antigens which are not expressed
15 by red cells but are expressed by most other cells in
16 the body and we match for bone marrow transplantation
17 and for support of solid organ transplants. So, for
18 example, if you have a kidney transplant, it is
19 essential that the tissue type of the incoming donor
20 kidney would be accepted by the recipient. It is not
21 just a matter of the red blood group antigens. So we
22 support those services as well.

23 Q. I see.

24 A. Those are clinical laboratory services, if I can frame
25 them in that way.

1 Q. Thank you.

2 You were also asked about the retention, if any, of
3 samples of individual donations and you explain that
4 SNBTS strives to retain documentation and blood samples
5 from donors in perpetuity. The current sample archive
6 goes back to the mid 1980s. In what form are these
7 samples stored? In tiny packs?

8 A. I'm not sure that I know the answer to that. But
9 I would imagine that they would be stored as serum,
10 which is -- serum or plasma. I imagine that's what's
11 stored which would be stored frozen. They would have to
12 be frozen obviously to store them for that kind of
13 period. Obviously when we take the donation, we also
14 take samples in parallel for the various testing that we
15 discussed earlier. So there would be residual amounts
16 of that sample left and I believe that that's what is
17 stored, that's what is cryopreserved.

18 Q. I have seen reference to pigtails?

19 A. Yes.

20 Q. Where do the pigtails enter the process?

21 A. So when you have the pack of blood, what we normally do
22 is there is a kind of long stringy bit that comes off
23 it, which is connected to the pack of blood, and with
24 a heat sealer it is sealed up into a number of segments.
25 If you kind of envisage like a long thin sausage, okay?

1 That then the pack with that pigtail, as it is called --
2 I don't know why it is called a pigtail.

3 Q. Just because it hangs down from the pack. I don't
4 imagine it is any more complex than that.

5 A. That goes to the hospital blood bank because then, when
6 the hospital blood bank needs to -- there are three
7 things in terms of pre-transfusion testing: we test the
8 ABO group of the patient, screen the patient for
9 antibodies and then finally do a crossmatch to ensure
10 that the patient and donor blood are compatible with
11 each other. That final step, that crossmatch, is done
12 on one of those pigtail segments, to ensure that the
13 blood that is being tested is the blood that's going
14 into the patient.

15 Q. So the pigtails are not there to be retained after the
16 event, they are there to be used in association with the
17 transfusion?

18 A. They are used in association with the pre-transfusion
19 testing in the hospital blood bank.

20 Q. Then you talk about the testing and release of blood by
21 the blood banks and the problems that there can be. You
22 have already described a bit of this -- the people who
23 need more complex crossmatching. You say transfusion of
24 incompatible blood can have very serious clinical
25 consequences and is now the most serious hazard

1 associated with transfusion. Then in on page 7 in the
2 second paragraph you explain how urgent it sometimes is
3 to carry out a transfusion, giving some examples:

4 Ruptured aneurysm or a placental abruption?

5 A. A woman with a placental abruption can exsanguinate in
6 around 10 minutes.

7 Q. By "exsanguinate", I suppose in colloquial terms that
8 would be bleed to death?

9 A. Yes.

10 Q. Yes. Then you explain a little bit about the
11 indications for transfusion of the different components
12 of blood. We are going to go into this a little more
13 with our next witness, who is going to take over from
14 you in the story of the journey of the donations.

15 Then finally, if we go to the last page, you talk
16 about contra-indications for transfusion. Very few
17 absolute contra-indications to transfusion except, of
18 course, refusal of consent. There are still people who
19 object on moral or religious grounds to transfusion. Is
20 that correct?

21 A. Yes, for example, patients who are Jehovah's Witnesses
22 won't accept blood.

23 Q. But one option for them might be what we have heard
24 described as autologous transfusion. Is that correct or
25 is that not something that they would accept?

1 A. There are a number of different techniques described
2 under the umbrella autologous transfusion. One is
3 autologous pre-donation, where the patient himself or
4 herself donates three or four units prior to say,
5 elective surgery, so that they can use their own blood.
6 My understanding is that most Jehovah's Witnesses would
7 not accept that form of autologous transfusion.

8 Much more commonly employed now is a technique
9 called intra-operative cell salvage. There are certain
10 surgical techniques within the theatre. There is
11 a machine which recovers blood as it is lost and can
12 wash it and recycle it straight back into the patient.
13 I think some, though not all Jehovah's Witnesses, would
14 accept that kind of technique.

15 Q. Then you talk about firstly the reporting of adverse
16 events. There is obviously a system for that, a
17 reporting mechanism through SNBTS and territorial health
18 boards, clinical governing structures and then also to
19 the blood service's Serious Hazards of Transfusions --
20 SHOT for short -- then the healthcare products
21 regulatory agency?

22 A. Hm-mm.

23 Q. Then lastly the records kept of transfusions in
24 patients' notes and elsewhere and these blood safety and
25 quality regulations, which were the transposition of the

1 European Directive, obviously stipulate some
2 requirements.

3 So you are maintaining records of all transfusions
4 for 30 years, allowing full traceability of blood from
5 donor to recipient. Most blood banks are approaching
6 100 per cent compliance and the patient's medical notes
7 are also supposed to have a written record of the
8 transfusion, including the reason for transfusion and
9 the patient's consent.

10 I suppose, professor, thinking about it, if there is
11 an adverse event that comes to light that is something
12 to do with a transfusion and it comes to light because
13 of illness in the recipient, you have to be able to
14 trace who the donor was.

15 A. Yes.

16 Q. So you have to go, as it were, backwards to the donor.

17 A. Yes.

18 Q. But you then also have to be able to go forwards in
19 a slightly different direction to other people who might
20 have received components from the same donor?

21 A. Yes, that's absolutely correct.

22 Q. These must require really quite different record-keeping
23 systems, a sort of backwards traceability and the
24 forwards traceability.

25 A. It is probably the same system working obviously in

1 different directions. But it will be spread between the
2 clinical environment, the hospital blood bank and SNBTS.
3 So if there is an adverse event in the clinical
4 environment, say if somebody has contracted a bacterial
5 infection, for example, the clinicians should be
6 notifying their hospital blood bank in the first
7 instance and they will notify SNBTS.

8 So they will know who the patient is. They will
9 notify SNBTS -- not of whom the patient is but what the
10 donation numbers are because that's the key link. In
11 that kind of context SNBTS would then identify obviously
12 the donor but also any other donations from that
13 individual. Because in that kind of context, some of
14 those donations might still be in the system. As I have
15 described any one donor may give two or three different
16 components.

17 So often we would respond rapidly to that scenario
18 and pull the other components on a precautionary basis.
19 Also, if another component from that donor and that
20 donation had been given, we would ask the hospital for
21 clinical information on that recipient. We would ensure
22 that those other recipients had been contacted and
23 informed and investigated, as necessary.

24 Q. Yes. That system is going to work best if everybody
25 sticks to the same numbering system, isn't it?

1 A. Yes.

2 Q. If somebody along the chain is renumbering with their
3 own numbering system, that's a potential difficulty
4 unless there is some sort of record kept of how one keys
5 the one record-keeping system into the other?

6 A. We do not permit people to do that these days.

7 Q. Right. We have heard some reference to, I think, one
8 instance of that, which seems to have happened in
9 Glasgow Royal Infirmary in 1985.

10 A. Right.

11 Q. That for reasons related to IT difficulties, there was
12 some renumbering going on and it is not now possible to
13 access the key that would allow a read across from one
14 numbering system to the other?

15 A. I see. A blood pack coming from SNBTS has the donation
16 number, both in readable format and barcoded form, along
17 with all the other details stuck on the plastic bag. So
18 you can't remove it and put your own number on it today.

19 Q. I suppose all of this has been made much easier by the
20 widespread use of computerisation.

21 A. Yes.

22 Q. If we went backwards from perhaps the early 1980s and
23 before, all of this will have been done on paper?

24 A. I think that's true, yes, absolutely. And not just the
25 computer but obviously everything that goes with it: the

1 barcoding systems, the fact that most of the testing is
2 on automated equipment now, which is electronically
3 linked to the IT systems. So the whole connectivity of
4 the system is far better and takes out the human
5 element, the written transcription elements out of the
6 system.

7 Q. Then lastly, professor, where you allude to the
8 patient's medical notes being supposed to have a written
9 record of the transfusion including the reason and the
10 patient's consent, I wondered if there had been any
11 attempt made to study in a systematic way the actual
12 compliance with those requirements on the ground?

13 A. I'm not aware of a systematic study. My own impression
14 is that compliance is probably patchy. Both in Scotland
15 and across the UK over the last five to ten years there
16 has been an enormous amount of work invested in
17 improving that end of the clinical transfusion process.
18 So, for example, those people prescribing or
19 administering blood have to go through a formal training
20 and have competency assessments signed off. Obviously
21 there are patient information sheets. Attached to the
22 patient information sheets, certainly in Scotland, there
23 is a sticky label which the attending clinician can take
24 off and stick straight into the notes to sign, to say
25 that he or she has spoken to the patient and they have

1 given informed consent. All of that is inspected
2 through a national body such as Quality Improvement
3 Scotland, for example. So there have been improvements
4 but in a busy clinical environment, I suspect that
5 compliance can be patchy at times.

6 Q. So if it is envisaged that a patient going for an
7 operation is going to have a transfusion, that is
8 something that should be discussed with the patient
9 beforehand.

10 A. Yes, I think that probably does occur within the context
11 of a surgeon who would be discussing the general
12 procedure with that individual, yes.

13 Q. What about a situation where transfusion hasn't been
14 anticipated but has had to be carried out in an
15 emergency which has occurred in the theatre? Should it
16 then be intimated to the patient afterwards that there
17 has been a transfusion?

18 A. Yes, our guidance is that -- and obviously some people
19 do come into, say accident and emergency, where they
20 have had a road traffic accident, where it is not
21 possible to give consent, and their lives need to be
22 saved and the fact that they received a transfusion
23 should then be discussed with them retrospectively.

24 Q. Thank you very much, professor.

25 A. Thank you.

1 THE CHAIRMAN: Can I ask two questions about compatibility?

2 One relating to transfusion.

3 You have said that incompatibility is now the most
4 serious hazard associated with transfusion. I have the
5 impression that historically that was the most serious
6 hazard recognised in the early part of the last century.

7 A. Yes, I think that's correct.

8 THE CHAIRMAN: And then what happened was that the
9 transmission of pathogens of one kind or another came to
10 be recognised.

11 A. Yes.

12 THE CHAIRMAN: And transplanted, as it were, that hazard
13 into the system. Are we simply on a cycle, in which
14 additional hazards might emerge again?

15 A. I hope that we are not on a cycle but, as I intimated in
16 my statement, there are many other pathogens in the
17 environment and of course some of them are genuinely new
18 pathogens, such as variant CJD was ten years ago.

19 Some of them are pathogens which have spread from
20 one part of the world to another, for example,
21 West Nile Virus was unknown in the United States ten
22 years ago but is now quite common in the United States
23 and that's a reflection of the globalisation of trade
24 and then, of course, our donor population being normal
25 healthy people, travel much more than they perhaps did

1 20 or 30 years ago and go on exotic holidays. So
2 I think for all those various reasons we are mindful of
3 other infections that there are in the general
4 environment, both those we know about and potentially
5 new infections.

6 THE CHAIRMAN: I have seen a very long list that came from
7 SNBTS -- and you may know something about it -- as an
8 appendix to a document, that list a very large number of
9 possible pathogens.

10 A. I haven't seen that list myself but I can imagine it,
11 yes.

12 THE CHAIRMAN: So one must simply have in mind that despite
13 your best efforts, other problems could arise?

14 A. That is absolutely true, I am afraid, yes.

15 THE CHAIRMAN: The other compatibility issue, I think,
16 should be much shorter. How do you ensure compatibility
17 of computer systems across the country, since I'm
18 connected with an institution that can't ensure
19 compatibility within itself?

20 A. That is a serious challenge for us also. Within SNBTS
21 we have a single computing system -- perhaps it would be
22 called "Progesa" -- with two components to it. One is
23 the donation and blood processing part and the other is
24 the blood bank part. So they speak to each other quite
25 well. So communicating with our own blood banks is not

1 a problem. Hospital blood banks managed by other
2 hospitals have different systems and building those
3 interfaces can be difficult.

4 THE CHAIRMAN: I suppose the most you can do is be conscious
5 of the problem, professor.

6 A. Yes, we are very conscious of that problem and are
7 working on it.

8 THE CHAIRMAN: We will have break at that stage to assist
9 the typist.

10 (11.00 am)

11 (Short break)

12 (11.33 am)

13 THE CHAIRMAN: Mr Di Rollo, do you have any questions?

14 Questions by MR DI ROLLO

15 MR DI ROLLO: I would like to ask in relation to two
16 matters.

17 Professor, we see from your evidence this morning
18 and from your report that a decision was taken from,
19 I think you told us, 2004 to stop or to defer donors who
20 had received a blood transfusions and you explained that
21 was because of the risk of variant CJD. Was any
22 consideration given at an earlier stage or at any stage
23 in relation to deferring donors in order to prevent the
24 transmission of Hepatitis C or any other virus, or HIV?
25 Was any decision taken or any consideration given to

1 deferring at an earlier stage?

2 A. Not as far as I'm aware, during the period of time that
3 I can speak to.

4 Q. Right. Are you able to give any explanation as to why
5 that might be?

6 A. Well, I can only speak to the period of time in with
7 which I'm personally familiar, which would have been
8 about 1997 onwards, let us say, when I became
9 a consultant. I think probably at that time it was felt
10 that with regard to Hepatitis B, HIV and HCV, the
11 testing was such that deferring, for example, previously
12 transfused donors would not offer any particular
13 advantage. I think that must have been the rationale
14 for not considering that possibility.

15 Q. But in relation to the period before 1997, you are not
16 in a position to tell us anything about that and any
17 thought that might have been given in relation to that?

18 A. I'm not really in a position to do so, I'm sorry.

19 I joined the blood service in 1995 as a registrar,
20 as you know, so in a junior position. I only really
21 became a consultant in 1997. So I wasn't really party
22 to those discussions or thinking.

23 Q. But your understanding is that, obviously, by the time
24 you are in a position to give us any information, the
25 testing was such that there wouldn't be any particular

1 advantage at that stage in deferring, for example, by
2 Hepatitis C?

3 A. I think that was probably the general view. Probably,
4 apart from the UK where there are special circumstances,
5 and France, I think if one looks across the world, in
6 terms of permanent deferral that still appears to be the
7 view because most other countries would either not defer
8 such individuals or only defer them for a limited
9 period, say six to 12 months.

10 Q. The other matter I wanted to ask you about related to
11 what's contained in page 6 of your report. This
12 concerns the question of record-keeping.

13 The current sample archive, your statement says,
14 goes back to the mid 1980s. Are you able to get any
15 more specific than that? In other words, can you pin it
16 down to a year or all you can tell us is it is the mid
17 1980s? Are you able to tell us which year in the mid
18 1980s it goes back to?

19 A. I can't tell you off the top of my head because I don't
20 know. But I'm sure we have that information. So I can
21 certainly provide that information to the Inquiry.
22 I would caveat by probably saying that, given the
23 advances in IT systems and record-keeping and so on, the
24 earlier samples are less secure than more recent samples
25 quite obviously. But I can find out that piece of

1 information and provide it to the Inquiry.

2 Q. I think it is obviously a matter for others but it would
3 be helpful if that information was provided.

4 A. Sure.

5 Q. The other aspect of this that I just wanted to ask you
6 is: is the archive Scottish-wide? It does contain all
7 the regions? The information going back to the mid
8 1980s is Scottish-wide; it doesn't vary from region to
9 region or anything of that kind?

10 A. As far as I'm aware. But I will clarify that for you as
11 well. As far as I'm aware, that's correct. But
12 I wouldn't wish to say that with absolute certainty.

13 Q. Thank you for that.

14 Thank you, sir.

15 THE CHAIRMAN: Mr Anderson?

16 MR ANDERSON: I have no questions, thank you, sir.

17 THE CHAIRMAN: Mr Sheldon?

18 MR SHELDON: I have no questions, thank you, sir.

19 THE CHAIRMAN: Professor, thank you very much.

20 MS DUNLOP: Sir, the next witness is Dr Derek Norfolk.

21 THE CHAIRMAN: Do we have a mechanism for picking up any
22 additional information that the professor might give us?
23 Have you worked it out?

24 MS DUNLOP: I think actually that information we can
25 probably find from what we already have.

1 THE CHAIRMAN: Yes, I think I would expect that.

2 MS DUNLOP: If the professor is going to write in, I think
3 we can perhaps deal with this after today's proceedings,
4 but we will perhaps get a letter or something.

5 THE CHAIRMAN: I'm interested in the general question
6 because there will be other situations in which
7 witnesses offer to provide information and I would
8 rather that there was some sort of arrangement in
9 advance to ensure that the material is made available.

10 MS DUNLOP: Yes.

11 DR DEREK NORFOLK (affirmed)

12 Questions by MS DUNLOP

13 THE CHAIRMAN: I'm sorry that we were talking over you, as
14 it were, but there was something to be cleared up.

15 Yes, Ms Dunlop.

16 MS DUNLOP: Good morning, Dr Norfolk.

17 A. Good morning.

18 Q. We like to ask witnesses to have a look at their own
19 CVs. So could you please have in front of you,
20 WIT0030274 which should pop up on the screen. This is
21 your short curriculum vitae. So it is actually just
22 a little over one side of A4, but it gives us, in
23 summary form, your current positions since 2006.

24 You have been a consultant in haematology and
25 transfusion medicine, which is a joint appointment

1 between NHS Blood and Transplant and Leeds Teaching
2 Hospitals NHS Trust. You have also had an academic
3 appointment in connection with the University of Leeds
4 and you are the associate research and development
5 director for the Leeds Teaching Hospitals Trust as well.

6 Until 2006, really for 20 years, you were
7 a consultant haematologist at Leeds General Infirmary.

8 A. Hm-mm.

9 Q. So did your job change a lot in 2006?

10 A. Yes, I was a general haematologist. I started off in
11 fact as a bone marrow transplanter but I had a major
12 interest in blood transfusion, particularly clinical use
13 of blood components and patient safety. When the
14 opportunity came to change my role with the appointment
15 to what was then the National Blood Transfusion Service,
16 I was keen to do that.

17 So my present role, in fact I still am a clinical
18 doctor -- I look after patients, I do outpatient clinics
19 in Leeds, I run the clinical transfusion at the
20 hospital -- but my blood service role is essentially
21 a regional and national role, working with hospitals and
22 clinical teams to promote best practice in blood
23 transfusion and research and development in transfusion.

24 Q. Thank you. In that capacity, we can see that you hold
25 a number of regional and national appointments, most in

1 connection with blood transfusion and the safety
2 thereof.

3 Chief medical officer, National Blood Transfusion
4 Committee. British Committee for Standards in
5 Haematology, Blood Transfusion Task Force. We have
6 heard of SHOT before. You are a member of the Serious
7 Hazards of Transfusion executive working group and you
8 are the co-author of their annual reports and have been
9 since 1996.

10 You chair the standing advisory committee on
11 clinical transfusion medicine, of the joint professional
12 advisory committee for UK transfusion services. You are
13 the editor of the fifth edition of the Handbook of
14 Transfusion Medicine. Is that a publication for which
15 Dr McClelland was responsible in its early days?

16 A. Indeed. Dr McClelland handed over the role to myself
17 and we hope that the fifth edition is hopefully coming
18 out later this year.

19 Q. You are also on a Department of Health CJD incidents
20 panel. You are on the council of the British Blood
21 Transfusion Society. At a more local level, you are the
22 chair of the Yorkshire Regional Blood Transfusion
23 Committee and the chair of Leeds West Research Ethics
24 Committee. Or you were, sorry, between 1993 and 1995.

25 Then you tell us over the page that you have been

1 involved in clinical and laboratory research in
2 haematology and transfusion medicine since the early
3 1980s and that you have more than 70 peer reviewed
4 publications to your name. I expect almost all of them
5 are on matters of haematology and blood transfusion?

6 A. Yes. The early publications relate to a whole range,
7 mainly haematological oncology but in the last decade
8 mainly in the field of transfusion medicine.

9 Q. Thank you. You have provided us with a statement at
10 which I would like to look now. It is [\[PEN0100048\]](#).

11 You give us a little bit of the history of blood
12 transfusion. The first well documented successes were
13 those of an Edinburgh and London obstetrician. Who
14 reported ten direct donor to patient transfusions. So
15 basically what was happening then was that the donor had
16 to be very close to the patient and there was just
17 a pumping from one to the other?

18 A. It was usually the husband of the woman who was bleeding
19 in child birth, and he sat next to the woman and
20 a direct connection was made between them.

21 Q. In retrospect, the biggest flaw in that idea was that
22 nobody really understood about blood groups. Not
23 everyone's blood is compatible with everybody else's.
24 Is it true it is someone called Landsteiner that we owe
25 most of the thanks to for unearthing that?

1 A. Landsteiner was actually a microbiologist in Vienna. He
2 was looking for something more related to bacteria than
3 blood groups but did discover the blood groups and
4 actually did have a great deal of interest in
5 transfusion. So it took quite some time after
6 Landsteiner's discovery before the knowledge of the
7 groups started to influence clinical practice.

8 Q. It must have been, as they say, a bit of a step change
9 that suddenly this information was understood.
10 Presumably people were able to make use of it in
11 transfusion. You say this at the end of the first
12 paragraph: that war has always been a major promoter of
13 advances in transfusion technology and medicine.
14 Presumably because that's transfusion in extremis?

15 A. Absolutely, yes.

16 Q. It's in fact from the Second World War that the network
17 of blood transfusion centres and panels of volunteer
18 blood donors in the modern sense were established.

19 I don't want to digress too much but I think there
20 is some quite interesting material on how there was
21 a bit of a leak about the planned date for the allied
22 invasion because it was apparent to journalists that the
23 blood bank had opened and a journalist had been to see
24 round the blood bank and he had been told that the blood
25 would only keep for 21 days, so everybody knew that the

1 invasion was imminent because the blood bank had opened.

2 Anyway ...

3 THE CHAIRMAN: Did that include the Germans?

4 A. I think the Germans also had a blood transfusion system.

5 They were very ingenious and of course Germany was the
6 centre of medical science prior to the Second World War.

7 THE CHAIRMAN: There is almost a Dad's Army picture of
8 people on both sides of the --

9 A. In fact there was a shortage of milk bottles during the
10 war because they were commandeered by the transfusion
11 services. So milk bottles with rubber bungs were the
12 normal mode of transfusion.

13 MS DUNLOP: You tell us -- obviously it is not glass
14 bottles -- that the transfusion service was able to
15 introduce plastic transfusion packs from the mid 1970s.
16 That was another leap forward, I imagine.

17 If we move to the next page, please, you refer to
18 the altruism of volunteer donors and indeed Britain, the
19 United Kingdom, has always had and continues to have
20 a system of voluntary, non-remunerated donors. Is that
21 right?

22 A. Yes, indeed.

23 Q. Yes. It is interesting to look at the figures that you
24 give for 2008 to 2009, that the UK blood transfusion
25 services -- so that's all four services added together,

1 is it?

2 A. It is, indeed.

3 Q. -- issued 2.2 million units of red cells, 250,000 units
4 of platelets and more than 400,000 units of plasma.

5 Compared with the era we are examining in the Inquiry,
6 that's quite a shift, isn't it, from an era where
7 finding enough plasma was a huge challenge?

8 A. Yes, I mean, the economy of blood usage has changed
9 dramatically in the last two decades. We use very
10 little whole blood, of course, in the UK now. So a good
11 deal of the plasma which is collected with donations in
12 fact is no longer used for clinical purposes and this
13 has been especially the case in the last decade, when UK
14 plasma is no longer used for the manufacture of blood
15 products. So there is certainly no shortage of plasma
16 but it is only used in very limited clinical indications
17 now.

18 Q. So is a lot of plasma disposed of?

19 A. The majority of plasma collected in the United Kingdom,
20 which is discarded as part of the process of producing
21 red cells and platelets, is actually destroyed.

22 Q. Yes. We have had a little bit of information from
23 Professor Turner already about the different storage
24 requirements of the main constituents. That is red
25 cells, platelets and plasma. That's your paragraph 2.1.

1 Then 2.2, you talk about the use of the centrifuge to
2 produce the different layers. You say that there is
3 spinning of the bag. So I mean, in a practical sense,
4 how is the bag spun?

5 A. It is in a centrifuge.

6 Q. Just as the bag?

7 A. A machine, yes. It just simply spins the compound and
8 separates the layers. You can't really do that in glass
9 bottles, because you can't easily get the components out
10 of the glass bottle. The plastic packs which have been
11 in use for many years now are integral. So they are
12 completely sealed. A sterile process.

13 Q. It is then possible to extract the different layers, and
14 you say put it into multiple packs?

15 A. Indeed.

16 Q. Without contamination by human interference?

17 A. Absolutely. It is a completely closed process.

18 Q. You describe apheresis. Is that the correct
19 pronunciation?

20 A. It is.

21 Q. Which is a process where the transfusion service can
22 take what it wants from the donor and the donor gets the
23 rest back, as it were. You say the rest of the blood is
24 immediately returned to the donor. This is 2.3. It
25 sounds a very specific form of technique. Is that any

1 different for donor? Is it a different kind of
2 experience?

3 A. It takes a little longer than a traditional blood
4 donation, but it is what is called a continuous flow
5 process, so blood is taken out, split in the machine and
6 usually the red cells and other components that aren't
7 needed are returned to the patient in realtime. So in
8 fact the incidence of adverse effects for the donor is
9 actually rather less with this sort of donation than
10 having a whole pint of blood taken quickly. So the
11 blood volume of the patient remains pretty stable during
12 the whole process.

13 Q. And you describe the different ways the body replaces
14 what's taken out. The body replaces platelets and
15 plasma much more quickly than red cells. I wanted to
16 ask you whether platelets and plasma have to be typed in
17 the way that the red cells are typed. We understand
18 about looking at the ABO grouping, and that certainly
19 happens with the red cells. Does it happen with the
20 other bits?

21 A. Yes, ABO blood groups are present on platelets as well.
22 You can transfuse platelets across ABO blood groups.
23 You don't get severe transfusion reactions because it is
24 the red cells that are the problem and the platelet
25 transfusions don't contain any red cells, but there is

1 some evidence that it is better to receive platelets of
2 your own blood group, that they are likely to survive
3 a little longer in your circulation after transfusion.
4 So, wherever possible, we try and transfuse patients
5 with their own ABO group of platelets. But that's not
6 always possible and it is perfectly safe to -- we have
7 a hierarchy of transfusion depending on the availability
8 of a particular component.

9 With plasma, of course, there are no red cells in
10 the plasma, but all patients, for example who are blood
11 group A, have anti-blood group B in their plasma and
12 vice versa, patients with blood group O have both anti-A
13 and anti-B. So, by giving plasma of the wrong group to
14 a patient, so, for example, giving group O plasma to
15 a group A patient, could, at least theoretically,
16 produce a reaction in that patient by damaging the
17 recipient's red cells. So again we try to give what we
18 call ABO-compatible plasma to patients. So all platelet
19 units, all plasma units, have an ABO blood group
20 attached to them.

21 Q. Right. Now, you said about there are no red cells in
22 the plasma, but the red cells, when they are produced as
23 red cells to go to patient, they will still have some
24 plasma in them, will they?

25 A. Yes, the red cells which are used in clinical practice

1 now, most of the plasma is removed from the donation and
2 then what is called an additive solution, an
3 anti-coagulant, which contains other chemicals which
4 help to fortify the red cells, to maintain their
5 metabolism -- but all red cell units will contain a very
6 small amount of plasma, but a very small amount, and
7 platelets are suspended in plasma, so that is the liquid
8 part of the platelet component.

9 Q. So, when one looks, for instance, at the case of
10 somebody who looks likely to have acquired Hepatitis C
11 from a transfusion, say in the 1970s or the 1980s, and
12 you discover that they were given red cells, you don't
13 say to yourself, "Oh, well, you couldn't get hepatitis
14 from that."

15 A. Absolutely. Even the relatively small amount of plasma
16 would be capable of transmitting a viral infection.

17 Q. You go on to talk about red cells -- this is
18 section 3 -- the most commonly transfused blood
19 component, whereas it was the other way round perhaps in
20 the early 1980s, that, if anything, it was sometimes red
21 cells that were being discarded rather than, as today,
22 plasma being discarded. Then you explain what their
23 function is: they transport oxygen to vital organs and
24 tissues carried by haemoglobin.

25 Then, 3.1.2, you say:

1 "The most clearcut indication for a red cell
2 transfusion is in the patient who has dangerous bleeding
3 after trauma, surgery or child birth, and prompt
4 replacement of red cells can be life saving."

5 Dr Norfolk, there was an item, yesterday actually,
6 on the radio about the industrial synthesis of red
7 cells. Is that something that's on the horizon?

8 A. I think I covered that in a later section of the report.
9 There is work going on and some of this work is going on
10 actually in Scotland. There is a big collaborative
11 project to try and grow red cells from haemopoietic stem
12 cells taken from normal donor bone marrow and I guess
13 this is what the item was about; I didn't hear it.

14 On a laboratory scale it is now possible to take
15 stem cells and make them turn into red cells but there
16 are major challenges still ahead in terms of scaling up
17 that process, to make it possible to, you know, supply
18 blood, and certainly I have been to a number of
19 conferences in the last year where we have had an update
20 on this work and I suspect we are still quite a few
21 years away. But these are very encouraging
22 developments, and there are other groups around the
23 world who are already working on this as well.

24 Q. Yes. You do, you cover it in section 6 and you have
25 said exactly that. So you are entirely consistent. You

1 say the technical problems are great and clinical use
2 a probably many years away.

3 A. Predicting the future is ...

4 Q. Yes. I suppose the great advantage of that, though, is
5 the enormous reduction in the possibility of
6 transmission of pathogens?

7 A. Yes, although using stem cells introduces its own risks.
8 But the cells that you would be giving to patients are
9 end stage cells, so they don't contain DNA or nuclear
10 material, so there are no genetic worries about giving
11 that sort of material, and the cells will be taken from
12 donors who have been very thoroughly screened for known
13 infective transmissible causes. So I think the risk
14 would be very, very small. The real challenges are
15 around what blood group would be expressed on these red
16 cells and whether you would have to develop lots of
17 different cell lines for patients with different groups
18 or could you develop a sort of universal red cell for
19 transfusion. These are all issues at the moment.

20 Q. I see.

21 THE CHAIRMAN: Professor, there are some perhaps strange
22 ideas there. Cells that have got no DNA and no nuclear
23 material?

24 A. You see, red cells, of course, have lost their nucleus
25 as they have developed in the bone marrow, so the

1 circulating red cells are a bag of haemoglobin and they
2 don't contain any DNA or nuclear material at all. The
3 bone marrow is very clever at doing that, and getting
4 that to happen in a laboratory setting is actually
5 extremely difficult.

6 THE CHAIRMAN: Professor James was anticipating your answer
7 for me.

8 A. Right.

9 THE CHAIRMAN: Yes.

10 MS DUNLOP: Just in the rest of that section, Dr Norfolk,
11 where you are talking about why people receive
12 transfusion, you explain that the surgical requirement
13 has, if anything, diminished, and you say:

14 "Improvements in surgical and obstetric techniques
15 in western countries have reduced the use of blood for
16 these purposes. In most modern hospitals more than half
17 of all red cells are transfused to medical patients."

18 So that's patients with anaemia or other underlying
19 conditions or diseases requiring transfusion?

20 A. Indeed.

21 Q. Platelets you describe in the next section, 3.2, if we
22 can go to that. Thank you.

23 "Patients with very low platelet counts are at
24 increased risk of bleeding."

25 It is the case, is it, doctor, that if somebody has

1 a particularly low platelet count, they might not, for
2 example, be fit for surgery?

3 A. Absolutely, yes.

4 Q. So somebody who needs a particular operation but has
5 a very low platelet count will need to have their
6 platelets boosted?

7 A. By transfusion, yes.

8 Q. And then you instance other situations where people need
9 platelet transfusion: diseases of the bone marrow such
10 as leukaemia and also side effects of other forms of
11 treatment for other conditions. Platelet transfusion is
12 only from the late 1970s in fact. But the large
13 majority -- and this is 3.2.2:

14 "The large majority of platelet transfusions are to
15 try and prevent bleeding in patients."

16 Just at this point, when you have been describing
17 the different components, I wanted to ask: where are the
18 white cells? You don't really talk about the white
19 cells.

20 A. I left white cells out of this. It is fair to say that
21 there are very few white cell transfusions performed in
22 modern practice. It is possible to harvest white cells
23 from blood donations. When you spin the blood, they
24 form a layer close to the platelets in the middle,
25 between the plasma and the red cells. People have been

1 giving white cell transfusions on and off for many
2 years. The problem is that the number of white cells
3 you can collect from ordinary donations is actually
4 very, very tiny in comparison to the body's own
5 production of white cells.

6 The clinical evidence that you can give enough white
7 cells to make a difference and improve patients -- the
8 classic clinical scenario where patients might be
9 considered for white cell transfusion would be a patient
10 after cancer chemotherapy or bone marrow
11 transplantation, who have a -- their bone marrow can't
12 make normal cells. This is a patient who may have
13 developed a very serious infection, which isn't
14 responding to antibiotic therapy, and the possibility is
15 that by giving white cells, which the patient doesn't
16 have, you might be able to allow that patient to fight
17 the infection or at least keep going until their own
18 white cells can recover.

19 The evidence from clinical studies is that, as
20 conventionally used, white cell transfusions are
21 probably rather ineffective. They go in and out of
22 fashion. There are no randomised clinical trials of
23 white cell transfusions and it is an extremely difficult
24 area in which to perform clinical trials. I think the
25 state of the art at the moment is that, although we do

1 actually have technologies to produce white cells and we
2 do issue a small number to hospitals, there is a wide
3 divergence of clinical opinion about the value of these
4 transfusions. Some clinicians use them quite often and
5 many clinicians and haematologists don't use them at
6 all.

7 To some degree, the development of white cell
8 transfusions has been put on the backburner because of
9 other developments, such as drugs that you can give to
10 patients to stimulate their own white cell production as
11 they recover from chemotherapy, things like granulocyte
12 colony stimulating factor, which has been around now for
13 about ten years. Once the patient is starting to
14 recover, that can promote recovery of white cells. The
15 sheer number that your bone marrow can produce is so
16 vast compared to what you can transfuse. Also, white
17 cells do carry certain risks. They very easily
18 sensitise the patient to antigens present on the white
19 cells and make the patient then more difficult to
20 transfuse with other blood components.

21 So it is an unsatisfactory technology, which is
22 unproven and actually is of very limited utility at
23 present.

24 Q. But they are there as well; when we look at the
25 different constituents of blood, white cells are there

1 and they are also in the bone marrow. Is that right?

2 A. Absolutely. They are produced in the bone marrow from
3 the same stem cells as all blood cells.

4 Q. 3.1.1. You are talking here about plasma. I think we
5 understand a little bit about the different fractions
6 one can obtain from plasma. You talk about
7 cryoprecipitate, a derivative of fresh frozen plasma.
8 It contains a higher concentration of the clotting
9 factors, fibrinogen, factor VIII and von Willebrand's
10 factor. Fibrinogen is really factor I, isn't it?

11 A. It is indeed, and in fact, although cryoprecipitate was
12 initially developed, I think in the 1950s, as a source
13 of Factor VIII, a more concentrated way of treating
14 patients with haemophilia, its primary use in the last
15 two decades has been as a source of fibrinogen in
16 patients with major haemorrhage.

17 Q. The clotting process is a chain, is it, doctor,
18 involving the different factors in sequence?

19 A. Indeed.

20 Q. Perhaps you could say a little bit about it.

21 A. Well, it is very complicated. There are different
22 components to the coagulation system. We have mentioned
23 platelets already. You need to have normal platelets
24 with normal function. We have lots of different
25 clotting factors in the blood, which, when there is

1 a trigger, a stimulus, to produce a blood clot, such as
2 damage to a blood vessel and trauma or surgery, a sort
3 of chain reaction is initiated and the blood clotting
4 factors start reacting with each other, and the end
5 process is to produce an insoluble fibrous protein
6 called fibrin, which is what we would recognise as
7 a blood clot, and this forms around platelets which have
8 been attracted to the site of the damaged blood vessel.

9 We also have a natural anticoagulant system and an
10 anti-fibrinolytic system, which helps to break down
11 a clot where you don't want it to be produced. If you
12 make clots in the wrong place, that's what we call
13 thrombosis, of course, and actually all of these systems
14 in a normal individual work together in a beautifully
15 co-ordinated fashion. There is a lot of what is often
16 called inbuilt redundancy in the system as well.

17 Q. I didn't catch that. Redundancy?

18 A. Yes. You can actually drop individual components of the
19 clotting system. Many of them can fall to quite low
20 levels without a risk of bleeding because if other parts
21 of the system are working well, then you have actually
22 got a sort of safety net, but it is when you get below
23 certain levels that the patient then has a great risk of
24 bleeding and if they have damage to more than
25 one component of their clotting system, they are more at

1 risk of bleeding. So if you have a deficiency of
2 clotting factors and also a low platelet count or your
3 platelets don't work properly, then you are more likely
4 to bleed than if you have an individual deficiency.

5 Q. And, indeed, if you have levels of Factor VIII which are
6 below adequate, then you will have haemophilia A to some
7 extent, and if your levels of Factor IX are inadequate,
8 you will have haemophilia B, and that represents in each
9 case a missing link in the chain?

10 A. Absolutely, yes.

11 Q. And those are not deficiencies of the type you have just
12 described that can be made up elsewhere?

13 A. No, certain clotting factors have a much more key role
14 in the cascade than others, and so Factor VIII and
15 Factor IX deficiency, if it is very severe, always leads
16 to a severe bleeding syndrome, whereas there are other
17 clotting factors in the cascade which you can have very
18 low levels of and in fact you do not bleed at all.

19 A good example of that would be Factor XII
20 deficiency. Patients with Factor XII deficiency
21 actually have no bleeding tendency at all and
22 paradoxically have an increased risk of getting blood
23 clots. Our understanding of the clotting system is
24 developing very quickly. I'm not a particular expert in
25 that area but it is all much more complicated than

1 perhaps we thought it was 20 or even ten years ago.
2 THE CHAIRMAN: I think there is a certain consolation in
3 that because I have to confess to having had some
4 difficulty in finding a relatively simple way of
5 describing the clotting process. You have mentioned
6 cascade, and of course that's an expression I found
7 early on, as people were trying to describe the process
8 of the formation and effect of a mat on to which other
9 elements in the process built up. But I had the
10 impression that at a later stage the system was seen
11 rather differently, as a particular factor escaping from
12 the external wall of the vein and initiating
13 a interaction or a reaction with other elements. What's
14 the up-to-date position?

15 A. I think one of the problems has been that, of course,
16 our knowledge of the coagulation system has evolved over
17 time and most of our knowledge of the coagulation
18 proteins like Factor VIII have come from laboratory
19 in vitro tests in test tubes. What you can make happen
20 in a test tube doesn't actually necessarily reflect what
21 happens in nature. So this nice picture that we had
22 when I was a medical student of Factor XII reacting with
23 Factor XI -- XII, XI, IX, VIII, II, V -- to produce
24 fibrin is in fact, we now know, just grossly wrong. The
25 major stimulus to physiological coagulation, as you say,

1 is actually damage to the blood vessel and the release
2 of substances which activate Factor VII. That triggers
3 off an initial part of the coagulation pathway and if
4 that isn't inhibited, you then get a sort of run away
5 reaction.

6 The body is very clever at making sure that clots
7 only form where you need them. So it quenches
8 a reaction outside the immediate area where the blood
9 clot is needed to be formed. It is a very clever
10 system, which we still imperfectly understand.

11 THE CHAIRMAN: We can still talk about it being a cascade,
12 can we?

13 A. It is a cascade.

14 THE CHAIRMAN: That's a comfort in itself, yes. Thank you.

15 MS DUNLOP: Maybe, doctor, if people had known then what
16 they know now, the numbers might have been allocated in
17 a different order. It all starts with Factor VII.

18 A. It was even worse before the numbers were allocated
19 because all the coagulation factors were named after the
20 patients in whom the original deficiency was reported.

21 So Christmas Disease Factor IX in fact was Mr Christmas,
22 who was a Canadian gentleman who died only recently.

23 Q. That's a distinction of a very particular sort.

24 A. Yes, indeed.

25 THE CHAIRMAN: Von Willebrand, was he a patient or

1 a physician?

2 A. He was a physician, and in fact he put his name to quite
3 a number of different substances and diseases.

4 MS DUNLOP: Just because I can't resist the temptation of
5 venturing on to more complicated territory -- which is
6 always a mistake -- you can get genetic mutations which
7 give you slightly different forms of the some of the
8 factors as well, can you?

9 A. Indeed, and so, you know --

10 Q. Factor V?

11 A. Yes, indeed, and you can get what are called
12 quantitative or qualitative abnormalities of certain
13 clotting factors, so the mutation may cause you to have
14 a very low level of a factor and then it is easy to
15 understand why bleeding can occur, because you can't
16 make the factor properly. Some mutations allow you to
17 have normal levels of the clotting factor but it doesn't
18 work properly, so you need to have a test which is based
19 on the function of that factor, rather than just
20 measuring how much of it there is in the blood, and
21 again these technologies have developed over the years.

22 Q. Thank you. You talk about what is done with fresh
23 frozen plasma, and that carries on to 3.3.2, 3.3.3,
24 although we should note at the end of 3.3.2 that most
25 clotting factors are made in the liver. We have already

1 learnt that for a person with haemophilia who has
2 a liver transplant, that should in effect cure the
3 haemophilia?

4 A. Yes.

5 Q. And then you explain in 3.3.4 about a precaution which
6 has been taken in the United Kingdom in relation to CJD,
7 that fresh frozen plasma for use in children below the
8 age of 16 is now derived from imported donations from
9 countries with a low instance of BSE, mainly the USA.
10 So all the blood services, the four blood services, are
11 importing such material as we speak?

12 A. Indeed.

13 Q. For that purpose?

14 A. Yes. The English National Blood Transfusion Service in
15 fact, I think, owns a plasma collection facility in New
16 England, which supplies the NHS.

17 Q. But the rest of us we would just get domestically
18 sourced material?

19 A. Yes. I mean, the decision to source plasma for children
20 from what I believe to be very low risk variant CJD
21 areas was advice given to the government by the
22 specialist advisory committee on the safety of blood
23 tissues and organs, and the reason children were
24 initially targeted to receive what one might call very,
25 very CJD-safe plasma was because the majority of them

1 would not have been exposed to dietary CJD through
2 eating beef. More recently, the advisory committee to
3 the Department of Health has suggested that the
4 Department of Health should consider whether it is
5 feasible to import all plasma for all age groups. That
6 recommendation was made about 19 months ago and the
7 Department of Health are conducting a feasibility study.
8 It is a question of feasibility, cost-effectiveness and
9 so on; no decision has been made about that yet.

10 It would not be possible to import red cells and
11 platelets from abroad. That was looked at very early
12 on, when there was a considerable amount of anxiety
13 about variant CJD, and it simply would not be possible
14 to support the United Kingdom from importing all blood
15 components.

16 Q. Right. So the prions are in the plasma?

17 A. No, about half of all the prions are actually present in
18 the plasma component. The rest are associated with some
19 of the red cells, for example, and white cells. My
20 understanding -- and I'm not an expert on this -- is
21 that pure platelets probably wouldn't carry prion but,
22 of course, they are suspended in plasma, which does.

23 Q. In section 4 you deal with who gets blood transfusion
24 and there are some graphs for us to look at. The
25 first one is the red cell graph. You describe a number

1 of studies. The first is the EASTR study. Does that
2 stand for Epidemiology and Survival of Transfusion
3 Recipients? Is that correct?

4 A. It does indeed.

5 Q. And that's a study on all transfusions performed in 29
6 representative UK hospitals in 2001 and 2002, and we can
7 see, in relation to red cells, the age and sex
8 distribution of red cell recipients. You go on to
9 explain that a little bit to us but, broadly speaking,
10 we can see, if women are on the left, they dominate
11 really from about 15 to about 55 and then men get their
12 turn and then women come back in again over 75,
13 presumably because there are more of us.

14 A. The men have all died by then and the women are
15 outliving them.

16 Q. Steady on.

17 PROFESSOR JAMES: Some of them are still alive.

18 THE CHAIRMAN: That is not a comfort.

19 MS DUNLOP: Then you have also looked at transfusion data
20 from 18 hospitals in the north of England.

21 A. Hm-mm.

22 Q. And looked at them four years apart. And then, if we go
23 to the next page, you talk about the EASTR study. You
24 explain, what is not difficult to follow, that red cell
25 transfusions are more common in females in the 20 to

1 40-year age group, for obstetric and gynaecological
2 reasons, and then at the end of the age distribution
3 people are much more likely to need a transfusion over
4 the age of 60. In fact the median age of patients
5 receiving red cell transfusion is 69.

6 A. Indeed.

7 Q. And in the study of the 18 hospitals we get various
8 statistics for the use of the red cells, what was wrong
9 with the people who received them. You say:

10 "The most common surgical indications for
11 transfusion were orthopaedic surgery such as hip or knee
12 replacements."

13 Which is interesting because, I'm not sure, does
14 that just reflect the fact that orthopaedic operations
15 are very common or is there a lot of bleeding in an
16 orthopaedic operation?

17 A. Well, both. They are very common operations and they
18 are more commonly performed now. Knee replacements
19 particularly are associated with quite a lot of
20 bleeding. I think what these studies show, though, is
21 that, although the number of operations carried out has
22 increased quite significantly between those two time
23 periods, 2000 to 2004, the actual amount and proportion
24 of blood used for orthopaedic surgery hasn't increased.
25 There are lots of studies showing that, with

1 improvements in orthopaedic surgical practice -- there
2 are some very clever techniques you can use to collect
3 the blood during the operation and give it back to the
4 patient -- the average number of blood transfusions
5 received by these patients has actually fallen quite
6 significantly in most centres. It has been a very good
7 development.

8 Q. I was trying to think in absolute terms of what must be
9 the type of surgery that uses the most blood. One
10 candidate might be, what, transplant surgery? Is that
11 very heavy?

12 A. I think individual operations may use quite a lot of
13 blood but they are not terribly common procedures.
14 A good example of that would be liver transplantation.
15 When liver transplantation first started, it wasn't
16 uncommon for patients to need massive blood
17 transfusions, sometimes 50, sometimes even 100 units of
18 red cells, to support them during the procedure.

19 My colleagues now tell me that, you know, many of
20 these patients receive only two or three units of blood
21 during a liver transplant. Again, they have very clever
22 technology to reinfuse blood during the operation, much
23 more clever at supporting the coagulation of the
24 patient. So you know, many of these procedures have
25 shown a very significant reduction in blood usage.

1 I think cardiac surgery has and still is a quite a major
2 user of red cells in the UK. Again, you know, there
3 have been reductions in many centres now over time.

4 Q. As well as the surgical uses, you talk about the
5 non-surgical uses. We can see the different
6 possibilities listed there. The number of red cells
7 used for medical indications has risen by 10 per cent
8 since 2000.

9 A. These studies -- which are called "Where does blood
10 go?" -- in fact, a further iteration of this study has
11 just been collected and their data has been collected
12 and hopefully it will be published later this year. So
13 it will be very interesting to see what is happening
14 now.

15 Q. There are entire periodicals on the subject of
16 transfusion, are there not?

17 A. Indeed, yes.

18 Q. That's one of them, is it? Is it called "Transfusion"?

19 A. Transfusion is the journal of the American Association
20 of Blood Banks and it is the premier transfusion
21 journal.

22 Q. There is a British one, is there?

23 A. There is indeed. This is "Transfusion Medicine", which
24 is produced by the British Blood Transfusion Society,
25 and Vox Sanguinis, which is the journal of the

1 International Blood Transfusion Society; there are
2 a number of smaller transfusion journals. Some
3 transfusion medicine of course is published in more
4 general haematological journals as well and in surgical
5 and critical care journals, because a lot of the
6 developments are actually occurring in particular
7 clinical fields.

8 Q. I see. So you talk about various circulars from the
9 chief medical officers. Then on the next page we can
10 see another graph and this is the same exercise really
11 but for platelets. This also comes from the EASTR
12 study. Then we see again, certainly not the same
13 pronounced difference between men and women in, kind of
14 the middle years, but would do see a high usage in males
15 in mid to late life, and you say that that may relate to
16 cardiac surgery?

17 A. Yes. This is data from 2001, I think, it is a decade
18 out of date now. Of course, I think the evidence is
19 very strongly that what you are seeing there are male
20 patients having cardiac bypass operations following
21 heart attacks. And the epidemiology of heart attacks
22 again has changed in the last decade. So this is
23 historical data, I think.

24 Q. I see. Then the final graph is fresh frozen plasma,
25 which we get on the next page and you say that's similar

1 to platelets.

2 A. Hm-mm.

3 Q. Large excess of older male recipients related to cardiac
4 and vascular surgery. Can we move to the next page,
5 please? You talk about current indications,
6 contra-indications in specific risks of blood component
7 transfusion. The figures you give at the end of the
8 paragraph tell us what the estimated risk -- at least as
9 at 2009 -- of acquiring particular viral infections from
10 single donor blood components in the UK was. Really in
11 relation to all of these, they are extremely low; almost
12 entirely due to screening.

13 A. Screening and better donor selection.

14 Q. Yes.

15 A. Yes.

16 Q. You tell us a little more about SHOT. You say that the
17 highest risks are now related to misidentification of
18 patients at the time of blood sampling or transfusion.
19 When I read that, it made me dig out my leaflet from the
20 Newcastle Blood Centre that we visited. Are blood
21 transfusions safe? The question is asked and it tells
22 the patient the biggest risk from receiving a blood
23 transfusion is being given the wrong blood. That's the
24 message being communicated straight away.

25 A. Indeed.

1 Q. Perhaps in a rather blunt style that we wouldn't have
2 found 20 or 30 years ago. Is that reasonable?

3 A. Yes, and identification of patients is crucial to so
4 many aspects of medical and surgical care, not just
5 transfusion, of course. Making sure you get the right
6 drugs, the right surgery, the right imaging. So there
7 is a big focus now on improving patient identification
8 by training staff, new technologies and in many ways
9 transfusion has led the field in this although the
10 benefits will be much greater across other aspects of
11 medical care.

12 Q. Right. You say:

13 "SHOT has also identified that bacterial
14 transmission by certain components, especially
15 platelets, remains a significant albeit rare risk."

16 In general, Dr Norfolk, you shouldn't really have
17 bacteria in your blood. Is that right?

18 A. No, and under normal circumstances none of us would have
19 bacteria in our blood. The way that bacteria get into
20 blood donations is actually from the skin of the donor
21 at the time of collection of the blood because of course
22 we all have a normal bacterial flora on the skin. In
23 fact, most of them carry out a healthy normal purpose
24 but when the needle is inserted to collect blood, it is
25 possible for a small number of bacteria from the skin to

1 get into the blood donation and into the pack and then
2 under the right circumstances those bacteria could grow
3 to sufficient quantities to produce harm to the
4 recipient of the blood component.

5 Q. You explain how that could lead to transfusion-related
6 acute lung injury and go on, though, to tell us that in
7 context the absolute numbers reported are really very
8 low. For 2009 there was only one death in the UK
9 definitely attributable to transfusion.

10 A. Yes, although there were 14 ABO incompatible red cell
11 transfusions reported to SHOT in that year but none of
12 them were fatal.

13 Q. So my leaflet may be blunt but it is accurate?

14 A. It is absolutely accurate. I think what SHOT showed --
15 our perception was entirely focused on the risks of
16 collecting blood and it being safe in the blood centre.
17 SHOT immediately showed that the real risks for
18 patients were actually hospital-centred and largely
19 preventable by better techniques of patient
20 identification, better systems in hospitals.

21 Q. Human error?

22 A. Human error. And human error will always occur but of
23 course, you can develop systems to overcome human error.
24 You can train people better. You can introduce
25 technologies which eliminate human error from the

1 process and all of these things are now happening.

2 The other thing we are doing is trying to empower
3 patients to ensure that they are identified properly.

4 In the same way there was a campaign to reduce
5 hospital-acquired infection by encouraging patients to
6 say, "Have you washed your hands, doctor?" Or nurse.
7 We are talking now about a campaign to empower patients
8 to say, "Do you know who I am?" "Have you identified me
9 correctly?" And there are proper ways of doing that.

10 Q. Goodness, doctor, we could spend a long time on the
11 topic of how you encourage patients to challenge doctors
12 or to try to obtain more information from doctors and
13 that is already taking us into areas that we will
14 perhaps be going to later in our Inquiry.

15 A. Absolutely.

16 Q. Just before section 5.2 you talk a little bit about
17 prions. Prion, according to some web readings -- you
18 will have to correct me if this is wrong, Dr Norfolk.
19 A prion is a protein in misfolded form. Is that
20 correct?

21 A. Indeed, like you, as a clinical doctor I wouldn't
22 pretend to fully understand the basis of these prion
23 diseases and I suspect nobody really does. They are not
24 bacteria, they are not viruses. They are normal
25 proteins that we all have that occur in a misfolded way

1 and if they enter another individual, they can encourage
2 the patient's own normal prion proteins also to become
3 misfolded. But there are many greater experts than me
4 in this area.

5 Q. I think fortunately that's all we really need to know
6 about prions, save perhaps that it seemed to be
7 a made-up word from "protein" and "infection"?

8 A. I think that's right.

9 Q. Coined in relatively recent times.

10 Back to red blood cells. You say -- and this is no
11 surprise -- that:

12 "The benefits of transfusion are most clear in
13 patients who would otherwise quickly die from severe
14 bleeding, whereas any harmful effects are more important
15 in less acute situations or where alternative treatments
16 are possible."

17 So this is just the risk/benefit analysis that
18 presumably has to be considered in any transfusion
19 situation?

20 A. Yes, one should always consider and discuss with the
21 patient if there are alternatives to transfusion, which
22 are equally effective and may be much safer. In many
23 situations, which in the past blood would have been
24 transfused, we would now treat the patient with medical
25 therapy. So it should be very rare to transfuse

1 patients, for example, with iron deficiency anaemia,
2 which would only be a temporary solution, whereas of
3 course the treatment is replacement of the iron.
4 Q. Indeed, you go on to explain -- and this is going into
5 the next page, the whole section headed "safety
6 issues"-- nowadays the idea of the level of haemoglobin,
7 for example, below which you need a transfusion, is
8 lower than it used to be. You say:

9 "It used to be a haemoglobin level of 10."

10 THE CHAIRMAN: I don't think we have this page.

11 MS DUNLOP: Sorry, reading on to the next page. Yes. There
12 it is:

13 "For many years it was traditional to use a trigger
14 haemoglobin concentration of 10 for red cell transfusion
15 after surgery. Custom and practice."

16 Then you say that it has been discovered that
17 healthy individuals can safely tolerate much lower
18 levels of haemoglobin. Presumably on the basis that it
19 will come back up?

20 A. Absolutely, and you know, we all have good compensatory
21 mechanism. Anaemia, especially if it comes on slowly,
22 you speed up your heartrate, you breathe a little faster
23 to get more oxygen into the blood and you can compensate
24 to a very high level until you hit what is often called
25 a critical point, below which major critical organ

1 functions start to deteriorate.

2 Q. There is much more of a focus on having, as you say, a
3 individualised treatment plan rather than a sort of one
4 size fits all approach, of saying all patients below
5 a certain level need a transfusion?

6 A. I think this is going to be the next phase of therapy
7 for anaemia and transfusion: to try and develop ways of
8 individualising treatment to patients rather than having
9 a sort of one size fits all approach.

10 Q. But there are some guidelines in relation to perhaps the
11 more common situations.

12 Then platelets, where the safety issues are really
13 quite different and you have covered that really
14 already, talking about the risk of growth of bacteria.
15 So they have a very short shelf life. This is three
16 lines from the bottom:

17 "Although most of the bacteria are relatively
18 harmless skin germs from the donor arm, much more
19 dangerous bacteria occasionally grow."

20 You get some fatal reactions, and the main
21 precaution therefore seems to be firstly not to keep
22 your platelets for very long but also to improve the arm
23 cleaning protocols for donors.

24 What happens to platelets if you don't keep
25 agitating them?

1 A. They are metabolically active cells, they need a lot of
2 energy to remain viable and so the packs that platelets
3 are stored in is a special plastic which is actually
4 breathable. Oxygen can pass into the pack and they are
5 stored in relatively small volumes in quite flat
6 packs and they are put on what are called flat bed
7 activators which "shoogles" them about and that is
8 optimal.

9 There is good evidence, though, recently, that you
10 can take platelets off agitation for up to 24 hours
11 without any significant reduction in function and that's
12 quite important when platelets are being transported
13 around, but that's a relatively recent bit of
14 information.

15 The crucial problem with platelets is that they have
16 to be stored at around 20 degrees centigrade, and that
17 is a very nice medium for the growth of many bacteria
18 and the short shelf life of platelets is almost entirely
19 related to the risk of infection with older dated
20 platelets, rather than any reduction in function on
21 storage.

22 Q. You followed the statement structure for platelets as
23 you did for red cells. You talk about the guidelines
24 for the use of platelets and then you give us a summary
25 of what the current consensus guidelines are. And then

1 lastly you deal with fresh frozen plasma. This is
2 section 5.4. Again storage conditions. It's thawed and
3 then you mention here the octoplas, which we have heard
4 about already. That's a commercially available plasma
5 product, which has been treated by solvent detergent as
6 a means of viral inactivation. Then single donor plasma
7 from American donors treated with methylene blue and
8 light exposure has viral inactivation too. This is back
9 to children under 16.

10 Safety issues. It turns out that actually it is
11 female plasma that's more likely to cause the acute lung
12 injury, so in fact there has been an effort to source
13 all fresh frozen plasma from male donors and that has
14 now been achieved?

15 A. Indeed. And the incidence of transfusion lung injury
16 has fallen very significantly on successive SHOT reports
17 since that was introduced in, I think, 2003.

18 Q. It is to do with having had children?

19 A. Indeed, these are what are called HLA antibodies. When
20 you are pregnant, obviously the baby is half
21 non-identical to you and you can produce antibodies
22 against the tissue typing antigens in fact, the ones
23 that are important in transplantation. These are the
24 antibodies that cause this phenomenon of transfusion
25 lung injury. Male donors very rarely have these

1 antibodies.

2 Q. Right. And then the same; you give indications for the
3 use of fresh frozen plasma. This is on to the next
4 page.

5 We see, for example, it could be factor 5
6 deficiency, wide variation in the clinical use of fresh
7 frozen plasma. Much of the use being to do with
8 abnormal clotting. 14 per cent was used to reverse the
9 anti-coagulant drug, warfarin. So that must be for
10 someone who is on warfarin but suddenly they need some
11 procedure whereby their blood needs to clot?

12 A. Or more commonly, the patient has become oversensitive
13 to the warfarin, so they have highly abnormal clotting
14 and bleeding. Warfarin is a very difficult drug to
15 handle. It interacts with many other medications and
16 foodstuffs but for some years now the very specific
17 antidote, which is a manufactured blood product, has
18 been available and it is much more effective than FFP.
19 FFP is no longer recommended for that indication.

20 Q. Section 6, you cover alternatives to blood component
21 transfusion and you mention pre-deposit autologous
22 transfusion. We have had some discussion of that
23 already. It's really not something that's taking place
24 in any sort of numbers nowadays.

25 Then this is the point at which you discuss some of

1 the newer technologies that are coming, the
2 intraoperative cell salvage, which I take is already in
3 place?

4 A. Absolutely, it has been around for a decade or more but
5 its widespread introduction into hospitals is now only
6 just occurring and this can be life saving technology.
7 It is now more or less recommended at all hospitals who
8 are treating women at risk of major obstetric
9 haemorrhage -- going back to Blundell -- they should
10 have such facilities available in the hospital.

11 Q. Could we move to a position where all those having
12 surgery have their blood loss replaced by getting their
13 own blood back again?

14 A. You could. For most surgery, the patients are not
15 transfused at all anyway these days. So setting up the
16 machine and collecting blood just in case you might need
17 to give it back would be very expensive. But there are
18 many intermediate operations where it probably would be
19 sensible to collect the blood and then to give it back
20 to the patient. Effectively you only need to save one
21 unit of donor blood to pay for the disposables used in
22 that operation, using these machines. So it can be
23 highly cost-effective but it is very clinically
24 effective in patients with massive bleeding. You can
25 keep the patient alive by recirculating their own blood.

1 Q. Right.

2 THE CHAIRMAN: Could I understand a little bit what's
3 happening. I think that one naturally envisages
4 bleeding as the discharge of blood into the atmosphere
5 in some way. Is the blood collected after it has come
6 into the contact with the environment of the theatre?

7 A. The blood is actually collected usually from the
8 abdominal or thoracic cavity of the patient. The nurse
9 has a special type of sucker which doesn't damage the
10 cells. As they are bleeding from the various organs,
11 whichever organ is damaged, that blood is sucked into
12 the machine. The machine is just like a cell separator
13 that we use for collecting blood. It spins the blood,
14 separates off the red cells, automatically washes them
15 with saline and then pumps them into a little bag ready
16 to transfuse back to the patient. It is an entirely
17 automated process, which is technically relatively
18 simple to perform.

19 THE CHAIRMAN: But there must be some exposure to the
20 atmosphere.

21 A. Absolutely. That's why there is a washing process. If,
22 for example, the patient had a bowel perforation -- so
23 there were lots of bacteria present in the abdominal
24 cavity -- then that would be a contra-indication to this
25 process.

1 THE CHAIRMAN: It puts a high premium on the cleanliness of
2 the atmosphere in the operating theatre.

3 A. Absolutely, although these machines really do clean the
4 red cells very thoroughly. The other contentious area
5 is in patients with cancer surgery, whether one might
6 risk reinfusing cancer cells back into the patient and
7 disseminating the cancer, but the evidence is that
8 probably isn't a risk at all. You can actually filter
9 the blood as it goes back into the patient. So the
10 indications for this are increasing all the time.

11 THE CHAIRMAN: We have heard a little about nosocomial
12 transmission of infection. To the inexpert observer
13 this seems to be a high risk area.

14 A. In fact very, very few problems are reported and SHOT
15 does collect data on autologous transfusion procedures.

16 THE CHAIRMAN: Thank you.

17 MS DUNLOP: This is the point, Dr Norfolk, where you mention
18 the subject we alluded to earlier about artificial blood
19 and that that's not really going to be with us any time
20 soon and making platelets isn't very successful either.
21 That's 6.2. As far as the future for plasma is
22 concerned, you say many experts believe there will be
23 a move away from using FFP to more targeted therapy with
24 manufactured products, like prothrombin complex and
25 fibrinogen concentrate, that contain predictable amounts

1 of specific clotting factors and have been treated to
2 kill viruses. Of course, that was a problem
3 historically in the treatment of haemophilia, that it
4 was difficult sometimes giving products where the level
5 of the required concentrate wasn't really known.

6 A. That's right. Ordinary, what we call clinical FFP
7 collected from blood donors, there is an enormous range
8 of normality between different human beings and the
9 amount of clotting factors that they have. So these are
10 very non-standardised units. Although there is an
11 element of quality assurance, the clotting factors vary
12 considerably and they are not of course a concentrate,
13 and you have to give an awful lot of FFP to get
14 a clinical effect.

15 Q. As far as modern treatment of haemophilia is concerned,
16 you say some single blood clotting factors, such as
17 Factor VIII, are now made by recombinant DNA technology
18 rather than from donor blood. I don't want to use the
19 wrong terminology, doctor; is it correct to say they are
20 artificially synthesised?

21 A. Yes, these are not derived from human blood components.

22 Q. Therefore they don't carry a risk of transmission of
23 viruses.

24 A. From blood donors?

25 Q. Yes.

1 A. Yes.

2 THE CHAIRMAN: What is the base material?

3 A. For these? It is way outside my area of expertise but
4 my understanding is that the genetic material is grown
5 in a variety of different types of animal cell, in
6 tissue culture. But it is too far outside my area of
7 expertise, I am afraid.

8 MS DUNLOP: In section 7 you tell us about the effect of the
9 European Union in this area and we have actually heard
10 from Professor Turner too about the different directives
11 and amending directives which have led to a lot of
12 activity in the early 2000s.

13 Then 7.1.1, you deal with the recording
14 requirements. Again we have seen material to this
15 effect before about records of transfusions in the
16 patients' notes. Protect the patient. But of course
17 originally, when the sort of recording requirements that
18 you have highlighted were being written, as you say,
19 what was in people's minds was Hepatitis B and then you
20 chart different recommendations during the recent
21 decades. The first edition of the UK Transfusion
22 Service's Handbook of Transfusion Medicine. That's the
23 publication we spoke about earlier, isn't it?

24 A. Yes.

25 Q. It is now into its fifth edition and you are the editor?

1 A. Yes. I haven't actually produced it yet but it will be
2 produced later this year.

3 Q. It is in your in-tray?

4 A. It is in my in-tray.

5 Q. The first edition was edited by Dr Brian McClelland of
6 Edinburgh and Southeast Scotland.

7 A. Dr McClelland edited the first four editions and
8 I assisted him a little with the fourth edition.

9 Q. Right.

10 THE CHAIRMAN: Is this a good point at which to --

11 MS DUNLOP: Yes, I don't think I can finish before lunch and
12 I think probably one shouldn't rush to try.

13 THE CHAIRMAN: After lunch.

14 (12.57 pm)

15 (The short adjournment)

16 (2.00 pm)

17 MS DUNLOP: Dr Norfolk, we need to go back to your
18 statement, which was [\[PEN0100048\]](#), and I think this is
19 where we were. Yes, that's exactly where we should be.

20 We are now going into a section or we are in
21 a section headed "Recording blood transfusions and
22 seeking patient consent". Then 7.1.3 and 7.1.4, you
23 tell us about two sets of guidelines ten years apart.
24 The first set from the British Committee On Standards
25 and Haematology, which is a subcommittee of the British

1 Society for Haematology -- they are 1999 guidelines --
2 refer to:

3 "... a need for good documentation, key
4 recommendations that the medical notes should contain
5 a permanent record of the transfusion of blood and blood
6 components."

7 So the prescription of blood and compatibility
8 report, donation ID numbers, record of nursing
9 observations, there should also be an entry describing
10 the indication for the use of blood, date, number and
11 type, effect, occurrence and management of any adverse
12 effect.

13 Then, ten years later, guidelines giving much more
14 detailed recommendations for documentation of the
15 process. It looks to be the biggest single factor
16 influencing the change is the European material which
17 had been transposed by the Blood Safety and Quality
18 Regulations. Was that really the biggest influence?

19 A. From the laboratory point of view there was much more
20 stringent record-keeping and the requirement for
21 traceability of all components.

22 Q. Yes. Even things like the clinical indication for
23 transfusion. Presumably even where that might be
24 thought to be self-evident, you are still supposed to
25 document it.

1 A. It is regarded as good practice to do so, yes.

2 Q. So even for example, in a placental abruption, something
3 where everybody would know why, you would still be
4 expected to document.

5 A. That would be very manifest from the notes. So I can
6 see what you are getting at. You probably wouldn't
7 write that down specifically but that would be manifest
8 in the notes in that situation. That isn't true of many
9 transfusion episodes, though. Most indications are
10 relative and an indication of the reason why
11 a transfusion was regarded as necessary at that
12 particular time is useful information.

13 Q. I see. I suppose particularly as you move towards
14 a more individualised patient care plan, as it were, you
15 are going to need that because it won't be sort of
16 standard trigger points?

17 A. No, it documents a thought process which is very useful,
18 of course, for future audit and investigation. There is
19 a perception that the simple act of documenting the
20 reason for the transfusion has an effect on the person
21 prescribing the blood and may make them consider the
22 merits of the decision to transfuse.

23 Q. I see. You say, however in 7.1.5 that there is
24 continuing incomplete compliance, although this is
25 primarily under reference to an English audit with no

1 reason for -- sorry, you were going to say something?

2 A. I was about to pre-empt your question. I think all
3 audits in all parts of the United Kingdom show very
4 similar levels of compliance.

5 Q. Right. No reason for transfusion in 28 per cent of case
6 notes. No pre-transfusion clinical observations,
7 10 per cent of records. Post-transfusion observations
8 missing in 35 per cent. The audit of red cell
9 transfusion in neonates and children found clear records
10 of the outcome in only 18 per cent of case notes, which
11 is obviously quite a significant gap in that area.

12 THE CHAIRMAN: Is there any further information? Is there
13 a geographical spread or is it uniform throughout?

14 A. It certainly varies between hospitals but there is no
15 real geographical pattern. I think if you look at other
16 forms of documentation in medical records outside
17 transfusion, I suspect this is relatively typical.
18 People don't necessarily record every action that they
19 perform. So I don't find those surprising. There has
20 been some improvement over time but in essence they are
21 regarded as quality indicators, I think.

22 THE CHAIRMAN: Of course, the fact that it is not surprising
23 might found quite a serious adverse comment.

24 A. Yes. I mean, if you are sitting in the position of
25 clinician, of course, you are surrounded by guidelines

1 and things telling you to do this and to do that and
2 I think that's one of the things that we need to take
3 into account in making it easier for people to perform
4 this sort of documentation. This is why the development
5 of care plans and specific transfusion records have been
6 developed; to make it as easy as possible to guide the
7 clinician in the most effective way through the system,
8 without unnecessary time and effort.

9 MS DUNLOP: You say in summary, and this is 7.1.6:

10 "The requirement for documentation has been well
11 recognised and included in national recommendations
12 since the 1970s. Basic information to be recorded has
13 changed little."

14 Then the quality of record-keeping in the lab and
15 the traceability of donations has improved to very high
16 levels in recent years. But whilst clinical
17 record-keeping has undoubtedly also improved, there is
18 still evidence of variable compliance."

19 I suppose these are the people who are on the front
20 line?

21 A. Absolutely.

22 Q. They have many tasks to attend to.

23 A. Precisely. And if people are not doing it, there are
24 many different reasons and one may be that we are not,
25 as I say, making it easy and practical for them to do

1 so.

2 Q. Yes. Looking at 7.2, this is your section on patient
3 information and consent for transfusion. We have made
4 some reference to this. Notes of transfusion. You
5 refer to no mention of patient information or consent
6 and these issues not specifically addressed in the first
7 edition of the Blood Services Handbook, the 1989 one.
8 Then in 7.2.2 you discuss the issue and you say:

9 "At present there is no legal requirement to seek
10 separate consent for blood component transfusion in the
11 UK, although the legal basis for this has recently been
12 questioned."

13 Until now it has been seen as wrapped up in the
14 general question of surgery. So for those people who
15 are going for surgery, that's how it's seen as covered.
16 But obviously that doesn't necessarily cover all the
17 medical uses that you referred to earlier.

18 The 2009 guideline concludes that:

19 "Informed consent, whether verbal or written, should
20 be obtained wherever possible and documented."

21 But you say that there is a wide variety of opinion,
22 especially on the question of whether formal written
23 consent for transfusion should be required, with
24 obviously some fairly powerful people, fairly powerful
25 bodies, arguing that separate written consent is

1 unnecessary.

2 Then patient information, in the last section.
3 A 1997 survey showing what looks like quite an
4 unsatisfactory situation, only 31 per cent of patients
5 given any information. 20 per cent of those who were
6 informed would have liked more information, especially
7 about risks.

8 That has been addressed in the better blood
9 transfusion initiatives. You refer to the circulars and
10 there may be different circulars for Scotland but
11 presumably to the same effect?

12 A. The better blood transfusion process was a pan-UK
13 initiative, with all the chief medical officers taking
14 part.

15 Q. So they would be joint circulars, would they?

16 A. I think they issued a separate circular in Scotland but
17 it was the same circular.

18 Q. Transfusion practitioners, hospital transfusion teams
19 and patient information leaflets. You have referred to
20 that already.

21 Leaflets that are given to patients or leaflets that
22 are left for patients to pick up and read if they want.

23 A. What normally happens is that leaflets are issued in
24 pre-admission surgical clinics. Patients now commonly
25 get a pack of information. Most hospitals will ensure

1 that all wards that carry out transfusions regularly
2 have a supply of the leaflets and individual hospital
3 policies may require that when consent is taken for
4 transfusion, the patient is given a leaflet. In some
5 hospitals that is policy and in some it is simply
6 a guideline/recommendation.

7 Q. Of course, not everyone necessarily takes something in
8 the first time they hear it and not everybody remembers
9 what they have been told either. So I suppose a leaflet
10 is a good thing because people can read it and re-read
11 it.

12 A. When you talk to patients -- and there have been
13 a number of studies -- patients do like a clinician to
14 talk to them about this so they can answer questions.
15 But, as you say, to be able to take away a leaflet,
16 reflect on it and ask questions is what most people see
17 as their preferred method.

18 Q. Yes. Then you give us your conclusion, that an informed
19 consent wasn't a major issue for clinicians in the
20 1970s, increasing awareness following the emergence of
21 HIV in the 1980s. This is possibly true of informed
22 consent in a number of different areas of medicine
23 really.

24 A. I think, if you step back and look at the transfusion
25 agenda, it is mirroring the gradual shift away from

1 perhaps a more paternalistic approach to medicine to
2 a more consensual approach.

3 Q. Yes. More general agreement, you say -- and this is
4 about half way down the conclusion:

5 " ... more general agreement that patients should be
6 provided with better information about transfusion, its
7 risks, benefits and alternatives, ideally with access to
8 objective quality-assured written material."

9 And obviously that you would document all of that
10 and that there is still a way to go in actually
11 achieving that desirable outcome?

12 A. Indeed.

13 Q. Dr Norfolk, there was one other matter I wanted to
14 address with you and it's a question that we have
15 mentioned several times in recent days at the Inquiry.
16 It is whether steps should have been taken to defer --
17 although I think in practical terms I mean "exclude" --
18 as donors people who themselves had had a blood
19 transfusion.

20 We know that that has been done in the
21 United Kingdom as a measure to assist against variant
22 CJD and that that dates from, I think, 2004 in the
23 United Kingdom. But do you think it could be said that
24 the steps should have been taken some years earlier in
25 relation to the threat of non-A non-B hepatitis -- or

1 Hepatitis C, as it became?

2 A. Sure. I don't want to sidestep your question but what
3 I would say: I suspect this is a much more complex
4 question than it sounds at face value because variant
5 CJD and Hepatitis C are very different entities.
6 I suspect, to really make an informed judgment on this,
7 you would need to go back to your statisticians and
8 epidemiologists and look at the balance of risk and
9 benefit because I don't know the answer. Certainly, the
10 removal of transfused donors took 5 per cent of donors,
11 approximately, out of the system and there were
12 considerable concerns about possible blood shortages at
13 that time. So again the true balance of risk and
14 benefit to society as a whole from taking that step may
15 be a difficult question.

16 The rationale for removing previously transfused
17 donors because of the variant CJD issue was what the
18 experts talked about recycling, which made those people
19 a higher risk of infecting other people. I truly don't
20 know whether the same considerations apply to a virus
21 like Hepatitis C.

22 So I'm not trying to sidestep your question but
23 I really don't think I'm the right person to ask that
24 question and it is a more complex question than it
25 sounds at face value.

1 Q. Thank you very much, Dr Norfolk.

2 A. Thank you.

3 THE CHAIRMAN: Doctor, does the expression the "Red Book"
4 mean something to you?

5 A. Yes, the Red Book is the guidelines for the UK
6 transfusion services produced by the J Pack(?).

7 THE CHAIRMAN: What form does it take now?

8 A. It takes the form of both a hard copy, which is reissued
9 every few years, but also an online version, which is
10 kept up-to-date regularly, because, obviously, things
11 like donor deferral criteria vary quite a bit from time
12 to time in the light of travel restrictions and new
13 knowledge. So the two versions are available. As far
14 as I understand, they will continue to be available in
15 both a book and electronic version.

16 THE CHAIRMAN: So it is another source of guidance to the
17 professional?

18 A. Yes, the Red Book in fact is primarily related to blood
19 services. It is about the specification for blood
20 components and guidelines for blood donation.

21 THE CHAIRMAN: Mr Di Rollo?

22 MR DI ROLLO: No, thank you, sir.

23 THE CHAIRMAN: No, thank you? I didn't consider that
24 possibility open.

25 Mr Anderson?

1 MR ANDERSON: Thank you, no, sir.
2 THE CHAIRMAN: Mr Sheldon?
3 MR SHELDON: No, thank you, sir.
4 THE CHAIRMAN: Dr Norfolk, thank you very much indeed. You
5 have been very helpful. Thank you very much.
6 MS DUNLOP: We have no other witnesses arranged to come
7 today, so it is rather an early finish, I hope not
8 entirely inconvenient.
9 THE CHAIRMAN: No, nor is it a finish. Thank you very much,
10 ladies and gentlemen, tomorrow morning.

11 (2.37 pm)

12 (The Inquiry adjourned until 9.30 am the following day)

13

14 I N D E X

15

16	PROFESSOR MARC TURNER (sworn)	1
17	Questions by MS DUNLOP	1
18	Questions by MR DI ROLLO	52
19	DR DEREK NORFOLK (affirmed)	56
20	Questions by MS DUNLOP	56

21

22

23

24

25

