

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Friday, 17 June 2011

(9.30 am)

THE CHAIRMAN: Good morning.

PROFESSOR CHRISTOPHER LUDLAM (continued)

Questions by MR GARDINER (continued)

MR GARDINER: Professor Ludlam, you are appearing at the Inquiry, I think, for the third time, a third session.

A. That's correct.

Q. Thank you. You appeared previously on 30 March to talk about statistics and you appeared on 3 and 4 May to talk about the B2 topic?

A. That's correct.

Q. You have provided the Inquiry with several statements about the topic that we are looking at today. I think it's helpful just to remind ourselves what that topic is. So could we have on the screen, please, topic B5? We see on the right-hand side of the page the topic that we are looking at in this session is B5A:

"The information given to patients (or their parents) about the risk of AIDS before their treatment with blood or blood products.

"B5B) The tracing and testing of patients who might have been exposed to the virus through their treatment with blood or blood products.

"B5C) The information given to patients who might

1 have been infected or who were found to be infected and
2 their families.

3 "B5D) And in particular the circumstances in which
4 those patients known collectively as the Edinburgh
5 cohort became infected with HIV, the testing of such
6 patients for HIV and the information given to them about
7 their infection."

8 There are two statements I particularly want to
9 focus on, which you have given the Inquiry. The first
10 one is [\[PEN0120351\]](#). This has a heading "Long-term
11 safety monitoring for transfusion-transmitted
12 infections". I think that you should have a paper copy
13 of that, Professor Ludlam. Thank you.

14 The other document that I would like to look at in
15 connection with this topic is [\[PEN0120774\]](#). These are
16 the notes of a meeting between yourself and
17 Gemma Lovell, an Inquiry team member, in which B5 issues
18 were discussed. That's right, isn't it?

19 A. That is correct, yes.

20 Q. It's fair to say, Professor Ludlam, that these notes
21 went through several revisions by yourself in order to
22 arrive at what you thought was a correct answer to the
23 questions that you were being given. Is that right?

24 A. That's correct, and also additional questions were posed
25 when I received the draft.

1 Q. Yes. Thank you.

2 I would like to approach this topic chronologically
3 and in order to do so, we need to move between these two
4 documents. But just to get a context, I think I'm right
5 in saying that you started at the Edinburgh
6 haemophilia centre at the beginning of 1980?

7 A. That's correct, yes.

8 Q. Could you just remind us how many haemophilia patients
9 you had under your care at the beginning of 1980?

10 A. Approximately 170.

11 Q. Which other doctors and nurses were there at the centre
12 who helped you to treat these patients?

13 A. I was the only consultant. There were two consultants
14 in the Royal Infirmary, who had to cover all the
15 haematology service, so not all my time was devoted to
16 haemophilia. I looked after lots of patients with
17 leukaemia, lymphomas, provided consultation about
18 patients in other wards. Our catchment area in those
19 days for general haematology was much greater. We took
20 patients from the Borders who came up with malignant
21 disease. So more than half my time would be spent doing
22 things other than haemophilia.

23 Q. Yes. The haemophilia aspect of the care that you are
24 providing, what other doctors and nurses were there at
25 that time that were helping you?

1 A. The only assistance I had was from a registrar, a doctor
2 in training, and a clinical lecturer, who was providing
3 part clinical -- had part clinical duties and partly
4 doing research.

5 Q. Yes.

6 A. We didn't have a haemophilia nurse at that stage. So it
7 was myself really and a registrar who, like me, had many
8 other responsibilities.

9 Q. Yes. Do you remember the name of the registrar?

10 A. Well, there were a series of registrars, but the ones
11 that took a greater interest were Dr Robert Carr and
12 Dr John Tucker.

13 Q. How long would these registrars stay with you?

14 A. Somewhere between two and four years.

15 Q. Thank you. I think you give some of the history of the
16 centre in the long-term safety monitoring statement, so
17 if we could have a look at that, which we have on the
18 screen.

19 We see at paragraph 2 you explain:

20 "Historically the treatment of bleeding in
21 haemophilia has been associated with adverse events.
22 These include allergic reactions, haemolytic anaemia,
23 antibodies to the deficient clotting factors ..."

24 And so on. Paragraph 3 you say:

25 "The Edinburgh Haemophilia Centre has a long

1 tradition, starting in the 1960s and 1970s, of
2 systematically studying the bleeding pattern in those
3 with haemophilia, describing arrangements at a
4 Haemophilia Reference Centre and was amongst the first
5 to assess hepatitis and the risks of virus transmission
6 with the initial studies on Hepatitis B virus
7 infection."

8 Then if we go down to the bottom of that page at
9 paragraph 6 you explain what treatment was given at the
10 centre. You say that:

11 "To monitor treatment-related adverse events
12 (including infections) at clinic visits, blood would be
13 taken for a full blood count (haemoglobin, white cell
14 count, including enumeration of the different types of
15 white cells and platelet count) and assessment of blood
16 chemistry ..."

17 Could you just explain to us what the purpose of
18 taking blood for a full blood count was?

19 A. Yes. It was important to make sure that the patient's
20 haemoglobin and white count and platelets were in the
21 normal range. As you saw earlier in the page, one of
22 the complications, particularly of the early Factor VIII
23 concentrates, was they contained antibodies to red cells
24 and so you could get destruction of the red cells and
25 hence anemia.

1 The other reason for checking the haemoglobin was
2 that sometimes patients had silent bleeding into their
3 gastrointestinal tract. That was not uncommon. So this
4 was a way of being alerted to that possibility.

5 Q. Yes. Just reading on in that paragraph, you explain
6 that:

7 "These latter samples were stored long-term in
8 haematology and virology, as was customary for virology
9 blood samples."

10 When you say "stored long-term in haematology and
11 virology", are these two separate departments in the
12 hospital?

13 A. Yes.

14 Q. Thank you. Over the page you say that this was
15 considered good clinical and laboratory practice. Just
16 to clarify that paragraph, we asked you at question 5 of
17 the notes documents about blood that was taken and you
18 explain that:

19 "Blood was regularly taken from patients when they
20 attended the clinic for review. It was part of the
21 routine of coming to the clinic that blood as taken.
22 Blood was not taken every time the patient attended but
23 was done when tests were deemed necessary. The
24 frequency of a patient's attendances depended on their
25 clinical situation."

1 Could you explain what the different clinical
2 situations were and how they could affect how often
3 patients would be seen in the centre?

4 A. At this time in the early 1980s, the patients were
5 mostly on hospital treatment. So they were coming up
6 quite frequently, particularly if they had severe
7 haemophilia, to get their treatment with
8 cryoprecipitate. So patients with severe haemophilia
9 might come to the treatment room two or three times in
10 a week and we would obviously see them, review them and
11 treat them with cryoprecipitate.

12 If we hadn't seen them for a little while or if
13 there was something unusual about their clinical state,
14 then we would take these blood samples to investigate
15 why they might not be well.

16 Those samples would be taken when the needle was
17 inserted to treat them; in other words, we didn't take
18 blood from them, put it into the tubes and come back
19 a little while later with their treatment and puncture
20 them again. We tried to do it all at the same time.

21 There would be other patients who were perhaps on
22 home treatment and who we might see every three or four
23 months if there weren't problems. We were keen to see
24 them reasonably regularly to make sure that they didn't
25 have any chronic bleeds that weren't being adequately

1 treated, because you will recall, this is a time when we
2 felt there was quite a shortage of Factor VIII available
3 for patients.

4 Q. When you say "home treatment", are you talking about
5 with cryoprecipitate or with concentrate?

6 A. With concentrates.

7 Q. With concentrates?

8 A. Yes.

9 Q. Thank you.

10 A. Those patients would come up for review every three or
11 four months and part of the regular review was to check
12 the -- those blood tests that I itemised earlier: the
13 haemoglobin, the chemistry and potentially the virology.

14 Q. Yes. Who would the patients be seen by on those
15 occasions?

16 A. For the reviews, coming to a clinic appointment, almost
17 exclusively me, sometimes my registrar. When they
18 presented with an acute bleed, it would either be myself
19 or my registrar, just depending who was free.

20 Q. Thank you. Under the heading of "Information about the
21 risk of infection", we asked you a question about this
22 early period. Could we go to question 1 of the notes,
23 which is 0774. The question was:

24 "In the early 1980s when you were working as
25 a consultant in Edinburgh, did you discuss the risk of

1 using factor concentrates (for example, infection with
2 Hepatitis B and, subsequently, NANB hepatitis) with your
3 patients?"

4 You answered that:

5 "It was well-known amongst patients in the early
6 1980s that there was a risk of hepatitis from treatment
7 with factor concentrates including cryoprecipitate.
8 Patients on home treatment signed consent forms in which
9 infection was specifically mentioned ..."

10 You say:

11 "In the 1970s and 1980s there was literature
12 available from the Haemophilia Society."

13 But I think the answer to the question was you did
14 discuss the risk of hepatitis with many of your patients
15 because they were at risk and had hepatitis and some
16 became jaundiced. Could you explain how you did that?

17 A. In a number of ways. Clearly, one extreme, if the
18 patient became jaundiced, then one had to discuss that
19 with them and explain how it would have arisen but it
20 was well-known that the blood tests we were doing,
21 including measuring liver function tests -- and these
22 would often be discussed with patients when they came
23 back subsequently to review appointments. Patients were
24 generous enough, for example, to make themselves
25 available for teaching students, and we had patients in

1 the hospital quite frequently in those days because of
2 inadequate treatment, and they were generous enough to
3 allow me to bring medical students, for example, to come
4 and see them and we would have quite a full discussion
5 about the risks of treatment.

6 So there was a whole range of times when patients
7 would get to learn about hepatitis in general. If they
8 weren't feeling ill, came up one day and were just off
9 colour and feeling a bit sick, one would then begin to
10 wonder whether they had got a dose of hepatitis. So it
11 was very common knowledge that this was a risk and the
12 patients knew that I had an interest in monitoring it;
13 hence these blood samples in virology and the copies in
14 haematology.

15 THE CHAIRMAN: Professor, I wonder if I could go back
16 a little in time because Mr Gardiner's questions so far,
17 quite understandably, take up your approach in the early
18 1980s but would I be right in understanding that you
19 effectively inherited a cohort of patients who had
20 already had considerable experience of treatment in the
21 hospital?

22 A. Yes, I inherited patients who had been looked after,
23 I would say extremely well and obsessively by my
24 predecessor, Dr Howard Davies, and he was very open with
25 the patients about their situations and he, as I think

1 I may have emphasised when I was here before, was very
2 keen to try and avoid the use of commercial
3 concentrates, mostly because the blood came from
4 North America. And there was a lot of discussion at
5 that time as to how many different sorts of hepatitis
6 viruses there might be and he felt that it was better
7 for patients, if you like, if they are going to get
8 hepatitis, to get it, if I can put it this way -- the
9 local type of hepatitis because some of them may have
10 immunity to it anyway having been acquired through the
11 community, as happens, for example, with Hepatitis A.

12 THE CHAIRMAN: I think I can see an aspect of that. What
13 I was concerned with at the moment was whether it would
14 be right or wrong to get the impression that you were
15 introducing patients to knowledge of hepatitis risks
16 when the alternative explanation might be that they came
17 to you well equipped with a body of knowledge.

18 A. They came with me. They were very well-informed.

19 MR GARDINER: It seems to me that you are describing
20 information passing to patients incidentally as opposed
21 to being passed to them deliberately by you. Is that
22 fair?

23 A. I think a lot of information-giving to people with
24 chronic disorders, who you are seeing very frequently,
25 is done in a sense on a need to know basis and as it

1 arises in their clinical care. There were also
2 meetings, particularly of the local Haemophilia Society,
3 the patients' group who met, and we were invited to go
4 along and talk to them about new developments and our
5 activities and the way we saw haemophilia services being
6 provisioned.

7 Q. As far as preferring SNBTS concentrates as opposed to
8 commercial concentrates, is that something that you
9 discussed with your patients? Did you explain to them
10 why this was the type of concentrate that you were
11 favouring?

12 A. Yes, in a number of ways. First of all, it was, if you
13 like, the standard treatment. That's what was on offer.

14 Q. Yes.

15 A. But that was because we thought it was safer than
16 commercial concentrates. That -- because I was so keen
17 for my patients, if I can put it that way, the Edinburgh
18 patients, not to be exposed to commercial concentrates,
19 if possible, I gave each of them a little slip of paper
20 to put in their haemophilia card -- this is the card
21 that they all carry --

22 Q. Yes.

23 A. -- to say that "This patient had only been treated" or
24 predominantly treated "with NHS concentrate", and if
25 they went to another haemophilia centre down in England,

1 if they were travelling -- asked them to produce their
2 haemophilia card -- with a slip of paper in signed by me
3 saying:

4 "If possible, please treat with cryoprecipitate or
5 NHS concentrate. But obviously, if you don't have that,
6 then commercial concentrate has to be used."

7 Q. Yes, I think you told us about that the last time you
8 were here, Professor Ludlam. Did you explain to your
9 patients why you were asking them to carry this piece of
10 paper?

11 A. Well, yes, because if they went to another
12 haemophilia centre, it was additional evidence as to how
13 I should like them treated because they, in a sense,
14 were registered with my centre.

15 Q. Yes.

16 A. And they might go down to Manchester or Bournemouth or
17 London, you know, on holiday or for a trip, and once you
18 have been exposed to commercial concentrate -- and, as
19 we have seen subsequently -- studied subsequently --
20 they all contained hepatitis virus -- there was no going
21 back.

22 Q. I follow that. I'm really focusing on communications
23 from doctor to patient and I'm asking you if you
24 explained to your patients why this was that you were
25 following this practice in giving them the bit of paper

1 to give to other centres?

2 A. Oh, yes, that's self-evident. Yes, yes, I did, yes.

3 Q. It was self-evident to them or you explained it to them?

4 A. Well, I would give them the piece of paper and I would

5 say, "This is why we are doing it".

6 Q. In your written answer you mentioned a consent form and

7 could we have a look at [\[PEN0120853\]](#)? Is that an

8 example of a consent form?

9 A. It is, devised by my predecessor.

10 Q. Yes, thank you. Just reading from the bottom five

11 lines, where it says:

12 "I have had explained to me in detail the possible

13 risk of self-medication with this material, including

14 the risk of an allergic reaction to it and of the

15 problems associated with any transfusion, such as the

16 risk of introducing infection or air into my vein, and

17 I am willing to accept these risks."

18 Professor Ludlam, that last passage there, the risk

19 of introducing infection, is that not a risk of

20 introducing infection from the skin in the process of

21 performing the injection, as opposed to an infection

22 that's actually coming from the concentrate?

23 A. It is possible to introduce infection from the skin.

24 It's probably an overrated risk but there is certainly

25 a risk. If you put a needle through skin that has got

1 bacteria in, it can be pushed into the vein and cause
2 infection. But this, I think, clearly relates to the
3 factor concentrate because it says "or air into my
4 vein", and that is if there is air in the syringe. So
5 this refers to what is being introduced into the vein
6 from the syringe.

7 Q. Yes.

8 A. Sometimes, when you draw up the clotting factor into the
9 syringe, you get some air in the syringe and it's
10 important to expel that before you infuse it because if
11 you infuse a lot of air into the circulation, the
12 circulation gets impeded.

13 Q. Yes. So you think, when the form says "the risk of
14 introducing infection", that is really referring to the
15 risk of introducing viruses?

16 A. Yes, or bacteria.

17 Q. Yes. It's not completely clear, is it?

18 A. Well, in a sense it covers viruses and bacteria and
19 fungi. And they have been bottles of Factor VIII in
20 which there has been manufacturing failure, in which
21 there has been fungus. Those have never reached
22 distribution but, you know, it was -- in those days it
23 was an open system for manufacturing concentrates. It
24 wasn't closed.

25 Q. Yes. I think in any event you are in no doubt that at

1 that time your patients had no doubt that there was
2 a risk of infection from viruses. Is that right?

3 A. That is correct.

4 Q. Yes. Can we move on to the next question, which is also
5 under the topic of the risk of infection. This is in
6 the notes. The question is:

7 "When the possibility that AIDS was a blood-borne
8 disease which affected haemophiliacs became apparent
9 ..."

10 The question, it is put:

11 " ... (around December 1982) did you discuss the
12 implications with your patients before continuing to use
13 factor concentrate therapy?"

14 And you say:

15 "At that time, most of my patients were being
16 treated with NHS concentrates produced in Scotland.
17 In December 1982 there was no evidence of AIDS in
18 Scotland and we therefore perceived the risk or
19 infection from NHS factor concentrates ..."

20 Over the page now:

21 "... (which were manufactured from blood collected
22 in Scotland) to be small."

23 Just pausing there, when you say "we" who are you
24 referring to by "we" there?

25 A. Myself and the registrar who would be working with me.

1 Q. So the doctors?

2 A. The doctors. I think by that stage we were fortunate
3 enough to have our first very able haemophilia sister.

4 Q. Yes. So just reading on there, you say:

5 "I did not discuss AIDS with my patients at this
6 time unless they specifically asked about it."

7 You say:

8 "I do not recall there being much concern."

9 Can I ask you, professor, why did you not discuss
10 AIDS with your patients in December 1982?

11 A. I think this may not be entirely accurate. It is very
12 difficult, in the continuum of looking after patients
13 over 30 years, to remember exactly what happened when.

14 But I was interested that in one of the patient
15 witness statements, of the patients who came here, the
16 patient made spontaneous -- spontaneously put into the
17 statement that I had discussed AIDS with him and his
18 mother at a clinic visit. So I think we clearly were
19 discussing it with patients --

20 Q. If that witness' recollection is correct?

21 A. If that witness' recollection -- I'm gathering what
22 evidence there is.

23 Q. Yes.

24 A. If patients had asked about AIDS -- and I should say by
25 this stage, December 1982, there were seven patients in

1 the United States with haemophilia with AIDS, and I know
2 at my last appearance here there was much discussion
3 about when it became -- ought to have been considered to
4 be clear that AIDS was due to a virus. And the case
5 that was discussed, the child that got AIDS, possibly
6 from a platelet transfusion, was thought of as a tipping
7 point.

8 Q. Yes. What period is that?

9 A. That's December 1982. And I think I would like to put
10 my perspective, which was that it was a gradually
11 emerging picture during early 1983 that it was -- the
12 agent, whatever it was, was probably transmitted by
13 clotting factor concentrates. So it wasn't a sudden
14 acceptance, either by me or by the community. And there
15 is lots of evidence, some of which I think you have
16 heard already, from people more expert in this than me.

17 Q. Yes.

18 A. It was -- if I was to discuss it with patients,
19 I wouldn't have a great deal to say to them in a sense
20 because one could say, "Well, it might be transmitted by
21 blood products" but that would be all.

22 Q. Yes. I mean, at the moment we are talking
23 about December 1982.

24 A. Yes.

25 Q. What we have in the notes here is that you did not

1 discuss AIDS with your patients at that time. But are
2 you coming away from that now and -- I would like to
3 try, Professor Ludlam, please -- I know it's difficult
4 because it is a long time ago, but could you speak from
5 your own recollection?

6 A. Well, I think -- there must have been in early 1983 --
7 it was becoming more evident that possibly there was
8 a transmissible agent. At that stage I think --
9 I certainly wouldn't have kept it from patients. I had
10 a very open way with discussing these things with
11 patients.

12 We started doing immune tests in around the
13 beginning of 1983, when, you know, we were beginning to
14 get concerned on a global sense about it, and I started
15 doing immune tests. And to make sure that they were
16 correctly carried out in the laboratory, I labelled the
17 blood forms "AIDS study". These would be forms that
18 would be handed to the patients to get their blood taken
19 and, you know, patients could read it. So I must have
20 explained something about AIDS because I wouldn't write
21 "AIDS study" on a form, which I then either handed to
22 the patient or was sitting in front of the patient while
23 they were having their blood taken, without some
24 explanation.

25 Q. Yes. What you are describing there, Professor Ludlam,

1 seems to be information that a patient might pick up
2 incidentally, if you like, and I'm trying to focus on
3 your deliberate attempts to communicate a message to
4 your patients about this risk. At the moment I'm
5 focusing on December 1982 and are you saying to us that
6 really the onus at that stage would be on the patient to
7 raise the topic with you?

8 A. There was very little known about AIDS in haemophilia
9 in December 1982.

10 Q. Yes.

11 A. The first three cases were reported in July in MMWR and
12 there was a lot of uncertainty about what these might
13 represent. By December that year, out of a population
14 of 20,000 people with haemophilia in the United States,
15 four more, I think, it is reported by MMWR --
16 by December -- so there were seven patients...

17 Q. What conclusion could you draw from that information at
18 that stage? Would you be saying that there is
19 a possibility that blood products could transmit this
20 new virus?

21 A. Oh, certainly, yes.

22 Q. Yes.

23 A. Yes, that was evident on 6 July 1982 when the -- I think
24 it was 6 or 13 July, when the MMWR report came out.
25 That was the obvious message.

1 Q. I'm just looking at when that possibility would become
2 more certain, if you like, as time went on. I think you
3 said it was an emerging picture. When would it change?
4 A. I think it changed in the spring of 1983, the following
5 year.
6 Q. At that stage -- it has been a possibility -- how would
7 you describe it in the spring of 1983?
8 A. I think it was becoming clearer that there was some
9 strange things happening to the immune system of people
10 with haemophilia. A number of reports in the medical
11 press of immune abnormalities in patients with
12 haemophilia who were otherwise feeling well. It was --
13 the interpretation that you could put upon those was
14 puzzling us. I would say that similar abnormalities
15 were shown in gay men who were otherwise feeling well.
16 And the question is in fact: were all these patients or
17 all these individuals in the United States actually
18 already infected with a latent, if you like, AIDS virus?
19 Q. I want to come on to that, but by spring 1983 were you
20 routinely discussing with your patients this emerging
21 risk of transmission of this new virus by the blood
22 products that they were using?
23 A. The patients who would come up -- and certainly we would
24 be doing -- asking if we could do the immune testing,
25 which wasn't an extra blood sample, it was just using

1 the sample already collected. But as I have indicated,
2 we had to go to the trouble of writing on the form
3 something extra. I'm sure I would have explained to
4 those people that there was a possibility that this
5 new -- very new condition, called "AIDS", that we didn't
6 really understand, might be spread by blood products.

7 Q. Yes.

8 A. Yes.

9 Q. So your best recollection is that those patients would
10 have been informed of this possible risk?

11 A. I think I would have tempered that by saying that, "As
12 you know, you have received only Scottish" -- or the
13 majority of people -- "Scottish prepared Factor VIII",
14 and at that time there were no cases of AIDS in
15 Scotland.

16 Over that period, 1983, I actually made quite
17 extensive enquiries amongst my colleagues whom I thought
18 might see patients with AIDS and the people who might
19 collect statistics on AIDS, and I couldn't find anyone
20 who had any experience or knowledge of having seen
21 someone that they thought might be someone with AIDS, or
22 what we call "pre-AIDS" or "AIDS-related complex".

23 In those days there was much less intercontinental
24 air travel and movement of people, and the population in
25 Scotland was much more static than in North America and

1 even in England, and the big metropolises in England,
2 like London and Manchester, there was a lot of coming
3 and going of people from all parts of the world and from
4 Africa as well.

5 So I don't say Scotland was isolated but, you know,
6 we had a very stable, certainly, population of people
7 with haemophilia, but also I think the general
8 population was stable. For those reasons I thought the
9 risks were small.

10 Q. Is that what you told these patients?

11 A. Yes.

12 Q. And --

13 THE CHAIRMAN: Professor, I have a concern with the use of
14 the expression "AIDS" in the very early 1980s, stemming
15 in part from your own use of the expression "Acquired
16 Immune Deficiency Syndrome" as relating to biochemical
17 change rather than an infectious agent. When would you
18 have become, on balance, convinced that there was
19 an HIV/AIDS, an Acquired Immune Deficiency Syndrome
20 specifically related to a transmissible agent like
21 a virus?

22 A. I think in the spring of 1983.

23 THE CHAIRMAN: Does that provide, as it were, a change of
24 emphasis in your own mind as to how one would approach
25 this syndrome? Because it seems to me that a general

1 question about communication about AIDS must be
2 different. You are the communicator and what you are
3 saying or not saying must differ at the point at which
4 you yourself take on board the broader evidence that
5 points to a transmissible agent. Is that an accurate
6 comment to make?

7 A. No, I think that's fair.

8 THE CHAIRMAN: I think, Mr Gardiner, it is important that we
9 don't confuse the overall body of evidence by talking
10 about HIV/AIDS and your communication about it before
11 you yourself have formed a view on that matter?

12 A. I appreciate -- I think it is a very important
13 distinction, thank you.

14 MR GARDINER: Thank you, sir.

15 So, professor, did your practice change in the
16 information that you gave your patients after spring
17 1983?

18 A. Not, I think, materially. In June 1983 there was
19 a meeting of UK haemophilia directors from the reference
20 centres to consider the situation that was emerging and
21 that meeting made recommendations about treatment. We
22 were already conforming to those recommendations and so
23 there didn't seem to me to be a need to change my
24 suggestions for therapy.

25 Q. Yes. Thank you.

1 THE CHAIRMAN: I think I can see that but I have to say,
2 I am interested in the pattern of communication between
3 you and your patients once it had become accepted by you
4 that the probability was -- not a mathematical
5 certainty, I know -- but the probability was that there
6 was an HIV/AIDS condition, as we now would call it, that
7 was caused by a transmissible agent. So I think that is
8 important to answer Mr Gardiner's question,
9 Professor Ludlam, in a sort of direct way, if you can.

10 A. Yes. What I would say to the patients is, "We think it
11 is -- there is a blood-borne agent but I think the risk
12 of it being in our blood supply is very small but a
13 possibility -- but a pretty small possibility."

14 Q. Yes. Do we take it that that is not a discussion that
15 you would have initiated; it would be questions that you
16 would be responding to from your patients?

17 A. I think it would be part of the dialogue. We were, as
18 reported, undertaking these immune tests and I would
19 have explained, you know, why we were doing that and so,
20 as part of that explanation, I would have said from my
21 perspective, "I think it's very unlikely that whatever
22 the agent is, is in the blood supply of Scotland", for
23 reasons that we have rehearsed.

24 Q. Yes. Thank you.

25 When you had these discussions with your patients,

1 Professor Ludlam, was there any discussions about the
2 different kinds of treatment that they could be having
3 in the context of the emerging risk?

4 A. Well, the two options were cryoprecipitate or NHS
5 concentrate, and patients were very, very keen to get on
6 to the concentrates and -- very keen indeed -- and I was
7 having, as I have perhaps explained when I was here
8 before -- having to delay patients getting home
9 treatment, they weren't very happy about that.

10 So I could have -- I might have mentioned that we
11 could go back to cryoprecipitate, it wouldn't abolish
12 the risk. It might or might not reduce it. It depends
13 on the prevalence of the agent in the donor pool.

14 But I think I would say I wasn't encouraging
15 patients to go back to cryoprecipitate if they were on
16 concentrate and on home treatment.

17 Q. Yes. So do we take it that you wouldn't raise that
18 topic yourself with your patients?

19 A. Probably not, but it would depend a bit on the
20 circumstances.

21 Q. Yes. Could you elaborate what difference would the
22 circumstances make?

23 A. Well, if there was a small child who had not had much
24 treatment, they would probably be getting
25 cryoprecipitate anyway because they would be being

1 treated in hospital. And that's the treatment we used
2 in hospital because we kept the concentrate for home
3 treatment. So if you like, the people that would --
4 preferentially one would want to convert over to cryo
5 were probably already getting cryoprecipitate.

6 Q. Yes.

7 A. So -- and that would be in keeping with the guidelines
8 that emerged in June 1983.

9 Q. Yes. So that would be following the guidelines at the
10 meeting that you referred us to in June 1983? Thank
11 you.

12 Could we have a look at question 3, which I think we
13 still have on the screen, which really deals with the
14 question that we have just been discussing there, which
15 is:

16 "Did you consider switching your patients back to
17 cryoprecipitate ..."

18 You say:

19 "We did consider switching patients back ... in
20 around 1982/83 but the logistics of doing so were huge.
21 In the late 1970s and early 1980s, Scotland and
22 Edinburgh in particular had been highly dependent on
23 cryoprecipitate. A large effort had gone into scaling
24 back cryoprecipitate production and scaling up the
25 manufacture of factor concentrate, which enabled

1 patients to be treated at home. Concentrate was
2 initially in desperately short supply. We did consider
3 whether concentrate manufacture could be reversed but
4 this seemed such a retrograde step."

5 I think you are acknowledging there that it would
6 have been possible, however, to do it?

7 A. It would have been possible. It would have taken time
8 because extra equipment would have needed to be bought
9 by the blood transfusion.

10 Q. Yes.

11 A. And the blood transfusion was putting all its effort
12 into improving its plant for making concentrate.

13 Q. You go on to say:

14 "Switching patients back to cryoprecipitate would
15 have required huge changes to the manufacturing
16 practices and would have taken some time to accomplish."

17 I wonder if that's a little bit overstated,
18 Professor Ludlam, but our understanding is that
19 concentrates are, if you like, made from the
20 cryoprecipitate. So it would be a question of stopping
21 the production, as opposed to carrying on with more
22 production. So is that not a bit overstated, "huge
23 changes to the manufacturing practices"?

24 A. You would need to -- I daresay you have asked the Blood
25 Transfusion Service about this, but to make

1 cryoprecipitate, you take the plasma in the plastic bag
2 that has been squeezed off -- and I'm sure the Blood
3 Transfusion has explained how they squeeze off the
4 plasma -- into a polythene bag, snap freeze it very
5 quickly and then if you want to make cryoprecipitate,
6 you then allow it to melt in a fridge, then centrifuge
7 it again and squeeze off the plasma.

8 It's done on a sort of one-off basis. My
9 understanding -- my recollection is that if you are
10 going to use the plasma for fractionation, then you take
11 the frozen plasma and pool it into a large vat and then
12 start the manufacturing process. So in one you are
13 pooling a lot of plasma, the other, in a sense, each
14 pack of cryoprecipitate is hand crafted and that takes
15 centrifuges and personnel.

16 Q. Yes.

17 A. Is my recollection.

18 Q. Yes. So you are sticking to what you have said here,
19 that it would have required huge changes, as far as --

20 A. We discussed it and my colleagues didn't look at all
21 favourably upon it being able -- as being able to
22 achieve it in the sort of timescale that you might be
23 thinking of.

24 Q. Yes. Do you remember who discussed that topic and when
25 that was?

1 A. I think it was through sort of informal discussions
2 between myself probably Brian McClelland and
3 Frank Boulton. We had offices fairly close together and
4 used to talk about these sort of things. It may have
5 been discussed in a rather more formal context. I can't
6 remember.

7 Q. Yes. Okay. Thank you.

8 Just reading on in that paragraph and the context,
9 of course, is reverting to cryoprecipitate, at the
10 bottom of the page:

11 "We were also aware that doctors in the USA had
12 attempted to move patients back to cryoprecipitate when
13 the risk of AIDS became apparent. This move was
14 unacceptable to the USA patients who wished to continue
15 taking factor concentrates even though there were many
16 people with AIDS in the USA."

17 I think you are referring there to Oscar Ratnoff.
18 Is that right?

19 A. He was one of the principal people, yes.

20 Q. Although it's not in our database, I think that
21 Oscar Ratnoff wrote a letter about this, which was
22 published the Annals of Internal Medicine in March 1985.
23 I think you were kind enough to give us a copy of this,
24 Professor Ludlam. We are talking about 1983 here, and
25 surely you wouldn't have known at that stage what

1 Oscar Ratnoff's experience had been with his patients in
2 1983. The letter is not published until 1985.

3 A. No, I accept that.

4 Q. Yes.

5 A. But I think what I would say is that there was no
6 effective move in North America to using
7 cryoprecipitate.

8 Q. Yes.

9 A. There were some centres that used a lot of -- had
10 historically used a lot of cryoprecipitate, for example
11 Seattle and the region around the Puget Sound -- the
12 centre around Seattle, but despite the high -- if I can
13 put it this way -- prevalence of AIDS in the
14 North American population, people with haemophilia were
15 not moving back to cryoprecipitate, although it had been
16 suggested. And even if they had, the experience in
17 Seattle was that there were very significant rates of
18 HIV infection when the test became available.

19 So merely by moving to cryoprecipitate, you weren't
20 going to abolish the risk of HIV; it might or might not
21 reduce it.

22 Q. Yes. But that's knowledge that you gained subsequently,
23 not in 1983.

24 A. Well, in 1983 I knew that patients weren't switching
25 back to cryoprecipitate in North America.

1 Q. Yes. The narrow point I'm making here,
2 Professor Ludlam, is that what Oscar Ratnoff was doing
3 in America could not have been a factor in your thinking
4 at that time?

5 A. That's probably true but I was at scientific meetings
6 and he was someone who was always happy to let people
7 know what his opinions were.

8 Q. Yes.

9 A. But I think for the purposes of this discussion, I would
10 agree that this refers to the 1985 --

11 Q. Yes, thank you.

12 If we go over the page, still the context is
13 switching to cryoprecipitate. It's what you have told
14 us: you don't recall discussing the option of switching
15 back to cryoprecipitate with your patients.

16 I would like to move on to another topic. You have
17 mentioned it had a couple of times this morning, and
18 this is your research into immune function in patients
19 with haemophilia. You started a collaboration with
20 Dr Steel at the Western General Hospital in Edinburgh in
21 1983. You set that out in the long-term document at
22 0352. So just to remind ourselves of the context here,
23 paragraph 7:

24 "AIDS was first reported in three patients with
25 haemophilia in the US in 1982. Up to this time the

1 cause of AIDS was not known but it had only been
2 reported in homosexual men. In those with clinical
3 AIDS, immune tests revealed a severe deficiency of
4 T helper (CD4) and an increase in T suppressor, CD8
5 lymphocytes. In addition, many homosexual men who had
6 no symptoms suggestive of AIDS were also found to have
7 similar immune abnormalities, although in a milder
8 form."

9 There were a number of differing explanations for
10 that. That included:

11 "The possibility of a virus which may have infected
12 a large number of such men ..."

13 Paragraph 8:

14 "In light of the observation that many asymptomatic
15 homosexual men had immune abnormalities, studies to
16 assess the immune status of apparently well asymptomatic
17 haemophiliacs were immediately undertaken in the US.
18 These demonstrated that there was a similar situation in
19 those with haemophilia, in that many asymptomatic
20 individuals had similar immune abnormalities to
21 homosexual men. Again, the cause of these was unclear
22 ..."

23 You say at paragraph 9:

24 "The finding in 1982/3 of immune abnormalities in
25 asymptomatic apparently well individuals with

1 haemophilia in the US was perplexing and worrying. The
2 cause of the immune changes was unknown and might have
3 been related to the widespread prevalence of an AIDS
4 virus or be due to some other side effect of Factor VIII
5 treatment or it might even have been a previously
6 undescribed feature of the condition of haemophilia."

7 In paragraph 10 you start to describe the project
8 that you started with Dr Steel. Those three paragraphs
9 beforehand really set the context of why you were
10 embarking on these studies. Is that right?

11 A. That's correct, yes.

12 Q. So you say at paragraph 10:

13 "With the possibility that people with haemophilia
14 had apparent immune dysfunction, which might have been
15 related to their treatment, might be progressive and
16 might lead to AIDS, I sought the help of a colleague,
17 Dr (now Professor) Steel, at the Medical Research
18 Council unit at the Western General Hospital in
19 Edinburgh."

20 Could you just tell us what Professor Steel's main
21 work was at that time at the Western General?

22 A. I think he would describe himself as a cell biologist.
23 He was interested in -- or had been -- in infectious
24 diseases and in genetics and immunology. So he seemed
25 an appropriate person to approach and see if he could

1 help with this monitoring.

2 Q. Yes. Thank you. Just reading on in paragraph 10:

3 "He generously established in his laboratory the
4 facility to measure the proportion of CD4 and CD8
5 lymphocytes by microscopy in patients' blood. Similar
6 studies were set up elsewhere in the UK, including
7 haemophilia centres in Glasgow, the Royal Free Hospital
8 and Birmingham ..."

9 Reading on, paragraph 11:

10 "When patients attended the Edinburgh haemophilia
11 clinic for review, blood was taken for the
12 investigations set out in paragraph 6 ..."

13 Those are the ones that you have described this
14 morning, is that right?

15 A. Yes.

16 Q. "... and sent to the haematology laboratory in the
17 Royal Infirmary. The full blood count was assessed in
18 the usual way, except that instead of counting 100 white
19 cells under the microscope to quantify the number of the
20 different types, 200 were enumerated to obtain a more
21 accurate estimate of the number of lymphocytes, as they
22 only form a relatively small proportion (approximately
23 15 to 25 per cent) ..."

24 Professor Ludlam, could you just take a moment and
25 try to expand a bit on what you have mentioned there,

1 that rather technical description of the testing?

2 A. When the blood is assessed in a routine -- for routine
3 haematology investigations, in those days it was much
4 less automated than it is now and the sample would have
5 its haemoglobin measured with electronic instruments.
6 A blood film would be prepared, and that's a drop of
7 blood on a microscope slide, and smear it out so that
8 all the cells are singly.

9 It's then stained and someone looks down the -- one
10 of our staff, laboratory staff, looks down a microscope
11 and counts the numbers of different types of cells: the
12 lymphocytes, which look different from polymorphs, which
13 look different from eosinophils. There are about four
14 or five different types and they count manually -- they
15 have little counters for doing it -- very quick and
16 highly skilled at it -- they count normally 100 cells so
17 that you can then know the percentage of each of the
18 cells.

19 The total number of cells is estimated through
20 another electronic instrument. And the reason that we
21 needed to count 200 cells was because the lymphocytes,
22 as you see, only constitute a relatively small
23 population, 20 per cent or so, and if you count a larger
24 number of total white cells, you are more likely to get
25 a precise estimate of the number of the lymphocytes.

1 That's important because we then divide the lymphocytes
2 into the CD4 and the CD8 cells. So we are further
3 subdividing the numbers. So it's very important to try
4 and get as precise an estimate of the lymphocyte count
5 as possible.

6 Q. Yes. Why was it that Dr Steel's department had that
7 facility to perform that exercise? What expertise did
8 they have that the other department didn't have?

9 A. The counting of the cells was done in our routine
10 haematology department in the Royal Infirmary.

11 Q. Yes.

12 A. Our staff were very skilled at doing that. The samples
13 were then couriered over to the other laboratory at the
14 Western General Hospital, where completely different
15 techniques were used. The blood films would be made on
16 a glass slide and then antibodies would be put on the
17 slide that reacted either with the CD4 cells or the CD8
18 cells. And then the cells that had taken up those
19 antibodies were visualised and counted down
20 a microscope. So there was more manual counting,
21 initially down a microscope and, because of the small
22 numbers, there was -- it was difficult to get really
23 precise estimates.

24 Subsequently, this became automated, what are called
25 FACS scanners became available and they counted many

1 more cells and you got a much better estimate. But this
2 was very early days and this was all that was available.

3 Q. Yes. So the normal investigation, if you like, in the
4 haematology department would be simply visualising the
5 cells, whereas in Dr Steel's department, you were
6 actually introducing an antibody and then visualising.
7 So the sample is being changed in some way?

8 A. It is being further processed in a fairly precise and
9 sophisticated way.

10 Q. Yes, thank you. Just sticking on paragraph 11 and
11 reading on there:

12 "These samples ..."

13 These are the ones that are going to Dr Steel:

14 "... were labelled 'AIDS study' to identify them for
15 different processing in the laboratory and they were
16 then couriered to Dr Steel's laboratory at the Western
17 General Hospital, where the proportion of CD4 and CD8
18 lymphocytes were measured. By this means, it was
19 possible to assess the proportion of each type of
20 lymphocyte as well as their absolute number in the
21 blood."

22 That's what you have just explained to us. I think
23 we get more details about these references if we go to
24 the notes document at question 4. That's 0776. The
25 question is:

1 "When did you start to collaborate with Dr Steel ...
2 what records were retained and are records still
3 available?"

4 You say:

5 "I began to collaborate with Dr Steel in early 1983
6 (around January/February)."

7 Is that from your personal recollection,
8 Professor Ludlam?

9 A. Yes, I think it took us a few weeks to negotiate what we
10 wanted to do. And so I think the first blood samples
11 probably were sent over in about March.

12 Q. Yes. You say:

13 "The results of the lymphocyte tests carried out ...
14 were initially recorded in paper records."

15 The next paragraph:

16 "Some of the request forms which accompanied the
17 blood samples to haematology were added to individual
18 patient's case notes retrospectively."

19 Before we look at the request forms, could you just
20 explain to us why the request forms were added to the
21 case notes retrospectively?

22 A. Well, when the request forms -- the request forms were
23 also the report forms and they were returned to the
24 haemophilia centre with the -- some of the results on,
25 the results of the 200 cell count. We then entered that

1 and other information off the forms into the computer,
2 along with the data that came from the Western General
3 Hospital. It was sort of added together. Then the
4 forms were put on one side in the centre.

5 Q. Yes. You say "... as added retrospectively"; at the
6 time?

7 A. No, they were added much later, years later. The
8 results that came back from these investigations were
9 accumulated and fed into our computer system, which is
10 where we kept our records.

11 It was much later in fact, when we were moving
12 hospitals, that we were tidying up and came across a box
13 of these and one of my staff said, "Well, what do we do
14 with these?" I was told all the information was in the
15 computer so should we not just throw them out? And
16 I thought, "Well, it's part of the clinical record, we
17 should put it back in case notes or put it in the case
18 notes," so they were added very much later, about 2003.

19 Q. 2003?

20 A. That's when we moved hospitals and we were tidying up
21 and found them.

22 Q. Why were they not part of the individual patients' case
23 notes from the beginning?

24 A. Because we had the information on the computer, which is
25 where we kept a lot of the information. And I think --

1 and they have to be kept, waiting for the results to
2 come back from the Western, they didn't come back at the
3 same time. So they sort of accumulated, I think, in
4 a box.

5 Then I think, when AIDS became more of an anxiety,
6 or HIV became more of an anxiety, we didn't want to put
7 any information in the case notes -- anything, any hint
8 of HIV or AIDS -- for reasons I have explained in some
9 of the documentation.

10 Q. Yes.

11 A. So that's why we kept them out.

12 Q. Yes. You say when HIV became an anxiety. Is that after
13 patients had tested positive?

14 A. That was a year or so later.

15 Q. But is that the period you are talking about --

16 A. Yes.

17 Q. -- when you say when HIV became an anxiety?

18 A. Yes.

19 Q. Yes, thank you.

20 A. Yes, when it was known that patients were positive and
21 it became rapidly known within the hospital that there
22 were patients who were testing antibody-positive, we did
23 our utmost to make sure that that sort of information
24 was not in the patients' case notes.

25 Q. Yes. Thank you. But I think you said that it was later

1 put back in the records in 2003. Is that right?

2 A. Yes.

3 Q. Yes, thank you. Now, could we have [\[WIT0040800\]](#) up?

4 Could we just expand that slightly? We see that that's
5 a document which says:

6 "Date collected: 11 April 1983."

7 And reading down a bit:

8 "Clinical details. AIDS study."

9 Now, do you recognise that -- or what is that
10 document, Professor Ludlam?

11 A. This is a request form, a routine request form, used for
12 the haematology laboratory service. You are invited to
13 put in the clinical details where it says, "AIDS study".
14 At the bottom of the form are the patient details. When
15 we receive the sample in the laboratory, we print the
16 result, or write the result, on this request form.
17 That's why, to the left of the clinical details, there
18 are some numbers printed, and if I can draw your
19 attention to the third one down -- it perhaps doesn't
20 reproduce very well, 5.1, that's the total number of
21 white cells. Then you will see, a little further down
22 the 195. That's the platelet count. That had to be
23 done manually. You will see a little below that on the
24 right-hand side, "200 cells", tick. That's to show that
25 200 cells had been counted for estimating the -- if you

1 can see these numbers -- neutrophils, lymphocytes,
2 monocytes, eosinophils. There seem to be two counts
3 there.

4 Q. Is that the "200 all"?

5 A. That's the 200, yes.

6 Q. So who has written these entries in the box which starts
7 with "200 all"?

8 A. That should say "200 cell".

9 Q. Sorry, "cell".

10 A. Yes. That would be probably someone in the laboratory
11 because it says "AIDS study" at the top and the writing
12 of "200 cell" looks different from the person who wrote
13 "AIDS study".

14 Q. So someone in Dr Steel's laboratory?

15 A. No, this is in the routine haematology laboratory of the
16 Royal Infirmary. This is the form that started off
17 beside the patient.

18 Q. Right.

19 A. That went with the patient's blood sample to the
20 laboratory.

21 Q. Yes. So this doesn't go to Dr Steel then?

22 A. No, this form came back to us.

23 Q. Right. I see. So by writing, or by having, "AIDS
24 study" on it, that means that you would know that
25 another sample was going to Dr Steel, so you would get

1 further results?

2 A. No, the same sample.

3 Q. Oh.

4 A. The one sample we processed in our laboratory and then
5 sent on across the town to the Western General Hospital.
6 So there was no extra blood taken for this.

7 Q. Yes. So the same quantity of blood is being analysed in
8 both places. Is that right?

9 A. It's the same sample, yes.

10 Q. Yes.

11 A. There is no extra blood taken.

12 Q. And we see at the bottom left:
13 "Doctor requesting ... "
14 Is that Dr Carr?

15 A. That's Dr Carr, yes.

16 Q. So that's one of your registrars?

17 A. Yes.

18 Q. And do you think that "AIDS study" is his handwriting?

19 A. Yes.

20 Q. So how would Dr Carr come to be asking for these
21 investigations? Would you have discussed it with him
22 beforehand?

23 A. Certainly, yes. We viewed this endeavour as part of our
24 obligation to monitor people with haemophilia. As
25 I explained earlier this morning, it was my

1 responsibility to monitor patients for side effects of
2 therapy.

3 Q. Yes.

4 A. And as immune abnormalities had been demonstrated in
5 apparently well haemophiliacs in the United States, it
6 seemed appropriate that I should assess our patients
7 here in Edinburgh, to see whether they had any immune
8 abnormalities. This was something completely new and
9 important as part of the monitoring process. It was
10 just that.

11 Q. Yes. We are going to come on to that, Professor Ludlam,
12 but could we have up, please, [\[WIT0040802\]](#). Could we
13 just go to the top there? Could we expand that a little
14 bit more? That seems to be April 1983, perhaps the 6th?
15 Yes. What is that form, Professor Ludlam?

16 A. This is a very similar form to the previous one.

17 Q. Yes. I see that it says:
18 "AIDS study x 2."
19 Why does it say "x 2"?

20 A. I don't know.

21 Q. You don't know?

22 A. I don't know.

23 Q. No. And again, if we go down to the bottom:
24 "Doctor requesting exam."
25 A. I think that's Dr Carr.

1 Q. It's Dr Carr, it is not a "P"? It's "Carr"? It does
2 appear to be different writing.

3 A. I'm now not quite sure. I think actually this latter
4 one looks a bit more like Dr Carr's writing. I don't
5 know if you want me to go back and comment on the
6 previous one, the writing.

7 Q. Let's have a quick look at it, yes. It's 0800.

8 A. With due respect to Dr Carr, I think where it says "AIDS
9 study" at the top, that's perhaps written a little more
10 neatly than he might have written.

11 Q. Right.

12 A. I notice this first one -- could you just move it down
13 so I can see the top of it? It's taken at 9 o'clock in
14 the morning and I suspect this was probably an
15 inpatient. I wonder actually whether the form might
16 have been prepared, perhaps, by our haemophilia sister.
17 She had nice neat writing. The blood forms are often
18 prepared the night before for the junior doctor to go
19 round in the morning and she may well have prepared
20 this. It says "requesting doctor" and that would have
21 been Dr Carr, although he didn't actually do it.

22 Q. I think that might be a good point.

23 THE CHAIRMAN: Professor James suggests to me that doctors
24 undergo special training in illegibility. So there may
25 be many explanations.

1 (11.11 am)

2 (Short break)

3 (11.39 am)

4 MR GARDINER: Professor Ludlam, before the break we were
5 talking about samples which had been sent to Dr Steel
6 and we asked you to give us some detail about how this
7 was done. If we go to page 4 of [\[PEN0120774\]](#), the
8 question is, question 6:

9 "Can you explain what happened (as set out in
10 paragraph 11) more clearly?"

11 That's a reference back to the other paper where you
12 describe the sample that's taken, and what you say here
13 is that:

14 "When patients attended the clinic, patients were
15 invited to give a blood sample for the concessions set
16 out in paragraph 6 (as appropriate). In most instances
17 the patient would be invited to lie on the examination
18 couch. A blood pressure cuff would be placed round the
19 upper arm and gently inflated to about 40 mmHg ..."

20 What's that notation?

21 A. Millimetres of mercury.

22 Q. "... to make the veins visible. The skin in the
23 antecubital fossa (flexor surface of the elbow) would be
24 cleaned with antiseptic. A gauge 21 needle would be
25 carefully inserted into the vein and the required volume

1 of blood sample withdrawn into the syringe."

2 What's a gauge 21 needle?

3 A. That's a small needle.

4 Q. When you say "small", how small?

5 THE CHAIRMAN: Gauge 21, I think, is the answer to that.

6 A. There are smaller ones which we use if possible. There
7 are larger ones if you want large volumes of blood.

8 Gauge 21 is the standard one for taking blood samples.

9 MR GARDINER: Yes, thank you.

10 A. It's about half a millimetre, I think, across.

11 Q. Thank you:

12 "The blood pressure cuff was deflated, the needle
13 removed from the vein and the patient asked to hold
14 a ball of cotton wool firmly on the site of needle entry
15 for five minutes. The needle would be removed from the
16 syringe and blood dispensed into various tubes and the
17 volume of blood would be approximately 15 millilitres,
18 which would be about one tablespoon full."

19 In the next paragraph you describe how you started
20 looking at lymphocytes and the four to five different
21 types of white cells, and we have looked at that in the
22 other statement. Then the next paragraph we go back to
23 the request forms and you say:

24 "The labelling of the request forms with 'AIDS
25 study' was unfortunate but was intended as a 'shorthand'

1 indication to the haematology laboratory that they
2 needed to count twice as many white cells under the
3 microscope and send the sample on to Dr Steel."

4 Professor Ludlam, why do you say that it was
5 "unfortunate" to use "AIDS study" on these request
6 forms?

7 A. Well, for two reasons. One is -- in a sense we weren't
8 studying AIDS. This was a shorthand.

9 Q. I think you had better explain that in a little bit more
10 detail. You said you weren't studying AIDS?

11 A. We weren't studying AIDS, we were assessing CD4 and CD8
12 lymphocytes, but we were doing that because of the
13 reports of immune abnormalities in people with
14 haemophilia from the United States, who were well but
15 had abnormal lymphocyte counts.

16 Q. Yes.

17 A. And a few patients with haemophilia in the United States
18 developed AIDS.

19 Q. But it was in connection with --

20 A. The overall topic, the umbrella topic --

21 Q. Was AIDS?

22 A. -- was AIDS, yes.

23 Q. Yes. Sorry, I interrupted you. You were going on to
24 say?

25 A. Subsequently it emerged much later on, when one or two

1 patients asked for their -- copies of their case notes
2 and they saw these report forms in the case notes, they
3 wondered whether, I think, we had undertaken some sort
4 of AIDS -- some sort of different AIDS study, whether we
5 had given people AIDS, whether we had given patients
6 concentrates, clotting factor concentrate, that we knew
7 was infected with an AIDS virus. One story that came to
8 me was that we had put HTLV-III into bottles of clotting
9 factor concentrate, heat-treated them and then gave them
10 to patients to see whether the heat treatment was
11 effective.

12 Q. Yes. That's why you are saying it was unfortunate that
13 you described this study as an "AIDS study"?

14 A. Well, when these ideas that patients had -- appear --
15 the conclusions they appear to have reached or wondered
16 about -- yes, it clearly was unfortunate and perhaps it
17 would have been better to have called it an "immune
18 study".

19 Q. Yes. Could you help us with the exact procedure that
20 was followed in connection with these AIDS study request
21 forms? You have told us that you asked your staff, your
22 registrar, to collect samples. How was that done with
23 these forms? Just take us step by step through it.

24 A. The patient would require a full blood count. As part
25 of their monitoring procedure they would have a full

1 blood count, the chemistry and so on. The request would
2 be sent on the usual request form for the haematology --
3 Q. Who would send this request?
4 A. The person who took the blood.
5 Q. Yes.
6 A. Yes.
7 Q. Yes. Do please carry on.
8 A. The person who took the blood would wrap -- put the tube
9 in a polythene bag along with the request form and put
10 it out for the portering system to collect and take down
11 to the laboratory.
12 Q. Yes. So from that description, that doesn't sound as
13 though the patient is having anything to do with the
14 request form.
15 A. The request form is often put down next to the patient
16 and the blood tube is labelled with the patient's name,
17 usually next to the patient. If it's an inpatient, as
18 it appeared one of the samples might have been, the form
19 is taken to the patient's bedside and the tube filled up
20 and put in the polythene bag and sent off down to the
21 lab.
22 Q. Yes. Okay. Thank you.
23 A. Or sometimes the blood form would be written by the
24 doctor in the clinic and given to the nurse, who would
25 take the form from the patient and arrange for the blood

1 sample -- she would take the blood sample.

2 Q. Just reading on in that paragraph you tell us that:

3 "When Dr Steel received the samples, his research
4 assistant counted the CD4 and CD8 lymphocytes. The
5 number of each reflected the immune status. At the time
6 we noted gross abnormalities in the patients' immune
7 systems but considered that this probably had nothing to
8 do with AIDS."

9 We are just a little bit confused about that,
10 Professor Ludlam. How could you know that it had
11 nothing to do with AIDS?

12 A. I'm sorry. This was a document that was quite difficult
13 actually to put together. It arose, as it says at the
14 top, at a meeting with a member of the team, the Inquiry
15 team, and I wasn't entirely happy with the way it had
16 been recorded what I had said, and I spent
17 a considerable time trying to make it reflect more what
18 I wanted to convey but without deviating too far from
19 the topic. It was a sort of hybrid document that I'm
20 not terribly happy about but I'm very happy to respond
21 to your question.

22 Q. Is that incorrect, that sentence there? Should we take
23 that out?

24 A. I think it would be better taken out, yes.

25 THE CHAIRMAN: Professor Ludlam, you really have to put

1 something in its place if it's being taken out. This is
2 quite difficult material for you to communicate. It's
3 very difficult for us to take in. But I thought we had
4 spoken earlier about the developing knowledge of these
5 matters, and in your Lancet paper in 1983 you reported
6 these results and I think in that paper there is the
7 expression "Acquired Immune Deficiency Syndrome" as
8 descriptive of the changes in the immune system of the
9 patient. But what we have here is "AIDS" with capital
10 letters, and it is back to the point that I tried to
11 raise with you earlier: whether one has to contrast very
12 carefully Acquired Immune Deficiency Syndromes caused by
13 HTLV-III or another virus and Acquired Immuno-deficiency
14 Syndromes caused simply by the progressive assault upon
15 the immune system of antibodies and other impurities in
16 factor concentrates.

17 If I have understood that there is that problem,
18 then communicating your evidence becomes a difficult
19 issue but we have to try and get it right. So I think
20 if you could concentrate on giving us preferably a brief
21 statement of the position -- we can get explanations
22 later -- but preferably a brief statement of the
23 position, it might help.

24 A. I think it would be better if I said at the time we
25 noted gross abnormalities in the patient's immune system

1 but considered that this was probably nothing to do with
2 an infectious agent causing AIDS."

3 I think that would be ...

4 THE CHAIRMAN: So that's the substitute for us.

5 A. Yes, if I may.

6 PROFESSOR JAMES: And if I may add, that's the precise
7 conclusion that you reach in that Lancet paper on those
8 immune studies?

9 A. That's correct.

10 MR GARDINER: Professor Ludlam, before the break

11 I understood you to suggest that patients involved in
12 this AIDS study knew that they were involved in the
13 study at that time. Is that your position?

14 A. I'm not sure they all knew. We were keen to involve
15 patients in knowing what we were doing and, as you see,
16 we would have had no inhibitions about writing "AIDS
17 study" on the forms which we would then give to the
18 patients. A little later on -- and I don't know if you
19 are going to come to this -- we did skin testing.

20 Q. We are going to come to that. I'm just wondering if you
21 are absolutely sure that your patients would see this
22 form. I mean, I would have thought that it would run
23 the risk of alarming them to see "AIDS study" written on
24 their blood sample, particularly if you hadn't talked to
25 them previously about this risk.

1 A. I think we would have -- I mean, patients knew that
2 I had an interest in monitoring the safety --
3 a particular interest in monitoring the safety of
4 clotting factor concentrates over the, for example,
5 Hepatitis B situation. When this -- the prospect of
6 this came up, we would have explained to patients what
7 we were doing. There was no secret about it.

8 Q. Yes.

9 A. I can't assure you that every patient understood exactly
10 what was done but we were making it clear that we were
11 doing this.

12 Q. I think you have told us that you were not the only
13 person taking the samples. Did you instruct junior
14 doctors and nurses to advise the patients that the blood
15 was being taken for an AIDS study?

16 A. We were agreeing what we were doing. It would be
17 part -- we worked as a team.

18 Q. Yes.

19 A. And so I think it is very likely that the nurse or
20 doctor -- as you can see, Dr Carr initiated some of
21 these tests. He would have explained what was
22 happening.

23 Q. I'm going to repeat the question, Professor Ludlam: did
24 you personally instruct junior doctors or nursing staff
25 to advise the patients that they were involved in this

1 study?

2 A. I don't know that I would instruct them to tell the
3 patients, but these things were discussed with the
4 patients and they would have -- they might have heard us
5 discussing it.

6 Q. Yes. So would you accept that it was, in effect,
7 a casual arrangement?

8 A. It was an informal arrangement. I don't think it was
9 casual.

10 Q. You see, Professor Ludlam, our information is that, at
11 least some of the patients did not understand that they
12 were being involved in an AIDS study, this kind of
13 research, at that time. Are you surprised about that?

14 A. No, I'm not. I think it's not always possible to convey
15 this information -- or whatever the information -- to
16 people. They may have forgotten they had been told. We
17 may not have told them. This was part of the monitoring
18 of patients that was my responsibility and -- I mean, if
19 we had asked them exactly what was happening to the full
20 blood counts that we had been doing for years, they
21 might be a bit vague and the same for the chemistry
22 tests, and this was just another test that was
23 important -- it was something, I agree, new, but it was
24 my responsibility to do this and to see what the results
25 were.

1 Q. I'm going to come to that, Professor Ludlam, but just to
2 try to understand your position about this, is it
3 possible that you may not have told any of the patients
4 that they were involved in this study?

5 A. No, I think the patients were aware that we were doing
6 immune tests.

7 Q. The choice of words there: "aware". I'm talking about
8 telling the patient, not the patient becoming aware by
9 indirect means. So following that distinction, is it
10 possible that all of your patients may not have been
11 told that they were involved in this study?

12 A. It's possible they weren't all told but certainly some
13 were told.

14 Q. Can you estimate how many?

15 A. I can't. I would see this as part of the sharing of
16 information of what we were doing, that it was my
17 responsibility to do these tests, that they subsequently
18 assumed much greater importance perhaps than we thought
19 at the time.

20 Q. Yes.

21 A. I mean, it was a fairly low grade part of the general
22 monitoring of the patients.

23 Q. Yes. Thank you. Professor Ludlam, can you help us with
24 this question: how do you think that the patients would
25 see these forms?

1 A. Well, in the clinic, when the doctor was seeing the
2 patient, they would fill out the forms, they would give
3 the forms to the patients and the patients would then go
4 into another room with the form, give it to the nurse
5 and the blood would be taken. So we were giving the
6 forms to the patients to carry along, and they would sit
7 in a queue, potentially, with the forms in their hands.

8 Q. So it would be accidental, effectively?

9 A. Patients actually examine -- if you give them forms,
10 they read them.

11 Q. I would like to move on to the next question, which is
12 to do with specific consent. That's on page 0778. We
13 have covered some of this but the question is:

14 "Were samples from all of your patients sent to
15 Dr Steel? If not, how many patients did you take blood
16 samples from which were sent for analysis by Dr Steel to
17 determine the proportion of CD4 and CD8 lymphocytes?
18 How were these patients selected? Did you obtain
19 consent from these patients?"

20 You answer over the page:

21 "It is difficult to say that samples from all of my
22 patients were sent to Dr Steel but samples from many
23 patients were sent."

24 Would you be able to estimate for us what percentage
25 proportion of your patients had samples taken for this

1 study?

2 A. Well, it was an ongoing monitoring. So over the next
3 little while, I guess probably 50 or 70 or more.

4 Q. Per cent?

5 A. Per cent, yes. Because those were the patients who were
6 coming up.

7 Q. Yes. Then you say:

8 "I did not select particular individuals whose blood
9 samples needed to be sent to Dr Steel for analysis.
10 Rather patients were 'self-selected' by being attendees
11 for treatment or review -- people were severe or
12 moderate haemophilia who attended the clinic regularly.
13 I think that the tube was sent from the haematology
14 laboratory to Dr Steel in all instances, where possible,
15 if the haematology request form was labelled
16 'AIDS study'.

17 "I did not obtain explicit consent for each
18 individual test from the patients."

19 Just pausing there, when you say "explicit consent",
20 how would you have obtained explicit consent at that
21 time?

22 A. I would have said, "This is your routine review
23 appointment and it's important that we monitor, so our
24 usual -- or what we would like to monitor would be your
25 blood count, your liver function tests, your urine

1 electrolytes, whether you have got an inhibitor to
2 Factor VIII, your virological status." And if we were
3 doing the immune tests, I would have said, "We are doing
4 lymphocyte tests as well".

5 Q. Yes. That would be how you would obtain explicit
6 consent?

7 A. That is how I obtain explicit consent, yes.

8 Q. Then would you record that in the patient's notes as
9 well?

10 A. No.

11 Q. No. But you didn't do that?

12 A. There was implied consent.

13 Q. Yes.

14 A. But when a patient came up for their routine visit, they
15 were used to having blood taken for tests that were
16 deemed to be necessary for monitoring their health.

17 Q. Yes. But you didn't obtain explicit consent. That's
18 what you have told us.

19 A. I did not go through each individual investigation, like
20 I think I would now. Times have changed and I would
21 very clearly go through -- list the tests in the case
22 notes and make a note that the patient agreed to these
23 investigations.

24 Q. Yes. Nowadays would the patient usually have to sign
25 a consent form?

1 A. No.

2 Q. No. Thank you. Just reading on:

3 "The tests were seen as part of the general
4 monitoring of patients who were used to blood tests
5 being taken for different monitoring purposes. If
6 a patient did not wish to give a blood sample, then one
7 was not collected. I wasn't trying to keep the immune
8 tests secret but saw them as part of the general
9 monitoring of patients for which we had implied
10 consent."

11 Would you accept, Professor Ludlam, that these tests
12 were not just part of the general monitoring of
13 patients?

14 A. No. They were part of -- they became, in 1983, part of
15 the general monitoring of the patients.

16 Q. Yes, but that's not all they were. General monitoring
17 is concerned with the individual well being of
18 a patient, whereas this has a research dimension, does
19 it not?

20 A. No, that is a very important point that -- I'm sorry if
21 I have not made it very clear.

22 These were new tests and they could be viewed as
23 research tests because they were new and there is
24 a completely new situation, a new threat, that it was my
25 responsibility to monitor potential adverse things that

1 might be happening to patients. That's why we set up
2 these tests with the expectation the results would be
3 normal.

4 Q. So is it your position, Professor Ludlam, that these
5 investigations were in no way connected with research in
6 connection with the developing investigations into this
7 new syndrome? You talked in your other statement about
8 similar researches in America and so on. It had no
9 research dimension?

10 A. I don't want to get caught up in semantics but here was
11 a completely new condition that appeared to be, in some
12 parts of the world, a major threat. My responsibility
13 was, as was everyone else grappling with these issues,
14 to use whatever facilities we had available to try and
15 monitor our patients and try and understand how their
16 individual situations were.

17 Q. Yes.

18 A. So it's research in that it's new but it's not in
19 a vacuum; it's in the real situation of an unknown -- or
20 relatively unknown -- but appears to be a very serious
21 situation arising and it's the responsibility of those
22 of us who are looking after patients, who potentially
23 are at risk, to do what we can.

24 Q. So at --

25 THE CHAIRMAN: Professor Ludlam, I have to confess I'm

1 having some difficulty with your evidence. I would have
2 thought that there were likely to be more than one
3 dimension to all work of this kind. So far as the
4 individual patient is concerned, one can understand the
5 need to monitor and ensure that any changes in that
6 person's condition were noted and responded to, but the
7 knowledge gained, I might have been inclined to think,
8 had a much wider importance and could potentially at
9 least assist patients and clinicians worldwide in
10 responding to similar situations.

11 I have to say -- it may be my misunderstanding of
12 things but I would have thought that when one left the
13 care of the individual patient and converted the data
14 into material for general dissemination, it would be
15 impossible to avoid a research component in the work.
16 But have I got that wrong?

17 A. I think I was reporting the results of my monitoring of
18 the patients.

19 THE CHAIRMAN: Yes.

20 A. And that was not only in the 1983/1984 publications,
21 describing these lymphocyte abnormalities, but this
22 stretched on into -- and I'm sure we will come to this
23 later -- the cohort. It was new information that came
24 out of examining the immune systems of these patients.
25 So it was new information. In that sense it was

1 research but I would call it "new information" -- if
2 I had not published it, it would have been monitoring.
3 I don't see that it necessarily becomes research because
4 I have published it. In a sense it's what we might call
5 these days an "audit".

6 THE CHAIRMAN: You see, I can understand that there is
7 a distinction. I have seen many letters in the Lancet,
8 the BMJ and others, where a clinician reports an event
9 or a finding and there is no analysis and no discussion.
10 But your papers certainly include analysis, discussion
11 and represent views. So if that's not research, I will
12 have to be asking my university just how they justify
13 their application at the next REF in far greater
14 particularity than I would otherwise. I think you will
15 have to help us to understand why what you were doing
16 was not research.

17 A. Well, it was research in that I was making available to
18 the wider world the results of the monitoring of our
19 patients.

20 THE CHAIRMAN: But you called it an "AIDS study", Dr Ludlam.

21 MR GARDINER: That word is crucial, is it not,
22 Professor Ludlam, "study"?

23 A. It's investigations that we started in, as you see, in
24 the spring of 1983. In that sense we were studying the
25 patients. We were monitoring them.

1 Q. "AIDS study"?

2 A. We went on with the monitoring, as you know, for many
3 years.

4 Q. Yes, it's the possible disease that is being studied, is
5 it not?

6 A. That's why the words are unfortunate. It should have
7 been -- what we were doing was studying the immune
8 system.

9 Q. You see, I'm not trying to catch you out in semantics.
10 It's really a very straightforward question, which is
11 whether this study had a research dimension. Would you
12 say that at that time, when you were doing the study,
13 you had no thought of later publication?

14 A. Well, we expected the results actually to be normal, not
15 to show any immune abnormality, and that might have been
16 not something we were reporting.

17 Q. Not worth reporting. Is that what you mean?

18 A. I suppose it probably would have been worth reporting in
19 contrast to the results that were being reported from
20 elsewhere, if they had been normal.

21 Q. Can we go back to the paragraph we were just looking at
22 and you say:

23 "I wasn't trying to keep the immune tests secret but
24 saw them as part of the general monitoring ..."

25 Professor Ludlam, does this wording that you have

1 used, "I was not trying to keep ... [a] secret," does
2 that not suggest that you were not telling your patients
3 about this study?

4 A. No, I have been trying to convey that we had a very open
5 view with our patients about what we were doing, what
6 investigations.

7 Q. Right. We will just move to the next paragraph, please?
8 You make a comparison between skin tests. You say:

9 "By comparison, at around the same time we were
10 carrying out skin tests on some of the patients as
11 another immune function measurement."

12 Perhaps you could just explain to us what that
13 involved?

14 A. Yes. There are devices called the Multitest device,
15 that's referred to here. It's a commercially produced
16 device that has eight little legs to it, like
17 an octopus. And on the tip of each of these legs is
18 a different antigen, derived from a commonly infectious
19 organism that most of us have been exposed to, for
20 example, one of them is candida, the organism that
21 causes thrush. So these eight -- this device with eight
22 little legs on it is put on the forearm of the subject,
23 pressed on for about 10 seconds and the -- each of these
24 antigens is, as it were, not quite injected but comes in
25 contact with the skin. The patient is then sent away

1 for a couple of days and brought back two days later and
2 the -- to some of these antigens there will be
3 a response in the skin, a little bit of induration.

4 This is an immune reaction to, for example, the
5 candida. The immune system recognises the candida and
6 produces a reaction. You measure those and if they are,
7 I think, more than 2 millimetres across, they were said
8 to be positive and you would count up the number of
9 positive scores out of, I think -- there were eight
10 legs. One of them was a control. So I think it was
11 seven out of eight. This was a system for testing the
12 overall effectiveness of the immune system. It was
13 a much more holistic way of testing it than the CD4 and
14 CD8 counts.

15 Q. Yes. How many of your patients were tested in this way?

16 A. Probably 20 or 30. That sort of number.

17 Q. Yes. Were they asked for consent before they did these
18 tests?

19 A. Yes, this was a research test. This was something that
20 I didn't think was, if you like, specifically related to
21 whatever might be causing AIDS -- AIDS agent. This was
22 a research test. I got ethical approval for it. We
23 explained to patients what we wanted to do. It was, as
24 you see, slightly invasive. It inconvenienced them
25 because they had to come up -- we might have done the

1 test when they were at the clinic anyway but they had to
2 come back two days later. They were very willing to do
3 this and the results were extremely interesting.

4 Q. Yes. Can you just briefly describe for us how at that
5 time you obtained ethical approval for this test?

6 A. I wrote to the ethics committee and explained what
7 I wanted to do and received a positive response that
8 I could do these tests.

9 Q. Yes. So which committee is this?

10 A. This would be the Royal Infirmary ethics committee.
11 I think at that stage it was the Royal Infirmary as
12 opposed to the Lothian Health Board.

13 Q. How many people would be on that committee at that time?

14 A. I'm sorry, I don't know.

15 Q. Professor Ludlam, could you explain the difference
16 between carrying out these skin tests that you have just
17 described and carrying out the investigation of
18 immunological abnormality from a consent point of view?

19 A. The latter test, the skin tests, involved something
20 being done to the patient. It was invasive and
21 therefore -- and it wasn't quite as clear what we might
22 gain out of this. So it was a much more speculative
23 investigation compared with the CD4/CD8 counts.

24 Q. Who is the "we" in the "we would gain"?

25 A. Me -- well -- the information, that would be comparable

1 and have, I think, utility with other published studies;
2 in other words, there was a lot of information about
3 CD4/CD8 counts that one could try and understand but
4 very little, or relatively little, about these skin
5 responses.

6 Q. Yes.

7 A. The skin responses were actually -- as I say, much more
8 a speculative test. Therefore, in my vocabulary were
9 much more a research investigation, although actually it
10 turned out to be very interesting. But ...

11 Q. You do seem to be suggesting that the other studies, at
12 least some of them, that you were doing there had
13 a research aspect to it. You talked about "gaining"
14 from the study. That's not the patients gaining, that's
15 medical knowledge gaining, is it not?

16 A. Medical knowledge can gain from all sorts of activities
17 that wouldn't be classified as "research". Gathering
18 cases together of particular conditions, for example,
19 drawing generalities out of case histories is not in
20 a sense -- one level is not research; it is describing
21 what has happened.

22 Q. Well, perhaps we should move on.

23 You deal with the results of your immune studies at
24 page 3 of [\[PEN0120351\]](#). This is paragraph 12. So you
25 say:

1 "From our initial studies in 1983 ..."

2 This is the AIDS study? You are nodding?

3 A. Yes.

4 Q. Thank you.

5 A. The CD4/CD8 counts.

6 Q. Yes:

7 "From our initial studies in 1983 what we observed,
8 to our great surprise, was that the pattern of
9 lymphocyte abnormalities in Edinburgh patients was
10 similar to those in the US; yet none of the individuals
11 had any symptoms or signs suggestive of AIDS. As the
12 majority of patients had only received blood components,
13 or products, prepared from Scottish blood donors, and
14 there were at that time no AIDS cases in Scotland, it
15 seemed rather unlikely that these lymphocyte changes
16 were due to a possible ubiquitous AIDS virus. The cause
17 of the immune changes in the Edinburgh patients was
18 unknown but there were a number of possible explanations
19 related to the underlying condition of haemophilia and
20 its treatment. It was imperative to monitor the
21 patients because if the immune changes were becoming
22 progressively more abnormal there might be a risk of
23 developing opportunistic infections [eg PCP]
24 characteristic of AIDS.

25 "While contemplating these unexpected lymphocyte

1 results, a letter appeared in the Lancet highlighting
2 the immune abnormalities in the haemophiliacs in the US
3 and stating that it would be very important to know if
4 similar abnormalities were observed in those with
5 haemophilia treated with blood products collected in
6 a non-AIDS country. As I had such data, it ..."

7 That's the results of the AIDS study:

8 " ... it seemed important to submit it for
9 publication because it would offer alternative
10 explanations, other than widespread infection by
11 a putative AIDS virus, for the immune abnormalities
12 observed in US haemophiliacs. This report concluded
13 that the immune changes were likely to be due to
14 'infusion of foreign protein or a ubiquitous virus
15 rather than a specific AIDS virus'."

16 That was your conclusion?

17 A. Yes.

18 Q. Could we have a look at [\[LIT0010416\]](#)? Is that the
19 publication you are referring to?

20 A. Yes.

21 Q. Okay. We see here it's a letter by you, Robert Carr --
22 who is Sandra Veitch?

23 A. She was one of our laboratory staff.

24 Q. And Dr Steel. If we go to the top of the right-hand
25 column, you say:

1 "We have studied 23 patients with severe haemophilia
2 and von Willebrand disease who have received exclusively
3 SNBTS Factor VIII, Factor IX or cryoprecipitate in the
4 past five years. Most of these patients have never
5 received commercial or non-Scottish Factor VIII. All
6 were clinically well."

7 You then set out what you found, or what Dr Steel
8 found, and at the bottom we have your conclusion:

9 "Since there are no known cases of AIDS in our blood
10 donor population, it seems likely that the
11 immuno-suppression observed in haemophiliacs, as
12 reflected by reduced T lymphocyte alpha/suppressor
13 ratios, results from infusion of foreign protein or a
14 ubiquitous virus rather than a specific AIDS virus in
15 the Factor VIII concentrates."

16 It's the data from 23 patients that you have used
17 for that?

18 A. Before...

19 Q. Why was it only 23 patients in the study? Because if
20 you were monitoring all the patients, there must have
21 been many more than that.

22 A. If you go up to the top of this form -- this page, to
23 look at the date, it was May. We had only just started.

24 Q. I see.

25 A. And this would have been sent in probably two or three

1 weeks before. But seeing as this is up on the screen,
2 I don't know if it's out of order -- the other letter is
3 about haemophilia and tuberculosis. And this was an
4 interesting report in which -- by Dr, now Professor,
5 Hill from Birmingham, demonstrating that children in the
6 Birmingham Children's Hospital, who had been exposed to
7 tuberculosis, if they had haemophilia, had a much higher
8 instance of catching the tuberculosis and this had
9 nothing to do with HIV.

10 These children were more susceptible to the
11 tuberculosis, irrespective -- as a result of them having
12 been treated for haemophilia, and the further paper for
13 this actually demonstrated that those who had used more
14 Factor VIII concentrate, I think, were at greater risk
15 of tuberculosis.

16 Q. Yes.

17 A. This was the preliminary report.

18 Q. So you would say that that was consistent with the
19 conclusion that you were coming to in this paper?

20 A. Yes, I think it's very interesting the Lancet put them
21 side by side.

22 Q. Yes. Thank you.

23 Your research paper, at the bottom do we see,
24 professor, that this study was supported by a grant from
25 the Scottish Home and Health Department?

1 A. That was supporting work that Dr Steel had. I don't
2 know what the study was but he had a grant from Scottish
3 Home and Health Department, which was employing the
4 person who did these extra blood tests for us.

5 Q. Yes.

6 A. This is a favour on the back of another project that he
7 was doing.

8 Q. But it wasn't a research study?

9 A. Well, it wasn't a funded study -- the lymphocyte studies
10 were not a special study from Scottish Home and Health
11 Department.

12 Q. Thank you. Yes, could we go back to 0353, please? So
13 in the second paragraph of paragraph 13 you say:

14 "This preliminary report was followed by a more
15 detailed description of our observations. The paper
16 reported that the number of lymphocytes in the blood in
17 Haemophilia A was reduced with a reduction in Th/Ts
18 ratio in half the patients' cells. In those with
19 Haemophilia B the immune changes were less marked, with
20 the number of Th cells being similar to controls,
21 although the ratio of Th/Ts was reduced compared to
22 controls due to higher levels of Ts cells."

23 Perhaps we could have a look at that, which is
24 [\[LIT0010425\]](#). Is that the study that you are referring
25 to there?

1 A. Yes.

2 Q. Okay. We see the heading:

3 "Abnormalities of circulating lymphocyte subsets in
4 haemophiliacs in an AIDS-free population."

5 Who are Edmond and Prescott? Are they doctors as
6 well?

7 A. Dr Edmond and Dr Peutherer were virologists.
8 Dr Prescott was a statistician and the others I have
9 described.

10 Q. Yes. So we see the summary:

11 "Markers of the immune system were examined in 47
12 patients with Haemophilia A and B who had been treated
13 exclusively with blood products from a population
14 apparently free from Acquired Immunodeficiency Syndrome
15 (AIDS)."

16 These 47 patients, do they include the patients in
17 the previous paper?

18 A. Yes.

19 Q. If we go over the page, we see that you set out your
20 methods and then the results, then over the page
21 "Discussion". You say:

22 "Most of the patients reported in this study have
23 been treated exclusively during the past five years with
24 locally prepared blood products and have never received
25 commercial concentrates."

1 If we just go over the page to the last page,
2 starting at the bottom of the left-hand column, you say:

3 "The study has not identified the cause of the
4 reduction of Th but it is unlikely to be due to specific
5 AIDS virus in the blood products. It is more likely to
6 result either from an as yet unidentified component of
7 the therapeutic concentrates or from a non-specific
8 effect of foreign protein infused intravenously."

9 Just pausing there, is that the antigen overload
10 theory, Professor Ludlam?

11 A. In a nutshell, yes, although the antigens come in many
12 different sorts and may have been cytokines but, yes,
13 it's the non-infectious.

14 Q. That's the conclusion that you are favouring at this
15 point?

16 A. Yes.

17 Q. So reading on:

18 "Because the reduction in Th is not dose-related and
19 because of its bimodal distribution in patients with
20 Haemophilia A, it seems that some patients are more
21 susceptible to this immunological disturbance than
22 others. What determines an individual's immunological
23 response to transfusion remains elusive. Furthermore,
24 the relation between the lymphocyte subset abnormalities
25 in symptomless haemophiliacs and the likelihood of

1 eventual frank AIDS remains unclear, although it may be
2 connected with HLA status."

3 Just in passing, am I right in thinking that these
4 patients remained negative for the virus?

5 A. They were HTLV-III negative at this --

6 Q. At this stage?

7 A. When these samples were analysed -- this is published
8 in June, as you see, 30 June 1984. We now know that
9 unfortunately some of these individuals will have been
10 infected, they are probably part of the cohort.

11 Q. But from analysing stored samples retrospectively you
12 were able to say that at this point --

13 A. Not at the point at which these results were acquired.

14 Q. Yes.

15 A. Yes.

16 Q. Thank you. So those were the results of -- or the
17 writing up of the results of the AIDS study.

18 Can we go to question 8, please? The question is:

19 "After observing in your initial studies in 1983
20 that your Edinburgh patients had a pattern of lymphocyte
21 abnormalities, did you advise them of the results of the
22 analysis of their blood?"

23 Your answer to that is:

24 "Patients were only advised of any lymphocyte
25 abnormality if they asked."

1 My question, Professor Ludlam, about that is that
2 surely patients could not ask because they did not know
3 that their blood was being subjected to these
4 investigations?

5 A. Well, I would beg to differ. I think a lot of patients
6 agree to blood tests for studies and don't come back and
7 ask for the results.

8 Q. I suppose, certainly you didn't take steps to advise the
9 patients?

10 A. No, that's correct.

11 Q. Yes. Why was that?

12 A. Because we didn't know how to interpret them. This
13 was -- as I have conveyed, I think -- a surprise to us.
14 We were expecting them to be normal and so we were --
15 for reasons that I think have been laid out already --
16 perplexed and it didn't seem helpful to go back and pass
17 this information on to the patients.

18 Q. Thank you. The next question is on page 0781, question
19 9, and refers back to paragraph 13 that we have just
20 read. It says:

21 "In paragraph 13 you note that it seemed important
22 to submit your data in respect of immune abnormalities
23 in your haemophilia patients ... for publication because
24 it would offer alternative explanations (other than
25 AIDS) for the immune abnormalities observed in US

1 haemophiliacs. Your data was published in the Lancet on
2 (1) May 1983 and (2) June 1984. Did you obtain consent
3 from your patients before publishing the results of your
4 investigations of their blood?"

5 We have answered the next question. So these are
6 the two papers that we have just looked at. That's
7 right, isn't it?

8 A. Yes.

9 Q. What's the answer to that? Did you obtain consent from
10 your patients before publishing the results?

11 A. No.

12 Q. Why was that?

13 A. I don't think it would have been necessary. These were
14 anonymised results. It would not have been usual to go
15 back to patients and say, "These are the results, we
16 would like your permission to publish them".

17 Q. It wasn't usual at that time to --

18 A. That's correct.

19 Q. Yes. You said because the data was anonymised. Could
20 you explain a bit more about that?

21 A. Yes, there was no information in the two publications
22 that we have looked at that would allow the
23 identification of any individual patients.

24 Q. Yes.

25 A. It's group data.

1 Q. At that time, was that an ethical criteria for whether
2 you obtained patients' permission to publish their data?

3 A. That, I think, came in later. For example, case
4 reports. If I wished to publish a case report now,
5 I would be expected to obtain that patient's consent --

6 Q. Yes.

7 A. -- for doing so. But 30 years ago I don't think that
8 would have been the case, even for a case report.

9 Q. Yes. So -- but 30 years ago, was the fact that the data
10 was anonymised important in determining whether you
11 should publish data without permission?

12 A. No, I'm just saying it strengthens the case.

13 Q. Yes. Was that a factor that you took account of at the
14 time?

15 A. It never occurred to me to get the patient's consent
16 because that was not usual and it was not identifiable,
17 but if I was going to publish a case report, that might
18 be identifiable, then I would share the data with the
19 patient and say, "Could we publish this, please, because
20 it's interesting", and explain why it's interesting.

21 Q. At that time that's what you would have done?

22 A. I think I would have done that, yes.

23 Q. Thank you. Again, you say at the end -- this is over
24 the page -- of your answer:

25 "Any patient interested in the results would have

1 been told if they had asked."

2 Of course, again, it seems that at least some of the
3 patients on your account didn't know. So they couldn't
4 ask, could they?

5 A. They couldn't ask. They might have heard from other
6 people, if I hadn't told them, that we were doing tests.
7 As I indicated before, there is a very live network
8 amongst patients.

9 Q. Professor Ludlam, it's clear then that by April 1983 --
10 we have seen from these request forms -- in fact
11 probably a bit earlier -- you were studying the immune
12 function of your patients in connection with the
13 possible infection with a virus that might lead to AIDS.
14 Would you accept that?

15 A. Could you just repeat your question?

16 Q. It's clear from what we have heard this morning that
17 by April 1983 you were studying the immune function of
18 your patients in connection with the possible infection
19 with a virus which might lead to AIDS.

20 A. No -- oh, well, in connection with -- yes, but I didn't
21 think that our patients had the virus or were at
22 substantial risk of the virus, but in connection with
23 other people's studies, yes.

24 Q. Well --

25 THE CHAIRMAN: I think that's now rather confusing. I think

1 I would have understood that you were studying the
2 deterioration, or what turned out to be the
3 deterioration in the immune status of your patients,
4 which of itself, irrespective of cause, might
5 hypothetically result in an AIDS state at some stage.

6 A. Yes. A clinical AIDS state.

7 THE CHAIRMAN: A clinical AIDS state.

8 A. Yes.

9 THE CHAIRMAN: So the problem is when one introduces the
10 word "virus" as a cause. I think that's the problem
11 that arose there, Mr Gardiner.

12 MR GARDINER: But in your study you were allowing for the
13 possibility that the cause was a virus, although that
14 wasn't the theory that you were favouring.

15 A. Yes.

16 Q. At this point were you discussing that possibility of
17 infection with your patients and whether they wished to
18 continue with concentrate therapy?

19 A. No, I don't think so. Because the putative -- we didn't
20 think that our patients were at high risk of the -- of
21 a viral cause for their AIDS in the form of the virus
22 that was over in the United States.

23 Q. We, the doctors?

24 A. We, the doctors.

25 Q. Yes. Even if it had turned out that your favoured

1 theory of antigen overload was correct, you weren't
2 discussing that possibility with your patients either,
3 were you?

4 A. No, because it was not clear what should be done if that
5 was the cause.

6 Q. Thank you.

7 I want to move away from research and look at
8 testing now for the HTLV-III virus. Can we have a look,
9 please, at page 4 of [\[PEN0120351\]](#)? At paragraph 15.
10 This is the next chapter in the story, if you like,
11 Professor Ludlam. Just reading from paragraph 15:

12 "By 1984 accumulating evidence indicated that AIDS
13 was probably caused by a virus from blood donors, which
14 was transmitted by clotting factor concentrates. By the
15 autumn of this year, Dr Richard Tedder, at the
16 department of virology at the Middlesex Hospital, had
17 established as a research project, an anti HTLV-III
18 assay. This was an early antibody test, under
19 development, for the detection of antibodies to the
20 putative virus causing AIDS. He only had a limited
21 supply of reagents and he was receiving many requests
22 from other clinicians ..."

23 Just pausing there, what are the reagents,
24 Professor Ludlam?

25 A. This would be the virus in order to do the tests. You

1 would have to propagate the virus. A potentially very
2 dangerous things to be doing. It has got to be done
3 under very carefully controlled conditions, safe
4 conditions.

5 Q. Would he have received these from Robert Gallo in
6 America? Is that the likely source?

7 A. I think there were some difficulties in obtaining the
8 virus and I think this may have come from a British
9 isolate. As I'm sure you know, there were difficulties,
10 particularly between Robert Gallo's team and
11 Montagnier's team at the Pasteur, and I think it's
12 possible the initial supply may have come from one of
13 these established labs, but they also had to get --
14 establish a UK isolate.

15 Q. Yes.

16 A. The antibody tests -- they may have got some antibody
17 from one of these two centres, if you like, to
18 authenticate the British isolates. You would need to
19 ask Professor Tedder, I think, about the details of
20 that.

21 Q. I see that we have covered that in the preliminary
22 report at paragraph 8.23 and we think it's from
23 Dr Gallo. Just reading on there:

24 "But he agreed [that's Dr Tedder agreed] in October
25 to test serum samples from ten Edinburgh haemophilia

1 patients. When the results were available, he reported
2 to me that three of the ten were anti HTLV-III positive
3 in his test. Our preliminary conclusion was that it was
4 likely that these patients had been exposed to the
5 putative AIDS virus. This was most unexpected because
6 the patients had only been treated with factor
7 concentrates prepared from plasma collected in Scotland,
8 where at this time there was only one known case of
9 AIDS. To investigate the situation, Dr Tedder agreed to
10 test further samples from other patients. He found that
11 a total of about 20 patients in Edinburgh were
12 apparently anti HTLV-III positive. Preliminary
13 examination of the detailed transfusion records of the
14 patients indicated that the simplest explanation to
15 account for most of those who were anti HTLV-III
16 positive was to conclude that a single batch of
17 concentrate, given to patients in the spring of 1984,
18 was the source of exposure. This was amongst the very
19 first evidence that the UK blood supply had been
20 contaminated by the AIDS virus."

21 THE CHAIRMAN: It's lunchtime, Mr Gardiner.

22 MR GARDINER: I'm about to move on.

23 THE CHAIRMAN: Professor, does the name "Weiss" mean
24 anything to you in the context of producing a British
25 isolate.

1 A. Robin Weiss? Yes, indeed, we worked with him.

2 THE CHAIRMAN: I think the impression I have from
3 Professor James is that once Gallo had isolated the
4 virus, Dr Weiss was able to replicate the process here?

5 A. At the Chester Beatty, I think, yes.

6 THE CHAIRMAN: But of course, Dr Gallo was particularly keen
7 on preserving his intellectual property rights.

8 A. I think that that's correct.

9 THE CHAIRMAN: So things may not have been as open as they
10 might otherwise have been.

11 A. I think so, yes.

12 THE CHAIRMAN: We will resume after lunch.

13 (1.00 pm)

14 (The short adjournment)

15 (2.00 pm)

16 THE CHAIRMAN: Professor Ludlam, can I take up just one
17 small point about language and nomenclature. This
18 morning I was asking you about the description of
19 conditions as "Acquired Immune Deficiency Syndrome".
20 The background to that was a recollection -- let's put
21 it no higher than that -- of an entry in the minutes of
22 the haemophilia reference centre directors, on
23 13 May 1983. I'll just read out to you what it said:
24 "Concern was expressed about the definition of
25 'AIDS'. It was felt that there might be many

1 individuals with evidence of impaired cell-mediated
2 immunity but only a very small number of these might
3 progress to a full-blown picture of the condition. It
4 is important that such individuals are not classified as
5 suffering from AIDS."

6 It went on to talk about the importance of
7 opportunistic infections as the diagnostic features.

8 My impression is that it is about that time that
9 there was an express appreciation that there may have
10 been a looseness in the use of the expression, "Acquired
11 Immune Deficiency Syndrome", prior to that. Is that
12 valid or am I completely mistaken?

13 A. No, that's completely valid, I think, yes. Thank you
14 for clarifying that.

15 MR GARDINER: Professor Ludlam, before lunch, we had just
16 looked at your statement where you described testing
17 that had been done by Dr Tedder, if you remember that.

18 A. Yes.

19 Q. Could we look at [\[LIT0011669\]](#). I think the paragraph
20 I read out, you say initially he had reported to you
21 that three patients were anti HTLV-III positive. You
22 said that he found a total of about 20 patients in
23 Edinburgh were apparently anti HTLV-III positive. This
24 article that we see on the screen, what is that?

25 A. This is the report of the seroconversion of a group of

1 patients who were exposed to what we believe was
2 a single batch of Scottish -- SNBTS Factor VIII that was
3 transfused in the spring of 1984.

4 Q. Yes, thank you. So we see from the summary:

5 "15 haemophiliac patients acquired antibodies to
6 human T-lymphotropic virus type III during 1984 ...
7 A further 18 patients who received the same batch did
8 not seroconvert and one other patient became
9 seropositive but had not received this batch."

10 So at this stage there were 16 patients who had
11 seroconverted. Is that right?

12 A. It appears so, yes.

13 Q. If we go over the page to "Results", the top left-hand
14 column, as you said:

15 "Between April and October 1984, anti HTLV-III
16 developed in 16 patients with Haemophilia A. The
17 transfusion records of these patients showed that all
18 but one had received a common batch of SNBTS Factor VIII
19 between March and May 1984. Of all the other batches of
20 Factor VIII transfused during this period, the next most
21 likely implicated batch (B) was transfused
22 during January 1984 and was given to only nine of the 16
23 patients who seroconverted."

24 Was that the total amount of patients that
25 seroconverted?

1 A. That was the information that we had when we wrote this,
2 yes.

3 Q. Subsequently did you have more information?

4 A. Subsequently further analysis and testing revealed,
5 I think, 18 individuals who we think probably
6 seroconverted from this batch of Factor VIII.

7 Q. Yes. Are you able to help us with a patient who we
8 understand seroconverted as a result of exposure to the
9 same batch from the Aberdeen haemophilia centre? Is
10 that something that you know about?

11 A. I know a little about it. I understand there is
12 a patient in -- or was in Aberdeen who received,
13 I think, three bottles of this batch and was
14 subsequently found to be seropositive -- anti HTLV-III
15 seropositive.

16 I can't recall and I don't know when the last
17 negative, if there was a previous negative result -- and
18 I think there is some uncertainty in my mind -- because
19 I don't have all the details and I'm not sure that in
20 fact all the information can be gathered in. This
21 individual in Aberdeen only received three bottles.
22 Elsewhere in this paper that's up on the screen, you
23 will see that there is a relationship between the number
24 of bottles received and the chance of seroconverting.

25 Q. Yes.

1 A. And of those who seroconverted, the lowest number of
2 bottles of Factor VIII, I think, was about ten. This
3 patient in -- and there was a relationship between the
4 number of bottles transfused and the chance of
5 seroconverting.

6 This patient in Aberdeen only received three bottles
7 and therefore statistically would probably have had
8 a lower chance of seroconverting. That does not mean to
9 say he did not seroconvert to it. I don't have the
10 information available, and I'm not sure that it is
11 available actually, to ascertain whether this was the
12 cause of his seroconversion.

13 Q. Yes. Thank you.

14 I would just like to try to get some more
15 information from you about when you received the results
16 from Dr Tedder. If we go to page 9 of [\[PEN0120774\]](#),
17 which is question 10, there is a question there about
18 how you noted that Dr Tedder agreed to test ten
19 patients, he later agreed to test serum samples from
20 other patients. The question is:

21 "How many patients were tested altogether?"

22 Can you tell us what your recollection is about
23 that?

24 A. We sent ten initially and three came back positive in
25 Dr Tedder's test. He then agreed to test further

1 samples and this -- the figure I have put down here, 50
2 to 70, I doubt if all those would have been tested in
3 one batch, as it were. He was getting a lot of
4 requests. As we were discussing before lunch, he had
5 limited reagents and there was a bit of congestion in
6 trying to get tests done. These would be done probably
7 over a month or two or three, I would think. I'm just
8 guessing. Of course, we did, early in the New Year of
9 1984, start to set up a test in Edinburgh and
10 Dr Peutherer in virology and Dr Simmonds set it up.

11 Q. It would be in 1985?

12 A. I'm sorry, 1985.

13 Q. Thank you. Just looking at question 11, this is
14 a question about how you arranged for them to be tested
15 by Dr Tedder. You say that you phoned him and asked if
16 he would test 10 samples. You explained that you had an
17 unusual group of patients in that they had been treated
18 predominantly with NHS concentrate manufactured in
19 Scotland and that you anticipated that they would be
20 negative:

21 "When he [Dr Tedder] agreed to carry out the testing
22 I would have arranged for the samples to be sent."

23 Could you just tell us how you did that

24 Professor Ludlam?

25 A. How I arranged for them to be sent?

1 Q. Yes.

2 A. I would have arranged for -- or asked one of my
3 laboratory staff to look out ten samples from the deep
4 freeze, recent samples, from patients with probably
5 severe haemophilia or moderate haemophilia, who had been
6 transfused a lot, to send them to Dr Tedder.

7 Q. Yes. Before you did that, did you obtain the consent
8 from the patient whose samples you were sending?

9 A. No.

10 Q. The next question deals with another aspect of consent.
11 Do you know whether, when the samples were originally
12 taken, the patients were told that they might be used
13 for anti HTLV-III testing?

14 A. I don't think they would have been told because we had
15 no idea when the testing would become available, that
16 a viral aetiology would be forthcoming. And these were
17 samples that were laid down, as I have indicated
18 previously, periodically when patients attended.

19 Q. Yes. When do you think it was that you received the
20 results from Dr Tedder?

21 A. The initial results, I think, were received on
22 26 October 1984.

23 Q. Yes. How did you receive them?

24 A. By telephone call.

25 Q. We see at question 13, if we could just have page 2 of

1 [\[DHF0025363\]](#) up, and if we could see the first page
2 there, this is the Central Committee for Research and
3 Development in Blood Transfusion. If we look at the
4 next page in the middle, just above paragraph 8.3, it
5 says:

6 "... [it has been redacted] referred to a batch of
7 Factor VIII in Scotland, fractionated in November 1983,
8 which was discovered to contain anti HTLV-III
9 in August 1984."

10 So that suggests that it was earlier than October.
11 What do you think about that, Professor Ludlam?

12 A. I think this is mistaken text on two grounds: first of
13 all, the antibody tests were later than August 1984 but
14 I think, more importantly, it says that:

15 "... the Factor VIII in Scotland, fractionated
16 in November 1983, which was with discovered to contain
17 anti HTLV-III ..."

18 Well, the Factor VIII batch, the implicated batch,
19 as far as I know, has never been found to have anti
20 HTLV-III in it -- as far as I'm aware.

21 Q. Yes. Thank you.

22 A. I wasn't at this meeting. I know all the names are
23 redacted but it wasn't a meeting I was at.

24 Q. I wonder if we could have a look at [\[PEN0120526\]](#).

25 This is an excerpt from the transcript of the

1 evidence of Professor Tedder to the Lindsay Tribunal on
2 9 July 2001 and you will see there, Professor Ludlam, in
3 the second paragraph:

4 "I see. When did this first come to light, this
5 outbreak, as a result of Scottish product; I think you
6 give March 1985?

7 "Answer: I think it was earlier than that. I think
8 it was -- I mean, March 1985 was the description of one
9 of the young men who developed glandular fever-like
10 illness, but I think this was predated by a discussion
11 with Christopher Ludlam; I think it must have been in
12 late autumn 1984 when we did the first testing for him,
13 because it was -- it was certainly -- I will never
14 forget. It was sitting in what used to be David Danes'
15 room at the end of the corridor, looking out on an
16 autumn sun which was a very hot sort of Indian evening,
17 Indian summer evening, which should have been a lovely
18 evening. It was about half past 7:00, 8:00, going
19 through this litany of positive, positive, positive.
20 And Christopher Ludlam obviously getting more and more
21 pensive and me feeling less and less kind, as this
22 evolution of damage done to a cohort evolved. That was
23 the very early testing when he had sent us cohorts of
24 samples which he already had a clinical suspicion that
25 something had occurred, and that was the beginning of

1 the evolution of knowledge on the Edinburgh cohort."
2 We don't have Dr Tedder here but he seems to be
3 talking about giving you results for more than three
4 positive tests.

5 A. No, he said, "positive, positive, positive," there are
6 three positives there. There were only three. He and
7 I both remember this conversation very vividly and it
8 was at about 8 o'clock in the evening. He rang me at
9 home. So there were only three in the first ...

10 Q. Yes. Okay. Let's have a look --

11 A. Sorry, did you want to -- the question about my having
12 suspected that there was something not quite right.

13 Q. Yes, we can deal with that. Perhaps you could explain
14 that. Yes, your clinical suspicion?

15 A. I don't think that is actually correct. I think that is
16 Dr Tedder surmising from what emerged later. We had
17 a young man who had a very routine, straightforward
18 operation in February -- sorry, in March --
19 I think March and April 1984 -- and became exceedingly
20 ill and looked like he had got acute leukaemia. He
21 didn't have that. It was very, very distressing for
22 everybody. He was very ill. We had no idea what was
23 wrong with him. Fortunately, he got through, recovered.
24 We had stored samples on him because we had no idea.
25 This was something completely new and when the --

1 Dr Tedder's test became available, we just wondered
2 whether this was a strange manifestation of HIV and
3 the -- Dr Tedder showed that antibodies appeared half or
4 two thirds of the way through this unfortunate young
5 man's clinical episode.

6 This was the first recording, we think, of what came
7 to be known as the glandular fever illness, and we wrote
8 it up because it was very important observation.

9 Q. But you think that Dr Tedder is wrong to say that you
10 had a suspicion before you received the results?

11 A. I think so. I think he is thinking -- as it were --
12 with the knowledge then of a glandular fever illness
13 that we had shown the seroconversion on.

14 Q. Yes. Perhaps we could just have [\[LIT0010894\]](#) up,
15 please. Is that the case report of what you have just
16 described?

17 A. Yes.

18 Q. Thank you. Just looking at question 14. This is still
19 on Dr Tedder's advice about results. The question is:

20 "When were you advised about the results of the
21 first batch of ten patients? How were you advised?

22 "Answer: Dr Tedder telephoned me at my home one
23 evening at about 8 pm. I think this occurred some time
24 in October 1984. Evidence given by Dr Perrie shows that
25 the date was 26 October 1984."

1 What evidence are you referring to there,
2 Professor Ludlam?

3 A. I got a little confused, but when Gemma Lovell and
4 Mr Douglas Tullis came to see me or we had the meeting,
5 it gave rise to this document. They brought what
6 I thought was a transcript from the Lindsay Inquiry with
7 this date in. I was subsequently reassured I had
8 misunderstood the document. I wasn't left with it. It
9 was just passed across the table to me and taken away
10 again. So that was my confusion. I had misunderstood
11 because we had been discussing Dr Tedder's contribution
12 to the Lindsay Inquiry in the preceding minute.

13 Q. Yes. So you say:

14 "The initial notification tests, SNBTS, was when I
15 telephoned Dr Brian McClelland on the evening of
16 26 October 1984."

17 How have you arrived at the date of 26 October?

18 A. Because that was the date of the document that was shown
19 to me.

20 Q. So we should take that out?

21 A. I think -- just go back a page. It says:

22 "Dr Perrie shows that the date was 26 October ..."

23 Q. So you are relying on Dr Perrie there?

24 A. I was.

25 Q. Yes.

1 A. But it was round about then, if I can say. It was
2 late October.

3 Q. Your own estimate is late October?

4 A. Yes.

5 Q. You say that you told Dr McClelland straight away?

6 A. Yes.

7 Q. I just want to show you a supplementary statement that
8 we have received very recently from Dr McClelland, which
9 is [\[PEN0121426\]](#).

10 You see the fourth paragraph down:

11 "Dr Christopher Ludlam telephoned me at home on the
12 evening of Friday October 26 to let me know there were
13 six of his patients who had been found to have developed
14 antibodies to HTLV-III on initial testing."

15 So he is remembering it as six.

16 A. My memory is of three.

17 Q. Yes.

18 A. It's 30 years ago. I'm sorry -- I'm sure he will say
19 it's six and I'll say it's three. I'm fairly certain it
20 was only three but I might be wrong.

21 Q. Yes, thank you. He seems to be distinguishing between
22 patients who had been treated with commercial
23 concentrates, as opposed to SNBTS. The first three that
24 you heard about, were they patients that had, to your
25 recollection, had only received SNBTS product?

1 A. Yes, I think I had sent in Dr Tedder specifically ten
2 samples from people who had only received SNBTS and that
3 equates with, I think, the fifth or sixth line down in
4 this paragraph:

5 "Dr Ludlam thought that in three of these patients
6 seroconversion probably attributed to SNBTS product."

7 Q. Yes. Could we go back to the notes and look at question
8 16? This is about who else you told when you received
9 the results. Do you remember who else you told,
10 Professor Ludlam, other than Dr McClelland?

11 A. I would have informed Professor Bloom, as chairman of
12 UKHCDO, because this was a devastating observation.
13 Assuming that I could rely upon Dr Tedder's test.
14 Dr Tedder's test was a very new test and there was
15 the -- I think he would be prepared to say there might
16 be false positives and false negatives, and maybe we
17 will come on to discuss this later. But I had to take
18 these results and assume that they were true.

19 Q. Yes.

20 A. This was the first, I think, confirmed case of
21 seroconversion to a UK blood product. There had been
22 cases -- one or two cases in England of batches of
23 concentrate in which a donor who had donated in all good
24 faith developed AIDS after having donated. The batch of
25 plasma was processed. Made into Factor VIII and then

1 given to patients, some of whom were then found to be
2 anti HTLV-III positive but it wasn't certain that it was
3 acquired from that batch. This was the sort of work
4 that Dr Craske was very methodically and carefully
5 trying to elucidate what was going on, but this was
6 amongst -- if I can put it that way -- amongst the first
7 information that there was HIV in the British blood
8 supply.

9 Q. Yes. How did you personally react to this news,
10 Professor Ludlam?

11 A. I was horrified. It was awful.

12 Q. Were you surprised?

13 A. I was devastated.

14 Q. Was there anybody else that you informed?

15 A. I told Dr Peutherer, our local virologist, and I told
16 Dr Craske because he was designated to help with these
17 sort of investigations and monitor the situation for
18 UKHCDO.

19 Q. Yes. We should have a look at [\[PEN0120857\]](#).

20 Sir, we have written to Dr Peutherer about this and
21 you will see that he says:

22 "I first became aware that Edinburgh haemophiliacs
23 had been shown to be infected with HTLV-III soon after
24 Dr Ludlam was informed of the results by Dr Tedder.
25 Dr Ludlam spoke to me about the results. I do not know

1 how Dr Ludlam was informed."

2 Then:

3 "Subsequent testing, I think testing for HTLV-III
4 infection, started in 1985, once commercial tests became
5 available. All testing for patients from RIE carried
6 out by the Hepatitis B and HTLV-III HIV reference lab
7 within the virus diagnostic service of university
8 department of medical microbiology in the medical
9 school, Teviot Place, and the tests used were purchased
10 from several companies, Abbott, Wellcome and Ortho
11 Labs."

12 Just while we are on that, Professor Ludlam, when
13 would these commercial tests first become available to
14 your recollection?

15 A. There were different tests being developed of different
16 degrees of specificity and sensitivity. They were
17 developed over late 1984 and 1985. I'm not an authority
18 on them. The blood transfusion virological experts and
19 Dr Peutherer would give you a much more informed
20 response than I can.

21 Q. Yes.

22 A. But a huge amount of work went into trying to get
23 a sensitive and specific test so there weren't too many
24 false positives and false negatives.

25 Q. Did you have occasion to use the commercial tests

1 subsequently?

2 A. No -- I personally didn't, no, not in my laboratory, no.

3 The samples -- if I wanted samples testing, once

4 reliable testing was available in Edinburgh, I sent them

5 to Dr Peutherer.

6 Q. Yes, I see.

7 THE CHAIRMAN: Professor Ludlam, Dr Winter, who gave us

8 evidence earlier, told us that Dr Kernoff had his

9 results in October of the first testing and said that he

10 himself, Dr Winter, received the results of Dr Tedder's

11 testing for his centre on 26 October 1984. Is there

12 likely to be any significance in coincidence of dates

13 around about this time, do you think?

14 A. I think a lot of haemophilia physicians were keen to get

15 patients tested. There had been so much uncertainty.

16 THE CHAIRMAN: I was thinking of it from Dr Tedder's point

17 of view and whether he would be testing in batches.

18 A. Almost certainly. He might have been doing a batch

19 every day or two because there were, I guess, hundreds

20 of samples coming in.

21 MR GARDINER: Thank you, sir.

22 The samples that were sent to Dr Tedder, were they

23 labelled with the names of your patients?

24 A. Yes.

25 Q. I think in answer to question 17, you talk about

1 transcription errors. Could you maybe just explain what
2 that concern was?

3 A. Yes. If identifying details about a patient, either
4 their name or a number or an initial or a date -- every
5 time it is written there is a finite chance there will
6 be a mistake, and you have got a row of tubes in a rack
7 and someone is writing numbers, for example, on them.
8 It is very easy indeed to get numbers a bit confused,
9 not to remember to up to the next number when you number
10 the next tube. So if you write a name, it is rather
11 more specific and is probably less likely to result in
12 error.

13 Q. Yes. Thank you.

14 A. It is a common difficulty in running laboratories.

15 Q. Yes. Thank you. In the answer to question 18 you
16 explain that a further lot of samples, you think, were
17 sent down to Dr Tedder. When do you think they were
18 sent down?

19 A. I have said a few days, and I think we were keen to know
20 more about what the situation was with our patients.

21 Q. Yes. Thank you. I would like to ask you a little bit
22 about the treatment that these patients that had tested
23 positive had received previously. Could we have
24 [\[PEN0120159\]](#). And Professor Ludlam, there is a hard
25 copy just in front of you. This is the spreadsheet.

1 It's just in front of you there.

2 A. Thank you.

3 Q. Sir, there is a copy to your right.

4 THE CHAIRMAN: Do I have to read more than one sheet

5 together?

6 MR GARDINER: The other copy was for Professor James.

7 On the sheet that's in front of you,

8 Professor Ludlam, I have noted on it five numbers,

9 patients, 5, 16, 19, 21, 22, not included in the

10 Edinburgh cohort, and I think that's what you told us

11 when you were here previously. Is that right?

12 A. I assume so. I can't check the numbers. I assume you

13 have got them correct.

14 Q. Thank you. We don't need to hear in detail but could

15 you broadly describe what treatment these patients had

16 been receiving?

17 THE CHAIRMAN: That's the specific numbers?

18 A. The five numbers?

19 MR GARDINER: Actually --

20 A. Or the other --

21 Q. Excluding these five?

22 A. Excluding the five. Yes, they had been treated with

23 predominantly SNBTS Factor VIII concentrate or

24 cryoprecipitate.

25 Q. Yes. Is it predominantly or exclusively?

1 A. Predominantly.

2 Q. Predominantly?

3 A. Because you will see patient E1 received some Cutter
4 Factor VIII.

5 Q. Yes. Yes, Cutter?

6 A. Yes.

7 Q. Yes. Thank you. These people with haemophilia, were
8 they severe or mild? What was their condition?

9 A. It is actually on the table and I think they all have
10 severe haemophilia. It's in the third column across.

11 Q. Yes. These are the members of the Edinburgh cohort.

12 A. The ones excluding these five that you have put on the
13 side of the table. Yes.

14 Q. Yes. Thank you.

15 THE CHAIRMAN: I wonder if I could just try clarify in my
16 own mind the background of the people. Were all of the
17 members of the Edinburgh cohort members of the study
18 group when you were looking at immune deficiency
19 generally? Or were there differences?

20 A. I think the majority of them had had their immune
21 function assessed at some stage prior to being exposed
22 to HTLV-III in the spring of 1984.

23 THE CHAIRMAN: Right. So even if they weren't particularly
24 in the earlier study, they had all been looked at from
25 that point of view?

1 A. It was part of our monitoring process. So the net would
2 have been spread wider. So we would probably have
3 assessed the immune -- the CD4/CD8 counts in the
4 majority of the people in the cohort. I think somewhere
5 in one of the publications -- I don't know if you are
6 going to come on to them -- this may be spelt out how
7 many.

8 THE CHAIRMAN: I'm just trying to get a general picture at
9 the moment. If we take E1 for example, on that basis,
10 then there is a great history of treatment down to 1982
11 and 1983, and there must have been a point within that
12 sort of period, 1983/1984, when the individual was
13 infected, not having been infected before.

14 A. Yes.

15 THE CHAIRMAN: Are there any generalisations that one can
16 apply in looking at this table or is it necessary to
17 look at every case individually to form a view?

18 A. I'm sorry, a view about?

19 THE CHAIRMAN: Date of infection. We go back to your other
20 data for that?

21 A. We have to go back to the -- two things. One is the
22 transfusion records and the other is the last
23 seronegative sample and the first seropositive. And it
24 was those two that allowed us -- those two bits of
25 information that allowed us to pin down that this was

1 the most likely batch of Factor VIII.

2 THE CHAIRMAN: But if we just take this particular example,
3 in 1982 and 1983, "commercial product" shows twice.

4 A. Yes.

5 THE CHAIRMAN: Then it's the last two in 1983 and 1984 that
6 record PFC Factor VIII.

7 A. Yes.

8 THE CHAIRMAN: Yes.

9 A. But we almost certainly know that he was anti HTLV-III
10 negative in early 1983. I'm sorry, 1984.

11 THE CHAIRMAN: 1984.

12 A. 1984, yes, I'm sorry.

13 THE CHAIRMAN: So you had the information available. We
14 will look at the findings in detail in due course. You
15 had the information in this case that would enable you
16 to exclude the Koate as the causative factor.

17 A. Yes.

18 THE CHAIRMAN: I see, thank you.

19 MR GARDINER: Thank you.

20 A. In fact this information is in the paper that we
21 reported -- that you showed us a movement ago from the
22 Lancet in March or May 1985. It gives the time of the
23 last negative and the first positive for every patient.

24 THE CHAIRMAN: I will have to work it out in due course but
25 I can't carry all of that in my head all the time,

1 professor.

2 MR GARDINER: Of course, on the spreadsheet we do have
3 a column which gives us the date of the last negative
4 test.

5 THE CHAIRMAN: Oh, yes. Thank you very much.

6 MR GARDINER: It's not very easy to read this spreadsheet
7 sir, it must be said, but --

8 A. I think this one was last negative in August 1984. So
9 quite a long time probably from when he was exposed to
10 the concentrate, before he seroconverted.

11 Q. Yes, indeed. Thank you.

12 Sir, unless you have any more questions about the
13 spreadsheet, I propose to put that away.

14 THE CHAIRMAN: At the moment I'm inclined to ask whether it
15 could be filleted so that it only contained the relevant
16 data and not a great mass of irrelevant material from
17 before. I think that would help everyone, if we reduced
18 it to the timeframe that mattered. I'm not suggesting
19 we dispose of the totality but just a little summary of
20 the critical factors might help me, at least to identify
21 the significant part. I think we can do that in-house,
22 as it were.

23 MR GARDINER: Yes, indeed, thank you, sir.

24 Professor Ludlam, I would like now to talk about the
25 meeting in December 1984, and there is a question about

1 it, which starts on page 13 of the notes:

2 "What was the purpose of the meeting on
3 19 December 1984?"

4 Perhaps you can just tell us at the moment what the
5 purpose was, as far as you can recollect.

6 A. Perhaps I can provide a little background. As a result
7 of my observations of these seroconversions,
8 demonstrating that there was HIV in the British blood
9 supply, this was one of the major factors that led to
10 the meeting on 10 December at Elstree, between senior
11 staff in National Blood Transfusion Service for England
12 and SNBTS for Scotland, along with the protein
13 fractionators from BPL and PFC and haemophilia
14 directors. That was a very long and a very difficult
15 meeting and was set up to discuss where we should go
16 from here in relation to treatment of haemophilia in the
17 UK.

18 Q. Maybe we should have those minutes up. [\[SNF0013850\]](#),
19 please. That is the meeting you are referring to, is
20 it?

21 A. Yes.

22 Q. We see there that Professor Bloom was present,
23 Dr Kernoff, Dr Jones and yourself, of course, Dr Cash,
24 Dr Craske, Dr Forbes, Dr Savage, Dr Tedder, all of these
25 names that we have heard about.

1 I'm sorry, I interrupted you, professor, please
2 carry on.

3 A. At this meeting I described what had been found in
4 Edinburgh, and Dr Craske described his activities and
5 what he had found out from various, or a couple of what
6 appeared to be batches that may have been infected.

7 There was a lot of discussion, both about testing
8 but also whether we should move over to heat treatment.
9 There was a long discussion about the heat treatment and
10 some of us were very concerned about the potential for
11 it damaging the Factor VIII molecule, giving rise to
12 antibodies that then might make the patient untreatable
13 for their bleeding disorder, versus the evidence that
14 had come to light in, I think it was, October of that
15 year, of 1984, that maybe retroviruses were very heat
16 sensitive.

17 There was a long -- very painful -- discussion and
18 it was eventually agreed that it probably would be
19 prudent to move towards -- to change over to heat
20 treatment if possible. But it was not an easy decision
21 and had it not been for one or two people with fairly
22 strong views at the meeting, we might not have moved
23 over. That would have had very major implications the
24 world over because many other countries started to
25 heat-treat after the decision was made in the UK.

1 Q. I see. I think you were giving us that background to
2 answering the question about the purpose of the December
3 meeting?

4 A. Yes. We had this very long meeting, some of which
5 I remember well, and I came back to Edinburgh at the end
6 of a very long day, and I think it was the following day
7 or it might have been the day after that, I was phoned
8 up by a reporter from the Yorkshire Post, who seemed to
9 have all the details that I had about what was then
10 known about the seroconversions in Edinburgh. He wanted
11 to come and see me about it and he wanted to publish it.

12 So I agreed to see him and he came up to see me,
13 probably the following day again, and I begged him not
14 to publish it because this was no way for our patients
15 to discover what had been happening.

16 He was very keen to publish. He thought it was
17 a scoop and I had to negotiate fairly hard with him for
18 him to delay a week, and I promised him that this
19 information, as far as I was concerned, would not go out
20 to any other newspaper. It would give us time to
21 organise a meeting for the patients.

22 So that's when we wrote rapidly round to all the
23 patients, I think, in Scotland. And I think some of the
24 documentation you have from the Scottish Office
25 indicates that it was a meeting to which all patients in

1 Scotland were invited, although I think predominantly
2 the ones came from Edinburgh and Glasgow. I'm sorry,
3 I don't have a copy of the letter. That's lost. But we
4 did mention in the letter that it was a meeting about
5 AIDS and that's why I expected large numbers of people
6 to come.

7 That's why the meeting was set up. We thought this
8 was the quickest and most open way to start to inform
9 the patients.

10 Q. How many letters were sent from the
11 Edinburgh Haemophilia Centre as far as you can remember?

12 A. We would have sent the letter to all our registered
13 patients. That would be a couple of hundred probably.

14 Q. Yes. Do you remember what the arrangements were about
15 patients elsewhere in the country receiving letters?

16 A. Yes, they were sent out, as far as I recall, from each
17 of the other haemophilia centres from
18 Glasgow Royal Infirmary, I assume, Yorkhill, Dundee,
19 Aberdeen and Inverness.

20 Q. Who organised that?

21 A. I can't remember. I suspect I did. I, I'm sure,
22 drafted the letter and I probably sent it or -- I can't
23 remember whether there were faxes in those days.

24 I might have faxed it to the other East Coast centres
25 and said, "This is what we are sending out, could you

1 send out something similar."

2 Q. Yes. So that was a request to send out letters in the
3 form that you had drafted. To your personal knowledge
4 were any such letters sent out by other centres?

5 A. I assume they were. I have not heard they weren't.
6 I assume they were sent out.

7 Q. I'm sorry to press you, Professor Ludlam, but what's the
8 basis for your assumption about that?

9 A. I would have discussed it with the directors of those
10 centres and asked them to send it out.

11 Q. Yes. So who were the directors at that time?

12 A. Dr Tudhope in Dundee.

13 Q. Dr Who, sorry?

14 A. T-U-D-H-O-P-E. Dr Audrey Dawson in Aberdeen and Dr Cook
15 in Inverness.

16 Q. So did you contact them?

17 A. That's what I'm sure I would have done, yes.

18 Q. You say "would have done". That suggests that you don't
19 have a memory of doing it?

20 A. I don't remember but this was an important meeting that
21 we wanted to invite everyone in Scotland to and I would
22 have done that by phoning up these co-directors and
23 asking if they would notify people of the meeting that
24 we were holding in Edinburgh.

25 Q. Yes.

1 A. Because, it was of some importance that patients were
2 notified because the Yorkshire Post was going to
3 publish, on 20 December, its article.

4 Q. Yes. So you said "we wanted to". Who are you referring
5 to there?

6 A. I think principally myself and probably Dr Forbes.

7 Q. Yes. So did you discuss this plan with Dr Forbes?

8 A. Oh, yes.

9 Q. Yes. What did he say about it?

10 A. He thought it a good idea. I can't remember who
11 initiated -- I must have initiated the discussion
12 because I was the one who had been visited by the
13 Yorkshire Post. So I would have phoned -- I'm sure
14 I phoned Dr Forbes and said, you know, "What about
15 holding a meeting?" which he thought was a good idea and
16 so we laid the plans.

17 Q. Yes. What was the arrangement with letters to his
18 patients. Do you remember?

19 A. He was going to write to them. I would have given him
20 the details of the venue and he would write to them.

21 Q. So you didn't provide him with a copy of the letter that
22 you had drafted?

23 A. I'm sorry, I can't remember. I might have done. We
24 were keen to get it out quickly. It might have been
25 I dictated over the phone to him. It just needed to be

1 a short letter. I can't remember the mechanics of it.

2 Q. It might seem like an obvious question,
3 Professor Ludlam, but why was it so important that you
4 had a meeting with the patients before the story
5 appeared in the press?

6 A. Well, I think it's more appropriate for this very
7 unexpected finding to be conveyed by the physicians, by
8 the doctors looking after the patients, than reading it
9 in the newspapers.

10 Q. So by the time of the meeting you had had the results
11 for, what, just under two months?

12 A. Just under two months, yes.

13 Q. Just under two months?

14 A. Yes.

15 Q. Before the Yorkshire Post got in touch with you, what
16 steps had been taken to inform the patients?

17 A. We hadn't taken any steps because we were still
18 assessing the situation.

19 Q. I think it might be time for a break.

20 THE CHAIRMAN: We will have short break as usual for the
21 stenographer.

22 (3.11 pm)

23 (Short break)

24 (3.23 pm)

25 THE CHAIRMAN: Yes, Mr Gardiner?

1 MR GARDINER: Thank you. Professor Ludlam, before the break
2 you told us that the catalyst for the December meeting
3 was the Yorkshire Post journalist and if you look at
4 page 14 of the notes, at the top of the page, what you
5 say there is that:

6 "The purpose of the meeting was to inform patients
7 that HTLV-III tests had been carried out and that some
8 patients were positive for HTLV-III antibody and to tell
9 patients what we knew about AIDS."

10 You don't mention the Yorkshire Post there. Could
11 you tell us why your answer has changed?

12 A. Well, in a sense the purpose of the meeting was to
13 inform patients about HTLV-III and AIDS and the testing.
14 What I offered you before the break was some of the
15 background, which is, if you like, the timing of the
16 meeting.

17 Q. Yes. Would I be right in thinking that if the
18 Yorkshire Post had not had this interest in this story,
19 this meeting would not have taken place at the end
20 of December 1984?

21 A. I think we would have devised another means by which
22 patients would have been informed.

23 Q. Yes.

24 A. This would not be my first choice, given a completely
25 blank sheet and without other constraints.

1 Q. Yes. Why not?

2 A. It's a very public place, a meeting. People might be
3 quite anxious about what was being said, quite
4 concerned, and there is not much privacy in a meeting
5 with lots of other people.

6 Q. So from a patient's point of view, it is not ideal?

7 A. That's correct.

8 Q. Thank you. We had a little discussion about the letters
9 that were sent inviting patients to the meeting. Are
10 there any copies of this letter anywhere, as far as you
11 know?

12 A. Not that I know of.

13 Q. Yes. Were file copies of the letter placed on the files
14 of your patients?

15 A. No. Not of the invitation of the meeting.

16 Q. We have some documents from that era, Professor Ludlam,
17 to look at. Could we first of all look at [\[SGH0026545\]](#)?
18 If we look at the bottom of that minute, you see that
19 the date is 20 November 1984 and this is a minute from
20 Hugh Morison to private secretary and Mr Mackay, health
21 minister. The heading is "Blood transfusion:AIDS". It
22 says:

23 "Ministers will have seen reports in the press about
24 the recent death of a haemophiliac who had been treated
25 with imported Factor VIII, and about the DHSS proposals

1 to issue a revised leaflet on AIDS to blood donors which
2 will make it clear that all practising homosexuals, and
3 not simply promiscuous homosexuals should not donate
4 blood.

5 "In Scotland, a revised leaflet was prepared by the
6 Scottish National Blood Transfusion Service in August.
7 This has been sent to all donors receiving mailed
8 reminders to give blood apart from those in the West of
9 Scotland. Steps are now being urgently taken to issue
10 it to donors in the West of Scotland, and to those
11 throughout Scotland who do not receive mailed
12 reminders -- for example students, who simply turn up to
13 a donor centre in response to generalised publicity.
14 Communication with the donor population in Scotland with
15 regard to AIDS is therefore well advanced. In addition,
16 the SNBTS is considering whether the present
17 arrangements can be tightened up still further, for
18 example, by asking donors to sign a declaration before
19 giving blood that they are not among the at risk
20 categories."

21 Then this is the interesting part for our purposes:

22 "A development of particular concern in Scotland is
23 that 16 Scottish haemophiliacs have been identified as
24 having antibodies to the virus HTLV-III, which is
25 implicated with AIDS. The presence of the antibodies

1 indicates that the patients have been exposed to the
2 virus but does not mean that they will necessarily
3 develop AIDS. A batch of Factor VIII, the blood
4 clotting agent given to haemophiliacs, produced at the
5 protein fractionation centre at Liberton, appears to be
6 implicated. As Factor VIII is produced from plasma
7 recovered from blood donations, it must be assumed as
8 probable that the batch was contaminate by a Scottish
9 donor. The batch has been withdrawn and the SNBTS are
10 taking vigorous steps to identify the source of
11 infection. This, however, will not be an easy task
12 since blood from many donors is used to produce a single
13 batch of Factor VIII. In the meantime work is urgently
14 proceeding to introduce the heat treatment for
15 Factor VIII in order to kill the virus and to develop
16 a screening test for HTLV-III antibodies. No such test
17 is, however, likely to be readily available in the
18 immediate future."

19 The final paragraph:

20 "It would not be appropriate at this stage to issue
21 any statement on the discovery of the antibodies in the
22 Scottish haemophiliacs. Suitable defensive briefing
23 has, however, been given to SIO."

24 We see at the top the minister's handwritten note,
25 which says:

1 "Thanks. While I fully appreciate that a statement
2 would give rise to great concern among haemophiliacs,
3 and indeed among recipients of blood generally, I do not
4 want us to be accused of a cover-up. If we are
5 approached we must be perfectly open. When is heat
6 treatment likely to be ready?"

7 Professor Ludlam, were you aware of these sorts of
8 discussions going on at this time?

9 A. I hadn't seen this document.

10 Q. You hadn't?

11 A. I hadn't seen this document until it was sent round with
12 the papers for this session.

13 Q. Yes. Perhaps we could go to [\[SGH0026503\]](#). If we go
14 down to the bottom, this is a minute that's dated
15 12 December 1984 from Dr Bell to Mr Davies and Mr Hoy,
16 copied to Dr McIntyre and Mr Murray:

17 "Haemophiliacs with antibodies HTLV-III. I had
18 phone calls last night from Dr McClelland, Dr Ludlam and
19 Dr Cash (in that order), letting me know that there is
20 likely to be publicity in the Yorkshire Post tomorrow
21 relating to the Edinburgh haemophiliacs with HTLV-III
22 antibodies attributable to contamination of a Scottish
23 batch of Factor VIII. It has to be presumed that this
24 has been leaked by one of the English haemophilia
25 directors involved in last Monday's meeting of the UK

1 haemophilia reference centre directors."

2 That's the meeting you referred us to earlier, isn't
3 it?

4 A. It is.

5 Q. "One of Lothian Health Board's press officers has been
6 in touch with SIO. You may wish to discuss what should
7 be the department's response to this development.
8 I understand that Dr Cash has also spoken to you direct.
9 Since dictating the above, Dr Ludlam has informed me
10 that the Yorkshire Post journalist has agreed to
11 postpone his report until Thursday, 20 December. This
12 will enable the haemophilia consultants to call
13 a meeting of haemophilia patients to explain the
14 situation. In view of this development, I advise that
15 SHHD should not publicise this matter before the
16 patients themselves have been informed professionally.
17 It would be important for Dr Ludlam to be able to assure
18 the journalist as soon as possible that we do not intend
19 to anticipate his publication."

20 So how does this fit in with what you told us
21 earlier about your discussions with the journalist? Is
22 this just after you have negotiated an extension?

23 A. I think so, yes. It sounds like the 12 December was
24 probably the day I negotiated the extension.

25 Q. Yes.

1 A. Otherwise it would have come out on the 13th.

2 Q. Yes. I see that in the minute it's put that:

3 "This will enable the haemophilia consultants to

4 call a meeting of haemophilia patients to explain the

5 situation."

6 I just wondered, Professor Ludlam, just to be

7 absolutely clear, whose idea was it to have this

8 meeting?

9 A. I think it was mine. I'll take ownership and

10 responsibility for it. And the fact we held it in

11 Edinburgh rather suggests that it was my idea.

12 Q. Yes.

13 A. I think it probably was my idea.

14 Q. Yes. Yes. It looks perhaps that you have told Dr Bell

15 on the phone that this is the plan.

16 A. It looks like it, doesn't it, yes.

17 Q. You have told us already but this minute really makes it

18 clear that the main driver for having this meeting

19 in December is the Yorkshire Post's interest in the

20 story.

21 A. Yes. What I'm uncertain about in this letter is the

22 last sentence, the first paragraph:

23 "It is presumed that this was leaked by one of the

24 English haemophilia directors ..."

25 I don't know who leaked this information. There

1 were, as you saw, a lot of people at the meeting. There
2 were some haemophilia directors, there were a whole
3 range of people. I suppose it could have been any of
4 them.

5 Q. Yes, of course.

6 THE CHAIRMAN: The minute seems to be quite clearly in two
7 parts, Professor Ludlam. The first paragraph narrating
8 fact, the second really putting it in the hands of the
9 department to decide on the response, and then the third
10 paragraph begins with:

11 "Since dictating the above, Dr Ludlam has informed
12 me ..."

13 And at this stage Bert Bell is prepared to give some
14 advice. Do you remember speaking to Dr Bell a second
15 time?

16 A. I'm sorry, I don't but I might well have done. I was
17 clearly very concerned and was telephoning a number of
18 people. I may well have telephoned Bert Bell on two
19 occasions.

20 Q. Thank you. Could we look at [\[SGH0026498\]](#)? This is
21 another government minute and this one is dated
22 19 December 1984, from Mr Davies, who we think is
23 a civil servant, to the private secretary to the health
24 minister, John MacKay. The heading is "AIDS":

25 "I refer to your minute of 12 December. A meeting

1 of Scottish haemophiliac patients is being held this
2 evening at which the position is to be explained to
3 them. We now understand that 15 not, as hitherto
4 thought, 16 patients treated with Scottish produced
5 Factor VIII have antibodies to HTLV-III. The
6 Yorkshire Post article is expected tomorrow. A copy of
7 a draft press release, agreed with medical interests and
8 SIO, is attached. SIO intend to issue it at noon
9 tomorrow."

10 Professor Ludlam, that is why we are fairly
11 confident that the meeting took place on
12 19 December 1984. Would you agree with that?

13 A. Entirely.

14 Q. Yes, thank you. If we go to [\[SGH0026491\]](#), we see that
15 that is indeed the Yorkshire Post article but do you
16 recognise it?

17 A. Yes.

18 Q. Thank you. Do you remember when it appeared,
19 Professor Ludlam?

20 A. I think it was Thursday, 20 December.

21 Q. The following day?

22 A. Yes, I think so.

23 Q. Thank you. Yes, it says "Thursday". Thank you.

24 Just to get a little bit more detail about the
25 arrangements for the meeting, could we go to the notes

1 at page 14? This is question 20:

2 "Why was there representation from Glasgow at the
3 meeting? (that is, why was Professor Forbes ... in
4 attendance and why did he chair the meeting)?"

5 Perhaps you can just tell us, Professor Ludlam, why
6 Professor Forbes was there?

7 A. We had invited all patients with haemophilia to the
8 meeting, and to bring a friend or spouse as well. There
9 were anti HTLV-III positive patients known of in Glasgow
10 and in Edinburgh and it seemed only appropriate that
11 Dr Forbes should come. He was my senior colleague and
12 I therefore suggested that -- or we agreed that he
13 should chair the meeting and introduce us.

14 Q. Yes. Professor Forbes told us that he wasn't sure why
15 he had been invited to go to the meeting. Can you
16 explain that?

17 A. I can't, except with the passage of time that he is
18 a little older than me and his memory is failing as
19 fast -- almost as mine is.

20 Q. You told us a little bit about the letter that you sent
21 inviting people. I wonder, could I get a little bit
22 more detail about it? You said that it was:

23 "Inviting people to a meeting in connection with
24 AIDS."

25 Is that right?

1 A. Yes.

2 Q. Did it say much more than that?

3 A. I can't remember but I remember being very keen to put
4 "AIDS" -- the word "AIDS" and "Acquired
5 Immuno-deficiency" in the letter to attract people to
6 come.

7 Q. Yes.

8 A. I thought a lot of people might come. As you know,
9 there are about 400 people with haemophilia in Scotland
10 and if each brought a friend, relative or spouse, that
11 was potentially 800 people.

12 Q. Yes.

13 A. I had reserved two large lecture theatres, anticipating
14 that we might get a large number of people and if we had
15 have done so, Dr Forbes would have spoken in one and
16 I would have spoken in the other, and Dr McClelland
17 would have spoken in both.

18 Q. Yes, I see.

19 A. But we had a smaller number. So they all fitted into
20 the large surgical lecture theatre in the
21 Royal Infirmary.

22 Q. What was the tone of the letter? Was it an urgent
23 communication? I'm trying to get a feel for what the
24 letter communicated?

25 A. I think we would have said:

1 "New information has become available about AIDS and
2 Acquired Immune Deficiency Syndrome that's relevant to
3 Scotland."

4 Because we were keen to attract people to the
5 meeting.

6 Q. Yes. Are you able to say whether, from your own
7 personal knowledge, there were any Glasgow patients at
8 the meeting?

9 A. There were certainly quite a lot of patients I didn't --
10 or people I didn't recognise at the meeting and
11 I assumed they had come from Glasgow or somewhere else
12 in Scotland.

13 Q. Yes. I suppose they could have been spouses or
14 relatives of your patients?

15 A. Some of them almost certainly were but people tended to
16 sit together and if I recognised a man with a woman
17 sitting next to him, I assumed that it was probably his
18 wife. But there were quite a number of people there
19 whom I didn't recognise -- who had come as pairs of
20 people, if you like, I didn't recognise. So I think
21 there were people from outwith the Edinburgh area.

22 Q. Yes. By a process of elimination you conclude that they
23 were patients from outwith the Edinburgh area?

24 A. Yes.

25 Q. Did you have a meeting before the meeting with

1 Professor Forbes and Dr McClelland. Is that right?

2 A. That's correct, yes. No, I think it was -- we agreed --
3 I had agreed with Dr McClelland beforehand that he would
4 come and talk about the blood transfusion aspects of it,
5 a bit about our investigations of how we had -- how he
6 had helped establish that this was probably, for the
7 Edinburgh patients, a cohort, but not forgetting there
8 were a number of patients who were positive in Edinburgh
9 who weren't part of the cohort and there were obviously
10 patients in Glasgow who were antibody positive.

11 So we certainly didn't gather beforehand and have
12 a long discussion about the meeting. It was very
13 informal. We agreed that Charles Forbes would open it
14 and probably talk a bit about the background and the
15 implications of the test and the consequences, and that
16 I would talk about the cohort and Dr McClelland would
17 talk about blood transfusion aspects and also to bring
18 people up-to-date with how Blood Transfusion Service was
19 trying to reduce the risk of further donations of --
20 blood donations that might have HTLV-III in them.

21 Q. Yes. Was it envisaged that there would be patients who
22 had travelled from Inverness and Aberdeen at the
23 meeting?

24 A. We thought it possible. I didn't hear on the grapevine
25 that any were coming. That didn't concern me too much

1 because we didn't think that there were any individuals
2 up there who were positive but I'm now just surmising,
3 I'm sorry, I'm not sure.

4 Q. Yes, you said you heard on the grapevine. Does that
5 mean that you phoned Dr Dawson back to find out if any
6 patients were expected or ...?

7 A. I might well have sort of asked her did she have any
8 patients that were coming. I'm sorry, I'm not certain
9 about that. It's quite likely because I was keen to
10 know what was -- that we get a good turnout.

11 Q. The news that had to be imparted, Professor Ludlam, was
12 that some patients with haemophilia had tested positive
13 for the new virus. Did you pass that news over to the
14 meeting?

15 A. The information we wanted to put over was that their
16 antibody test was positive, not that they were positive
17 for the virus. I'm sorry to --

18 Q. You are quite right, I'm sorry.

19 A. -- nitpick but it is actually quite important.

20 Q. Yes.

21 A. I think Dr Forbes did that and I would have reiterated
22 it. There was a certain amount of reiteration, is my
23 recollection, in the meeting because it was all new for
24 the people -- for the audience.

25 Q. Yes. Who, to the best of your recollection, spoke first

1 at the meeting?

2 A. I think Dr Forbes.

3 Q. Yes?

4 A. Because he was chairman and he introduced the meeting
5 and I think -- my recollection is that he gave some of
6 the background to HTLV-III and the testing and so on.

7 Q. Yes. He thinks you spoke first.

8 A. I'm pretty clear in my mind he was chairing the meeting.
9 He was the senior physician. He "took charge" of the
10 meeting, is my recollection.

11 Q. What did he tell the meeting?

12 A. I can't remember in detail but I think he talked about
13 the test for -- the anti HTLV-III test had become
14 available as a result of the virus, a probable virus
15 that caused AIDS, being identified, and that samples had
16 been tested from some patients and found to be positive.

17 Q. Yes. Did he just use those words "some patients"? He
18 didn't distinguish between Glasgow or Edinburgh or
19 anywhere else in Scotland?

20 A. I can't remember in detail. I think he would probably
21 have talked about Glasgow and I would have talked about
22 Edinburgh patients.

23 Q. Yes. So does that mean that he was telling the meeting
24 that some patients had tested positive for the antibody
25 test in Glasgow?

1 A. Well, I assume so because he must have had the
2 information because it was published in the -- I think
3 it was the Lancet three days later.

4 Q. Yes. The reason I'm asking, Professor Ludlam, is to try
5 to understand whether the message was that some patients
6 in Scotland have tested positive or that some patients
7 in Glasgow and some patients in Edinburgh have tested
8 positive?

9 A. I think it would be the latter. Some patients in
10 Glasgow and some patients in Edinburgh, because I think
11 probably patients in other parts of Scotland hadn't been
12 tested.

13 Q. Yes. So that's what the meeting was told?

14 A. The former part of that, that Edinburgh and Glasgow
15 patients had been tested. I'm not sure we would have
16 said that patients in these other centres had not been
17 tested.

18 Q. Yes, I see.

19 A. I'm just surmising. I'm not sure. I think it unlikely
20 they would have been tested.

21 Q. Yes. Yes. So is that all that Professor Forbes talked
22 about, the background, the fact that a test was
23 available and the fact that some patients in Glasgow had
24 tested positive? Was there anything else?

25 A. I think he would have explained what we knew about the

1 implications of being antibody positive. And at that
2 stage the obvious question is: what's the chance of
3 developing AIDS? And at that time we thought the risk
4 was one in 500, one in 1,000, that sort of order,
5 otherwise, unlikely.

6 Q. You say he would have. Can you not remember? Are you
7 concluding that that is what he would have done?

8 A. I am because I don't remember.

9 Q. Yes.

10 A. But I'm sure, if you are going to talk about the
11 antibody test to patients, then they are going to want
12 to know what the implications of it are. So I'm sure
13 that we will have talked about, as we understand it, the
14 implications. Certainly that was one. The other one --

15 Q. I mean, I'm talking about Professor Forbes at the
16 moment. I'm trying to just talk about what
17 Professor Forbes told the meeting.

18 A. My recollection is that he dealt with the sort of
19 generalities of anti HTLV-III testing and positivity,
20 and obviously the other thing is the implications that
21 people -- that people with haemophilia may have the
22 virus even if their antibody test is negative and that,
23 as was known at that stage, it was sexually
24 transmissible.

25 Q. Yes.

1 A. And one of the important messages we were keen to get
2 across at the meeting was that patients' sexual partners
3 would be at risk and that patients should use condoms
4 during sexual intercourse.

5 Q. Did Professor Forbes address that issue?

6 A. I think it likely. I know it was well discussed at the
7 meeting.

8 Q. Yes. Who spoke next, Professor Ludlam?

9 A. I suspect probably me.

10 Q. Yes.

11 A. To explain what had been happening in Edinburgh, what
12 I had been doing, what the results of the tests were.

13 Q. When you say "what I had been doing"?

14 A. Sending the samples to Dr Tedder.

15 Q. Yes.

16 A. And that it appeared that there had been this single
17 batch of Factor VIII, but also there were other people
18 who were or might be infected or might be antibody
19 positive.

20 Q. Yes.

21 A. It was a time of great uncertainty and we were very
22 careful also to convey the message that if you were
23 antibody negative, you weren't necessarily free of
24 HTLV-III infection, and so the advice was for everybody
25 to consider they might be infectious, everyone with

1 haemophilia might be infectious, and it applied -- the
2 advice, the safety advice applied not only to the
3 possibility of sexual transmission but if there was
4 spillage of blood, it should be cleaned up carefully
5 with gloves on and using dilute bleach to sterilise the
6 surface.

7 Q. Yes. Is there anything else that you told the meeting?

8 A. Well, we --

9 Q. I'm specifically asking what you remember about what you
10 said, Professor Ludlam.

11 A. Yes. There was -- the very clear message given out was
12 that we hoped that patients would come and see us and
13 ask about their situation. We were keen to discuss it
14 with people individually. That was not just the people
15 who were HIV positive. They didn't know who they were.
16 We were keen to see everybody.

17 Q. Is that how you put it, that you hoped that patients
18 would come and see you about their situation?

19 A. We would have encouraged them to, yes.

20 Q. Sorry, we are at cross purposes. Is that how you would
21 have put it? Are those the words that you would have
22 used to the audience, that you hoped that patients would
23 come and see you to discuss their situation?

24 A. And to learn the results of their test.

25 Q. Yes. Well --

1 A. Although that is actually of lesser importance than
2 coming to discuss their situation.

3 Q. Yes. Well, that's another matter but are you saying
4 that as well as saying that you hoped patients would
5 come and see you about their situation, you also said
6 that patients -- I don't want to put words into your
7 mouth. What did you say about testing, if anything?

8 A. If they came to see me, if I had the test result from
9 Dr Tedder, and if they wished to know it, then I would
10 let them have it. But I would also want to suggest that
11 they give another blood sample to, if you like, confirm
12 the preliminary result from Dr Tedder, both because of
13 the possibility of samples being misidentified or false
14 positives or false negatives in Dr Tedder's test.

15 Q. Yes.

16 A. And I would have talked round the importance of the
17 possibility they might be infected even if they were
18 antibody negative.

19 Q. So you said something like: if you had the results, you
20 would let them have it. Something like that you said?

21 A. I would give them the result, if they wanted to know it.

22 Q. Yes. So you have a recollection of giving that message
23 to the meeting?

24 A. Yes.

25 Q. Sir, I think that for --

1 THE CHAIRMAN: Yes. I think we have got to stop at that
2 point.

3 See you on Tuesday, professor.

4 (4.02 pm)

5 (The Inquiry adjourned until Tuesday, 21 June 2011 at 9.30
6 am)

7

8 I N D E X

9

10 PROFESSOR CHRISTOPHER LUDLAM1
11 (continued)

12 Questions by MR GARDINER (continued)1

13

14

15

16

17

18

19

20

21

22

23

24

25

