

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Tuesday, 22 March 2011

(9.30 am)

THE CHAIRMAN: Good morning.

MR MACKENZIE: Good morning, sir. We continue with the topic of C1 today and we have two witnesses, Dr Brian McClelland and then later on, Dr Mitchell. So the first witness, please, is Dr McClelland.

DR BRIAN MCCLELLAND (sworn)

Questions by MR MACKENZIE

MR MACKENZIE: Good morning, Dr McClelland.

A. Good morning.

Q. Could we start, please, by looking at your CV, which will appear on the screen. The reference for that is PEN0020593.

Now, I think that's your CV?

A. Yes.

Q. If we look at your professional qualifications, we can see that you obtained a bachelor of science in 1965, a bachelor of medicine in 1968 at Edinburgh. I think 1971, you obtained membership of the Royal College of Physicians. You then completed a doctorate of medicine in 1977 and then in 1986 you became a fellow of the Royal College of Physicians in Edinburgh, and in 1990 a fellow of the Royal College of Pathologists, is that correct?

1 A. Correct.

2 Q. Then looking at your employment history, we can see
3 between 1968 and 1969 you were a house officer in
4 surgery and between 1970 and 1977 you were a Medical
5 Research Council research fellow and registrar in the
6 department of therapeutics and clinical pharmacology at
7 the University of Edinburgh. You then became a research
8 fellow in the Netherlands between 1975 and 1976 and then
9 1977 to 1979 you were a consultant in the Edinburgh and
10 Southeast Scotland Blood Transfusion Service?

11 A. Correct.

12 Q. And then we can see between 1979 and 2001 you were the
13 regional director of that service. I think that's
14 a 22-year period in that post. Is that some sort of
15 record, doctor?

16 A. Possibly, yes.

17 Q. If we can go over the page, please, we see further
18 details. Between 1977 and 2009 you were a senior
19 lecturer in the department of medicine?

20 A. I should say perhaps some of these dates are a little
21 confusing because things were running concurrently. It
22 is difficult to find a very clear way of presenting it.

23 Q. There is some overlap, obviously, in different posts and
24 different duties.

25 A. Yes.

1 Q. In 2001 to 2003 you were a consultant in SNBTS
2 transfusion medicine service. 2001 to 2004, you were
3 a strategy director of the SNBTS, and then 2004 to 2008,
4 you were a professional director of the joint
5 professional advisory committee for the UK Blood
6 Transfusion Services. Can you explain briefly, doctor,
7 what is the joint professional advisory committee?

8 A. Yes, indeed. It is a committee which produces -- one of
9 its main products is a book which is colloquially called
10 "the red book" which is formally entitled the guidelines
11 for the blood transfusion services in the
12 United Kingdom, which is a compendium of guidelines and
13 standards for practice in all aspects of transfusion.

14 This originated back in, I think, 1995 as an
15 initiative of Professor John Cash and some other
16 colleagues in England to lay the findings of a common
17 set of guidelines and standards for the United Kingdom
18 Blood Service because that had not existed in the past.

19 Q. When did you first become involved in these guidelines?

20 A. Oh, quite some time before this because this parent
21 committee, which we have just referred to, developed
22 a number of subgroups, which were called specialist
23 advisory committees, one of them dealing with
24 transfusion-transmitted infections. So I was a member
25 of that and of some of the other subgroups in the time

1 before I became chair of the main committee.

2 Q. I see. We will perhaps come back to some of these
3 activities in due course, thank you.

4 THE CHAIRMAN: Dr McClelland, I think from the answer you
5 are giving, the impression might be taken that the red
6 book began in 1995. Did it not have a much longer
7 history?

8 A. The working group -- it had a different name when it was
9 set up. I can't actually remember for the moment what
10 it was, but the group of people started to work to
11 develop common guidelines. The first edition of the red
12 book, I think actually was 1995. So the committee
13 started a few years before that, sort of putting this
14 together. I know we did provide a copy to the Inquiry
15 of the first edition of the actual publication and my
16 recollection is that that was dated 1995.

17 MR MACKENZIE: I think we will come back in due course, sir,
18 to some of the particular guideline documents and the
19 particular years.

20 THE CHAIRMAN: It may be that there was another red book
21 that was the subject of discussion in the 70s.

22 MR MACKENZIE: Yes, I think that's right.

23 A. Certainly not the one that I'm referring to. There is
24 no question; it did not exist and hadn't been conceived
25 in the 1970s.

1 MR MACKENZIE: Thank you.

2 Returning to your CV, doctor, we can see between
3 2007 and 2010, you were the lead clinician in the
4 European Union optimal blood use project, promoting safe
5 and effective transfusion practice in the European Union
6 and then we can see your current status, 2009, you
7 retired from the SNBTS.

8 A. Correct.

9 Q. And do you remain retired?

10 A. Yes.

11 Q. You then set out in your CV experience and activities in
12 previous posts. I'm not going to take you through that,
13 doctor, in the interests of time. I think we will
14 simply take all of that as read and if we can perhaps,
15 please, go two pages on. It is page 4 of the CV and we
16 can see a subheading "Contributions to developments and
17 patient care". Two paragraphs below that, we can see,
18 between 1983 and 1985 you say as the spread of HIV
19 became recognised in the UK, you worked with
20 Dr Anne Smith and later Dr Jack Gillon to pioneer the
21 development of the donors' selection and screening
22 procedures, now universally used in the UK. And
23 following the start of donor Hepatitis C testing in
24 1991, you supported Dr Gillon and Dr Yasmin Ayob in
25 carrying out the first comprehensive regional

1 Hepatitis C look-back in the UK?

2 A. That's correct.

3 Q. If I may then go on to page 6 of your CV, please, and we
4 can see membership of various advisory committees, and
5 you say:

6 "Over my career I have been an active member of
7 various UK advisory bodies related to transfusion and
8 AIDS, including the expert advisory group on AIDS, the
9 UK advisory committee on the microbiological safety of
10 blood, tissues and organs, the UK BTS, NIBSC joint
11 professional advisory committee and its subgroups."

12 When is the NIBSC, doctor?

13 A. It is the National Institute of Biological Standards and
14 Control, the director of which was
15 Professor Geoffrey Schild and he was one of the
16 co-motivators, with Professor Cash and
17 Dr William Wagstaff, of the group which established the
18 standards and guidelines for transfusion.

19 That organisation was an important part of this
20 group because they are the organisation for the
21 United Kingdom that deals with the issue of
22 standardisation of reagents used in a whole variety of
23 tests, biological tests, because that's a large part of
24 the blood services work. It has been extremely
25 important to have them as partners in this enterprise.

1 Q. Thank you. Then over the page at page 7, the top of the
2 page, we see you were chair of its specialist advisory
3 committees on clinical transfusion and were editor of
4 the UK Blood Services Handbook of Transfusion Medicine.
5 Is that the red book you referred to earlier?

6 A. No, it is not. This has been a confusion and I think it
7 is dealt with more fully in the second statement.

8 The red book covers, if you like, the guidelines and
9 standards for the collection, processing and testing of
10 blood and relates to donor selection criteria. So it's
11 essentially to do what one might call the manufacturing
12 side of the blood chain.

13 The Handbook of Transfusion Medicine is expressly
14 directed to the clinical practice. It is intended for
15 doctors, nurses and other people who are directly
16 engaged in the use of blood in the clinical context. So
17 there is a minimal degree of overlap but purely to sort
18 of provide some explanatory information in the clinical
19 handbook.

20 Q. I understand, thank you. Also I think we can see at the
21 top of that page that you were a member of its SAC, its
22 specialist advisory committee on transfusion-transmitted
23 infections. Do you recall when you became a member of
24 that group?

25 A. I haven't got those dates in my head. I'm sorry, I left

1 them out in the interests of brevity.

2 Q. Would it be 70s, 80s or 90s?

3 A. No, it would have been later than that. It would have

4 been 90s.

5 Q. I see. Just carrying on, we see you were also

6 a founding member and steering group member of the

7 Serious Hazards of Transfusion reporting system, SHOT?

8 A. Correct.

9 Q. When did that begin approximately?

10 A. SHOT is now about 13 or 14 years in operation and

11 I guess the steering group -- the initiating group would

12 have been set up for about two years before, so starting

13 about 15/16 years ago, and I was involved with it very

14 actively for two or three years and subsequently I have

15 remained on the steering group.

16 Q. Thank you. And we also see you were chair of the BCSH?

17 A. British Committee for Standardisation in Haematology.

18 Q. A working group on blood administration procedures.

19 Again, can you give us an approximate guide to the

20 dates?

21 A. That was for a fairly short period. I think I did that

22 for about one year in about 2000/2001.

23 Q. Thank you. But moving on, doctor, to your international

24 work, we see you were a member of the

25 World Health Organisation panel of experts on

1 transfusion. Again, can you give a clue as to the
2 period?

3 A. I'm still a member of that group and have been for about
4 12 years.

5 Q. We can also see you were a founding member of policy and
6 steering groups for WHO Global Collaboration On Blood
7 Safety, including a member of the WHO working group on
8 national policy and guidelines for clinical use of
9 blood. So again that would be within the last 12 years?

10 A. Yes.

11 Q. I understand. Over the page, please, to page 8. At
12 page 8 we can see further group memberships and
13 projects. About half way down, member of European
14 Committee On Blood Transfusion. What is that?

15 A. Yes. It is a committee that was established originally
16 in the Council of Europe and remains formally within the
17 Council of Europe. It advises European health ministers
18 on policy issues relating to transfusion. It prepares
19 what is, in effect, an European version of our red book,
20 which is guidelines and standards for primarily, again,
21 the "manufacturing" part of blood transfusion. That has
22 been issued in annual revisions and I think it is now in
23 its 16th or 17th edition. I was a member of that group
24 and actually of the editorial group that produced the
25 book for three years up until about the time of my

1 retirement as the UK representative of that group.

2 Q. Thank you.

3 Then we see teaching and training, tutoring medical
4 students, undergraduate medical lectures, supervision of
5 PhD and MSc students and frequent lectures at
6 educational meetings et cetera. Under "Awards" we see
7 various awards you have been given, including in 2006
8 the International Society of Blood Transfusion award for
9 teaching and research in transfusion medicine. Can you
10 explain briefly what the ISBT is?

11 A. It is the International Society of Blood Transfusion,
12 which is the sort of global professional association and
13 has large international meetings involving all countries
14 every two years, and regional conferences every
15 alternate years, which will be European, Southeast Asia,
16 whatever.

17 Q. Who are the members of the ISBT? Is it open to anybody
18 or only certain organisations?

19 A. Its membership covers people involved with blood
20 transfusion both at the production side and the
21 utilisation side from virtually all countries in the WHO
22 book, as it were. So it is a very international group.

23 Q. Thank you. If we could then, please, go forward to
24 page 10, this is the start of your publications. I'm
25 not going to go through them, just to say that we see

1 that between 1979 and 2007 you have produced, as author
2 or co-author, many publications over a wide range of
3 matters arising in transfusion medicine. I think, in
4 fact the publications take up about 40 pages of your CV.
5 Have you ever counted them, doctor?

6 A. Not recently.

7 Q. No. Many, many publications. I think in fact we can
8 then fast forward to the second last page of the
9 document, page 51. The publications had ended the page
10 before but on page 51 you then set out a number of
11 invited lectures and meetings organised between 2005 and
12 2010. Is that correct?

13 A. That's correct.

14 Q. Thank you, doctor. I think we will leave your CV now.

15 A. Thank you very much.

16 Q. Please go to your statement, which you have kindly
17 provided. The number is [\[WIT0030072\]](#).

18 Doctor, what I intend doing, if I may, is to take
19 certain passages as read in the interests of time but to
20 focus on certain other passages and ask you questions
21 about them. So if we could start, please, on the first
22 page. The first paragraph I'll take as read. The
23 second paragraph, you explain it as background to your
24 response to some of the questions in the schedule. You
25 have included an appendix giving a short account of your

1 training and experience before joining the SNBTS, your
2 recollections of your own knowledge about hepatitis at
3 the time and your recollections of the attitude to
4 hepatitis in the SNBTS:

5 "I joined the service in 1977."

6 I will come on, doctor, to ask you specific
7 questions about some of these matters but if you could
8 perhaps just go to the appendix now. This is page
9 WIT0030090. We can see appendix 1, "Background".
10 I propose simply taking all of this as read, doctor, so
11 I won't take you through it just now but it does,
12 I think, provide an interesting account from a personal
13 perspective of some of the matters that we will come on
14 to discuss today. If I could ask you one question,
15 doctor. Over the page, please, and about half way down
16 the paragraph, the paragraph beginning:

17 "I was familiar with the studies of Krugman and
18 Giles."

19 The next sentence states:

20 "I was well aware of the risks of hepatitis among
21 residents of institutions."

22 What do you mean by "institutions"?

23 A. This particular paper related to work carried out in the
24 Willowbrook School in New York State, which is for
25 people who would now be described as having learning

1 difficulties, and the other type of institution where
2 there was, you know, a great deal of evidence of spread
3 of hepatitis was various forms of children's homes. In
4 relation to prisons, I have to say, I don't think that
5 at that time I was particularly aware of that as an
6 issue in the United Kingdom. But I was very much aware
7 that in the United States there was plenty of evidence
8 of hepatitis being a major issue in prison populations.

9 Q. Yes. I just wanted to clarify, doctor, when you used
10 the word "institutions" on that page, does that include
11 prison institutions?

12 A. When I wrote that sentence, I wasn't particularly
13 thinking of prisons.

14 Q. Yes. You meant the homes which you discussed?

15 A. Yes.

16 Q. Thank you.

17 THE CHAIRMAN: Did Krugman and Giles write about a prisoner
18 population or another population?

19 A. It was another population.

20 THE CHAIRMAN: At a school?

21 A. It was a school for the mentally handicapped.

22 THE CHAIRMAN: And there were some experiments carried out?

23 A. Correct. It would not, I think, get medical committee
24 clearance today.

25 THE CHAIRMAN: I think "today" could stretch back a long

1 time -- at least hopefully it could.

2 MR MACKENZIE: I think the experiments were back in the
3 1950s, perhaps.

4 A. The 50s, yes.

5 Q. Where I think some residents were deliberately injected
6 with serum containing Hepatitis B to see what would
7 happen essentially.

8 A. The purpose of the experiments and the reason I referred
9 to them was that they were probably the definitive
10 experiments that delineated that there were almost
11 certainly two forms of infectious hepatitis, which had
12 very different characteristics in terms of the course of
13 the infection in the individual.

14 Q. Yes, thank you.

15 If we could, please, return, doctor, to the first
16 page of your statement and carry on going through that,
17 please. In the second last paragraph, you say:

18 "For some of the questions in the schedule that
19 relate to the activities of the SNBTS rather than those
20 of the individual regional transfusion services, I have
21 been unable to provide information. This reflects the
22 degree of independence of the regional services and
23 their directors during the 70s and into the 1980s.

24 I feel it is important, by way of background, to offer
25 a personal view of my recollections of the

1 organisational relationships among the regional
2 directors and the SNBTS headquarters in the years
3 following [your] appointment."

4 You then go on to explain that the organisation
5 known since 1974 as SNBTS has its origins in several
6 distinct organisations that were rooted in individual
7 hospitals and had a strong sense of local identity, and
8 that, despite the re-assignment of management of SNBTS
9 from the SNBTA to the Common Services Agency, the
10 regional transfusion centres remained largely autonomous
11 entities; and that in respect of blood donor selection,
12 the region transfusion director and his or her
13 consultant colleagues determined their own local
14 policies and issued guidance to medical and nursing
15 staff.

16 You go on to explain that certain documents were
17 designed and printed locally. You say discussions
18 between RTDs at national level were just that and they
19 often agreed to disagree. Moreover, the concept of
20 clinical freedom was sacrosanct and every donor session
21 was overseen by a doctor who had the final say in all
22 matters of donor selection.

23 Doctor, we will come on in due course to look at
24 national guidance on the selection of donors. Is it the
25 case that any national guidance would be interpreted and

1 applied locally?

2 A. That's absolutely right.

3 Q. Then at the very bottom of page 2 you say that:

4 "It may also be worth mentioning that during the
5 late 1970s, the headquarters of the SNBTS was a tiny
6 organisation. My recollection is that it was staffed by
7 the national medical director, one national
8 administrator, a secretary and a clerical assistant."

9 Just completing this introductory passage you say:

10 "From the mid 1980s a number of changes, notably the
11 appearance of AIDS, the commencement of regulatory
12 inspections of the transfusion services, the enactment
13 of the European Directive on consumer protection and the
14 development of the guidelines for the transfusion
15 services in the UK led to progressive convergence of
16 practices among the UK transfusion centres."

17 A. Yes, I would simply like to explain that the reason that
18 I wanted to include this passage in my statement was
19 that looking at it now, it does seem rather odd that an
20 organisation which calls itself a national organisation
21 did appear to be behaving in many respects as a series
22 of regional organisations. And you know, the truth is
23 that at this period, at the time that I joined it, it
24 very much was a series of regional organisations and
25 that was where it had come from and the level of sort of

1 autonomy that at that time rested with the regional
2 directors was not actually particularly unconventional.
3 The health service in its totality was a very different
4 place in the 70s and 80s from what it is now.

5 Q. I understand. Thank you.

6 I'm going to skip the next question and table in the
7 statement because we will come back to fuller figures on
8 the amount of blood collected from prisoners in due
9 course, but over the page I think we do see a helpful
10 table for today and table 2 shows the total donations
11 collected by the Southeast of Scotland Blood Transfusion
12 Service between 1975 to 1991, including the per cent
13 contributed by donations from penal institutions.

14 I think in short, doctor, the Southeast Scotland BTS
15 collected from Saughton Prison but no other prisons.

16 A. That's correct.

17 Q. We can see the table shows that between 1975 and 1981
18 the total donations are set out. I won't repeat them
19 but we can see the percentage of the total donations
20 collected from Saughton Prison range from 1.3 per cent
21 before falling down to 0.27 per cent in 1981?

22 A. Correct.

23 Q. And I think, the last collection was in 1981?

24 A. Yes.

25 Q. I'm grateful.

1 Could we then go over the page, please, doctor? And
2 we can see -- this is page 5 of the statement -- table 3
3 then provides the date of the last blood donor session
4 held in a penal institution for each of the Scottish
5 blood transfusion regions and we can see, I think, in
6 the Southeast of Scotland, the date of the last donor
7 session was 18 December 1981?

8 A. That's correct.

9 Q. At the bottom we can see for the West of Scotland the
10 date of the last session was 25 March 1984?

11 A. Yes.

12 Q. Just pausing there, doctor, before we go on to question
13 4 to look at why the practice stopped, could you just
14 explain to us how donor sessions at, for example,
15 Saughton Prison were conducted? Can you talk us through
16 what would happen?

17 A. Well, the sessions were arranged through a member of
18 staff in the prison, usually through the director of the
19 prison, who would delegate to the prison medical
20 officer. The dates were obviously set well in advance.
21 They were part of our routine donor programme, which was
22 usually set anywhere between 12 and 15 months ahead to
23 allow all the necessary planning.

24 The conduct of the donor sessions in the prisons
25 would be, as far as possible, identical to that of the

1 conduct of a donor session anywhere else. The same, you
2 know, personnel who attended would be the same mixed
3 people. There would be a doctor in those days, the
4 doctor was always present at the session, the senior
5 nurse or team leader and a group of what were then
6 called "donor attendants".

7 Between them they would, as I say, operate the
8 session very much according to the same processes as any
9 other session. Essentially, the donors would attend.
10 Obviously our staff would work on the premise that the
11 donors were volunteers when they attended, and then
12 there would be a discussion -- which you may wish to
13 explore -- around the nature of volunteering when one is
14 in a penal institution. But, for the purpose of the
15 sessions it had to be accepted that the donors were
16 volunteers.

17 They would then be welcomed to the session. In this
18 period they would have been given an information card
19 which was pretty standard across the UK, in fact, which
20 gave a series of criteria which, if they had any of
21 these particular features, they would be asked not to
22 donate. Then they would go to the sort of station where
23 there was a clerical person, who would sort of walk them
24 through that card again and ask them a few questions to
25 sort of confirm that they had read it, record some of

1 the information about the donor and then they would pass
2 to a separate person who would take a sample of blood,
3 using a finger prick technique, which was tested for
4 haemoglobin. Provided the donor passed that test, they
5 would then be moved to another waiting area from where
6 they would lie on the couch and have their blood taken.

7 That was, in very brief outline, the procedure.

8 I think one thing that is perhaps helpful to add is
9 that while this appears to be a sort of stepwise
10 process, in fact most of the staff, particularly in
11 these days had -- the donor would be seen, talked to and
12 observed by our staff throughout the whole process, so
13 if something struck a member of staff, you know, perhaps
14 even when the donor was giving blood that they felt
15 uncomfortable about the donor's suitability, that issue
16 would still be noted and acted on.

17 So there was a fair amount of sort of observation of
18 the donor through the whole process of donation.

19 Q. What sort thing might strike a member of staff about the
20 donor's suitability?

21 A. Take some very obvious examples, someone who was heavily
22 tattooed, which, for some reason might not have been
23 noticed at an earlier stage. When you expose the arm to
24 take a sample, anybody who had evidence of needle
25 injection tracks, anybody who appeared to be inebriated,

1 which was fairly unusual in the prison sessions but not
2 unheard-of elsewhere.

3 I think it is important to say that at that time
4 quite a lot of donor selection, despite the existence of
5 certain pieces of paper that said, "You must do this,
6 this and this", there was almost certainly a fair amount
7 of individual variation in the sort of way that
8 individual members of staff would assess a donor and to
9 be honest that remains to this day something that is
10 extremely difficult to control with a very large team of
11 people operating peripatetically in a whole lot of
12 different situations.

13 So while we have always striven for consistency in
14 the application of these standards, it is, I think
15 important to realise that that's actually very difficult
16 to achieve.

17 Q. Doctor, I think from an early stage in the 70s the Blood
18 Transfusion Service wanted to exclude donors who
19 injected drugs because of the obvious risk of
20 transmitting diseases. Is that correct?

21 A. Yes.

22 Q. What steps were taken at donor sessions outwith prisons
23 to seek to exclude donors who had a current or previous
24 history of injecting intravenous drugs?

25 A. Looking at the donor selection documents, which exist

1 from this period, which I have been able to access --
2 and that certainly is not a comprehensive sample of all
3 the documents going back to the 60s and early 70s -- it
4 was clearly a feature of those documents that a history
5 of injecting drugs or evidence, physical evidence of
6 having injected drugs was seen as an exclusion
7 criterion.

8 Q. Again, sticking with donor sessions outwith prisons,
9 would the donor have been asked about whether he or she
10 had ever injected drugs in the 70s and early 80s? Would
11 that question have been asked?

12 A. I think it is important to realise that at some of these
13 earliest stages, there was relatively little
14 interviewing of donors in the sense of actually
15 face-to-face questioning. A lot of this was done by
16 providing the donor with information, asking him to
17 respond to that information if they felt they had any of
18 these features.

19 So I think actually in the majority of donor
20 sessions, the majority of the staff, I think, would have
21 asked that question, but in the period before sort of
22 routine questioning of the donor was part of the
23 procedure, one cannot be certain that it would have been
24 asked to everyone.

25 Q. So can you help us with approximately when you think the

1 majority of staff may have asked a question about
2 current or past drug use?

3 A. Well, I think that the point at which it becomes really
4 possible for me personally to make confident statements
5 about what happened is really at the beginning of the
6 1980s when, as I think I have said in my statement,
7 there was awareness of AIDS as being a new and dramatic
8 problem. There was the beginning of a really sort of
9 step change in the rigour of the donor selection
10 procedures in the desire to have a sort of national
11 consistency in proper documentation of the procedures as
12 they evolved with document control.

13 I think in the period prior to that -- first of all
14 I wasn't working in or around the transfusion service at
15 all so it is impossible for me from personal experience
16 to say what the details of the procedure were -- I think
17 there was probably a fair amount of heterogeneity among
18 the centres as to what was done.

19 Q. It may be helpful to look at a couple of the donor
20 selection leaflets at this stage. If we could go to
21 [\[PEN0131395\]](#). This is a leaflet from Glasgow, not from
22 Edinburgh. I think if we go to the very bottom
23 right-hand corner of the leaflet, down again, we can see
24 somebody has written on the date 16 June 1983. If we go
25 back to the top of the leaflet, please, we can see

1 a list of questions about various matters but I don't
2 think there is any reference to drug use, whether
3 current or previous. Is that correct?

4 A. That's certainly correct. I'm familiar with this
5 document and it does not refer to drug use, the date is
6 probably correct because it has the little addition at
7 the bottom about AIDS, which was the very first action
8 taken by the West of Scotland BTS to introduce something
9 about AIDS into their selection.

10 Q. Does that look like a sticker that has been added onto
11 this donor selection leaflet?

12 A. It does, yes.

13 Q. If we could also for completeness just go to a similar
14 document, document [\[SGF0010397\]](#). I think, if we look at
15 the top right-hand corner of this leaflet, doctor, we
16 see "NBTS 110A (Rev. 1983)". So on the face of it this
17 would appear to be an example of a donor leaflet from
18 the National Blood Transfusion Service of England and
19 Wales. Is that correct?

20 A. That's correct.

21 Q. It appears to have been revised in 1983, and again
22 I think there is no reference in this leaflet to asking
23 the donor whether they have ever injected drugs. Is
24 that correct?

25 A. That's correct and I think that this NBTS110 was quite

1 widely used as a sort of template because I think the
2 wording in the Glasgow document is very similar to this.

3 My recollection is that there was, as it were,
4 issued concurrently with this what is called
5 a memorandum or a guide to donor selection procedures
6 which was a kind of instruction to staff, which went
7 further than this and did make reference to drug
8 injection. But what is not entirely clear was how that
9 particular instruction was to be implemented and, as it
10 were, quality controlled at the donor sessions. And as
11 I have I have said, I think it was probably quite
12 inconsistently done.

13 But that is something I really cannot comment on
14 from personal experience and I'm giving you an
15 impression which is partly based on, you know,
16 subsequent experience of trying to explore the extent to
17 which written guidelines are adhered to as a generic
18 issue and I suspect that there was a fair amount of
19 inconsistency in how this was applied, but I would
20 stress that is not from my personal experience because
21 I don't have any personal experience of that period.

22 Q. I think, doctor, you first joined the service in 1977
23 and became the regional director for Edinburgh in 1979.

24 A. That's correct.

25 Q. So between, say, 1977 and 1981 or 1982, did you actually

1 go out to donor sessions or was that not something you
2 would do, or what?

3 A. I went to a few donor sessions. I didn't probably go to
4 as many as I should have done but I would have been
5 maybe half a dozen donor sessions.

6 Q. Thank you. That's very helpful background. Thank you,
7 doctor. Could I just turn now, please, to your
8 statement?

9 THE CHAIRMAN: Mr Mackenzie, are you coming back to the
10 procedure in prisons?

11 MR MACKENZIE: I think I should actually, sir, yes.

12 Just perhaps to complete this passage, doctor,
13 I should ask perhaps firstly: are you aware whether any
14 specific steps were taken at sessions in prisons to
15 exclude those who had ever injected drugs?

16 A. I'm not aware of any, as it were, written documentation
17 that refers to special procedures. I'm not aware. I'm
18 not saying they don't exist but I certainly have not
19 seen any documentation which I could draw on to answer
20 that question. So I would have to say to my knowledge
21 there were, as I have already said, no sort of unique,
22 explicit measures for sessions in prisons.

23 THE CHAIRMAN: The reason I ask, Dr McClelland, is that
24 there is material -- and you may be referred to it,
25 I don't know -- from Glasgow dealing with testing, which

1 proceeds on the fairly confident statement that none of
2 the donors in prisons were drug addicts.

3 Now, whether that confidence was justified is
4 a different matter but to be able to say that it appears
5 that there must have been some sort of pre-selection of
6 the group. Are you aware of any steps involving prison
7 doctors that might have had that effect?

8 A. I'm aware obviously of the documents from Glasgow that
9 you refer to. I'm not aware of what steps may have been
10 taken in the West of Scotland sessions to establish that
11 fact.

12 THE CHAIRMAN: Thank you.

13 MR MACKENZIE: Thank you, sir.

14 I think we may come back to explore that with
15 Dr Mitchell this afternoon. Could I ask one final
16 question on this matter, though, doctor, please.

17 A. Yes.

18 Q. Are you aware whether prison donors received any reward
19 or inducement to donate blood?

20 A. I'm quite certain that they did not receive any
21 material, financial or remission of sentence or any
22 material award. I think, particularly from statements
23 that I recall being made by Dr Ewa Brookes, many years
24 ago when the transfusion directors were discussing this
25 whole question of should donations be taken in prisons,

1 Dr Brookes said -- and I remember this because it was
2 quite a graphic statement -- she had actually taken the
3 trouble to roster herself when she worked in London as
4 the doctor for, I think, half a dozen prison sessions.
5 At that time she had already -- and she voiced this
6 quite strongly to the directors -- felt that prison
7 sessions were not a good idea and one of the reasons was
8 that there was an incentive, which was to get out of
9 wherever you were as a prisoner, presumably locked up,
10 to get somewhere else, to see some girls, young women --
11 or not so young women -- actually to talk to somebody
12 who wasn't one of your fellow inmates or a warder. So
13 that actually could -- and I think in Dr Brookes' view,
14 who had more experience of this than I have had, was
15 actually quite a powerful incentive. That and other
16 reasons which she articulated. I think she was of the
17 view that this was not a suitable place to be collecting
18 blood.

19 Q. So perhaps an intangible benefit perhaps to donating?

20 A. Absolutely. But in terms of any sort of overt material,
21 you know, type of benefit, no, there is no question that
22 has never been a practice for any donors in the
23 United Kingdom, to my knowledge.

24 Q. Thank you.

25 If we could, please, return to page 5 of the

1 statement. I think it is 0076. Thank you. Question 4,
2 the doctor was asked why the practice of collecting in
3 prisons stopped. You say that for Glasgow, Dundee,
4 Aberdeen and Inverness:

5 "[You] do not remember discussions of the reasons
6 that led these centres to stop donor sessions in
7 prisons."

8 And you have been unable to find documentation as to
9 that reference in the preliminary report. You then
10 refer to the medicines' inspectors' report on the
11 Edinburgh centre. I think it might be helpful to look
12 at that now, please. That document is [\[SGF0010351\]](#).
13 Can we go over the page, please, to page SGF0010352.

14 I'm sorry, I should have prefaced this by saying
15 this was a report by the medicines inspectorate
16 following, I think, visits to Edinburgh BTS in March
17 and May 1982?

18 A. That's correct, yes.

19 Q. And at the top of page 0352 in paragraph 12(b), there is
20 a comment by the inspectors:

21 "The location of bleeding and type of donor, for
22 example whether prisons and borstals were really
23 appropriate or necessary as a source material."

24 Doctor, you became director in 1979. This report
25 was produced some time after, May 1982, which raised the

1 query regarding whether prisons and borstals were
2 appropriate or necessary. Do you recall whether you
3 gave any consideration to the practice of collecting
4 blood in prisons between, say, 1979 and the arrival of
5 this report?

6 A. Well, yes, we did, and I have dealt with that elsewhere
7 in my statement. By 1982 -- I mean, the last occasion
8 which the Edinburgh centre teams went to
9 Saughton Prison, I think it was December of 1980. It is
10 in the table.

11 Q. 1981, I think.

12 A. Yes. So we had considered it and I have gone into
13 a little bit of sort of background elsewhere in my
14 statement and decided that we weren't going to do it.
15 The Edinburgh teams never went back to a prison session
16 after that.

17 Q. We will come back to look at that shortly, doctor, but
18 in short, is it the position that when this report
19 arrived, some time after May 1982, you were already or
20 had previously considered the question of whether it was
21 appropriate to continue the practice?

22 A. We had considered and acted on it. This was a rather
23 unusual medicines inspector's visit. It was one of the
24 very first and I think as is apparent from reading the
25 report, the inspector was ranging quite widely over

1 a number of issues. I assume, but I actually don't
2 recall this, that they had already inspected other
3 centres, either here or south of the border, where there
4 were prison collections, and I think he was sort of
5 speculating out loud as to whether this was a good idea.
6 But it is a documented fact, and we have very carefully
7 rechecked this, that December 1981 was the last time
8 that we collected blood. I have taken the trouble to
9 try and reconstruct the basis of that decision. So,
10 yes, as I say, not only when we considered it but we had
11 stopped it before we met the medicines inspector.

12 Q. We will come back to that, doctor, but could we just
13 look at the report of the visit to Ninewells Hospital in
14 Dundee. This is document [\[SGF0010086\]](#). We can see at
15 the top of this document that it is a report following
16 a visit, I think, on 25 March 1982 by the Medicines
17 Inspectorate to Dundee. If we go down to paragraph 10,
18 we can see a little more detail than we saw in the
19 Edinburgh report. We can see in paragraph 10:

20 "Brief discussions were also held on sources of
21 donated blood. At the time of this visit the
22 Inspectorate had not visited donor sessions with mobile
23 teams. However, it would seem most unlikely that we
24 could continue to endorse the continued collection of
25 blood from such places as prisons and borstals."

1 Paragraph 11 states:

2 "This recommendation is based on the following:

3 "12(a). Prison medical officers are often not
4 involved in assessing the suitability of donors.

5 "13(b). The increased risk of infection associated
6 with prison populations and the increased risk of
7 transmitting disease through such donations."

8 Over the page, please, 14(c):

9 "The unreliable answers to the pre-donation
10 questionnaire that can occur in such environments, as
11 well as the motivation of some of the donors."

12 Now, doctor, the reasons set out by the inspectors
13 for querying the practice of collecting blood in
14 prisons, are those the sorts of reasons which were in
15 your mind when you considered the practice prior to
16 these visits and reports?

17 A. Yes, they were. I think actually our concern -- I did,
18 in trying to provide as full as possible a response to
19 why we stopped the prison sessions -- I actually spoke
20 briefly to the person who was then our regional donor
21 organiser, who was responsible for all the planning and
22 organisation of the sessions, who was a new recruit to
23 the organisation, who started shortly after I had begun,
24 and she had certainly raised concerns with me, which
25 echoed my own concerns, not least because she actually

1 felt it was just an unsuitable environment in total.

2 It was almost more that concern, plus the specific
3 concerns that really, for lots of very good reasons, we
4 could not rely on getting completely clear transparent
5 answers from prisoners, not least because the sense was
6 that the prisoners weren't so much afraid of authority
7 or of the transfusion staff, but it was very difficult
8 for a prisoner, possibly within earshot of other
9 inmates, to admit any form of illness or something that
10 might be seen as weakness because of the nature of the
11 sort of social environment in the prison.

12 So it would not be correct for me to say that we
13 were worried about hepatitis in the prisons. We were
14 worried about the totality of the environment and I was
15 certainly aware that infection with hepatitis and
16 related viruses was a problem in prisons. I was
17 certainly aware of that information in the
18 United States. So it was a sort of complex of things
19 that led us to this decision.

20 Q. Yes, and the concerns of the member of staff you
21 mentioned, were they to do with it wasn't fair to put
22 members of the BTS staff into prisons conducting the
23 sessions?

24 A. I think the BTS found it quite a threatening
25 environment.

1 Q. Yes, I understand that.

2 Returning to paragraph 15, before we leave this
3 document, I think we can see reference to something you
4 mentioned before. Paragraph 15:

5 "While it is understood that the questionnaire used
6 for donors is a fairly standard one, its interpretation
7 appears not always to be consistent."

8 Is that along the lines of what you mentioned
9 earlier?

10 A. Absolutely. I think it is a very fair description of
11 the situation.

12 Q. Simply completing this line of documents, if I could,
13 please, then look at the Edinburgh response to the
14 Medicine Inspectorate's report, and this is document
15 [\[SGH0035059\]](#). Could we, please, go to page 5063. We
16 can see "Blood donation", paragraph 1.11.a. Just
17 continuing what we have just looked at in terms of the
18 interpretation of the guidance varying and Edinburgh's
19 response -- I should say this is dated
20 12 January 1983 -- it states:

21 "We share the inspector's concerns. The following
22 actions have been taken and a new comprehensive guide to
23 donor selection has been prepared and is in routine use
24 by donor selection staff."

25 And other steps are set out there as well.

1 The paragraph below is the Edinburgh response in
2 relation to prisons and borstals, and we can see:

3 "Prisons and borstals. We do not visit these
4 regularly. No such sessions have been held for
5 two years. These donors will only be used in an
6 emergency."

7 So was the position of Edinburgh at this stage
8 in January 1983 that you wouldn't routinely visit
9 prisons to collect blood but you wouldn't necessarily
10 rule it out if an emergency dictated or required that?

11 A. That must, I think, be the interpretation. We never did
12 go to prisons again. Having tried to reconstruct this,
13 I find no evidence that we recorded a policy decision
14 that we will stop collecting blood in penal
15 institutions; we just stopped doing it. We informed the
16 contact person, who I think was the Director of Saughton
17 actually, or whatever the correct title was at the time,
18 that we were not making any further appointments, and in
19 fact we had several representations from them
20 subsequently to come back and run sessions and we did
21 not do that.

22 I honestly cannot remember now why we did not, as it
23 were, make it a formal policy. I have tried very hard
24 to find any evidence of that, but, as I say, the actions
25 are that we did not ever return and we did not book any

1 further sessions and we never felt any need to do so.

2 Q. Thank you. If we could now return to your statement,
3 please, I think we have covered some of the ground which
4 follows.

5 A. Yes.

6 Q. So if we go back, please, to WIT0030076, under
7 "Edinburgh" you explain why the practice stopped but you
8 have given oral evidence on that, without having to take
9 you through your statement. Over the page again,
10 please, at the top of page 6 of your statement you do
11 say:

12 "I cannot recall if I was specifically concerned
13 about hepatitis risks in donations given by prison
14 donors but in view of my study, training and experience
15 before joining SNBTS, I think it is likely that I would
16 have been aware of this as a risk."

17 A. Yes.

18 Q. You say you may have read the 1972 paper by Wallace and
19 others in the BMJ, although you do not remember doing
20 so. I think you then speak about matters you have
21 already spoken to. In particular, Mairi MacLeod,
22 I think, was the individual who played a part as well in
23 no longer visiting prisons?

24 A. Quite definitely, yes, absolutely.

25 Q. I think half way down page 6 you say:

1 "I think it is unlikely that the question of risks
2 related to homosexual behaviour was raised since up to
3 1983 it was not the practice in any blood collection
4 practice, as far as I'm aware, to take actions to
5 exclude donors on the basis of sexual behaviour."

6 That changed rapidly with the arrival of AIDS, and
7 we will come on separately to look at that in a separate
8 topic.

9 A. Correct.

10 Q. Before we leave this page, doctor, can I refer to one
11 further document, which is number [\[SNB0143030\]](#). This is
12 to do with minutes of a meeting of the UK Working Party
13 on Transfusion-associated Hepatitis. If we look at
14 paragraph 4, there is a discussion of AIDS, and I think
15 if we go towards the end of the document -- perhaps
16 start at the last page and scroll backwards. If we look
17 at paragraph 7, we can see that is headed "Donor
18 sessions in prisons" and states:

19 "Members asked if the chairman could provide details
20 of which centres took donations at prisons. They
21 realised that the definition of prison ranged from
22 closed to open prisons. The working party felt that
23 prisons should be considered in the context of a high
24 risk population in terms of several of the
25 transfusion-transmitted infections and as such should be

1 avoided as a donor source."

2 If we go back to the first page, please, we can see
3 the members of the working party included, I think,
4 Dr Bruce Cuthbertson from Edinburgh -- "PFC" -- and also
5 I think yourself, you were a member, and Dr Mitchell.

6 A. Yes.

7 Q. Would it be fair to say that's a fairly eminent body of
8 transfusionists at that time, putting modesty aside?

9 A. Dr Craske was a biologist, as you know.

10 Q. Yes. Certainly, the view of the working party at that
11 time in September 1983 was that prisons were not an
12 appropriate place to collect blood?

13 A. Yes.

14 Q. And of course AIDS had come on the scene by that stage
15 as well?

16 A. I honestly can't recall whether that comment about
17 prisons was a conversation that raised concerns about
18 AIDS rather than hepatitis. I think it probably was the
19 latter because, as is evident from this minute, although
20 it is called "Transfusion-associated hepatitis", the big
21 issue, AIDS, had taken over completely in people's
22 pre-occupations.

23 Q. If we go back to paragraph 7, in the second last page of
24 the minute I think there was a reference to several
25 transfusions-transmitted diseases.

1 A. Yes, there was, absolutely correct.

2 Q. We can see that there.

3 A. Yes.

4 Q. Thank you. Could I then, please, return to your
5 statement? We are now on to page WIT0030078. At the
6 top of this page, question 5, you were asked:

7 " ... the consideration given between 1975 and 1984
8 by those from the SNBTS to whether blood collected from
9 prisons carried a higher risk of hepatitis, including in
10 particular non-A non-B hepatitis, and whether the
11 practice of collecting blood from penal institutions
12 should continue."

13 You explain that you were not involved in SNBTS
14 discussions before your appointment in 1977 and you
15 would not have attended meetings of the SNBTS directors
16 until 1979, and you say:

17 "I do not recall that the matter of donation by
18 prisons was discussed during meetings of SNBTS directors
19 before the May 1983 meeting."

20 You then go on to say that:

21 "Both the Edinburgh and Glasgow centres had started
22 research on hepatitis by 1970."

23 You state:

24 "The Glasgow studies demonstrated a higher
25 prevalence of Hepatitis B surface antigen in prison

1 donors."

2 You refer to two papers we have looked at, the 1972
3 Wallace paper, the 1982 Barr paper and also a textbook
4 by Dr Wallace, which I think was 1977. We will come
5 back to that. The next paragraph goes on to say:

6 "Prison donations were discussed in
7 Dr John Wallace's book."

8 I think Dr Wallace was the director of Glasgow at
9 the time?

10 A. That's correct.

11 Q. "His book 'Blood Transfusion for Clinicians' published
12 in 1977."

13 A copy of that book was given to you by
14 Professor John Cash on his appointment in Edinburgh in
15 1977 and you read it at the time. You helpfully set out
16 a passage from this book on this topic. This is at
17 page 279 of the book. We don't have to go to the book
18 because you have helpfully set out the passage, but for
19 the record using the Inquiry numbering system, it is
20 [\[LIT0013058\]](#) at 3106. You say that Dr Wallace described
21 the issue of collecting blood in prisons as
22 controversial. He also stated that:

23 "It has been established that within any potential
24 donor population, certain groups have a higher than
25 average incidence of HBs antigenemia, in particular HBs

1 antigenemia is more prevalent in male prisoners and in
2 volunteers from tropical areas. Some transfusion
3 services have declined to accept volunteers in prisons
4 and among immigrant populations. This ultra-cautious
5 approach may be doubly undesirable. Visits to prisons
6 can often be arranged when the general intake of blood
7 is low because of the holiday season. The incidence of
8 HBs antigenemia among male prisoners in Scotland is less
9 than 1 per cent using the most sensitive technique of
10 testing, thus generous offers of useable donations would
11 be lost by placing a total embargo on prison donations."

12 In short, I think Dr Wallace was in favour of
13 continuing to collect blood from prisons and he has set
14 out his reasons there for holding that view.

15 I think, in particular, would it be fair to say that
16 it was the fact that visits to prisons could often be
17 arranged when the general intake of blood was low
18 because of the holiday season or perhaps other reasons.
19 You mentioned earlier, doctor, that visits were often
20 arranged a year or more in advance but did donations
21 sometimes also take place at short notice?

22 A. My comment before was referring to the way the sessions
23 were organised in the centre that I was responsible for.
24 I honestly can't respond to whether there were
25 short-notice sessions organised in the other centres.

1 But I suspect that what happened was that they were
2 aware, you know, from experience, that there were
3 certain times of the year, Glasgow trades or around
4 Christmas or New Year time, when their ability to
5 organise other donor sessions was reduced and possibly
6 attendances tended to be below what was hoped for. So
7 they may well have actually scheduled sessions in
8 prisons at those times because they could predict
9 a shortfall.

10 Q. I understand.

11 A. Dr Mitchell, I'm sure, will be able to give you --

12 Q. It may be predictable in advance, perhaps well in
13 advance, that there may be certain periods in a year
14 when the donation figures may be low.

15 A. That's my hypothesis. I don't know whether that is
16 actually correct.

17 Q. Indeed, yes. You say:

18 "Reading this passage again after many years, I can
19 only interpret it as implying (a), a higher level of
20 confidence that testing donations with a very sensitive
21 test for HBsAg and removing all donations with positive
22 test rules would virtually exclude the risk of
23 transfusion-transmitted Hepatitis B, and (b), a belief
24 that, provided Hepatitis B transmission was avoided, the
25 blood would be safe. This seems somewhat at odds with

1 the statements on pages 273 and 274 of Dr Wallace's book
2 that refer to 'other infective agents that might
3 transmit hepatitis, such as the predicted virus C' and
4 to the fact that Hepatitis B screening may only detect
5 25 per cent of cases of post transfusion hepatitis."

6 "I think this apparent inconsistency must be
7 a reflection of the prevailing sense at the time, that
8 hepatitis not due to Hepatitis B virus was not a serious
9 condition and Dr Wallace also makes the case that it is
10 socially and psychologically undesirable to exclude
11 prisoners from the donor population on the basis that
12 acceptance of prisoners as donors helps them to
13 rehabilitate."

14 I do intend turning to a number of publications to
15 look at the knowledge of non-A non-B hepatitis at the
16 time. It may be, sir, this would be an appropriate
17 stage to have a short break?

18 THE CHAIRMAN: I think that would be.

19 Dr McClelland, if we look at the large passage.
20 Reading this passage again and in particular the views
21 expressed towards the end where you say:

22 "The apparent inconsistency must be a reflection of
23 the prevailing sense at the time."

24 At that stage would you have shared the views you
25 referred to here?

1 A. I have found this very confusing when I read it again
2 because it seemed to be saying several conflicting
3 things. I would not have shared that view. I do think
4 that, lying in back of this is something which I think
5 came through to me in reading a lot of this material
6 again, that there was a very strong sense within the UK
7 that non-A non-B hepatitis wasn't a big problem in the
8 UK.

9 There was clearly awareness that it was a big
10 problem in the United States, that is in spite of the
11 fact that the only prospective study of
12 transfusion-transmitted hepatitis that was done for many
13 years was organised by the Medical Research Council in
14 the UK and published in 1974. The data, we are actually
15 interpreted as saying that it wasn't a problem apart
16 from Hepatitis B. Non-A non-B hepatitis wasn't
17 a problem but actually, if you look at the data for five
18 minutes, it actually clearly is a problem and that, you
19 know, coming from a group of eminent academics seems --
20 again, I had real difficulty understanding that when
21 I looked at it again.

22 It does seem to me that there must have been a very
23 strong received belief that somehow non-A non-B
24 hepatitis just wasn't a problem in the UK sufficient to
25 cause highly intelligent people doing research study to

1 actually really ignore their own findings and interpret
2 them quite inappropriately, in my view. So I think that
3 sort of attitude, the power of that sort of attitude
4 must underlie this statement of Dr Wallace.

5 It's speculation.

6 THE CHAIRMAN: Yes. There are two possible aspects to it,
7 from what you have said, I suppose. One is that non-A
8 non-B hepatitis was not a significant problem in the
9 United Kingdom because there was not a high prevalence,
10 and the other is that such non-A non-B hepatitis as
11 there was did not present a high risk. Do you have any
12 view as to which it might have been -- or both?

13 A. Well, there is possibly a third interpretation, which
14 was there was non-A non-B hepatitis but it wasn't
15 recognised as such because it's typically, as you will
16 now know very well, in the course of this infection, the
17 classic feature, you know, the sort of hallmark feature
18 of jaundice is unusual in the early stages. So unless
19 individuals were being actually checked and monitored
20 for evidence of disturbance of liver function tests,
21 there could be nothing to really draw attention to the
22 fact that an infection had happened.

23 THE CHAIRMAN: I think we will see that from time to time.
24 The problem here that I have, I think, is that, looking
25 back now with the benefit of a great deal of developing

1 knowledge over time, some issues become questionable
2 because of hindsight, but I think I have to try to
3 penetrate back to what the perception might have been at
4 the time.

5 A. Yes.

6 THE CHAIRMAN: And that's why I'm trying to get your feel,
7 as it were, for what might have explained this. It
8 could be quite important to understand. Anyway, we will
9 have a break now and if you come up with anything in the
10 break ...

11 A. Okay.

12 (11.00 am)

13 (Short break)

14 (11.34 am)

15 THE CHAIRMAN: Yes, Mr Mackenzie.

16 MR MACKENZIE: Thank you, sir.

17 Dr McClelland, I would like now to look at some
18 publications illustrating the knowledge of non-A non-B
19 hepatitis in the late 1970s. Could we start, please,
20 with an extract from Dr Wallace's 1977 textbook. It is
21 number [\[LIT0013058\]](#). Can we go in particular, please,
22 to page LIT0013100.

23 THE CHAIRMAN: Which page in the book is it, Mr Mackenzie?

24 MR MACKENZIE: It is page 273, sir.

25 THE CHAIRMAN: Thank you.

1 MR MACKENZIE: And at the bottom of the page we see the
2 subheading "improved selection of donors." I think this
3 is the passage which you had earlier referred to in your
4 statement, Dr McClelland, and I'll simply read this
5 passage. It states:

6 "The recognition of Hepatitis B surface antigen as a
7 marker for the infective agent of type B hepatitis,
8 introduced the possibility of testing every blood
9 donation of the presence of HBsAg. Considerable
10 discussion ensued as to the benefits resulting from the
11 costly and time-consuming procedure of total screening.
12 Some authorities stated that the exclusion of
13 HBsAg-positive donors would, at best, reduce the
14 incidence of post-transfusion hepatitis by only
15 25 per cent. The inability to prevent 75 per cent of
16 cases of transfusion-transmitted hepatitis was
17 considered to be multifactorial."

18 Over the page at page 274 of the book:

19 "1. The methods of detecting HBsAg by large scale
20 screening with a relatively insensitive immunodiffusion
21 and CIEP techniques.

22 "2. It was suspected that HBsAg was not homogeneous
23 and that different subtypes would make detection
24 difficult.

25 "3. Other infective agents might transmit

1 hepatitis. These included virus A, CMV, EBV and viruses
2 not yet identified, such as the predicted virus C.

3 "For the use of absolutely fresh, untested
4 donations, some clinicians considered that fresh blood
5 had clinical merit and insisted on its use.

6 "5. A route of transmission other than transfusion
7 was recognised that various hepatitis viruses could be
8 transmitted by parenteral routes other than transfusion
9 and by close contact."

10 There is a reference there to the predicted
11 Hepatitis C at page 283. That's our reference 3110. At
12 the top of the page we see, it states:

13 "The difficulties in establishing the diagnosis and
14 incidence of post-transfusion hepatitis have already
15 been discussed. For similar reasons, it is difficult to
16 assess the benefit of total screening of donations for
17 the presence of HBsAg but careful studies from USA have
18 provided valuable information. Prince et al (1974), in
19 a detailed prospective study of 204 cardiovascular
20 surgery patients, found that an agent other than virus B
21 seemed to be the cause of 36, 71 per cent, of 51 cases
22 of overt post-transfusion hepatitis. The sera of these
23 36 cases of hepatitis showed no evidence of the presence
24 of HBsAg or of anti-HBs. Incubation periods and
25 clinical and epidemiological features were inconsistent

1 with the diagnosis of type A hepatitis, while the
2 serological evidence indicated that it was unlikely that
3 CMV or EBV infections had caused the post-transfusion
4 hepatitis in these 36 cases. It was concluded that
5 another infective agent, virus C, was involved and that
6 complete control of post-transfusion hepatitis would
7 require identification of this postulated hepatitis
8 virus."

9 It may, for completeness, be helpful to go over the
10 page to page 284 and about two thirds of the way down
11 the page the paragraph commencing:

12 "Evidence from the USA indicates that a long
13 incubation form of hepatitis, other than type B, exists
14 and this has been named type C or non-A non-B. Present
15 evidence on this infection in Britain is scanty but most
16 cases of post-transfusion hepatitis seem to be type B,
17 although some cases with relatively short incubation
18 periods are associated with type A or CMV or EBV
19 infections. It may be that at present, type C infection
20 is rare in Britain. More evidence on this subject will
21 emerge as RPHA and RIA are introduced as the method of
22 testing donations for HBsAg."

23 And to complete this passage; the next page at
24 page 284, again about half way down the page, a sentence
25 commencing:

1 "While type B hepatitis seems for to be the form of
2 post-transfusion hepatitis most commonly encountered in
3 Britain, it would be ..."

4 I'm sorry, we are on 285, please.

5 THE CHAIRMAN: Where is it, Mr Mackenzie?

6 MR MACKENZIE: It is about half way down, sir.

7 THE CHAIRMAN: Yes, about seven or eight lines down.

8 MR MACKENZIE: "While type B hepatitis seems to be the form
9 of post-transfusion hepatitis most commonly encountered
10 in Britain, it would be advantageous to recognise
11 markers for the infective agents of non-B hepatitis,
12 such as type B and type C if the latter really exists."

13 The comment at the end, "if the latter really
14 exists," does that tell us anything, doctor?

15 A. I think, you know, the whole sort of set of passages
16 that you have read, really underscores what I said just
17 before we broke, that this certainly reflects an
18 underlying attitude that this wasn't a big problem in
19 this country. Which again is slightly difficult to
20 understand when in the first paragraph that you read
21 I think it is suggesting that only 25 per cent of cases
22 of post-transfusion hepatitis can be explained by
23 Hepatitis B testing, given that there are a number of
24 reasons explained for that, like insensitive tests and
25 Epstein-Barr virus and so on. It is somewhat

1 inconsistent with the sort of conclusion that he moves
2 on to, that maybe it is not a problem and maybe it
3 doesn't exist at all. So I think it just again shows us
4 a sort of attitude that was clearly quite prevalent at
5 the time, that somehow non-A non-B hepatitis, which is
6 due to virus C, isn't a big problem in the UK.

7 Q. Was there a sufficient evidential basis in the UK in
8 1977 to say that non-A non-B hepatitis didn't seem to be
9 much of a problem?

10 A. No. I mean, there wasn't. The one study that I can
11 remember as preceding that was the one we have already
12 touched on, the MRC study, which was interpreted and
13 then reported and recycled, as it were, as basically
14 concluding that non-A non-B hepatitis was not a major
15 transfusion problem; whereas in fact, the data could be
16 interpreted as indicating it was actually quite a large
17 problem in this particular population.

18 It was a bit confused, that study, because the
19 patients were enrolled over the period when Hepatitis B
20 testing was just beginning and that does make the
21 findings a little bit more difficult to interpret. But
22 even stripping that out, I would have thought being, you
23 know, a proper prospective study, that was actually
24 quite strong evidence that there was something going on.

25 There were subsequent studies, which I have reviewed

1 in another paper -- I haven't got them all in my head.
2 But there was a study in 1983 in Newcastle of, I think,
3 100 or 200 post-cardiac surgery patients, in which the
4 incidence of persistent elevation of
5 Alanine Aminotransferase was very low, which would be
6 consistent with the view that this maybe wasn't a big
7 problem because these patients have received quite a lot
8 of blood.

9 Then later there were further studies, particularly
10 done around the north London transfusion service, which
11 also were interpreted that the incidence was low. But
12 the difficulty was the studies were really all too small
13 to get the numbers that would allow you to estimate the
14 size of the problem.

15 Q. I should perhaps say, doctor, I think we will come back
16 to look at all these studies in a separate topic after
17 the summer, the surrogate tests.

18 A. Sorry.

19 Q. No, it is helpful to know that.

20 A. Your question was date limited, and 1974, I cannot from
21 recollection think of any other studies that were
22 designed in such a way that would have given us very
23 useful information about the size of the risk of non-A
24 non-B, whatever agent was causing it.

25 Q. It may be helpful just to compare what is said in

1 Dr Wallace's textbook in 1977 with a report from
2 North America on the question of transfusion-transmitted
3 NANBH. So if we could, please, look at document
4 [\[LIT0013657\]](#). This is a paper entitled "Transmission of
5 non-A non-B hepatitis", written by J A Hoofnagle and
6 others, including Gerety and Purcell and Feinstone;
7 names we see quite regularly in this field.

8 If we go to the bottom left-hand of the paper, we
9 can see these authors were employed at the Bureau of
10 Biologics of the US Food and Drug Administration and
11 also at the National Institutes of Health in Maryland.
12 In short, what are these bodies, doctor? What are these
13 bodies, the Bureau of Biologics and the National
14 Institutes Health?

15 A. The Bureau of Biologics was essentially the
16 United States health service regulatory agency for
17 biological medications, biological treatments, as part
18 of the Food and Drug Administration. The laboratory of
19 infectious disease. The NIH, the National Institutes of
20 Health was probably the prime medical research institute
21 in the United States. So these are the heavy hitters,
22 these guys.

23 Q. Thank you. We can see on about the right-hand page of
24 the paper, this report is published in the Annals of
25 Internal Medicine. What journal is that?

1 A. It is an important, longstanding, respected American
2 medical journal.

3 Q. If we go forward, please, to page 3662, the right-hand
4 column, a little bit down the paragraph beginning:

5 "Several clinical and epidemiological features of
6 non-A non-B hepatitis have become clear from studies
7 such as the present ones."

8 I think this paper is quite helpful in perhaps
9 summarising knowledge in America at this time:

10 "First, non-A non-B hepatitis closely resembles type
11 B hepatitis. The incubation period, the clinical
12 symptoms and signs and the potential for chronicity
13 appear to be similar to type B hepatitis. Undoubtedly,
14 what was once referred to as 'serum hepatitis' included
15 both type B and non-A non-B hepatitis.

16 "Second, non-A non-B hepatitis appears to be spread
17 predominantly by the paraenteral route. Most cases have
18 been described in association with transfusion,
19 intravenous drug use or serum inoculation. However, as
20 in type B hepatitis, the importance of non-paraenteral
21 routes of transmission -- by saliva, sexual and intimate
22 contact, biting insects -- needs to be assessed. Third,
23 non-A non-B hepatitis appears to be associated with
24 a chronic carrier state in chronic liver disease."

25 Skipping the next sentence:

1 "These implicated blood donors were, for the most
2 part, asymptomatic. Both the liver function tests and
3 liver biopsy examinations frequently showed evidence of
4 underlying chronic hepatitis.

5 "Finally, non-A non-B hepatitis appears to be
6 common. Previous studies on post-transfusion hepatitis
7 have shown that 40 to 71 per cent of such hepatitis is
8 non-A non-B. Currently all blood donations are screened
9 for HBsAg by radioimmunoassay or a method of similar
10 sensitivity. Data generated from post-transfusion
11 hepatitis studies done since the institution of such
12 sensitive screening methods suggest that at the present
13 time, more than 90 per cent of post-transfusion
14 hepatitis is due to non-A non-B hepatitis."

15 To pause there, doctor, I think most or perhaps all
16 of the evidential basis for what is said here results
17 from studies carried out in North America. Is that
18 correct?

19 A. I believe so. I mean, the literature that probably
20 first sort of engaged my interest in this was actually
21 a conference report, which included an early report of
22 something called the transfusion-transmitted viruses
23 study, which some or all of the authors of this paper
24 were involved in. That was an observational study, as
25 opposed to a trial but it was a very big and very well

1 done observational study which demonstrated that there
2 was substantial incidence of disturbance of liver
3 function tests in individuals being transfused.

4 This was built on earlier work by, I mean,
5 notably -- I have blank for the name. Sorry, it will
6 come back to me in a minute.

7 There was a surgeon in the United States who had
8 been actually publishing a great deal of work on the
9 incidence of post-transfusion hepatitis prior to that,
10 including a book on the subject.

11 But I was personally aware of the reports of the TTV
12 study, and of course, that and a subsequent study also
13 somewhat serendipitously identified the issue -- which
14 we were then able to come on to -- that possibly some
15 form of testing that wasn't actually a direct test for
16 a virus had the potential to mitigate the risk to blood
17 recipients.

18 Q. We will come back to the testing.

19 A. I'm sure.

20 Q. Thank you, doctor. Simply to complete this line of what
21 was the knowledge of non-A non-B H at the time, could we
22 go next, please to [\[LIT0010189\]](#).

23 THE CHAIRMAN: Doctor, was it J Garrot Allan?

24 A. Allan, thank you.

25 MR MACKENZIE: This is another publication in the Annals of

1 Internal Medicine, this time in July 1979. This is
2 entitled "The chronic sequelae of non-A non-B
3 hepatitis". The authors include Berman and Alter.
4 Again, we can see from the bottom left-hand side of the
5 page is from the National Institutes of Health in
6 America. Again, I think there is quite a helpful
7 summary at page 0192. The bottom left-hand column,
8 essentially five observations or points are made which
9 I think are consistent with the paper we have just
10 looked at but perhaps developing the previous paper
11 a little.

12 So towards the bottom of the left-hand column:

13 "Several interesting features of non-A non-B
14 hepatitis and its relation to chronic liver disease
15 derived from this study. First, although it can be
16 clinically severe, acute non-A non-B hepatitis after
17 transfusion is usually anicteric, mildly symptomatic
18 disease and probably goes undetected in most patients
19 not prospectively followed. A very large number of
20 non-A non-B hepatitis cases may occur each year but an
21 accurate assessment of its incidence will not be
22 possible until tests are developed that will detect
23 specific serologic markers. Second, many cases of non-A
24 non-B hepatitis are associated with prolonged elevations
25 of serum transaminase."

1 The next paragraph:

2 "Third, the predominant histologic lesion of chronic
3 non-A non-B hepatitis appears to be chronic active
4 hepatitis."

5 The start of the next paragraph:

6 "Fourth, among patients with acute anicteric, non-A
7 non-B hepatitis in this study, the tendency to develop
8 chronic hepatitis could be predicted by the peak SGPT
9 elevation; anicteric patients with an SGPT in excess of
10 300 IU/L were much more likely to develop chronic liver
11 disease than were those with lesser elevations."

12 At the bottom of the page:

13 "Fifth, although one of our patients with chronic
14 non-A non-B hepatitis and one in a previous study had
15 histologic evidence of cirrhosis, patients with non-A
16 non-B hepatitis, including those with chronic active
17 hepatitis, usually show gradual improvement in abnormal
18 serum biochemical indices."

19 We can then leave that paper there. Is that the
20 sort of paper or knowledge you were aware of at the
21 time, doctor?

22 A. Probably, yes. And what -- the date of date of this
23 paper is?

24 Q. This was July 1979.

25 A. No, probably not in 1979, I have to say. I have been

1 working on quite different things for a while then but
2 I certainly was aware of the substance of this
3 information within quite a short time after joining the
4 SNBTS. Certainly by 1980.

5 Q. Just out of interest, doctor, you, I think, joined the
6 SNBTS in 1977 and became regional director in the
7 southeast in 1979?

8 A. Yes.

9 Q. During the 1970s and perhaps early 1980s, how was
10 knowledge distributed among transfusionists? What
11 periodicals did you read? How did you know about
12 updates in knowledge?

13 A. Well, there were a small number of journals. There was
14 then an American journal called "Transfusion". There is
15 an European journal called "Vox Sanguinis", which were
16 both published at that time and I think were both quite
17 widely read, certainly among my medical colleagues in
18 transfusion.

19 The British Society of Blood Transfusion probably
20 was formed after this date. So one was probably
21 dependent in terms of meetings on some very sort of, you
22 know, ad hoc organisations, gatherings of professional
23 staff and blood transfusion services. Certainly pre
24 sort of Internet type exchange of information.

25 So I would have thought that actually the primary

1 route of acquiring new information would have been from
2 reading either the transfusion journals or others, who
3 may have had an interest in another specialty as well,
4 may have looked for transfusion-related topics in, for
5 example, journals of surgery, or anesthesia or intensive
6 care. But I think in the 1970s there probably wouldn't
7 very much in those journals.

8 Q. Thank you. To complete this line of literature and to
9 come back to Scotland, could you, please, look at
10 [\[PEN0020511\]](#).

11 THE CHAIRMAN: The original reference was 0511 and I don't
12 think we are there yet.

13 MR MACKENZIE: Yes. Could we go back to the [\[PEN0020511\]](#),
14 please?

15 This, doctor, takes us back to Scotland. It is an
16 article, "Viral hepatitis in Glasgow, 1976 to 1977"
17 contributed by Dr Chaudhuri and another, and Dr Follett
18 in Glasgow. The reason I refer to this article is that
19 it appears to be one of the first reports, I think, of
20 non-A non-B hepatitis in Scotland. In the summary we
21 can see that:

22 "During the two-year period from January 1976 to
23 December 1977, 164 patients with a viral hepatitis were
24 admitted to the infectious diseases unit at Ruchill and
25 Belvidere hospitals Glasgow. Of these 52, 32 per cent

1 of patient had Hepatitis B, as they were found to be
2 HBsAg positive. In 112 patients who were HBsAg
3 negative, a diagnosis of non-B hepatitis was made;
4 however, in a majority of these patients,
5 epidemiological findings and clinical course suggested
6 a diagnosis of Hepatitis A."

7 In particular, if one goes to page 0513, one sees
8 the heading at the top "Non-A non-B hepatitis". The
9 author of this report says:

10 "In four patients with non-B hepatitis, hepatitis
11 developed within two to six months of transfusion of
12 blood products. Three male haemophiliacs and a female
13 patient with Christmas disease had received numerous
14 transfusions of Factor VIII and cryoprecipitate. These
15 four patients and also two drug addicts with hepatitis
16 had no evidence of Hepatitis B infection, nor of
17 Hepatitis A infection, nor of infection with
18 cytomegalovirus, nor EB virus. At present they are
19 classified as cases of non-A non-B hepatitis.

20 "Evidence from other countries suggests that a virus
21 or viruses may be associated with this type of hepatitis
22 and that a carrier state is possible. With laboratory
23 tests now permitting definitive diagnosis of Hepatitis A
24 virus infection as well as Hepatitis B, in 1979 it
25 should be possible to determine the prevalence of non-A

1 non-B hepatitis in the general population of West
2 Scotland."

3 Again, the next article, please, is [\[LIT0010395\]](#).
4 This is an article by Galbraith and others, including
5 Professor Zuckerman, entitled "Non-A non-B hepatitis
6 associated with chronic liver disease in a haemodialysis
7 unit". An article in the Lancet of 5 May 1979.
8 I think, doctor, this article is interesting. If one
9 looks at the summary, the authors state:

10 "To clarify the aetiology of an outbreak of HBsAg
11 negative, acute hepatitis in the renal unit at Fulham
12 Hospital, 1968 to 1970, serological tests for antibody
13 to Hepatitis A virus were done retrospectively on serum
14 samples obtained at the time of the outbreak."

15 A few lines down:

16 "These findings do not provide evidence for the
17 involvement of Hepatitis A virus in the outbreak of
18 hepatitis and effectively exclude a role for this virus
19 in a chronic liver disease which developed subsequently
20 in eight (28 per cent) of the patients. This outbreak
21 is therefore probably non-A non-B hepatitis, which has
22 not been reported previously in Great Britain in a
23 haemodialysis unit. The results confirm that this form
24 of hepatitis may be related to a high frequency of
25 persistent hepatic dysfunction."

1 This report is perhaps quite interesting in that the
2 actual outbreak was in 1968 to 1970 but it wasn't until
3 1979, I think, that the authors were able to identify
4 non-A non-B hepatitis as the likely cause.

5 A. Yes it required a specific Hepatitis A assay to be able
6 to make that classification.

7 Q. Indeed. And just for completeness on this paper, if we
8 could very briefly, please, look at [\[PEN0131426\]](#).

9 THE CHAIRMAN: Before we go there, the paper before,
10 [\[PEN0020511\]](#), there appears to be a very high incidence
11 of Hepatitis A recorded. Do you know how the population
12 came to be selected in that case or what the
13 distinguishing characteristics might have been?

14 A. That was the paper from CDS?

15 THE CHAIRMAN: Yes.

16 A. No, actually I couldn't see the age structure of the
17 population. So I'm not familiar with that paper.
18 I don't know whether the details are in the text but it
19 looked like a pretty young population, so I would
20 suspect that it probably included samples referred from
21 some outbreaks, possibly within an institution because
22 Hepatitis A is highly contagious. You can get a lot of
23 infected patients very quickly.

24 THE CHAIRMAN: So a lot of people who were showing jaundice,
25 who were yellow in a group or what?

1 A. Or who might not have been, you know, particularly
2 jaundiced but would have been unwell. But acute
3 Hepatitis A, the patients tend to get an elevated
4 bilirubin. They tend to get quite yellow, unlike
5 Hepatitis C, where it is typical to be maybe a bit
6 unwell but not to actually develop jaundice in the early
7 stages.

8 THE CHAIRMAN: I have a difficulty at the moment in seeing
9 where that paper does fit in, which is why I was asking
10 about it.

11 MR MACKENZIE: It is simply that I think it is one of the
12 first reported references in Scotland to non-A non-B
13 hepatitis here.

14 THE CHAIRMAN: I see. Just from that point of view?

15 MR MACKENZIE: Yes.

16 THE CHAIRMAN: Yes.

17 MR MACKENZIE: Before, I think, if we remember back to the
18 Wallace 1977 textbook, the reference to how, if
19 Hepatitis C exists and it didn't seem to be a problem in
20 the UK, I think it is one of the first reports saying it
21 is; that it appears to be here in Scotland in 1979.

22 Doctor, going back to the Galbraith investigation of
23 the outbreak in Fulham in 1968 and 1970, if you could
24 also simply, for completeness, have [\[PEN0131426\]](#). This
25 is a previous report on the same outbreak by the same

1 authors, reported also in the Lancet.

2 I think we can see this is a report in the Lancet in
3 1975 by the British authors of the previous paper. I'm
4 not going to go into it in any detail, doctor, but in
5 short when one reads this report, there is no suggestion
6 of non-A non-B hepatitis having been considered as
7 a possible explanation for the 1968 to 1970 outbreak and
8 that's perhaps quite interesting, that even in 1975 that
9 possibility didn't appear to have occurred to the
10 authors, or if it did, they certainly didn't put that in
11 their paper, which may be one indicator, for what it's
12 worth, of the awareness, the state of knowledge of non-A
13 non-B hepatitis in the UK at the time.

14 A. Yes.

15 Q. Finally, to complete this line of literature on
16 knowledge, if we could go, please, to two paragraphs in
17 the preliminary report. The reference is [\[LIT0012453\]](#)
18 and paragraph 6.110 is a reference to a 1981, the sixth
19 edition of "Diseases of the liver and biliary system" by
20 Professor Sheila Sherlock. There is reference there to
21 non-A non-B hepatitis that had accounted for about 75
22 per cent of post-transfusion hepatitis."

23 Although that may be a reference to America; we
24 would have to be cautious about that. Then:

25 "It is also noted that the NANB hepatitis agent had

1 not been conclusively identified and its identity
2 remained uncertain. In terms of the clinical course of
3 the disease, it indicated that a mild chronic hepatitis
4 develops in about a quarter of patients but this usually
5 improved with time although cirrhosis could develop."

6 If we could go over the page, please, to
7 paragraph 6.114, there is then a quote from
8 Professor Sherlock that:

9 "Non-A non-B hepatitis often progresses to a mild
10 chronic hepatitis. The prognosis of this is at the
11 moment uncertain but probably benign."

12 So, doctor, does this paper capture perhaps the
13 British knowledge and thinking on NANBH in 1981?

14 A. Well, all I can really say to that is that
15 Professor Sherlock was obviously the doyenne of
16 hepatology in the UK at the time. I would assume that
17 in preparing the various successive editions of her
18 textbook, she would have firstly read the literature
19 pretty well and secondly have consulted experts
20 internationally. So I mean this has to be considered as
21 an authoritative view, which may not be the same as
22 being a correct view.

23 Q. I think we might come back at different stages of the
24 Inquiry to look at questions of developing knowledge,
25 doctor. So I think I'll leave that at this point and if

1 I could return to your statement, please, at page 8.

2 We moved on to question 6, a slightly different
3 point. The question was asked whether the cessation of
4 the practice of collecting blood from penal institutions
5 led to any difficulties in maintaining a sufficient
6 blood supply in Scotland. You say that you can only
7 comment on the situation in the southeast RTC and you
8 have no recollection that stopping prison blood
9 collections caused supply problems in that region and
10 you think it is unlikely that it caused shortages since
11 the only prison session provided 0.3 to 1.3 per cent of
12 all southeast donations of the total collections in the
13 region.

14 So, doctor, when you did stop collecting at
15 Saughton, that didn't lead to any problems in the
16 southeast region, at least in supplies?

17 A. It did not, and we would not have expected it to do so
18 because our blood collection programme at that time was
19 firmly driven by the requirement for plasma to be used
20 in the preparation of Factor VIII, you know, in the
21 effort to achieve self-sufficiency with an ever rising
22 utilisation of Factor VIII.

23 So we actually had a superabundance of red cells.
24 The reason for that is that the majority of the plasma
25 which was provided from our centres to the fractionation

1 plant was collected, at that time, in the form of whole
2 blood from which it was then separated. So we had a lot
3 of red cells and we shipped the plasma off. Over this
4 sort of period we quite frequently supplied red cells to
5 centres south of the border. We regularly supplied them
6 to one of the London centres for quite a period because
7 we were concerned about, you know, inappropriate wastage
8 of cells that had been donated.

9 So it didn't cause a problem in the southeast
10 region.

11 Q. Did supplying red cells south of the border occur in the
12 late 70s or simply the early 80s or ...?

13 A. I think probably the early 80s. I would have to go back
14 and try and establish the precise dates but I think
15 probably early 80s.

16 Q. Thank you.

17 Returning to your statement, please, to page 9.

18 A number of particular questions are then asked and
19 reference is made to particular documents. We can
20 perhaps try and take this reasonably shortly. Question
21 7 asked whether you were aware of the evidence produced
22 by the NBTS for England and Wales around July 1974, that
23 the incidence of Hepatitis B in donors from prisons was
24 approximately five times greater than the incidence in
25 donations from the general public, and reference to

1 document [\[SGH0017095\]](#) is made. You say that you have no
2 recollection of being aware of that report before
3 receiving a copy from the Inquiry. But, of course, you
4 didn't join the BTS in Scotland until 1977, I think?

5 A. That's correct. I mean, I'm surprised that I wasn't
6 aware of it but I wasn't.

7 Q. In any event, the English findings around July 1974 are
8 fairly similar to the Wallace report in 1972 of an
9 approximately five times higher incidence of the
10 prevalence of Hepatitis B antigen in prison donors.

11 A. It is possibly just worth mentioning that one
12 contributory reason for that is almost certainly the
13 fact that almost all the donors in prisons will be first
14 time donors as opposed to donors from the community,
15 80 per cent of which have given before and therefore the
16 population of those with positive tests has been
17 screened out and excluded.

18 So we see a higher rate of any infectious markers in
19 first time donors. I'm not suggesting that accounts for
20 the whole phenomenon. It would be a contributor to it.

21 Q. So to get a true comparator, one would have to compare
22 the prevalence in prison donors with non-prison first
23 time donors?

24 A. I think that would be correct, yes.

25 Q. Thank you. Going back, please. Question 8 then moves

1 on to a separate matter. It asks whether you were aware
2 of a letter dated 6 January 1975 by Garrot Allan to
3 Dr Maycock in England warning of the increased risk of
4 hepatitis including non-A non-B hepatitis from the blood
5 of prisoners.

6 I think you say you have no recollection of having
7 been aware of that letter but you had read
8 Dr Garrot Allan's book. I think we should bring the
9 letter up because we haven't looked at it yet. It is
10 [\[SGH0046061\]](#). We can see from the top that
11 Dr Garrot Allan was a professor of surgery at
12 Stanford University in California. On 6 January 1957 he
13 wrote a letter to Dr Maycock at the blood products
14 laboratory in Elstree in England. Who was Dr Maycock at
15 this time?

16 A. Well, Dr Maycock was the director of what was called the
17 blood products laboratory, which was the predecessor to
18 the new bio-products laboratory and essentially
19 a fractionation facility. I think Maycock was also
20 a very senior figure in the transfusion world and
21 I think he was adviser to the Department of Health on
22 transfusion matters around this time.

23 Q. Thank you.

24 We can see Dr Garrot Allan's letter, the first
25 paragraph. The context is in relation to factors VIII

1 and IX. Then about half the way down the page,

2 Dr Garrot Allan states:

3 "The other imponderable which has troubled most of
4 us is the ineffectiveness in screening for the
5 Hepatitis B antigen. This failure, of course, dates
6 back to at least 1971 and suggests that half, if not
7 more of the cases of post-transfusion hepatitis are
8 caused by an agent other than Hepatitis A or B.
9 Whatever this agent or agents may be, it still seems to
10 be more frequently encountered."

11 There is a missing word, I think it may be:

12 "... [in] the lower socio-economic groups of paid
13 and prison donors. It is ..."

14 There is an indecipherable word:

15 "... among volunteer donors. It seems that the most
16 certain method we have for reducing the number of
17 carrier donors at the present time is still to determine
18 whether or not the donor has been paid in money."

19 The missing word may be "or":

20 "... in reduction of his prison sentence."

21 You say you weren't aware of this letter at the time
22 but you were aware of Dr Garrot Allan's book published
23 in 1972. What was the general thrust of the message or
24 the findings in Dr Allan's book?

25 A. I think there were two. There is a huge amount of data

1 in there for a start, so it is an extremely difficult
2 read, but I think the sort of dominant message that came
3 through from his work was exactly what he said here: to
4 improve the hepatitis safety of transfusion, the best
5 thing was to stay away from paid donors and particularly
6 from paid prison donors. But his data also shows, you
7 know, quite clearly, as do other quite early papers, the
8 very high rate of post-transfusion hepatitis in many
9 parts of the United States. I mean, spectacularly high.

10 So there is no doubt that at the time a lot of blood
11 was collected in commercial centres, as he says here --
12 you know, transfusion centres were businesses,
13 commercial blood banks -- then the overall risk of
14 contracting hepatitis from transfusion in the
15 United States was much higher than it was here.

16 I think, going back to obviously earlier discussions
17 about the prevailing attitudes, that was very important.

18 I think people in the UK were extremely proud of the
19 voluntaryism and the voluntary system and they knew it
20 was morally better and they probably felt also that it
21 was microbiologically safer. It was safer. The rates
22 of post-transfusion hepatitis in the UK never, I think,
23 reached anything like the very high rates described in
24 the USA.

25 Q. So in the early 1970s it was known that paid donors

1 resulted in a much higher prevalence of post-transfusion
2 hepatitis?

3 A. Absolutely.

4 Q. Was any consideration given, either in the UK or the US,
5 as to the underlying reason or reasons for that?

6 A. I'm not sure that a great deal of attention was given to
7 it in the UK because paid donations was not a phenomenon
8 that we had ever had in the UK.

9 I think, as Dr Allan says in his letter here, the
10 donors who were receiving payment tended to be motivated
11 by the importance of receiving that payment, which, you
12 know, discourages the disclosure of any sort of
13 potential behaviour or other bar to donating. And also
14 from essentially low income groups, who would, for, you
15 know, sort of environmental, sociological reasons, have
16 a higher prevalence of infection anyway.

17 So everything militates against blood safety if you
18 are using paid donors, and precisely the same issues
19 come up with paid plasma donors, as you will come on to
20 later on. You just have to see it to understand what
21 the problem is.

22 Q. Yes. Going back to your witness statement, please,
23 doctor, at page 9. This is another new document we
24 haven't looked at yet, I think.

25 You were asked whether you were aware of a letter

1 dated 1 May 1975 by Dr Yellowlees, the chief medical
2 officer of England and Wales, to all regional medical
3 officers in England and Wales on the subject of blood
4 donation and hepatitis. We should perhaps look at this
5 letter. It is [\[SGH0030187\]](#). This is a letter of
6 1 May 1975. It is headed "Blood donation and hepatitis".
7 It starts:

8 "The department has recently received advice from
9 a group of experts ..."

10 If we look at the footnote at the bottom:

11 "Being a subgroup of the advisory group and testing
12 for Australia antigen on the use of blood donations from
13 certain categories of donors. Geographical factors --"

14 I think the point is that it had been noted that
15 donors from what was termed "tropical areas" had an
16 higher prevalence of Hepatitis B antigen. If we can go
17 over, please to the second page, the other point which
18 is noted concerns prisons. Dr Yellowlees states that:

19 "There is a relatively high risk of Hepatitis B
20 being transmitted by the blood of prisoners but there is
21 probably an equally high risk in other groups of the
22 population, eg drug addicts, who are not so easily
23 identified in advance as prisoners if they can be
24 identified at all. The advice we have received is that
25 it is not necessary to discontinue the collection of

1 blood at prisons and similar institutions provided that
2 all donations are subjected to one of the more sensitive
3 tests referred to above."

4 So at this time in May 1975, the advice of the chief
5 medical officer in England and Wales is that it is
6 acceptable to collect blood from prisoners provided
7 a sensitive Hepatitis B screening test is used. Is that
8 correct?

9 A. That's what he says.

10 Q. Albeit you weren't aware of this document --

11 A. I wasn't aware of this.

12 Q. -- at the time. If you are not able answer this,
13 Dr McClelland, please say so but do you think that was
14 appropriate advice at the time?

15 A. I think it is very surprising advice from a CMO, from
16 a public health doctor. That seems to me to be very
17 strange advice. I don't know from this letter where his
18 expert advice on transfusion came from. I suspect it
19 may have been from a committee chaired by Dr Maycock.

20 Q. I think it was a subgroup of that advisory group, yes?

21 A. I have never been privileged to see any of the
22 deliberations of that group. I think it is a very
23 surprising letter actually.

24 Q. Given this is dated May 1975, why do you find it
25 surprising?

1 A. Because I would have expected, you know, someone who
2 really would have had an overview of some of the basic
3 issues in public health to have paused and thought,
4 "Hang on, prisons can't be a very good idea". It has
5 been known for a long time and common sense would tell
6 you that, you know, prison is a place where living
7 hygiene standards aren't very good, where there would be
8 people who have got, you know, difficult lifestyles and
9 so on. All gathered together. It just doesn't make
10 sense to me, really.

11 Q. This is dated May 1975; you in Edinburgh continued to
12 collect from prisons until 1981. So why do you find
13 this advice surprising, if in fact you continued to
14 follow it until 1981?

15 A. I think that we should have stopped. I think we should
16 have stopped sooner. I think it was a matter of
17 focusing on, you know -- you come to a complicated new
18 job, you have to decide on which bit of it you are going
19 to focus on and there were many, many preoccupations,
20 like -- as will be evident from the medicines
21 inspector's report, the facilities in Edinburgh were
22 deeply unsatisfactory. There was a huge pressure within
23 the organisation. Really the driving pressure in the
24 organisation was collecting plasma to meet haemophilia
25 requirements, and I think that I, as a director there,

1 was slow off the mark in realising this.

2 I don't wish to defend that but, as you say, you end
3 up not paying attention to all the potential problems
4 simultaneously. This was one that came a little bit
5 later but I think we responded to it. I think once we
6 sort of started to think about the issue, it became
7 quickly very obvious that we were going to stop.

8 Q. If we can perhaps deal with this in this order, doctor.
9 Firstly, I think, from what you have said, it seems
10 clear that, with what we know now, with everything we
11 know now looking back and from what you have said, your
12 view would be that blood should not have been collected
13 from prisons between 1975 and 1981. Is that correct?
14 With the benefit of hindsight?

15 A. With the benefit of hindsight, absolutely.

16 Q. Let's then, if we can, unlearn what we now know and go
17 back to that period, 1975 to 1981. If I had asked you
18 to think about the question at the time, between 1975
19 and 1981, and if I had asked you then, is it appropriate
20 to continue the practice of collecting blood from
21 prisons, what do you think your answer would have been,
22 if you had applied your mind to it?

23 A. I think that's almost impossible to answer. I can't
24 unlearn. I mean, what may have happened at that time
25 was I would have consulted my colleagues, as transfusion

1 directors, many of whom had been in post for a long time
2 and were highly experienced, and I would have perhaps
3 consulted what, you know, the recommendations from the
4 CMO, or whoever, were. And I might have concluded that,
5 because it was normal practice, because everybody else
6 was doing it and because the CMO said it was fine,
7 I might well have continued -- I can't put myself back
8 25 years in any meaningful way.

9 Q. I appreciate it is difficult, doctor. Another way of
10 looking at it is this: you did say a little earlier that
11 you thought the advice in Dr Yellowlees' letter
12 of May 1975 was wrong, was incorrect, and also I think
13 you said that you should have ceased the practice of
14 collecting --

15 A. With the wisdom of hindsight, yes.

16 THE CHAIRMAN: Can you remind me when Mrs Thornton became
17 the regional donor organiser.

18 A. I was appointed in 1980 ... sorry, I was appointed
19 director in 1979. I think she was provided in 1980,
20 very shortly after my appointment.

21 THE CHAIRMAN: Did I understand correctly that she had
22 a significant part to play in alerting you to this?

23 A. Absolutely.

24 THE CHAIRMAN: So before that, had it been a real issue for
25 you, do you remember?

1 A. I don't think it had. I think I had probably accepted
2 it as the way things were done and probably not directed
3 a great deal of attention to it because I was probably
4 directing my attention to other things.

5 THE CHAIRMAN: Mrs Thornton wasn't a medical person in any
6 way.

7 A. No, she was not, that was possibly one of her great
8 strengths.

9 THE CHAIRMAN: I think it has been her great strength in
10 other jobs since.

11 A. She cast a very fresh eye.

12 THE CHAIRMAN: So really it is speculative to be asked to
13 try to answer --

14 A. I am afraid it is, sir.

15 MR MACKENZIE: Because in short, would it be fair to say,
16 doctor, you hadn't really applied your mind to it until
17 Miss Thornton raised it as an issue when she arrived?

18 A. Yes.

19 Q. I see. Reverting to your statement, please, doctor, at
20 question 10 the question was asked why the SNBTS
21 continued to collect blood from penal institutions
22 following the Medicine Inspectorate's adverse comments
23 on that in March/May 1982.

24 I think you have explained already that of course
25 the Edinburgh Southeast Scotland section had stopped in

1 any event by March/May 1982 and you have referred
2 already in your evidence to the main argument in favour
3 of continuation, that a collection of blood in prisons
4 made an important contribution to blood supply at times
5 such as holiday periods when collection from the general
6 public was more difficult. We have looked at that
7 already.

8 Then question 11 refers to a meeting of the SNBTS
9 directors on 29 March 1983 and asks why the directors
10 were unable to agree on a future policy in respect of
11 collecting blood from penal institutions. Over the page
12 you explain you do have a recollection of this matter
13 being discussed at the directors' meeting but you don't
14 recall any specific points and you think that it is
15 likely that opinions differed about the impact on the
16 blood supply for the different regions of using prison
17 blood collections.

18 A. I have to add to that actually, I didn't remember when
19 I wrote this, but I think it may well have been at that
20 meeting that Dr Brookes made the comments that
21 I referred to earlier, in which she expressed a view
22 that collections in prisons were not a good idea.
23 I think it may well have been part of that discussion.

24 Q. I see.

25 A. The minute is singularly uninformative.

1 Q. But in short, I think in 1983 there was some discussion
2 of the question of collecting blood from prisons at at
3 least some of the SNBTS directors' meetings.

4 A. That's correct, and there was clearly a difference of
5 opinion for the reasons which you have just reviewed.

6 Q. Yes. Question 12. This refers to a meeting of the
7 National Institute for Biological Standards and Control
8 on 9 February 1984 to discuss the infectious hazards of
9 blood donors, and you advised that certain policies had
10 been adopted in Scotland to minimise the risk of
11 transmission of infection:

12 "The main strategies were stated to include the
13 avoidance of high risk communities such as prisons."

14 The question was asked:

15 "When was the strategy referred to at the meeting of
16 avoiding high risk communities such as prisons adopted
17 and implemented and why?"

18 Et cetera. I don't really, I think, doctor, want to
19 go to the document in the interests of time.

20 I appreciate that we do want to get through this.

21 I think for the record the reference is [\[SNB0048628\]](#).

22 I think you explain that you haven't found any notes of
23 your contribution to that meeting so you are not sure
24 how accurately the meeting reflects what you said but
25 you think your remarks would have related to donors'

1 selection in relation to both AIDS and hepatitis. Of
2 course, by that stage, 9 February 1984, AIDS was,
3 I think, very much on the scene.

4 A. Yes. I mean, the use of the term "high risk groups" or
5 "high risk communities" really, I think, began with the
6 discussions about AIDS, which is why I think, if that's
7 what was minuted, that's probably what I was talking
8 about. It was on top of everybody's mind at that
9 period.

10 Q. Well, we may come shortly, doctor, to some international
11 documents which do use the same term, "high risk group",
12 in relation to hepatitis. But it may be nothing much
13 turns on that perhaps.

14 A. Probably not.

15 Q. Yes. Then, doctor, question 13. The answer, I think,
16 we will simply take as read because that relates to
17 surrogate testing, which we will come back to after
18 summer.

19 Question 14 asks about any discussions between the
20 SNBTS and officials from the SHHD on the question of the
21 practice of collecting blood from prisons. In short,
22 doctor, are you aware whether the SHHD, the Scottish
23 Home and Health Department, ever sought to influence or
24 encourage the SNBTS in the collection of blood from
25 prisons?

1 A. I'm not aware of the Home and Health Department
2 expressing a view either way, either for or against.
3 The view, I think, that has been expressed in a number
4 of documents from the English Department of Health was
5 it is up to the regional directors at this time; the
6 responsibility lies with the transfusion directors to
7 decide. But I personally wasn't involved at this time
8 in any discussions with the department. As I have said
9 here, though, the transfusion directors' meetings were
10 regularly attended by a senior person, a medical person,
11 from the department and they received all the papers and
12 so on. They would have been party to any discussions
13 and would have had ample opportunity to express
14 a departmental view, had they wished to do so.

15 Q. Yes. Who do you consider was best placed to decide on
16 matters of donor selection policy: the Scottish Home and
17 Health Department or the
18 Scottish National Blood Transfusion Service?

19 A. I think it probably was primarily an issue for the
20 Scottish National Blood Transfusion Service. Had there
21 been a view that there was, as it were, a non-medical,
22 like a sociological or welfare reason, to encourage
23 donation in prisons, which certainly is the strand that
24 emerged from the consultations in London, that, I think,
25 would have been an issue for the Department of Health

1 because it is certainly not a health issue for the
2 transfusion service.

3 Q. And I think we have seen reference in some of the
4 documents to the Home Office in London being in favour
5 of prison collections for prisoner rehabilitation
6 reasons but are you aware --

7 A. I'm not aware of that having emanated from the SHHD.

8 Q. Thank you.

9 Returning to your statement, please, doctor,
10 question 15 we have dealt with. Question 16 moves on to
11 a separate topic, or rather issue, the question of
12 donors with a history of jaundice. Again I would hope
13 to take this reasonably shortly because I think it is
14 all fairly well documented.

15 Question 16 refers to the second report of
16 Dr Maycock's advisory group on the testing for the
17 presence of Hepatitis B surface antigen, where, in
18 short, a recommendation was made that blood from donors
19 with a history of jaundice or hepatitis could be
20 accepted if the donor tested negative for Hepatitis B
21 surface antigen.

22 You say in your statement you do not remember being
23 part of the discussions for this report. Again it would
24 be before 1977, before you joined the SNBTS, and
25 certainly before 1979, when you became regional

1 director. You do, however, refer to, in the final
2 paragraph on page 13:

3 "The National Blood Transfusion Service memorandum
4 on the selection, medical examination and care of blood
5 donors in 1977 appears to embody the Maycock
6 recommendation."

7 I think it may be sufficient, doctor, to simply give
8 the references for these documents. Sir, I don't want
9 to take up too much time on all of this but if other
10 parties have any issues over them, they can no doubt be
11 raised.

12 The Maycock report: the reference number for that
13 document is [\[SGH0030079\]](#); the 1977 guidance is
14 [\[SNB0025348\]](#), and I will, sir, be coming back to look at
15 this question with Dr Dow in due course because Dr Dow,
16 in his statement, refers to a number of published papers
17 on this question of accepting donors with a history of
18 jaundice.

19 But, in short, there was a change in 1975 or 1977
20 towards now accepting donors with a history of jaundice
21 or hepatitis, so long as, I think, the attack had been
22 more than 12 months previously and the donor was
23 negative for Hepatitis B --

24 A. That's correct.

25 Q. -- using a sensitive test.

1 At page 14 of your statement, doctor, you revert
2 a little to the question of evolution of knowledge about
3 non-A non-B hepatitis and you say:

4 "This period was early in the evolution of knowledge
5 about non-A non-B hepatitis."

6 You say, "This period". Is this 1975 to 1977, or
7 about 1975?

8 A. I think I was probably referring to the time when that
9 recommendation came out.

10 Q. Which was 1975, thank you.

11 A. Yes.

12 Q. And you quote from a paper by Gerety and others. You
13 say:

14 "The first solid indication that an additional form
15 of hepatitis existed came from the analysis of
16 post-transfusion hepatitis after it had become possible
17 to show that a large percentage of post-transfusion
18 hepatitis was neither Hepatitis A nor Hepatitis B".

19 And you refer to three papers there. You go on to
20 say that:

21 "The importance of the condition had not at this
22 time ..."

23 Again, is that 1975 you are referring to?

24 A. Yes.

25 Q. "... been fully appreciated by many concerned with these

1 decisions. Because no causative agent could be
2 identified, there was no specific test for non-A non-B
3 and knowledge of the natural history and the
4 epidemiology was lacking, it was not possible to know
5 that individuals could become infected without having
6 evidence of jaundice or indeed any clinical features.
7 Nor could it be known that once an individual was
8 infected, their blood could continue to contain the
9 infectious agent for many years in the absence of any
10 symptoms or that some forms of chronic liver disease
11 would eventually be discovered to be caused by chronic
12 infection."

13 To pause there, doctor, that passage I have just
14 read out, where you seek to capture knowledge in 1975,
15 if one puts the advice by Dr Yellowlees in May 1975, if
16 one considers that advice, about the collection of blood
17 from prisoners, if one puts that advice against the
18 background of your summary of knowledge in 1975, does
19 that make the advice any more or less appropriate?

20 A. The change, obviously, here was all about suddenly
21 having a test for Hepatitis B. I feel that the advice
22 about prisons surprises me because it's wider than just
23 hepatitis. You know, as I say, I would have expected an
24 experienced public health expert to have been concerned
25 about essentially the whole gamut of infection risks

1 among prison donors and also about possibilities of, you
2 know, prisoners being poorly nourished perhaps being
3 rendered iron-deficient. There would be quite a lot of
4 reasons why what is essentially a pretty underprivileged
5 community, one should think very carefully about asking
6 them to donate blood, both from the safety of the
7 patient and possibly also for the safety of the donor.
8 I do find it surprising, despite that statement.

9 Q. So in 1975, if one was considering the practice of
10 collecting blood from prisoners, should there have been
11 any consideration of whether there was a higher risk of
12 prisoners transmitting infection?

13 A. I think that's what I'm saying. The focus here was
14 on -- again hindsight is a dangerous thing. The focus
15 here was on Hepatitis B, and I think there must have
16 been a period after the discovery of the Australia
17 antigen by Blumberg et al, which moved very rapidly on
18 to having some really rather insensitive tests, when,
19 you know, there was a sense that we have cracked the
20 problem of hepatitis, and in the background these guys,
21 particularly in the States, were very rapidly realising
22 that they probably hadn't cracked the problem of
23 hepatitis. Then, when the Hepatitis A tests became
24 available and the importance of examining liver enzymes
25 perhaps became more widely realised -- and you showed

1 some of the early original papers in the last half hour
2 or so -- it very quickly became evident to people who
3 were looking at all the facts that there was something
4 else going on.

5 Q. So again trying not to look back with the benefit of
6 hindsight, do you think that any consideration between,
7 let's say, 1975 and to the end of the 1970s, the
8 second half of the 1970s, of whether it was appropriate
9 to continue to collect blood from prisoners, ought any
10 such consideration to have included consideration of the
11 question of non-A non-B hepatitis?

12 A. I think to put it in those specific terms is probably
13 asking for an incredibly quick knowledge transfer, to be
14 quite honest. I mean, we are talking about these
15 earliest inklings that there was another entity which
16 are referred to here. It is perhaps a little
17 unreasonable to expect that to move instantly into
18 a completely different context and be considered
19 carefully and reflected on and applied. Life's not like
20 that.

21 Q. So not even between 1975 and, say, 1979?

22 A. That's a matter of opinion. This is conjecture, not
23 evidence.

24 Q. Thank you. An important distinction.

25 Returning, please, doctor, to page 14 of your

1 statement, question 17, the answer again we will take as
2 read, if I may, because we will return to that with
3 surrogate testing.

4 Question 18 asks about the procedures in place
5 within the SNBTS between 1975 and 1991 for the exclusion
6 of donors at a higher risk of transmitting non-A non-B
7 hepatitis, including the exclusion of donors with
8 a history of jaundice and hepatitis, and then,
9 two paragraphs down, you say:

10 "During the first period, 1975 to 1983, [you]
11 believe that the measures taken by SNBTS were
12 essentially those described in the 1977 guidance ..."

13 Which we referred to earlier, although to date you
14 say you have not located donor selection guidance
15 documents used by SNBTS earlier than 1982. Have you
16 since managed to find anything further?

17 A. There has been a further search and I know documents
18 were submitted to the Inquiry relatively recently.
19 Whether they yielded anything additional or not, I don't
20 know at the moment.

21 Q. Thank you.

22 At the top of page 16 you say your recollection is
23 that:

24 " ... some of the SNBTS services modified this
25 policy ... "

1 That's the policy in the 1977 guidance:

2 " ... restricting acceptance to donors with
3 a jaundice history under the age of 12 years. The
4 rationale for this was that in that age group, where
5 there was any evidence of infection with the hepatitis
6 virus, it was almost always found to be an antibody to
7 Hepatitis A virus."

8 Can you explain what, briefly, that refers to?

9 A. I think this was based on work done by Dr Brian Dow, who
10 I'm sure could give you a more expert read on this than
11 I can. But in one of his studies, or a study carried
12 out by Dr Follett's lab, I can't remember, but it became
13 clear that donors who reported that they had had
14 jaundice in childhood, many of them had Hepatitis A,
15 evidence of past Hepatitis A infection, and Hepatitis A
16 is effectively not transmissible by transfusion. It is
17 essentially a transient infection, where the virus is
18 cleared and is for all practical purposes not considered
19 as a threat in terms of transfusion.

20 I suspect -- but I have to say I have not found the
21 evidence for this and it is possible that
22 Dr Jack Gillon -- in fact it is probable that
23 Dr Jack Gillon could expand on this point -- that the
24 decision to restrict the acceptance of a donor with
25 a jaundice history was related to a concern that

1 jaundice occurring in later life may not be due to
2 Hepatitis A but due to something to do with non-A non-B.
3 This is a slightly vague recollection of something
4 a long time ago and I would hope that perhaps Dr Gillon
5 can enlighten the Inquiry.

6 Q. That's fine. We may pick that up again with Dr Dow in
7 due course.

8 Question 19, doctor, asks about the question of
9 national policies and/or whether each region had its own
10 practices and policies, and you reply that you are not
11 aware that was a national policy:

12 "My understanding is that all the SNBTS regions had
13 based their procedures on the 1977 guidance document."

14 Question 20 is really the final question to do with
15 donors with a history of jaundice or hepatitis, and it
16 is asked (a) if such donors had been excluded, is that
17 likely to have caused any difficulties in maintaining
18 a sufficient supply of blood and (b) the extent to which
19 post-transfusion hepatitis in Scotland was likely to
20 have been reduced.

21 In relation to (a), I think your answer in short is
22 that if such donors had been excluded, that is unlikely
23 to have caused any difficulties in maintaining
24 a sufficient blood supply. Is that correct?

25 A. It is, but the answer to that hinges on the proportion,

1 the number, of donors who would be labelled as having
2 a history of jaundice and, as I tried to point out,
3 that's actually an extremely difficult thing to
4 determine in an any reliable or standardised way.

5 Q. If we turn page 17 of your statement, you do address
6 this, to be fair. Under "Impact on blood supply" you
7 refer to various papers which report varying incidences
8 of a past history of jaundice amongst donors, and just
9 below that paragraph you explain that, assuming that the
10 lower figure of around 3 per cent is correct, the
11 exclusion of donors with a jaundice history would
12 probably not have had a major impact on supply but this
13 is essentially speculation.

14 Then, finally, the question asked:

15 "If such donors had been excluded, would that have
16 had an appreciable difference in reducing
17 post-transfusion non-A non-B or Hepatitis C?"

18 If one then goes, I think, to page 18, again trying
19 to take your answer in short, or reasonably shortly,
20 under the table you say:

21 "With respect to antibody to Hepatitis C virus,
22 Crawford et al in 1994 ... "

23 Our reference is [\[PEN0020582\]](#):

24 "... found that only 5.9 per cent of the donors who
25 had been found to be HCV-positive gave a history of

1 jaundice, suggesting that the result of this questioning
2 would not be an effective screening test. This is
3 consistent with observations that the natural history of
4 Hepatitis C infection does not typically include early
5 episodes of jaundice. The infection can be asymptomatic
6 for a long period after exposure. So it cannot be
7 assumed that donors carrying the virus would recall any
8 episode of jaundice or hepatitis."

9 In short, doctor -- and if I'm being overly
10 simplistic, please say so. But in short, with
11 Hepatitis C is it the case that a minority of people who
12 contract Hepatitis C display jaundice? Is that correct?

13 A. I think that's correct, yes.

14 Q. And those people who do display jaundice are the ones
15 most likely to clear the virus?

16 A. I'm not really professionally qualified to comment on
17 that second question.

18 Q. I should perhaps ask a hepatologist?

19 A. My knowledge may well be out of date on that.

20 Q. I'm grateful.

21 In the final paragraph, page 18, of your statement
22 you say:

23 "From the above information I am unable to estimate
24 the size of any possible impact of an exclusion of
25 donors with a history of jaundice on the incidence of

1 post-transfusion hepatitis but I think it is unlikely
2 that any effect would have been large."

3 Doctor, thank you. That completes your statement.
4 I am afraid, sir, there are some international documents
5 I would like to take Dr McClelland through but it may be
6 that 2 o'clock may be a better time to start that.

7 THE CHAIRMAN: I think better than 1 o'clock, yes.

8 After lunch.

9 (12.58 pm)

10 (The short adjournment)

11 (2.00 pm)

12 THE CHAIRMAN: Dr McClelland, could I bring you back to the
13 start of the day and the red book, please?

14 A. Yes.

15 THE CHAIRMAN: The note I had related to a meeting of the
16 SNBTS directors on 13 September 1983. We won't look at
17 the minute but it is [\[SNF0010072\]](#), and I think it was at
18 that meeting that Dr Brookes expressed very strongly her
19 feeling that blood should not be taken from prisoners.

20 The discussion proceeded and the minute notes that:

21 "Dr Mitchell in particular felt that it would be
22 unfortunate if a recommendation to cease collecting in
23 prisons was to be included in the red book of good
24 manufacturing practice."

25 Which is considerably earlier than your book and is

1 the source of my confusion at the moment. Can you help?

2 A. I think so, yes. I think what I said about what is now
3 called "the red book" was correct. I think its first
4 edition was mid 1990s. There was a thing called "The
5 guide to good manufacturing practice", which was usually
6 known as "the orange guide", and I suspect that this
7 slight colour confusion may be the source of it.

8 THE CHAIRMAN: That might explain a lot. If I just give you
9 a little of my impression of what happened thereafter,
10 perhaps you can tell me.

11 My impression is that in the mid 1980s there was an
12 attempt to revise whatever that was then known as, and
13 that certain documents were issued by the DHSS that
14 didn't find universal approval in Scotland. And
15 Dr Urbaniak in particular prepared quite long list of
16 corrections to it and soon after that you seem to become
17 a member of a group that had in mind the preparation of
18 quite a different document. Is that correct?

19 A. I did actually write a short sort of statement about
20 this.

21 THE CHAIRMAN: I have not been party to what you have not
22 given in evidence. So maybe it is not explained.

23 A. I have expected to have been examined on that today.
24 There still is confusion and what I tried to make clear
25 in this other document was that there -- the document

1 that you have just referred to was prepared by the then
2 director of the Oxford Regional Transfusion Service,
3 with one or two colleagues.

4 As I recall, there were two parts to it. One was
5 a revision of the guide to donor selection, which we
6 discussed previously, an update of that. The second was
7 a revision of something called "Notes on transfusion",
8 which was neither orange or red; it was actually white.
9 It was a successor to a previous document which was
10 directed at the clinical users of blood. So it was
11 a hospital-focused document.

12 What you recollect is absolutely correct. When this
13 document arrived, it was discussed extensively by the
14 Scottish directors and we had a number of problems with
15 it, most important of which was that actually it was
16 full of mistakes. So it was issued along with a whole
17 lot of sort of stick-on erratum pieces, including
18 several complete pages. And we felt this was really not
19 a very business-like way to do business. The outcome of
20 that was that it was decided not to issue it in Scotland
21 and in fact I think -- I'm not sure -- it was possibly
22 not issued in England either. For my sins I got landed
23 with the job of producing something which was supposed
24 to be better, which ended up as the Handbook of
25 Transfusion Medicine, which has survived through and

1 I think you had evidence early on this week from my
2 successor as editor of that.

3 So that was addressing the clinical practice bit of
4 the business.

5 THE CHAIRMAN: It doesn't seem that my limited researches
6 have actually cast any light on matters.

7 Mr Mackenzie?

8 MR MACKENZIE: Thank you, sir. I think we can return to the
9 question of the guidance for selection and notes on
10 transfusion a little more with Dr Gillon perhaps
11 tomorrow afternoon.

12 Dr McClelland, I would like to finish my chapter of
13 questioning, if I may, by referring you to six documents
14 which I think set out matters from an international
15 perspective, the 1970s, and there are really two
16 questions I would ask you to bear in mind while looking
17 at these documents. The first question is whether these
18 documents support the practice of collecting blood from
19 prisons or rather point away from that practice.
20 Similarly, the second question will be whether these
21 documents support the practice of accepting donors with
22 a history of jaundice or hepatitis, or rather point away
23 from that practice.

24 So with that preamble, could I ask you to look
25 first, please, at document [\[PEN0020462\]](#)?

1 If you go over to the next page, please, we can see
2 this document is entitled "Blood transfusion: a guide to
3 the formation and operation of a transfusion service".
4 It is edited by C C Bowely, K L G Goldsmith and
5 W d'A Maycock on behalf of the World Health Organisation
6 International Society of Blood Transfusion and the
7 League of Red Cross Societies. At the bottom of the
8 page we can see it was published by the
9 World Health Organisation in 1971.

10 We know that Dr Maycock was from England and in fact
11 if we go to page 8 of this document, please, we can see
12 the contributors. We can see Dr Bowely was the director
13 of the NBTS in England, based at Sheffield.
14 Dr Goldsmith was at MRC in London, and Dr Maycock we
15 have looked at already. We can see essentially,
16 I think, a fairly international and particularly
17 European set of contributors.

18 If we can then, please, go to page 0474, which is
19 page 17 of the document, we can see the subheading
20 "Recruiting methods". If we then go over the page,
21 please, we can see a few lines from the top:

22 "Initial steps to form a panel of donors are best
23 taken within such groups and communities as the armed
24 forces, the police, large industrial or commercial
25 undertakings, universities, prisons and social or

1 religious foundations. The advantages are that
2 information about the need for donors and the speed and
3 ease of donation can easily be given directly to the
4 members of the community or group in question and blood
5 collection can be arranged and carried out without
6 delay."

7 Then half way down the page we see the paragraph:

8 "Recruitment among the general public may be started
9 once experience has been gained with special groups or
10 organisations."

11 So while we see the reference to prisons, I think we
12 have to be slightly cautious in looking at that. If we
13 go back, please, to the preface, which is at page 0466.

14 I apologise, I should have come to this initially.
15 At page 0466 we see from the preface that the guidance
16 in this document is really directed towards developing
17 countries who are starting up a blood transfusion
18 service:

19 "We can see in many developing countries, blood
20 transfusion services are still insufficiently organised
21 or wholly lacking and the present book is intended to
22 help physicians and pathologists who, after receiving
23 a basic training in blood transfusion, are entrusted
24 with the responsibility of establishing and developing
25 transfusion services in their own country."

1 So I think we have to look at the guidance in this
2 document perhaps with some caution when seeking to apply
3 it to Scotland, which I think in 1971 had a relatively
4 mature blood transfusion service. Would that be fair?

5 A. Yes.

6 Q. Thank you. We can put that document to one side,
7 please. The next WHO document is in 1973. If we can,
8 please, go to [\[SGH0029746\]](#), we can see from the front
9 cover this is a document again by the WHO technical
10 report series, number 512, with a title "Viral
11 hepatitis". That is the report of a WHO scientific
12 group.

13 Can we then, please, go to page 9749. We can see
14 the members of the group, that they met in Geneva in
15 1972 and the members include Professor Marmion, I think
16 is the fourth name down, from the department of
17 bacteriology at Edinburgh University. We see other
18 international members across the world, and under the
19 secretariat, underneath that, again we can see it is an
20 international group with Professor Zuckerman of London
21 as part of the secretariat. Is that correct?

22 A. Hm-mm.

23 Q. If we can then go two pages on, please, and this is
24 page 9751, which is the original page 9 of the document.
25 The very last two lines in the right-hand column state:

1 "There is substantial historical epidemiological and
2 experimental evidence to suggest that these two types of
3 hepatitis ..."

4 That's A and B:

5 "... are caused by antigenetically distinct agents."

6 This is the next page, I should say. At page 9752
7 it states:

8 "It is appreciated it is not possible to allocate
9 every patient with hepatitis to one of these two groups
10 and that viral hepatitis infections exist that are due
11 to other agents, only some of which have been
12 recognised. This is a problem frequently confronting
13 epidemiologists, clinicians and pathologists that will
14 only be resolved when the different aetiological agents
15 of hepatitis have been identified."

16 Is that some reference to there perhaps being
17 hepatitis other than A or B; the possibility at least of
18 that?

19 A. Oh, yes. Viral hepatitis infections exist that are due
20 to other agents.

21 Q. Thank you.

22 Then at page, please, 9754 just to pick up on that
23 point. This is page 15 of the original document the
24 right-hand column, at the very bottom:

25 "Hepatitis type B and medical care."

1 "It is generally agreed that not all cases of
2 post-transfusion hepatitis are caused by Hepatitis B
3 infection, the proportion due to Hepatitis B or other
4 undesignated agents probably varies with the
5 circumstances, however, as more Hepatitis B carriers are
6 eliminated from serving as blood donors, the proportion
7 of cases due to other types of hepatitis will increase."

8 In particular, please, doctor, over the page again
9 at 9755, which is page 16 of the original document, the
10 paragraph in the left-hand column headed "Changing
11 patterns of infection in certain developed countries":

12 "At this stage, during the past decade, marked
13 shifts in the age and sex-specific rates for hepatitis
14 have been observed in the USA and some European
15 countries. These changes were subsequently found to be
16 due to an increase in the number of Hepatitis B
17 infections, particularly among males in the 15 to
18 29-year age group. The infections were not related to
19 blood transfusion or other medical procedures. These
20 features, together with the loss of seasonal peaks and
21 the increasingly large proportion of urban cases
22 suggested a likely association with the illicit use of
23 drugs. It is quite possible that in addition to the
24 increased risk of paraenteral transmission, the mode of
25 life of drug abusers may increase the level of non

1 paraenteral transmission ..."

2 I think there we see at least a reference to a link
3 between drug use and a higher prevalence of Hepatitis B,
4 in particular among young males, albeit the commentary
5 is at a fairly general level. It simply talks about in
6 the USA and some European countries. Is that fair?

7 A. There is no sources referenced for this statement, which
8 is slightly surprising but I'm sure that's perfectly
9 fair.

10 Q. If we could look then, please, at page 9761, which is
11 original page 28 of the document, under the heading
12 "Prevalence of Hepatitis B antigen and blood donors" it
13 provides that:

14 "Great variations in the prevalence of Hepatitis B
15 antigen in apparently healthy blood donors have been
16 found in different parts of the world. The prevalence
17 also varies with such factors as the socio-economic
18 status and sex of the donor, whether he is a volunteer
19 or paid and whether he lives privately or in an
20 institution.

21 "The antigen has been detected most frequently in
22 males in the younger age groups and the limited surveys
23 have also shown that the prevalence of Hepatitis B
24 antigen is no higher amongst donors with a past history
25 of jaundice than in those without such a history ..."

1 Again, it is a fairly general commentary. The use
2 of the word there "institution" there, doctor, do you
3 think that is similar to your use of the word
4 "institution" we discussed at the outset this morning or
5 are you simply not able to say?

6 A. I really couldn't say.

7 Q. We have to look at the papers?

8 A. I think to me that would imply living in a place where
9 other people are living and presumably sharing
10 facilities, but I can't say more than that.

11 Q. I appreciate that.

12 Then on page 29 of the original document, the use of
13 donors with clinical evidence of prior hepatitis
14 infection. It provide that:

15 "Policy regarding the exclusion from blood donation
16 of individuals with a clinical history of hepatitis
17 varies from country to country."

18 The start of the next paragraph:

19 "Studies --

20 A. I haven't found you.

21 Q. It is page 29 of the original document, the top of the
22 right-hand column.

23 A. Yes.

24 Q. "... use of donors with clinical evidence of prior
25 hepatitis infection."

1 I read out the first sentence of the first paragraph
2 and the paragraph beneath that commences:

3 "Studies of Hepatitis B infection among volunteers
4 and those naturally infected with the virus suggests
5 that a greater proportion of individuals who have had
6 a mild or inapparent infection become chronic carriers
7 of the antigen than those who have had a more severe
8 illness. For this reason, the exclusion from blood
9 donation of individuals with a clinical history of
10 Hepatitis B infection but who do not have detectable
11 antigen may not materially reduce the frequency of
12 hepatitis among the recipients of blood."

13 Again just beneath that:

14 "Furthermore, prospective studies of recipients of
15 antibody containing blood reveal that such recipients do
16 not have a higher frequency of post-transfusion
17 hepatitis than do recipients of blood free of detectable
18 Hepatitis B antigen or as antibodies."

19 So I think we see there perhaps the beginnings of
20 a move away from the exclusion of donors with a history
21 of hepatitis and reasons are explained in this paper.

22 Is that fair?

23 A. Yes, that's absolutely right.

24 Q. Finally, please, for completeness, over the page, if
25 I may, at page 9762?

1 A. Actually, before you change pages, just, sorry, looking
2 at that paragraph again -- sorry, I don't know what's
3 the last page -- here we are. Yes.

4 In the first paragraph, the last couple of
5 sentences:

6 "The rationale for exclusion was based upon evidence
7 that some of them remained infectious long after
8 apparent resolution of their illness. In retrospect it
9 would seem that most of these carriers were former
10 Hepatitis B patients."

11 Which I think sort of feeds into the point that came
12 up this morning, that there was a strand of belief that
13 was saying: once we have dealt with Hepatitis B we have
14 kind of solved the problem. That's interesting, that
15 statement. We have seen that most of these people who
16 had the ability to transmit an infection were
17 Hepatitis B patients, which we now know obviously was
18 not correct.

19 Q. I see. And then finally in this document, over the page
20 at 9762 -- and this is original page 30 of the document
21 -- the left-hand column the first paragraph at the top:

22 "The present widely employed techniques for
23 detecting Hepatitis B antibody in blood are thought to
24 be capable of preventing approximately 30 per cent of
25 cases of post-transfusion hepatitis. The effect of the

1 introduction of more sensitive techniques will have on
2 the rate of post-transfusion hepatitis is not yet clear
3 but preliminary evidence suggests it will not be great."

4 The end of that paragraph:

5 "Cases not due to virus B are thought to be due to
6 a variety of causes, including Hepatitis A virus,
7 cytomegalovirus and other as yet unidentified agents."

8 So that's the 1973 document, doctor.

9 A. Just a comment on that. I think the second sentence:

10 "The effect of introduction of more sensitive
11 techniques."

12 Which I assume relates to techniques for detecting
13 Hepatitis B surface antigen -- it is not likely to be
14 great. I think there are two issues here. One is to
15 what extent were these techniques missing Hepatitis B,
16 and the answer is quite a lot because they were actually
17 very insensitive. So the earliest techniques failed to
18 detect many cases of Hepatitis B. The second issue is,
19 having detected all or the great majority of Hepatitis B
20 cases, then was there something else. So the two things
21 are slightly confounded in that paragraph.

22 Q. I'm grateful, doctor, and we should bear that in mind
23 when considering documents from this period. Thank you.

24 Putting that document to one side, please, the next
25 document is a 1975 WHO document. The number is

1 [\[LIT0013272\]](#).

2 The front page is not copied well but if we could go
3 on to the next page, please, we can see the top
4 right-hand corner of page 3273. This again is from the
5 World Health Organisation technical report series,
6 number 570, and it is reported at a WHO meeting on viral
7 hepatitis. If we then go, please, to page 3276, we can
8 see from the left-hand page that this meeting took place
9 in Geneva in October 1974 and if we look at the
10 membership, I think we can see it's an international
11 membership but the USA dominates and Professor Zuckerman
12 from London was also present.

13 If we could then go straight to the recommendations,
14 which followed this meeting, it is two pages from the
15 very end of the document. The reference is
16 LIT0013298. Can we look firstly, please, at
17 recommendation 6, originally page 49 in the document:

18 "Recommendation 6 provides that at present blood
19 donors should not be excluded on the evidence of
20 previous hepatitis alone, whether it is based on a past
21 history of infection or on the findings of Hepatitis B
22 surface antibody, provided that they have had no attack
23 of hepatitis during the previous year and their blood
24 has been found negative for Hepatitis B surface antigen
25 by a very sensitive test."

1 Pausing there, doctor, I think that essentially is
2 consistent with the recommendation in the Maycock report
3 of 1975?

4 A. Entirely consistent.

5 Q. Which in turn is consistent with the 1977 guidance. The
6 reference for that guidance being [\[SNB0025348\]](#). Simply
7 for the record, to follow that through, a similar
8 provision is found in the 1983 guidance, which is
9 [\[SGF0010377\]](#), the 1985 guidance, which is [\[DHF0018931\]](#)
10 and the 1987 guidance, which is [\[SNB0066410\]](#).

11 The paragraph beneath that, doctor, paragraph 7,
12 states that:

13 "There can be no categorical designation of high
14 risk blood donor groups. The situation is likely to
15 vary from country to country, from time to time and
16 within countries. Any subpopulation with specific
17 characteristics shown to have a continuing carrier rate
18 of HBsAg at least three times that of the total
19 potential blood donor population may be considered for
20 exclusion. However, such decisions should be made on
21 a local basis with due regard to the needs and
22 availability of blood."

23 Does recommendation 7, doctor, have any relevance to
24 the question of collecting blood from prisoners in
25 Scotland?

1 A. Well, what it does is give a proposal for a definition
2 of a high risk blood donor group, and I stand corrected,
3 the term has been used much earlier than I realised it
4 had been used.

5 Yes, I think it is relevant. I think it is probably
6 written in the context of a growing awareness at this
7 sort of time that among different populations -- I mean
8 populations of other countries -- there are huge
9 differences in the prevalence of Hepatitis B. Surface
10 antigen carriage. And therefore, to put an absolute, as
11 it were, prevalence rate could cause enormous problems.
12 Some parts of Africa and Southeast Asia have 10 or
13 15 per cent of the population carrying surface antigen.
14 So the implications of excluding all of those from
15 donations is a huge hit on the available supply of
16 donors. I think that may be part of what's at the back
17 of the mind of the people who drafted this paragraph.
18 But in answer to your question, yes, it is relevant to
19 the assessment of the suitability of any population, I
20 would have thought.

21 Q. And in particular we know that in the 1972 document,
22 Dr Wallace's paper, there was found to be an
23 approximately five times greater prevalence of
24 Hepatitis B among prison donors than in non-prison
25 donors. I think there were also English statistics in

1 the early 1970s to a similar end?

2 A. That's correct.

3 Q. In light of that known higher prevalence in Scotland and
4 the UK in the early 1970s, do you think the
5 recommendation in paragraph 7 ought to have at least led
6 to reconsideration of whether it was appropriate to
7 continue collecting blood from prisoners in 1975?

8 A. Well, I think, if I understood it correctly, the view
9 taken by Dr Wallace, who is like our representative
10 protagonist at the time of continuing blood in prisons,
11 I think he was very determined to make use of the very
12 best available sort of state-of-the-art radioimmunoassay
13 techniques for detecting surface antigen which were, and
14 are, extremely sensitive. As we touched on this
15 morning, I think his belief must have been that as far
16 as Hepatitis B was concerned, provided the use of those
17 tests was guaranteed, he had effectively eliminated the
18 risk of Hepatitis B.

19 And seeing this paragraph is about Hepatitis B,
20 I could see that were Dr Wallace with us today, he could
21 probably make an argument that would say his policy was
22 consistent with that. What it does not take account of
23 is other forms of hepatitis.

24 Q. Thank you. Just on this point, doctor, to sidetrack
25 slightly and shortly, the question of different

1 prevalence among different populations, could we look,
2 please, at document [\[DHF0028014\]](#)? These are the minutes
3 of a meeting of the NBTS directors in England and Wales
4 on 20 September 1972. If we go to page 7, please, of
5 the minutes, if we could go down a little bit, please,
6 we see the paragraph:

7 "AU-positive donors in prisons."

8 There is then:

9 "[Blank] said that RTC's Edinburgh and Glasgow are
10 collecting blood from prisoners. In Edinburgh the
11 incidence of AU-positive tests in prisoners is no higher
12 than among the general population. In Glasgow the
13 incidence in prisoners is significantly higher."

14 So certainly in 1972 it seemed to be that there
15 wasn't a higher incidence of Australia antigen in
16 Edinburgh prisoners. Are you aware of any results since
17 1972 on that question?

18 A. I certainly don't have them in my head. There almost
19 certainly will be data more recently than that because
20 there have certainly been studies of HIV prevalence, and
21 I think it is likely that Hepatitis B markers may have
22 been determined also in those studies. But I would have
23 to look for data over the years on these markers in
24 prison populations in the east of the country.

25 Q. So certainly, off the top of --

1 A. Not in my head --

2 Q. -- your head you are not aware of what the prevalence of
3 Hep B in Edinburgh prisoners was from 1972 to 1981, for
4 example?

5 A. No, I would have to look that up, sorry.

6 Q. Thank you.

7 The next, doctor, international document is again
8 one from 1975. The reference number is [\[DHF0030764\]](#).
9 This is a much shorter document. To do with
10 self-sufficiency I think. We can see at the top of the
11 document it is headed "World Health Organisation, World
12 Health Assembly Resolution 28.72 of May 1975:
13 utilisation and supply of human blood and blood
14 products."

15 In numbered paragraph 2 member states are urged:
16 "(1). To promote the development of national blood
17 services based on voluntary non-remunerated donation of
18 blood."

19 Presumably, doctor, your position is that that is
20 exactly what Scotland was doing at the time?

21 A. That's what the whole of the UK has done all the time.

22 Q. If, however, there is on one hand a category of
23 voluntary, non-remunerated donors and on the other hand
24 a category of paid donors, do prisoners in Scotland
25 share greater characteristics with the non-paid group or

1 the paid group?

2 A. I'm not sure that that's really a question that I can
3 answer. I think it's a sort of, you know, an apples and
4 oranges question really. I mean, I think you have to
5 put some terms on that. If you say "in terms of the
6 prevalence of Hepatitis B" --

7 Q. If one seeks to identify particular factors, for
8 example, the higher incidence of Hepatitis B, do
9 prisoners fit better into the non-paid group or the paid
10 group?

11 A. I would be very reluctant to give any sort of general
12 answer to that question. I think really you would have
13 to say, "Here is a population of paid donors with
14 a prevalence of X. Here is a population of prison
15 donors with a prevalence of Y." The one with the higher
16 prevalence is the one that is less desirable as a group
17 of donors.

18 Not particularly because of their Hepatitis B
19 prevalence, because in fact, with modern tests, you will
20 effectively interdict Hepatitis B transmission, because
21 the presence of a high prevalence of Hepatitis B in
22 a population will tend to be indicative of the
23 prevalence of other infectious agents that are
24 transmitted by the same sort of routes as Hepatitis B.
25 If you like, it's a surrogate marker that should make

1 you worry about other infectious agents. The same
2 argument exactly applies to HIV, which I'm sure we will
3 return to.

4 Q. So perhaps it is not so much a matter of terminology,
5 whether a donor is paid or not paid, but perhaps rather
6 looking at specific factors which may apply to
7 a particular group, for example, one may ask oneself,
8 "Do prisoners, for example, as a group tend to have
9 a higher prevalence of Hepatitis B?" One would ask that
10 sort of question.

11 A. I think I would put it slightly differently. I would
12 say that there are a number of classifications which you
13 can put around a group of people and say that experience
14 would suggest that those people will probably have
15 a higher prevalence of Hepatitis B than the totality of
16 the community. And those two groups would include, for
17 example, prisoners in general, paid blood donors,
18 assuming all the other donors were non-paid, and equally
19 it would include people from certain ethnic groups.

20 So, you know, there are a number of classifications
21 which can be used which take one into greater and
22 greater levels of difficulty when you come to the
23 practicalities of recruiting blood donors but which can
24 define a statistically greater likelihood of a higher
25 prevalence of Hepatitis B. I'm sorry, I'm not sure if

1 that's clear or not.

2 Q. I think to be fair, doctor, I'm not formulating the
3 question very well either. If I can perhaps be more
4 specific: in the late 1970s, would it be reasonable to
5 assume that prison donors were less likely to be
6 truthful or reliable in their response to questioning at
7 the donor session compared to non-prison donors?

8 A. I think that's a reasonable inference and certainly was
9 a concern, as has been expressed by many people and that
10 I would share, and I would say, coming back to your
11 initial question, that's probably a characteristic that
12 would be shared by donors who were motivated by the
13 desire to receive payment because they will have
14 a motivation to conceal things that might come between
15 them and donation. So in that extent there probably is
16 a commonality.

17 Q. In the mid to late 1970s, would it be reasonable to
18 assume that there may be a higher incidence of past or
19 previous illicit drug use among prison donors compared
20 to non-prison donors?

21 A. I think that's probably a reasonable assumption.

22 Q. Even in the mid to late 1970s?

23 A. That's why I'm not giving you a completely unequivocal
24 answer because I don't actually know the statistics.
25 I don't even know if there were reliable statistics for

1 injecting drug misuse in UK prisons as against the
2 general population for the UK at that time. Those data
3 may well exist but I'm not familiar with them.

4 Q. So one would really have to try and search for these
5 reports or data before being confident of the answer to
6 that question?

7 A. Yes. I think the answer is, if data is there, it will
8 probably point to a yes but I think one would need to
9 see some data.

10 THE CHAIRMAN: I'm not sure how far I might necessarily want
11 to follow the comparison of these groups.

12 A. I'm slightly uncomfortable with it.

13 THE CHAIRMAN: I do have information that in the summer of
14 1974 information collected by NBTS showed that the
15 incidence of Hepatitis B antigen in donations from new
16 general public and factory donors in 1973 was
17 0.09 per cent, while the incidence of Hepatitis B
18 antigen in donations from prisons, borstals and similar
19 institutions was approximately five times greater at
20 0.47 per cent. I think I feel reasonably comfortable
21 with that, having regard to what you have told me
22 earlier, but I don't know that I am prepared to move
23 from that to a comparison with people who might have
24 been prepared to take money for blood, since that might
25 imply that the same people who would take money for

1 blood would be the same people who would find themselves
2 in prison, and I'm not sure about that. I don't know
3 how far you want to take it, Mr Mackenzie.

4 MR MACKENZIE: I have no further questions on that
5 particular point, sir.

6 Other than this, perhaps, Dr McClelland, that it
7 does seem to me that one should look beyond terminology
8 of simply assuming that if a donor is unpaid his blood
9 is more likely to be safe, and rather try and look at
10 the underlying reasons why a paid donor's blood is less
11 likely to be safe does that seem a fair comment?

12 A. I'm not sure that I quite understand where you are
13 going. From the point of view of the workings of the
14 blood service in the UK, in terms of blood that was
15 collected and supplied by the Scottish Blood Service,
16 for example, the question does not arise. Where it does
17 arise, of course, and very profoundly, is in relation to
18 the use or non-use of blood derivatives that are made
19 from blood or plasma that has been paid for; which is
20 a totally separate issue. I'm not sure that I have the
21 drift of your question, I'm sorry.

22 Q. It is my fault, doctor. Let me have one last final
23 attempt to ask the question properly.

24 Was there an element that in the 1970s in the UK it
25 was thought that the problems with paid donors was an

1 American problem because in the UK we didn't have paid
2 donors, and really the query is whether in the UK
3 transfusionists should have been asking themselves: why,
4 what is the cause of the safety problems in paid donors
5 and could any of these underlying problems apply in the
6 UK, in particular when collecting blood from prisons?

7 A. Yes, I understand where you are going now.

8 I think that would have been a perfectly reasonable
9 line of questioning. I'm not aware that that sort of
10 logical jump was actually taken by anyone to say, are
11 there common factors, are there common features?
12 I don't recall anybody actually writing about this or
13 researching it. But clearly, as we have already said,
14 there is potential for there to be certain common
15 features between a population that's motivated by
16 a desire for payment and a population that perhaps has
17 quite different motives for being less than frank about
18 their health status.

19 Q. Thank you, doctor. I have only two further documents.
20 The second last one, moving into 1976. This is
21 [\[DHF0012672\]](#).

22 THE CHAIRMAN: While you are looking at that. Do you know
23 the policy of prosecution services and judges in the
24 1970s as to sending people even caught in possession of
25 drugs to prison?

1 A. I don't.

2 THE CHAIRMAN: If the policy was to send a far higher
3 proportion of people in those categories to prison, then
4 one might expect to find a certain concentration of
5 people with a history of drug abuse behind bars.

6 A. It seems an entirely reasonable line of speculation
7 because drug use and the behavioural consequences of
8 drug use tend to lead to criminal actions which will
9 presumably get people into prison, really regardless of
10 the precise policy for prosecutions and so on at the
11 time. I think it is a perfectly logical argument.

12 THE CHAIRMAN: I'm quite worried about going beyond the
13 basic facts here. We know that there was, certainly in
14 the English, for example, in 1973, five times as many
15 cases of positivity in the new prison population than in
16 the general, but I just wonder if we are getting into
17 sociological and other factors that are really quite
18 beyond my remit.

19 MR MACKENZIE: It is also very difficult to put oneself in
20 the shoes of people who were there at the time. Even
21 people who were there at the time, I'm sure find it very
22 difficult to step back into their own shoes and that
23 perhaps does emphasise the need for hard factual data or
24 contemporaneous documentary evidence one can point to at
25 the time.

1 THE CHAIRMAN: Yes.

2 MR MACKENZIE: Yes, doctor, the next document is

3 [\[DHF0012672\]](#). This is a document from the ISBT. We can
4 see its title:

5 "The criteria for the selection of blood donors".
6 Dated 1976. Over the page we can see a little about the
7 ISBT at that time. We can see the executive council
8 comprise an international and a particularly European
9 group. We can then see the regional councils are an
10 international group and the councillors below that are
11 again, I think, an international group.

12 I think we can see in the executive council the past
13 president is Dr Tovey of the UK. Who is he?

14 A. Geoffrey Tovey was a regional transfusion director in
15 Bristol and was particularly known for his work on the
16 prevention of rhesus disease of the newborn using anti-D
17 immunoglobulin. Retired for many years, obviously.

18 Q. Essentially I think what is set out in this document are
19 criteria for the selection of blood donors. If we could
20 then, please, go to page 2683, which is originally
21 page 10 of the document, under paragraph 9, "Viral
22 hepatitis", the document provides:

23 "In spite of recently developed tests for the
24 detection of HBsAg, only a relatively small proportion
25 of carriers can presently be detected. No routine and

1 screening test is presently available for the detection
2 of Hepatitis A virus or of other viral agents that cause
3 transfusion-associated hepatitis. It follows,
4 therefore, that some general precautions should be taken
5 in an attempt to reduce the risk of such viral agents
6 being transmitted from donor to recipient. Prospective
7 donors should be excluded if it is known that they, 1.
8 Give a history of viral hepatitis at any time except
9 during the first months of life. This rule may not be
10 acceptable in all countries and may have to be modified
11 where viral hepatitis is endemic."

12 Just to pause there, doctor. That recommendation,
13 or suggestion at least, does that seem inconsistent with
14 the 1975 WHO recommendation about accepting donors with
15 a history of hepatitis or jaundice if they were
16 Hepatitis B-negative?

17 A. It is inconsistent with it, clearly; it is saying
18 something different.

19 Q. It specifically recognises that this rule may not be
20 acceptable in all countries, I suppose?

21 A. It also -- yes, yes.

22 Q. So that stands as it is.

23 Then over the page, please. Other donors who should
24 be excluded are:

25 "5. If they are suspected to be parenteral drug

1 addicts."

2 Number 6 is tattoos within the past six months. 7

3 "Are inmates of a correctional institution."

4 I think that, doctor, seems to be a recommendation
5 not to collect in prisons. I think, as far as the
6 Inquiry team have found through their researches,
7 I think that's the only express international guidance
8 suggesting that collection should not take place in
9 prisons. Does that accord with your knowledge and
10 understanding?

11 A. I think so, yes.

12 Q. So certainly this document by the ISBT -- because you
13 started in Edinburgh in 1977. Had you any knowledge or
14 recollection of this document at the time, do you
15 remember?

16 A. I don't even know what the date of the document is.

17 Q. It is 1976.

18 A. I may well have seen it. I certainly did receive ISBT
19 publications. Whether I read this in 1977 or 1978
20 I honestly can't remember.

21 Q. You are certainly not aware of whether this document
22 prompted any fresh consideration of the issue in
23 Scotland in the late 1970s?

24 A. Absolutely no knowledge of that.

25 Q. The final document, doctor, if I may move back to the

1 WHO in 1978 and the reference is [\[LIT0013627\]](#). We see
2 this is a document produced by the WHO expert committee
3 on biological standardisation. It is the 29th report.
4 From 1978. If we then, please, go to page 5 of the
5 document, which is page 3630, we can see this followed
6 a meeting in Geneva in December 1977. We can see the
7 membership and the secretariat is set out and again
8 I think no representation from Scotland but we can see
9 it is an international group, including some
10 representation from England. If we can go two pages on,
11 please, at page 3632, to see the purpose of this
12 document. We can see the WHO expert committee on
13 biological standardisation met in Geneva in 1977:

14 "The committee considered that one of the most
15 useful documents made available at the meeting was
16 Guidelines for the preparation and establishment of
17 reference materials and reference reagents for
18 biological substances."

19 In the next paragraph:

20 "Another important matter was the Requirements for
21 the collection, processing and quality control of human
22 blood and blood products (see annex 1). It was agreed
23 that it would be most useful to have a single set of
24 requirements applicable to all organisations and
25 laboratories involved in the collection or fractionation

1 of blood and blood products."

2 So that forms part of the background to why this
3 document was produced. If we then, please, jump to
4 page 3640, which is originally page 28 of the document,
5 we see this is the annex 1 referred to. If we go to the
6 footnote 1, we see it has been prepared by a team of WHO
7 consultants and staff members whose names are given in
8 appendix 1. I think we don't have appendix 1 in the
9 court book but the names include Dr Harold Gunson,
10 a well-known English transfusionist, and also Mr Watt of
11 the PFC who was part of this group. Over the page,
12 please, page 3641, the introduction provides:

13 "In the past, a number of documents of the WHO have
14 been concerned with whole blood and its components but
15 each one has concentrated on guidelines mainly concerned
16 with blood transfusion services, and except for human
17 immunoglobulin, none has dealt with the requirements
18 applicable to the control of blood and blood products.
19 A WHO working group on the standardisation of human
20 blood products and related substances considered that
21 there was an urgent need for international requirements
22 for the processing and control of whole human blood and
23 blood products. It emphasised that as the quality of
24 the source material played an important part in the
25 quality of the final products, such requirements should

1 cover all stages from the collection of source materials
2 to the quality control of the final product. In the
3 compilation of these international requirements for
4 human blood products, advice and data from a number of
5 experts have been taken into account. The names of
6 these experts are given in appendix 2."

7 Again, we don't have that appendix I am afraid but
8 the names did include Professor Cash and Dr Wallace from
9 Scotland.

10 If we then, please, go to page 2644, which is
11 page 32 of the original document, roughly half way down
12 we see the paragraph:

13 "The parts are divided into sections, each of which
14 constitutes a recommendation. Text printed in type of
15 normal size is written in the form of requirements so
16 that if a health administration so desires, these parts
17 as they appear may be included in definitive national
18 requirements. Paragraphs printed in small type are
19 comments and recommendations for guidance."

20 We have to, I think, bear that distinction between
21 recommendations and other requirements and guidance in
22 mind when we come to look at what follows. If we then,
23 please, look at page 3651, which is page 39 of the
24 original document, if we look at infectious diseases,
25 this document provides:

1 "Donors shall have a negative history of viral
2 hepatitis, of close contact with an individual with
3 hepatitis within the past six months, of receipt within
4 six months of human blood or any blood component or
5 fraction that might be a source of transmission of viral
6 hepatitis or of tattooing within six months."

7 So that's a recommendation or requirement. What
8 then follows in the indentation is by way of guidance
9 and provides that:

10 "Acupuncture within six months may also present
11 a risk. In some countries donors with a history of
12 viral hepatitis or of a positive test for Hepatitis B
13 surface antigen are permanently excluded. In other
14 countries such donors are accepted providing that
15 recovery occurred longer one year previously and that
16 the reaction for Hepatitis B surface antigen was
17 negative and tested by a sensitive technique."

18 Pause there, doctor. The guidance contained in that
19 indented paragraph is consistent with the Maycock 1975
20 recommendation and what followed in the UK in terms of
21 accepting donors with a history of jaundice?

22 A. Yes, it is.

23 Q. Thank you.

24 Over the page, please, finally, at page 40 of the
25 document, which is also page 3652, this again is still

1 in the way of guidance rather than recommendation and
2 requirement. It provides:

3 "Donor populations showing a prevalence of acute or
4 chronic hepatitis higher than that found in the general
5 population should be avoided for collection both of
6 single donor products (whole blood and its components)
7 and of plasma for pooling for the manufacture of plasma
8 fractions known to be capable of transmitting hepatitis,
9 such as clotting factor concentrates."

10 Is the guidance contained in that indented paragraph
11 of relevance to the question of whether blood should
12 have been collected from prisons in Scotland in the late
13 1970s?

14 A. I think it is. I mean, in any instance where there is
15 evidence, as there clearly is in some cases, of a higher
16 prevalence of Hepatitis B, well, acute or chronic
17 hepatitis -- the evidence was essentially for
18 Hepatitis B -- it falls within the meaning of that
19 paragraph, yes.

20 Q. Yes. Doctor, simply to try and now conclude, I will
21 summarise matters in this series of six international
22 documents we have looked at and if my questions are too
23 general, please just say so, but firstly if one
24 considers the practice in the UK from 1975 onwards in
25 terms of accepting donors with a history of jaundice or

1 hepatitis, in general is what is contained in the
2 international documents we have looked at consistent or
3 inconsistent with that practice?

4 A. It is consistent with the practice in the UK.

5 Q. In respect of the practice in Scotland of collecting
6 blood from prisoners during the 1970s and up until the
7 early 1980s, in general is what is contained in the
8 international documents consistent or inconsistent with
9 that practice?

10 A. I think it certainly calls the practice into question,
11 that some of the guidance in these documents would,
12 I think, fairly clearly identify prison population as
13 potentially at least a population from which it is
14 inadvisable to collect blood donations.

15 Q. Thank you, Dr McClelland.

16 Thank you, sir.

17 THE CHAIRMAN: Thank you.

18 Mr Di Rollo.

19 Questions by MR DI ROLLO

20 MR DI ROLLO: Sir, we have had a very comprehensive
21 examination of this witness and I'm extremely grateful
22 for that. I'm also extremely grateful to the witness
23 for the contribution that he has made. There is just
24 one matter that I would like to ask and it's really to
25 ask, having spent much of your professional life trying

1 to drive up standards, do you see any particular lessons
2 that can be learned from the fact that it does seem to
3 be the case that collecting blood from prisons was
4 inadvisable in the 1970s to the 1980s? And there does
5 seem to have been material available at the time which,
6 if someone with an overview had considered the matter,
7 might have thought that it was inadvisable. Are there
8 any lessons that can be learned from that that can be
9 used going forward?

10 A. Oh, I think there undoubtedly are. They are not
11 necessarily easy lessons either to articulate or to put
12 into practice.

13 The sort of overwhelming reason why this problem was
14 not sort of focused on even in the presence of quite
15 good evidence in England, you know, in the early 1970s,
16 from Scotland in the mid 1970s, I think one has to ask
17 why did that not get through to people who were
18 concerned with the policy of blood collection and
19 influence them to take some actions sooner than they
20 did.

21 You know, it's very easy to propose some mechanism
22 where there shall be some wonderful oversight grouping
23 with a clearer vision than anyone else, and we have had
24 various attempts in the UK to do that with, you know,
25 the expert advisory group on AIDS or the advisory

1 committee for the microbiological safety of blood,
2 tissues and organs which has got a new name now, ASBT or
3 something.

4 Those represent the best attempts to put in place,
5 if you like, a sort of governance body for these sort of
6 issues, and within the organisation that I was involved
7 in, the joint professional advisory committee, by far
8 the most active of the committees was the standing
9 advisory committee on the transfusion of transmissible
10 infections, which in recent years has worked extremely
11 hard to be aware of information about either new or
12 emerging infections or new examples, new knowledge about
13 populations at risk of infections and to push for action
14 to be taken quickly. So I think some of the lessons
15 probably have been learn learned and implemented by
16 putting these sort of mechanisms in place.

17 Those probably have improved the situation to some
18 extent.

19 What I think is much more difficult is to deal with
20 the problem where you have within a community, a
21 professional communal, a sort of very powerful sort of
22 dome of received opinion, which is sitting over
23 everybody and they have a belief system that this isn't
24 a problem. And therefore even when perhaps some
25 individuals sort of stand up and make a noise and say,

1 "I think it is a problem", there is a very good history
2 of you know, people who actually do see a little bit
3 further ahead, clearly not being -- actually they seem
4 to be a nuisance because they get in the way of what we
5 are doing at the moment, and that's really a sort of
6 sociological problem, I'm sure not unique to blood
7 services and it is actually very difficult to deal with.

8 So I think that the best that we can do, and a lot
9 of efforts, I think, have been made to do this is, you
10 know, is wherever possible to encourage attitudes that
11 permit and encourage questioning of things that
12 "everybody knows" and more specifically to look at the
13 mechanisms that we have now and that would include the
14 ASBT -- somebody help me with this -- the advisory
15 committee on the safety of blood. It is the successor
16 to the MSBT. Which is the national body charged with
17 informing the ministers of health for UK countries about
18 precisely this type of issue, and try to see that that
19 group is well supported, well resourced, has access to
20 the best intelligence, the best connections for picking
21 up, assessing the importance of things and then making
22 a big noise about it so that somebody does something.

23 I think these are not exactly revolutionary
24 mechanisms but I don't know that I'm in a position to
25 invent any better solutions. Challenging the received

1 wisdom -- because no doubt the received wisdom in the UK
2 was that these things weren't a problem. We were okay
3 because we didn't have paid blood donors and somehow
4 that just made everybody feel -- I think it would not be
5 unfair to say that there was a slight sort of sense of
6 superiority because we didn't have paid blood donors in
7 the UK. And that may well have been a factor that sort
8 of blinded people to the fact that we need to look at
9 the totality of our donor populations and be sure that
10 we were sensitive and aware of where perhaps there were
11 risks that were greater and should be seriously
12 questioned.

13 MR DI ROLLO: Thank you.

14 A. Not a very specific answer, I am afraid but it is the
15 best I can do at this hour of the afternoon.

16 Q. Thank you, sir.

17 THE CHAIRMAN: It is of interest. I think that our terms of
18 reference require me to look at Hepatitis C and HIV and
19 consider what lessons might be learned from that. It
20 occurs to me to be a different exercise to look at
21 what's done now, which may have developed out of a very
22 much broader spectrum. But it could be that one lesson
23 is that one should never rest on one's laurels, and that
24 whatever structures are set up should be subject to
25 constant review in the light of developing knowledge or

1 emerging risk.

2 A. I would suggest that the other one is never believe the
3 experts. At least not unreservedly.

4 THE CHAIRMAN: As a judge I sometimes have to. But I think
5 that might be going a little bit far. But it is quite
6 difficult, isn't it, at this point in time to comment on
7 existing structures, which may have developed for very
8 many reasons other than those that I'm particularly
9 required to look at. I think I may have to resist that.

10 A. I think there are some good example, sir, but I won't --

11 THE CHAIRMAN: I have no doubt there are good examples of
12 very prominent people who had very fixed ideas from
13 which they couldn't be budged.

14 A. Yes.

15 THE CHAIRMAN: I don't require you to disclose them here
16 today, some of them may have been disclosed already. Is
17 there anything else you want to follow, Mr Di Rollo?
18 I'm slightly concerned not to go too far from what I can
19 legitimately do.

20 MR DI ROLLO: I'm content with the matters and I appreciate
21 that we are obviously under certain constraints but I'm
22 grateful for the opportunity of asking that question.

23 THE CHAIRMAN: The terms of reference are constraints, yes.

24 Mr Anderson, do you have anything to ask.

25 MR ANDERSON: I'm obliged. I have just one or two

1 questions. I'm conscious of the time and we have
2 another witness waiting so I'll try to take this as
3 quickly as we can.

4 Good afternoon.

5 A. Good afternoon.

6 Q. You will recall the letter that we looked at this
7 morning from Dr Yellowlees, the chief medical officer,
8 which, for the notes, is reference [\[SGH0030187\]](#). We see
9 that that is a letter from the Department of Health and
10 Social Security directed to all regional medical
11 officers, and we have looked at that already but the
12 first full paragraph on the second page says:

13 "The advice we have received is that it is not
14 necessary to discontinue the collection of blood at
15 prisons and similar institutions provided all donations
16 are subjected to one of the more sensitive tests
17 referred to above."

18 I take it that that represented Government advice
19 and thinking at that time. Is that right?

20 A. Yes.

21 Q. And can I ask you this, doctor: was that express advice
22 or guidance ever expressly rescinded or retracted?

23 A. I'm certainly not aware of that ever having been
24 formally retracted.

25 Q. If we look at the government position as it were, we

1 have looked at the Medicine Inspectorate's reports, do
2 you remember, this morning?

3 A. Yes.

4 Q. One in relation to their visit to Dundee and the other
5 in relation to their visit to Edinburgh, and although
6 they are described, I think, in the questions as adverse
7 comments, if we look at the report in respect of the
8 visit to Dundee, which is a reference [\[SGF0010086\]](#), what
9 it says there is:

10 "It would seem most unlikely that we could continue
11 to endorse a continued collection of blood from such
12 places as prisons and borstals."

13 In respect of the visit to Edinburgh, and the report
14 is reference [\[SGF0010351\]](#), it suggested that:

15 "Whether prisons and borstals were really
16 appropriate or necessary as a source material is
17 questionable."

18 Do you remember that?

19 A. Yes.

20 Q. What was to be taken from those comments, do you think,
21 at the time, as regards some insight into government
22 thinking on the question of taking donations from
23 prisoners?

24 A. I'm not sure that the Medicines Inspectorate who looked
25 after these reports would necessarily consider

1 themselves as representing Government thinking. They
2 were representing the views of a group of people with
3 quite a long experience of inspecting the pharmaceutical
4 industry, who were coming into a very different sort of
5 manufacturing involving, first of all the fact there was
6 an NHS organisation operating under Crown immunity as it
7 was at the time, it was involving human tissues and so
8 on. So they were learning on the job, and I think,
9 particularly from the Edinburgh inspection, some of the
10 issues that were raised were almost more sort of musings
11 on the part of the inspector than firm statements of
12 a "thou shalt... "

13 One could compare these with other reports, where
14 they said, "This is unacceptable; if you don't do that
15 we will close you down". And they are quite capable of
16 doing that. So these are of a different nature.

17 Q. All right. Can we have a look at a document which
18 I don't think we have looked at so far but it is
19 referred to in the questions and that is a letter from
20 the Department of Health and Social Security, although
21 again it appears to be from the Medicines Inspectorate.
22 The reference is [\[SNB0087582\]](#). This appears to be
23 a letter from David Haythornwaite,
24 Medicines Inspectorate, on notepaper of the Department
25 of Health and Social Security. It is addressed to

1 Professor Cash, who was then the national director of
2 the Blood Transfusion Service. Do you see that?

3 A. Yes.

4 Q. Have you seen this letter before?

5 A. I'm sure I have.

6 Q. All right. Can you turn with me, please, to the second
7 page and paragraph 7. You see there that the author
8 states:

9 "Source material: I have not observed donor
10 sessions under the worst conditions, however, I wonder
11 whether certain high risk areas are necessary or
12 desirable. Prisons and detention centres would seem to
13 come under this category and I would be interested in
14 your views on this."

15 A. Yes.

16 Q. I don't want to put words in your mouth, doctor, but
17 again is that simply the musings, do you think, of the
18 Inspectorate?

19 A. Well, it is what it purports to be, I think. He is
20 saying, "As an inspector I'm not very happy about this.
21 I'm asking you to comment." It falls far short of
22 saying that, "We have made a judgment as pharmaceutical
23 regulators that this is unacceptable". It would have
24 been in fact extremely difficult for them to do that
25 because you know, this practice of collecting blood in

1 prisons continued in the United States until the late
2 1990s. And the same organisation, the MHRA, was
3 involved in the inspection of those facilities and the
4 licensing of the products that they made, on which the
5 UK haemophilia patients were dependent, particularly
6 those in England. So it was necessary, I would think,
7 for them to choose their words really quite carefully.

8 Q. During the 1980s was information ever sought from the
9 Department of Health on its policy on the practice of
10 collecting and using blood from corrective institutions?

11 A. 1980s? It certainly was sought by the -- and the
12 Inquiry has correspondence about this by the English
13 blood service, and the Department of Health sought views
14 from the Home Office about this in possibly the end of
15 the 1970s or early 1980s. I'm sorry, I can't recall the
16 date of that. But the correspondence I think is
17 probably in the court book or certainly in the hands of
18 the Inquiry, on the basis that the Home Office had --
19 I think it was the Home Office -- as did other
20 countries -- had promoted the concept of blood donation
21 as a sort of societal duty which prisoners could
22 discharge.

23 Q. Can I suggest to you that in fact it was in July 1983
24 that information was sought from the Department of
25 Health?

1 A. Okay.

2 Q. You wouldn't quibble with that?

3 A. No, I won't quibble with that because I can't remember
4 the date.

5 Q. And the response through the Home Office was that they
6 were very much in favour of blood donation from
7 prisoners but they had no particular departmental
8 policy.

9 A. That's the correspondence I'm thinking of, yes.

10 Q. During the 1980s was there ever any published guidance
11 on the question of prison donors from any governmental
12 advisory committee or statutory or regulatory body in
13 the United Kingdom?

14 A. I don't believe there was. I cannot recall it at the
15 moment, sir.

16 Q. We have learned of the dates upon which the various
17 regional centres ceased taking blood from prisons;
18 various dates, I think, between 1981 or 1982 and 1984?

19 A. That's correct.

20 Q. You have alluded to a practice elsewhere in the world.
21 Can you help us just a little with that? Do you know
22 what the position was, for example, in the rest of
23 Europe in relation to taking donations from prisoners?

24 A. Well, this was a major issue in France and actually the
25 government, the French government, the Department of

1 Health, I think, did issue guidance in the 1990s but it
2 was -- sorry, again I can't remember precise dates, I'm
3 hopeless at that, but certainly France did collect blood
4 in prisons and eventually, when it became evident there
5 that HIV was a major issue in some parts of France and
6 particularly in prisons, there were, I think, two
7 attempts made by the Ministry of Health to instruct the
8 blood transfusion service in France to stop this
9 practice and it eventually was stopped. But it was in
10 the 1990s some time.

11 As I have mentioned, I think the FDA did not issue
12 guidance or instructions that collections in penal
13 institutions should stop in the United States until, I
14 think it was, 1995. So considerably later than this.
15 Other European countries, unfortunately I cannot comment
16 on at the moment. I would have to research that.

17 Q. Right. Just for the avoidance of doubt, the FDA was the
18 Food and Drugs Administration in the USA. Is that
19 right?

20 A. Yes, that's correct.

21 Q. If I suggested to you that that guidance that was
22 disseminated from that body in 1995 was in fact the
23 first guidance anywhere in the world on the question
24 of --

25 A. The only other example I'm aware of is one that we

1 looked at earlier which was not government guidance but
2 from professional associations, which I think was the
3 International Society of Blood Transfusion in about
4 1979. It is the document with the green cover, I think,
5 that you asked me to comment on earlier, which --

6 Q. I think in fairness that document is actually dated
7 1976. The one we looked at a few minutes ago.

8 A. Yes, that was the only one, as I said earlier, that I'm
9 aware of which makes a specific reference to donations
10 in prisons and it is certainly not a governmental
11 document, it is a professional recommendation.

12 Q. Doctor, thank you very much, I'm obliged to you.

13 THE CHAIRMAN: I wonder if I could follow that just
14 a little. I think that I do have a note of a letter
15 dated 27 July 1983 when a Mr J Brown of the DHSS wrote
16 to Mr Parker about the use of blood in prisons, asking
17 departmental advice on whether there was any policy.
18 That was followed by a reply on 23 August 1983 by
19 Mr Winstanley.

20 A. That's right.

21 THE CHAIRMAN: He commented on the difficulty of finding
22 a particular departmental policy and said it was for
23 individual regional directors to make up their own
24 minds. Do you remember that? At the end of that note
25 he said:

1 "We shall obviously need to liaise closely with Home
2 Office also since they have in the past been very much
3 in favour of blood donation by prisoners."

4 Starting earlier than that, I think you have shown
5 that in Scotland actually taking blood from prisoners
6 began to be phased out, first of all in Edinburgh,
7 a couple of years before that, and I think that the
8 indications are that although in the 1970s some English
9 regions depended heavily on prisons, the information
10 from there also was that it began to be phased out. Do
11 you know when the English stopped taking blood from
12 prisons?

13 A. The only specific information I can recall was a report
14 by Dr Ewa Brookes, when she was asked in 1983 by
15 Professor Cash to consult with colleagues in England --
16 because she had worked in England -- and she reported at
17 that time that there was still two centres out of the,
18 I think it was, 12, who were collecting. I cannot tell
19 you which those two centres were or when they ceased
20 collection.

21 THE CHAIRMAN: I know that Dr Brookes wrote to
22 Professor Cash on 23 August 1983 -- that's
23 [\[SNB0026554\]](#) -- following on the request that she should
24 speak to the working party in England and that at that
25 initial stage her impression was that all sessions in

1 England and Wales had been stopped, but I think that
2 there is later information suggesting that that wasn't
3 quite accurate and that it lingered on a little in the
4 particular places thereafter.

5 A. I think there is a subsequent document which I think
6 indicates that two centre were, as it were, collecting
7 and I don't know exactly when they stopped but England
8 was on the same trajectory.

9 THE CHAIRMAN: On 8 September 1983 she reported to the SNBTS
10 directors on her later findings. I think that completes
11 the history, as I have it, Mr Anderson.

12 Mr Sheldon, do you wish to ask any questions?

13 MR SHELDON: I'm grateful, sir. Your questions, sir, have
14 largely headed off at the pass any questions I might
15 have had. There is one question to clarify with
16 Dr McClelland.

17 Doctor, would I be correct in saying that officials
18 such as the CMO, as I think you characterised him, would
19 be largely public health doctors and not specialists in,
20 I think, for example, haematology or hepatology?

21 A. I was specifically referring to Dr Henry Yellowlees,
22 who, my recollection may be wrong, but I think he was
23 very definitely a public health person.

24 Q. Indeed.

25 A. Not (inaudible) as you know, in Scotland we have had

1 CMOs who were surgeons and strange characters like that,
2 but it is very much a public health function in any
3 case.

4 Q. Yes. One wouldn't expect the CMOs or regional medical
5 officers and so on to have expertise in every field or
6 each field of medical expertise?

7 A. Well, I would expect them to get the right advice.

8 Q. That's really my point. But in taking a position, and
9 it has been characterised, I think, by my learned friend
10 as the government's position. The government is really
11 then dependent on expert advice from what will hopefully
12 be appropriate places and bodies?

13 A. Yes, except, as I said earlier, it is not always wise to
14 believe the experts implicitly.

15 I was asked a question this morning, which is an
16 extremely difficult question to answer, and arguably
17 I should have answered it differently. But I was asked
18 if, looking at the text of that letter, written as it
19 was by the then CMO, who was an eminent public health
20 doctor, I found it surprising that he would not have had
21 some reservations about making such an unequivocal
22 recommendation on this topic. That is a personal view.
23 It says absolutely nothing about what I might or might
24 not have thought about it had I read it 30 years ago but
25 I was attempting to answer the question as I understood

1 it.

2 Q. Yes. But it seems plain from that letter that

3 Dr Yellowlees was in fact relying on advice from, in

4 this case, the advisory group on --

5 A. He probably had a few other things in his in-tray.

6 Q. Yes, indeed. Would you agree that the advisory group on

7 Hepatitis B testing, taking that short, was itself

8 a somewhat eminent group, a group of experts?

9 A. They would have been chosen on that basis by somebody.

10 Quite the mechanism for their choosing of course is

11 another question.

12 Q. Indeed, but as you very fairly said, one is then perhaps

13 thrown back on the issue of what the prevailing views

14 among the experts were at that time?

15 A. Certainly that and certainly there is always, you

16 know -- within any small group of this kind, there may

17 be one or two individuals whose views are particularly

18 influential.

19 Q. I'm grateful, sir, thank you.

20 THE CHAIRMAN: I suppose whether a CMO had other

21 wide-ranging experience would just depend on the

22 individual. Someone like Sir Kenneth Calman might not

23 be thought of as a public health doctor in the first

24 place.

25 A. Absolutely not, and there have been other distinguished

1 examples.

2 THE CHAIRMAN: Thank you very much for the time being.

3 We will have a five minute break.

4 (3.36 pm)

5 (Short break)

6 (3.45 pm)

7 MR MACKENZIE: The next witness is Dr Ruthven Mitchell,

8 please.

9 DR RUTHVEN MITCHELL (sworn)

10 Questions by MR MACKENZIE

11 THE CHAIRMAN: If you get uncomfortable, make sure you let

12 us know. Mr Mackenzie.

13 MR MACKENZIE: Dr Mitchell, good afternoon.

14 A. Good afternoon.

15 Q. I apologise doctor for having kept you waiting most of

16 the day but in light of that I'll try and be short, but

17 also because Dr McClelland has covered a lot of the

18 ground as well, I think that will enable us to take

19 things reasonably shortly.

20 Doctor, firstly I think you have provided

21 a statement to the Inquiry, and if we could see that,

22 please, it is reference [\[WIT0030106\]](#). I think that is

23 the statement you provided, doctor?

24 A. Yes.

25 Q. Doctor, I propose to take this statement as read, which

1 means that I won't take you through it in detail;
2 rather, I will put the statement to one side and ask you
3 one or two of the main questions which I think arise
4 from it if that is okay?

5 A. Hm-mm.

6 Q. Doctor, could we firstly, please, look at document
7 [\[PEN0100003\]](#)? This will come up, doctor, on the screen
8 shortly.

9 We are looking, of course, at the question of
10 donations collected from prisons. So I would like to
11 see how many donations were collected from prisons in
12 Glasgow and the West. This document should show us
13 that. If we go, please, to page PEN0100008.

14 Doctor, these statistics have been provided by the
15 SNBTS and helpfully set out the number of donations from
16 prisons. We can see that in 1975 the percentage of
17 donations from prison donors in the West was
18 2.83 per cent. If we go down to 1984 when collection
19 from prisons stopped, the percentage from prisons was
20 0.23 per cent. Do you see that?

21 A. Yes.

22 Q. I think, doctor, it is also correct to say that your
23 region collected approximately half of the total
24 donations collected in Scotland. Is that correct?

25 A. Yes, that's right.

1 Q. I'm grateful, doctor. We can put that to one side.
2 A. The only problem is the 1976, 501 donations in that
3 year.
4 Q. Yes. That's the figure that has been supplied to us.
5 A. Well, sorry, I can't check it.
6 Q. No.
7 A. It seems strange.
8 Q. It did seem strange and I did wonder if there may have
9 been some reason for that?
10 A. I don't think the prisons were closed.
11 Sorry, I don't know the answer.
12 Q. No. I see.
13 THE CHAIRMAN: But it seems unduly low to you?
14 A. Yes.
15 MR MACKENZIE: I think what we can see, doctor, is that
16 there is at least a range within which the percentages
17 fall. So the highest figure is 2.83 per cent and the
18 lowest is in 1984, it is 0.23 per cent.
19 If we can put that document to one side, please,
20 doctor, and now look at a paper published in 1981,
21 please. This is reference [\[PEN0140068\]](#). If we can
22 magnify this, please. I think, doctor, we can see this
23 is a publication in 1981, where Mr Barr, I think, was
24 the lead author and your name also appears as well. The
25 publication is "Hepatitis B virus markers and blood

1 donors in the West of Scotland."

2 A. Yes.

3 Q. Is this paper familiar to you?

4 A. Yes, I remember.

5 Q. And I think in short this paper reported that male
6 prisoners in the West had a higher prevalence of
7 Hepatitis B than non-male donors. Is that correct?

8 A. Yes, that's right.

9 Q. Do you we see, doctor, the paragraph beginning "The
10 incidence of Hepatitis B ..."?

11 A. Yes.

12 Q. Half way down, the words:

13 "Despite the high incidence of HBsAg in male
14 prisoners, viral hepatitis is not a serious clinical
15 problem in the institutions surveyed and the positive
16 donors are not drug addicts. This high incidence is
17 probably related to social habits and hygiene."

18 The statement, doctor, that the positive donors are
19 not drug addicts, do you know the basis for that
20 statement?

21 A. Yes. Dr Crawford was one of my consultants at that time
22 and he, of course, had a close interest in this work.
23 And it's over a period of ten years, as you can see.
24 And Bob actually made a point of interviewing some of
25 these people at the Prison Service, and saying, "Have

1 you had any cases of hepatitis among the inmates since
2 they were screened and do you have any evidence of any
3 of these men being addicts?"

4 The regulations, as I understand them, for the
5 collection of blood from any institution is that the
6 donor shall not be a drug addict. In donor care and
7 selection from WHO and others, it is quite clear that no
8 known drug addict should be bled as a donor.

9 Q. Yes.

10 A. So I think that's what Bob was covering.

11 Q. Doctor, in the late 1970s or early 1980s what steps were
12 taken at donor sessions, whether within or outwith
13 prisons, to try and exclude people who had ever injected
14 drugs?

15 A. I think some of the donor leaflets actually mentioned
16 that -- if I can remember, I'm not sure. I haven't seen
17 them for some time -- may well have said, "Have you ever
18 had an injection?" "Have you ever received an
19 injection?" In other words, "Have you ever had an
20 needle inserted into you."

21 Q. I think if we can have one leaflet, please, it is
22 [\[PEN0131395\]](#). I think this is an example of a Glasgow
23 and West of Scotland leaflet. If we go to the very
24 bottom right-hand corner, I think someone has written by
25 hand 16 June 1983. Take a minute or two, doctor, just

1 to read the leaflet from the top of the page.

2 A. Hm-mm. (Pause)

3 Q. It may have to be magnified and scrolled down a little

4 perhaps.

5 A. No, it was sent to me about three or four days ago.

6 I have seen it.

7 Q. I'm grateful. I don't think there is any reference in

8 this leaflet, doctor, to the question of drug use.

9 A. Hm-mm.

10 Q. Would that be correct?

11 A. It is not referred to directly, no. Many donors will

12 not tell the truth on these particular matters and much

13 of it is left to the medical officer at the time, who is

14 treating the donor, to decide if there is any

15 possibility of the individual showing needle stick

16 injury or any other sign that might indicate that.

17 Q. Yes. In short, doctor -- and if you can't remember,

18 please simply say so -- but in the late 1970s and early

19 1980s was it the practice at donor sessions whether

20 within or outwith prisons to ask a donor if they had

21 ever injected drugs?

22 A. During what time, sorry?

23 Q. The late 1970s or early 1980s.

24 A. I think -- no, I don't think so in the 1970s. I can't

25 remember it being there. It might have been later in

1 the consideration of AIDS. I notice this one says:

2 "Do you understand what's meant by AIDS."

3 At that time.

4 Q. Certainly when we looked --

5 A. Clearly -- sorry, I beg your pardon?

6 Clearly at that time other information was being
7 given to donors about AIDS and the method of transfer
8 and so on; the leaflets and so on that were available,
9 asking people if they were in a risk category. So
10 I mean, I think that would be covered in the 1980s
11 certainly, and I did check before coming to this meeting
12 from one of my senior medical officers at sessions --
13 she has now retired -- it was quite clear that when this
14 statement arose at the bottom of that document and
15 around that time, when the donor actually booked in, the
16 nurse who was booking them in, said, "Have you read this
17 statement at the bottom here? Do you understand what it
18 means? Does it apply to you?" before they were allowed
19 to go on and give blood.

20 It is quite clear, as I think we all know,
21 4 per cent of people can't read. So it is important not
22 to rely just on the written word but to actually say,
23 "Do you understand what this means, yes or no?"

24 Q. I see.

25 A. That's all I can remember about that but I did check

1 with one of the senior medical officers.

2 Q. Thank you, sir.

3 Doctor, if we could, please go back to the document
4 [\[PEN0140068\]](#), which is the 1981 article again. Back to
5 the paragraph we looked at, the statement:

6 "This high incidence is probably related to social
7 habits and hygiene."

8 What is meant by that sentence?

9 A. I think this is just the way of life of some of the
10 particular prisoners that are in the establishments in
11 and around the city. I think it refers more to sort of
12 chronic alcohol abuse, not injectable drug abuse but
13 other forms of self-injury, if I can put it that way.
14 Not so much diabetes or obesity and so on but more to do
15 with these other examples of the kind of way that people
16 live, the way they behave, and I think that's what we
17 meant by social habits and hygiene.

18 Q. I see.

19 A. Tattooing, for example. People in those days, there was
20 no question of worrying about tattooing artists being
21 registered and tattooing equipment being cleaned, and
22 prisoners tattooing one another is reasonably well-known
23 among these groups.

24 Q. So might that sentence include a reference to tattooing
25 then perhaps?

1 A. Pardon?

2 Q. Might that sentence include a reference to tattooing,
3 the question of social habits and hygiene?

4 A. Well, it could have related to other forms of needle
5 stick injury. Like, for example, tattooing or
6 scarification and so on. Tattooing is one of them but,
7 as I say, most of the social habits were to do with drug
8 abuse orally. I think I did say in one of my other
9 papers to the Inquiry that it was said, I think in the
10 late 1980s, that the Scottish prisons were well becoming
11 a treatment agency for drug addiction. That was
12 intravenous drug addiction and it had increased by
13 something like 12-fold. Now, in the days of early blood
14 transfusion that really wasn't much of a problem, as far
15 as I remember. Intravenous drug abuse was something
16 that came in much later.

17 Q. You mentioned there the late 1980s.

18 A. I think it was at that time. I can't be -- I'm sorry,
19 the article I referred to in my other paper was from the
20 place where most people get a lot of medical
21 information, which was the Sunday Post. I think
22 I referred to that in one paper but it made it quite
23 clear that there was a scale of intravenous drug abuse
24 over a period of time which gradually became worse and
25 worse and worse, until it became almost epidemic and was

1 a major cause of concern for the prison staff, governors
2 and medical staff. Treatment was being offered in the
3 prisons.

4 Q. Doctor, I am afraid I should have taken you to your CV
5 but I think you became regional director for Glasgow in
6 1978. Is that right?

7 A. That's right, yes.

8 Q. And then you retired in 1995?

9 A. Yes.

10 Q. But from your appointment in 1978 through to 1984, being
11 the last collection from prisons in the West, did you
12 give any consideration at all to whether it continued to
13 be appropriate to collect blood from prisoners?

14 A. I think there was a certain amount of discussion about
15 it at that time. I think we were dealing with
16 Hepatitis B, and good tests, very reliable, robust, very
17 sensitive tests were available for virus B at that time.

18 So clearly virus B was not a worry. It wasn't
19 worrying that we had virus B, we all knew that. We had
20 that in the population. We had that in the prison, we
21 had that all over the West of Scotland. Indeed, every
22 other transfusion centre had that. So that wasn't
23 a problem, virus B was well organised and easy to
24 diagnose at that time. So therefore the question that
25 tipped the balance, as far as Glasgow was concerned, was

1 the advent of an incurable disease at that time, called
2 HIV.

3 Q. Yes. And I think the --

4 A. And that came in about the end of 19-whatever it is.
5 Just at that time. So that's what tipped the balance.

6 Q. I'm grateful. I think the question of whether it was
7 appropriate to continue collecting blood in prisons was
8 raised by the Medicines Inspectorate, at least in
9 relation to the Dundee and Edinburgh reports in 1982.
10 I think that then led to some discussion among the SNBTS
11 regional directors, in particular, if I can take you to
12 the minute of a meeting, please. The reference is
13 [\[SNF0010072\]](#).

14 We can see these are the minutes of a directors'
15 meeting on 13 September 1983. If we can go, please, to
16 page 0077 and scroll down the page. If we can stop
17 there, we see on the matter of collection in prisons and
18 borstals, it was noted that the medicines inspector had
19 expressed concern at this practice owing to different
20 circumstances in the transfusion regions. The directors
21 have been unable to reach a consensus.

22 Dr Brookes had a particular view on it because of
23 the uncertainty about replies to questions concerning
24 health. Reference to the medicines inspectors,
25 referring it to the DHSS, and at least down south, the

1 Home Office. Then:

2 "It was acknowledged that prisons and prisoners
3 differed greatly from one place to another and some
4 directors felt that a blanket decision to cease visiting
5 prisons would be a mistake. Dr Mitchell in particular
6 felt that it would be unfortunate if such
7 a recommendation was to be included in the red book."

8 Can you explain, doctor, if you can remember, what
9 you meant there?

10 A. Well, firstly, the medicines inspector didn't mention
11 prison donors in the West of Scotland, as you well know.
12 The Medicines Inspectorate initially, as I understood
13 it, their job was to look at the processes of processing
14 blood, its handling, sterility, that sort of thing, the
15 actual mechanics of using donations when they got into
16 the centre and looking at the available facilities
17 there.

18 Of course, they made many recommendations about
19 that. The remit was not really to look at the question
20 of collection of the donations, as I understood it; and
21 they never mentioned this with me at all. We had
22 a discussion with them after they had done their two or
23 three days' discussion and certainly I knew -- and I was
24 at this meeting, as you can see -- and the question of
25 whether that shall be included in the so-called red

1 book, which is colloquially called the red book -- it
2 was standards written for the benefit of laboratories
3 and blood transfusion -- and it covered many, many
4 different aspects of laboratory work.

5 I, for example, wrote the chapter on sterile fluids
6 because I had some experience from Africa of doing food,
7 water, milk, ice cream testing.

8 So I knew about that. Therefore it was also, at
9 that time, quite clear -- and I think you will see from
10 some of the other documents -- that the Department of
11 Health and the Scottish Home and Health Department were
12 constantly being asked: what is the position of the
13 department? Quite clearly, the decision of the
14 department was: yes, it is accepted that people will
15 collect blood from sessions at prisons and that has gone
16 on and on and on.

17 I think I already mentioned that in my statement
18 here, if I can refer, sir, to one of the paragraphs
19 which I wrote. I said that some of the information was
20 clearly -- yes, on page 6. I mentioned at paragraph (a)
21 this meeting you are talking about. All were
22 avoiding -- that's not true. And it went on to explain
23 why that's not true.

24 Then it also goes on to explain that on the very day
25 that the report from the Entwistle committee was being

1 considered and put to the Scottish directors, on that
2 same day there was discussion in another working party
3 on 23 August, where it was in conflict with the actual
4 statement. Again, beyond that, if one goes into other
5 documents, for example DHSS, recently the one -- I think
6 it was from one of the ministers -- it was quite clearly
7 there, it was mentioned.

8 Q. Excuse me for interrupting, Dr Mitchell. In short, is
9 the point you make here in your statement that in 1983
10 you perhaps looked for guidance or a view from
11 government on the question of the practice in prisons,
12 but no such view or advice was forthcoming?

13 A. I think I already said that in one of my other
14 statements.

15 Q. Can I ask you this, please, doctor: who do you consider
16 was best placed to decide on whether donations should be
17 collected in prisons or not? The Blood Transfusion
18 Service or Government?

19 A. The question of whether or not donations should be
20 collected in prisons was in fact available -- was
21 departmental policy. It was in the departmental files
22 and therefore, if they had to be corrected, it was up to
23 them to correct it based on whatever evidence they had,
24 and they had evidence that was available.

25 I had made up my mind at the end of 1983 to go ahead

1 with this, to avoid prisons. And again, trying to stop
2 the Queen Mary is not easy when you are making up
3 venues, perhaps anything for three, four five -- a year
4 in advance to arrange where you are going to go for your
5 sessions.

6 Given that there were three small sessions in 1984,
7 by that time no decision had been made and yet we were
8 faced then with this other thing called HIV, which was
9 quite clear then at that time: no, this was a much
10 different kettle of fish.

11 Q. What was the particular benefit to the West of Scotland
12 in collecting donations from prisons?

13 A. Well, it depended at what time of the year. Clearly,
14 every transfusion centre that I have ever worked in has
15 shortages. There is no question that that does occur.
16 It occurs for a variety of reasons. Sometimes it is due
17 to, as I said in my statement, holiday times, especially
18 festive seasons, certainly around the West of Scotland.
19 It may also be due to problems with transport, problems
20 with weather and so on. These can easily upset
21 a session or a set of sessions.

22 So when people are going away or things don't happen
23 then you are left with a major problem and that's one of
24 the reasons that one went to prisons during times when
25 you could anticipate that there might well be shortages.

1 Q. Doctor, we know that in March 1984 the West did stop
2 collecting in prisons. Did that in fact cause any
3 difficulties in respect of shortages of blood at
4 particular times of year, so after the practice had
5 stopped?

6 A. I think the answer to that is: yes from time to time.

7 Most of the time one could cope. In fact, pretty
8 well all of the time you could cope. The reason being
9 that we knew all the haematologists in our region. Many
10 of them had been taught by me and some of my colleagues.
11 They had attended courses at the centre and so on.
12 I was the chap that actually wrote the definitive,
13 up-to-date article on the use of red cell concentrates.
14 I was able to go to the haematologists meetings in
15 Glasgow where we met regularly with the consultant
16 haematologists.

17 So we all knew one another. We all knew how to deal
18 with things and we knew -- for example, you have
19 evidence later on of some correspondence between
20 Professor Cash and Dr Crawford concerning a particularly
21 difficult time in one particular winter, where things
22 really just almost collapsed on us. Not because there
23 were no sessions organised but we couldn't get to the
24 session and the donors couldn't get to us because of
25 weather.

1 Q. Would it be fair to say, doctor, that because of the
2 efforts of you and your colleagues, stopping collection
3 from prisons didn't cause any insurmountable problems
4 with blood supply?

5 A. That's right, I would agree with that. I think most
6 haematologists knew that and had been educated to accept
7 that. But there were other ways of dealing with these
8 problems, which they did. But usually if there was
9 a problem, they would phone us directly. We knew them
10 by name. They were able to discuss particular things
11 and so they could make the necessary arrangements in
12 their hospital. They are responsible for their own
13 hospital.

14 Q. I'm grateful. I simply have two last questions. The
15 first question is this: with the benefit of hindsight,
16 so knowing everything we know now, do you think blood
17 should have been collected from prisons in Scotland in
18 the late 1970s and early 1980s?

19 A. I don't think there was any major reason not to do it.
20 Can I put it that way? It was quite clear that
21 prisoners are human beings. They have a right to give
22 blood like anybody else. It is a civic duty. Many of
23 them felt that it was important that they should do
24 that. Many of them continued when they left prison.
25 Some had been giving before they went into prison.

1 Nothing very much had happened in the interval to
2 suddenly decide against one particular group, it would
3 be difficult to sustain that against the idea "Well, why
4 are you discriminating against us?"

5 Q. Even if that group had a higher prevalence of
6 Hepatitis B and a combination perhaps of, at least the
7 initial testing for Hepatitis B may not have detected
8 all positive donations, and then, come the late
9 1970s/early 1980s, the question of non-A non-B hepatitis
10 comes on the scene, so to speak, and there are no tests
11 to exclude that, could these factors influence or change
12 your views at all?

13 A. No, not really. I think the question of the advent of
14 non-A non-B was something which was badly understood in
15 the UK. Something which wasn't entirely -- the whole
16 epidemiology of it wasn't understood. And whether it
17 would be confined to prisoners who we already knew were
18 not in the drug addict class and so on, like anybody
19 else, we had no reason to believe that they were any
20 different, except for the statement that's made that
21 there were social differences perhaps among prisoners,
22 for reasons of close contact with others, incarceration
23 and so on.

24 These things had their own tale to tell. But non-A
25 non-B was a diagnosis of exclusion in most cases. There

1 are very few cases in the UK that I was aware of at that
2 time. We seldom got reports from hospitals, "Oh, we
3 have got a case of post-transfusion hepatitis" of any
4 kind. That was unusual. They knew to report that. It
5 was not a question of not knowing. They knew to report
6 it. It was quite clear in notes on transfusion and so
7 on, every medical student that I ever lectured knew
8 that. They all had copies of the booklets.

9 So I'm sure they would have let us know but they
10 didn't and you would take it, well, it wasn't all that
11 important. Dr Collins, a member from Newcastle, did
12 a study of post-transfusion hepatitis, looking for non-A
13 non-B in patients who had undergone cardiac surgery
14 using blood that had been tested and found negative for
15 HBsAg and antibody. She said -- and there was some rise
16 in ALTs, transaminase levels, after surgery which
17 rapidly subsided, and it seems to her that non-A non-B
18 was not a serious problem.

19 Q. Thank you, doctor, that answers all my questions, thank
20 you.

21 THE CHAIRMAN: Dr Mitchell, there is one aspect of drug
22 addiction in prisons that interests me at the moment.
23 In the late 1970s and into the 1980s, it seems to have
24 been reasonably well established that drug addiction was
25 a growing problem in Scotland and Glasgow and

1 surrounding areas would not be exempt from that problem.

2 A. Yes.

3 THE CHAIRMAN: So at first sight it might seem rather
4 strange if there were drug addicts in the general
5 population but none in Barlinnie. Was there a procedure
6 that excluded those who were suspected of being drug
7 addicts before they got near the donor session?

8 A. It's difficult. I can't really answer that. I don't
9 honestly know. I don't know how they would be excluded,
10 except asking -- the first thing about donor care and
11 selection -- remember, it is donor care and selection.
12 It should also include donor maintenance, that is they
13 come back. In these cases, if it's the case that
14 a person is being asked, "Are you healthy?" because
15 that's the question: "Are you healthy? Do you think you
16 are unwell at the moment?" And they say, "No, I'm
17 fine." So how do you say, "No, I don't believe that you
18 are not unwell. I think you are unwell." I suppose the
19 doctor at the session or the sister at the session would
20 say, "You do not look very well." I don't think you can
21 ask a donor to self-exclude. They only would
22 self-exclude on the basis of, "I'm not going to go
23 because I don't feel very well today."

24 THE CHAIRMAN: Perhaps in Barlinnie many people don't look
25 terribly well, but wouldn't the prison doctor have

1 a fairly clear idea about his constituency?

2 A. Yes, I think that was one of the features of donors
3 giving blood in prisons, that the prison governors --
4 I think I've read somewhere there was a statement that
5 said that drug addicts should not be allowed to give
6 blood. That's what it says.

7 THE CHAIRMAN: That's what I'm interested in. It may be
8 that there was a pre-selection process --

9 A. There may well have been among the wardens and among the
10 prison staff. But that wasn't for us. I mean, as
11 Lord Glenarthur said in one of his papers, we are not
12 there to police people's private lives.

13 THE CHAIRMAN: We did send them to prison for using drugs --

14 A. I know what he meant by that. It was a different -- I'm
15 sorry.

16 MS DUNLOP: I should explain, sir, that, to spare
17 Dr Mitchell from having to come back again, we thought
18 that, while he was here, we would just ask him one or
19 two questions about his statement on topic B1, which is
20 to do with leaflets in relation to AIDS. Dr Mitchell
21 has been warned about that. I don't know whether you
22 would prefer to ask the other parties if they want to
23 ask their questions at the moment or whether I should
24 proceed and ask my questions before giving the other
25 parties their chance.

1 THE CHAIRMAN: Gentlemen, does anyone have any strong views
2 about this?

3 MR DI ROLLO: I don't have any strong views about it.

4 THE CHAIRMAN: Just go ahead, Ms Dunlop.

5 Questions by MS DUNLOP

6 MS DUNLOP: Thank you, sir.

7 Dr Mitchell, I think you have been warned that we
8 have one or two questions for you as well about another
9 statement you provided, which is in relation to AIDS,
10 more particularly in relation to leaflets and other
11 public information measures that were adopted.

12 A. Hm-mm.

13 Q. We shall ask to see that statement on the screen in
14 front of you and it is [\[WIT0030033\]](#).

15 A. Yes.

16 Q. That's another of your statements, isn't it?

17 A. Yes.

18 Q. Right. Have you had a chance to look at our preliminary
19 report at some point as well?

20 A. Yes.

21 Q. Good. Perhaps we could keep the statement but also go
22 to a page in the preliminary report, which is
23 page 9 of [\[LIT0012479\]](#).

24 THE CHAIRMAN: Which is the real page, please?

25 MS DUNLOP: 194.

1 A. Which one is it again?

2 Q. It is paragraph 8.128. Can you see that on the screen?

3 A. Yes.

4 Q. If we just scroll down a little bit, we can see this is
5 actually an extract from a set of minutes and it is the
6 minutes of a meeting of the SNBTS co-ordinating group on
7 24 May 1983. Do you see that?

8 A. Hm-mm.

9 Q. "AIDS was discussed."

10 The minutes read as follows:

11 "Dr Mitchell reported that he had introduced into
12 the health questionnaire to donors a question inviting
13 those who were worried about AIDS to consult the doctor
14 at the session."

15 Now, we are interested in trying to find the piece
16 of paper that is the evidence of that. You looked
17 earlier at a leaflet; Mr Mackenzie showed you a leaflet.
18 I think we will just get it back up, if we could,
19 please. It is [\[PEN0131395\]](#).

20 A. Yes, I think you asked me if that was the one that I was
21 referring to in the minute of the directors' --

22 Q. If we go down to the bottom of it, you looked at this
23 a few minutes ago but it almost looks like a label or
24 a sticker that has gone on to the bottom of this piece
25 of paper, and it says:

1 "Have you heard of AIDS (acquired immunodeficiency
2 syndrome)? If you have any doubts about giving
3 a donation, consult the doctor at this session or your
4 own GP or write in confidence to the regional director."

5 Do you think that this might be what you were
6 referring to at that meeting?

7 A. It certainly was on the document. The date -- I'm not
8 too sure about this, 16/6/83. I don't know who wrote
9 that. I did check with my then donor manager and asked
10 her if she would look through whatever other documents
11 she had. Unfortunately, she couldn't come up with any
12 other documents. They seem to have been destroyed. So
13 all I can remember is that at this particular time there
14 were lots of other leaflets going about -- some of them
15 I think you have referred to in Dr McClelland's
16 documents and my own -- concerning documents put out by
17 SNBTS, some put out by the National Service for England
18 and Wales, some of which were being constantly reviewed,
19 some of which were left as leaflets for the donor to
20 read and decide if they could understand it and if it
21 applied to them and so on. There were a variety of
22 leaflets being made available at that time. Some of the
23 ones that I think you are referring to could well have
24 been prepared in Scotland as a sort of preliminary
25 Scottish document. We knew that the documents were

1 being revised fairly regularly. What we were trying to
2 do here was to signal to people.

3 People who were blood donors at this time, in fact
4 the whole population, knew from television, radio, all
5 sorts of ways that -- they had heard of this killer
6 called AIDS. I mean, some of the documents were copied
7 to me recently showing the multitude of references in
8 the media and in other places to AIDS and suggesting to
9 people who could read the newspapers they should not
10 give blood. What our prime policy was: if you think you
11 are in a risk category, don't even attempt to give
12 blood. That's what we were trying to get across.

13 Q. Can I just maybe ask you to have a look at another
14 leaflet? This is one is [\[SNF0013397\]](#).

15 A. Yes.

16 Q. You see, this is one called "AIDS: some background to
17 the recent publicity". Could we go on to SNF0013398,
18 please? Right.

19 Now, do you see from the bottom right of this that
20 this is from the Southeast Scotland Blood Transfusion
21 Service and it is also June 1983. Perhaps I could just
22 say to you that that was a leaflet that Dr McClelland
23 was showing to the rest of you at a meeting in June.
24 I just wondered whether you would look at that leaflet
25 and think, "Oh, that's quite a good leaflet," and take

1 it back to Glasgow and circulate it in Glasgow or were
2 you all concerned to produce your own leaflet?

3 A. I think there was a certain amount of discussion about
4 all of these leaflets and what was the best way of
5 getting information out to donors. It depended a lot on
6 the type of donor, where they were, what they were
7 doing. Donors are not always the same in each place.
8 For example, at one time it was suggested that you
9 should interview the donors individually. Well, I'm
10 sorry, at a busy session that's just not possible. It
11 is okay saying, "Yes, we can set aside a room." It is
12 okay to say, "Well, the leaflet is there if you want to
13 read it, pick it up and go away." I know that in
14 Glasgow in some places this kind of leaflet would be met
15 with a certain amount of derision from some of the
16 rather hard-working donors who give blood in Glasgow.

17 Q. So this wouldn't be suitable for Glasgow?

18 A. It could have been modified in some way. Certainly,
19 when the final documents were prepared nationally,
20 I think it was quite clear -- the donor organisers,
21 remember, were also meeting together at that time, not
22 just the directors; there were lots of people discussing
23 what's the best way to get this information across. So
24 everyone was using whatever means they had to get the
25 information across.

1 Q. Right.

2 A. Some of which would be to ask them, "Have you read it?"

3 "No, I'm sorry, I can't read." "Sorry, but we will tell

4 you what it says."

5 Q. If I suggest to you, Dr Mitchell, that we have found

6 information that makes it look as though it wasn't until

7 1984 [sic - 1983] that donors were actually asked to say

8 whether they had or hadn't read the leaflets, are you in

9 a position to disagree with that or would you accept

10 that it maybe was a wee bit later that the donors were

11 asked to say if they had read the leaflets?

12 A. No, no, I recall having meetings with the donor staff.

13 That's the sisters and the doctors in our Glasgow set-up

14 in St Vincent Street. On a Saturday morning it was

15 quite well known for us -- quite common that we would

16 have a meeting in which I would say to the doctors,

17 "What would you like to discuss?" At this particular

18 time, around that time, all the discussion was, "Tell us

19 about AIDS, tell us what you understand about it. Tell

20 us what things we -- " They are doctors, they knew what

21 to be looking for, they didn't need me to spell it out.

22 They knew what they were looking for and therefore to

23 suggest that there was no awarenesses in the

24 West of Scotland about this whole range of

25 communications --

1 Q. I'm certainly not suggesting that, Dr Mitchell. I'm
2 just trying to find out, as far as we can after this
3 passage of time, what the state of information was,
4 that's all, which is why we were looking at first what
5 seems to have been the Glasgow leaflet and then an
6 Edinburgh leaflet, and I was wondering if you would ever
7 have borrowed text perhaps from an Edinburgh leaflet.
8 That was really all I was getting at.

9 A. I have copies of the English leaflets, for example.
10 I was attending English meetings as well as Scottish
11 meetings. I was attending the Advisory Committee on the
12 Virological Safety of Blood. I was seeing all the
13 leaflets coming from various parts of England, Scotland,
14 Wales and so on. Of course, I was well aware of that.
15 I asked our organiser, Mrs Eadie(?), "Can you collate
16 any of these things for me?" I asked her twice. She
17 went back and looked through all the records and she
18 came back and said, "I'm terribly sorry." I checked
19 with her yesterday. She still can't come up with it,
20 except the one -- she has not got the one that you have
21 shown me. I don't know how you got it.

22 Q. To be perfectly honest with you, Dr Mitchell, nor do I,
23 but --

24 A. I'm sorry, I don't know how you got it.

25 Q. -- we do have it. I know it's come to us through the

1 Blood Transfusion Service.

2 A. I recognise the document as one of a series of
3 documents. I recognise that one.

4 Q. You recognise that one?

5 A. I don't recognise the date particularly. As I said,
6 that's not my handwriting.

7 Q. The other thing I was interested in was knowing -- and
8 we know this from the preliminary report. It is in the
9 preliminary report that there was a UK-wide leaflet that
10 came out in the autumn of 1983. Between May and that
11 leaflet coming out in the autumn, that Glasgow leaflet,
12 would that have been the state of play in Glasgow?

13 A. Probably.

14 Q. Right. Another thing I wanted to ask you about -- and
15 I only have two more things. The first is to ask you to
16 have a look at a document, which is [\[PEN0100305\]](#). What
17 this is about -- and I'll just take it shortly, if
18 I can, to save you trying to reconstruct it. Do you see
19 there is a date at the top and it is
20 actually January 1984 and Dr Wagstaff's name is
21 mentioned. This is actually a table comparing what sort
22 of a reaction there has been to the UK leaflets towards
23 the end of 1983. Interestingly, if we go to the very
24 bottom, we see Glasgow and it says that the leaflets
25 have been available at donor sessions and through local

1 special clinics. That would be sexually transmitted
2 disease clinics, presumably, and it says that there has
3 been uptake by donors averaging one or two leaflets per
4 session. A handful of donors have been resigning after
5 volunteering information about homosexuality. Then:
6 7,000 of 100,000 leaflets issued in three months. So it
7 looks like, after the first three months, you still had
8 93,000 leaflets left. Do you actually remember this
9 period?

10 A. I don't remember 100,000 leaflets. I think they would
11 be recovered from the national administrator's office,
12 maybe Morag Corrie. I think that's where they would
13 come from. Certainly, I think I have explained a moment
14 ago that leaflets were put out at sessions and they
15 weren't always taken up. You could put a pile of
16 leaflets and, as I said to you in my other statement, we
17 got complaints from hallkeepers about the amount of
18 litter that was left on the floor.

19 Q. We were going to look at that actually. It is in this
20 statement.

21 A. They weren't taken away by donors, they were dropped on
22 the floor by donors. That can either mean two things:
23 One, the donor had read and understood; or, two, the
24 donor was very upset and concerned to see such
25 a reference to what he thought or she thought had been

1 a group of well meaning people and of which they hoped
2 to be a member. Certainly, to be confronted with this
3 thing which said, "Wait a minute, maybe you are not
4 wanted here." They may have come miles and miles, just
5 for the sake of doing good, to be turned away.

6 Q. I think, Dr Mitchell, this is actually what you
7 describe. Can we go back to page 2 of [\[WIT0030033\]](#)?

8 A. The other documents, of course, I had seen, and these
9 were all test areas. Dr Wagstaff had sent them out as
10 test leaflets in different regions. There was no
11 uniformity at that time.

12 Q. If we look just a little bit further down, we can see
13 that seems to be you referring to the same problem,
14 where you say:

15 "A study done at one of the Glasgow sessions, where
16 questionnaires were given separately to each donor,
17 resulted in a considerable quantity of leaflets tossed
18 on the floor unread, much to the annoyance of the
19 hallkeeper."

20 That's really the point you are making, isn't it?

21 A. That's right.

22 Q. The last thing I wanted to you look at, please, if you
23 could, is [\[SNB0143030\]](#). As you can see, this is the
24 minutes of a meeting of the UK Working Party on
25 Transfusion-associated Hepatitis on the

1 27 September 1983. You were there?

2 A. Yes.

3 Q. I particularly wanted you to look at something you are
4 minuted as having said, which is on page 3 of these
5 minutes. So could we go to page 3? Could you look in
6 the second last paragraph? It says -- and I think
7 whoever is writing the minutes is making a wee bit of
8 a joke against fractionators:

9 "Dr Lane presented the fractionators' view that
10 a variable approach did not provide material of uniform
11 specification ... "

12 This is actually in connection with the distribution
13 of leaflets:

14 " ... but Dr Mitchell pointed out the problems
15 associated with any infringements of the integrity of
16 the donor."

17 Now, in your statement you say you were concerned
18 and anxious to note that healthy, well meaning volunteer
19 donors found to be unsuitable for whatever reason should
20 be treated with understanding and respect:

21 "It goes without saying that there should be no harm
22 to the donor or patient."

23 So is what you are really saying here that you
24 didn't want donors to think that the Blood Transfusion
25 Service was casting aspersions on their integrity in

1 some kind of way. Is that the point?

2 A. I think that's one of the points, yes.

3 Q. Well, are there other points to it?

4 A. I think, Dr Lane being a fractionator, wasn't a regional
5 transfusion director and therefore, you know, people
6 mustn't talk about things they don't fully understand.
7 His job was to make sure what was going into his
8 place -- that was England and Wales -- was of
9 a sufficient quantity and quality. That was fine.
10 Scotland had different ways of doing that and I didn't
11 want to give the impression that the tail was wagging
12 the dog. Cuthbertson was at that meeting, too, you
13 know. You may have seen that, Bruce Cuthbertson was
14 there, quality manager from a Scottish fractionation
15 centre, and I think Brian McClelland was there too. I'm
16 not certain about that but certainly Cuthbertson was
17 there and Dr Lane was presenting and we had
18 representation from our own fractionators. So I don't
19 necessarily think that we were at variance with the kind
20 of quality of standard that we needed. But we had to
21 deal with our own donors as we saw fit and what was good
22 for suburbia might not be good for the Glasgow
23 shipyards.

24 Q. Thank you very much, Dr Mitchell. I'm not going to ask
25 any more questions.

1 THE CHAIRMAN: Mr Di Rollo?

2 Questions by MR DI ROLLO

3 MR DI ROLLO: Sir, there is one question I wanted to ask
4 about the leaflets, not the B1 topic but in relation to
5 C1, and it was in connection with -- the document is
6 [\[PEN0131395\]](#). Could we have that up on the screen?

7 I think you mentioned, doctor, the importance of
8 tattooing in the prison population, I suppose in the
9 general population but particularly in the prison
10 population. There's obviously a significance in
11 tattooing just equally as important, you would say, as
12 needles through drug use?

13 A. No, I didn't say that. No. No. Tattooing was known to
14 transmit Hepatitis B simply because the tattooing was
15 not done professionally. Much of it was done by your
16 best friend, who would tattoo "mum" on your shoulder for
17 you if you wanted. It wasn't a question of going into
18 a tattoo parlour. Similarly going to a dentist, the
19 same idea.

20 Shortly after that, when this became a problem,
21 clearly government regulations were laid down as to what
22 tattoo artists would have to do. Nevertheless,
23 clandestine tattooing went on. It still goes on. There
24 are still people walking about the street today who wish
25 they had not been tattooed by their best friend.

1 Q. Surely.

2 A. So it's not different -- it's very different.

3 Q. Just looking at this document, there doesn't seem to be
4 any reference to tattooing in it. They are not asked if
5 they have got a tattoo.

6 A. I think it said something about, "Have you had any
7 inoculations recently?" That's item 4. It says, for
8 example, tetanus and vaccination for smallpox, but most
9 people would say that means, "Have you had anything like
10 a puncture with something?" Most people would
11 understand what vaccination meant in that sense.
12 Vaccination really only applies to smallpox. But
13 injections for tetanus and so on is injection.

14 Q. Do you think the average Glasgow punter would equate
15 inoculation with a tattoo?

16 A. I think the staff -- that's my staff -- were taught to
17 look for tattoos, that was one thing, and they
18 immediately said, "This chap has got a tattoo," or,
19 "This lady has got a tattoo." Immediately they were on
20 their guard and then they began to ask more questions,
21 such as, "Where did you get that tattoo? Who did it?
22 How long have you had it?" These were all things that
23 came up at the session if it was obvious that they were
24 tattooed. I mean, if you cared to hide a tattoo,
25 well... But certainly tattoo parlours were licensed,

1 eventually.

2 Q. I have no further questions, sir.

3 THE CHAIRMAN: Piercings hadn't come in at this stage?

4 A. Sorry?

5 THE CHAIRMAN: People didn't have piercings all over their
6 bodies?

7 A. Some people did. Ear piercing is very common, as the
8 ladies will tell you. It was done long before needle
9 stick injury. It was almost a way of life. All our
10 children are given ear piercing at, what, 14, something
11 like that? Sometimes it is done by a friend, sometimes
12 it is done by mum, sometimes it is done with a hot
13 needle, sometimes it is done by the local jeweler.

14 THE CHAIRMAN: Yes. Thank you.

15 Mr Anderson?

16 MR ANDERSON: I have no questions, thank you, sir.

17 THE CHAIRMAN: Mr Sheldon?

18 MR SHELDON: I have no questions, thank you, sir.

19 THE CHAIRMAN: Dr Mitchell, thank you very much.

20 A. Thank you.

21 MS DUNLOP: There are no further witnesses today, sir, which
22 is just as well in view of the hour.

23 THE CHAIRMAN: Until tomorrow.

24 (4.41 pm)

25 (The Inquiry adjourned until 9.30 am the following day)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

DR BRIAN MCCLELLAND (sworn)1
 Questions by MR MACKENZIE1
 Questions by MR DI ROLLO130
DR RUTHVEN MITCHELL (sworn)148
 Questions by MR MACKENZIE148
 Questions by MS DUNLOP169
 Questions by MR DI ROLLO181

