

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Wednesday, 23 November 2011

(9.30 am)

DR ROBERT PERRY (continued)

Questions by MS DUNLOP

THE CHAIRMAN: Good morning. Yes, Ms Dunlop?

MS DUNLOP: Thank you, sir. Good morning, Dr Perry.

A. Good morning.

Q. Welcome back. Today we are exploring with you our topic C4, which we have described as the interval between the availability of tests for the Hepatitis C virus in 1989 and their introduction for screening blood in the UK in 1991 -- or, at least, screening blood in Scotland, I should more correctly say.

You have provided a statement on that topic, which is [\[PEN0172108\]](#). Could we have that on the screen in front of us, please?

In common with other witnesses, you were asked to answer a list of questions and really just to focus on those you felt you could answer. We also asked you to look at pages 272 to 320 in our preliminary report. We, in fact, also sent out an extended narrative of part of the chapter to reflect material additional to that which we had when we published the preliminary report. So I think you had all of that from which to work. Is that right?

1 A. Yes, thank you.

2 Q. Right. You were a member of the Advisory Committee on  
3 the Virological Safety of Blood --

4 A. Yes.

5 Q. -- from its inception?

6 A. Yes, yes, indeed.

7 Q. It's really on that particular aspect of this question  
8 that you are able, I think, to assist us most.

9 A. I hope so.

10 Q. Because you attended -- well, almost all of the key  
11 meetings of that body.

12 A. Yes.

13 Q. At the beginning of the schedule of questions we asked  
14 about the need for the two different groups; that is,  
15 the Advisory Committee on the Virological Safety of  
16 Blood and the Advisory Committee on  
17 Transfusion-transmitted Diseases. You say in your  
18 answer that you have no direct knowledge of discussions  
19 within the Blood Transfusion Services or the government  
20 Health Department which led to the separate evolution of  
21 these two committees, but you go on to say, in the next  
22 paragraph, that your understanding is that ACTTD was  
23 established by the UK transfusion services, in the  
24 absence of any other suitable mechanism at the time, to  
25 coordinate its professional view on the need for

1 additional measures concerning the virological safety of  
2 blood and any operational research considered necessary  
3 to support proposals for new or revised safety  
4 interventions. The original intention, as described in  
5 the preliminary report, was that it would provide advice  
6 to departments of health, either on request or at its  
7 own instigation.

8 We are going to look at some of the documents  
9 surrounding the establishment of these two committees  
10 with Dr McClelland, who has also commented on this  
11 topic, and also with Mr Tucker, who is coming tomorrow  
12 to give evidence from an SHHD perspective, so I don't  
13 want to take you to all of those.

14 A. Okay, thank you.

15 Q. But I wondered, particularly given your use of that  
16 term, "The absence of any other suitable mechanism", you  
17 thought that ACTTD may have been formed because the  
18 transfusion directors felt that not much was happening?

19 A. As I say, I didn't really have much knowledge of the  
20 creation of either the ACVSB or the ACTTD. It was  
21 an area peripheral to my main role in the Blood  
22 Transfusion Service. But my understanding is, around  
23 about that time, 1988 and 1989, the transfusion  
24 directors, the UK transfusion directors, largely drawing  
25 on the experiences, I think, of HIV and its introduction

1 of testing, which was -- and HIV testing was the first  
2 major change in terms of screening policy within the UK,  
3 and I think transfusion directors in the UK felt that it  
4 would be better if there was a formal process or  
5 a committee that could primarily bring together all the  
6 expert views on various subjects, but also expecting  
7 there to be quite serious and important discussions  
8 around surrogate testing. Indeed, I think it was  
9 created around about the same time as Chiron had  
10 published the sequence of Hepatitis C.

11 So there was the prospect of at last there being  
12 some sort of test that could detect Hepatitis C. My  
13 understanding -- and it is no more than that;  
14 I certainly wasn't involved in the discussions -- was  
15 that the transfusion directors thought it a good idea to  
16 set up an advisory committee. I think the advisory bit  
17 was primarily to advise and to bring a sort of  
18 collegiate expert view from transfusion experts but also  
19 including expert virologists in the UK, but also with  
20 a view, as I have said, to advise departments of health  
21 on issues that they thought the Department of Health  
22 should be acting on.

23 Now, whether or not ACTTD came before ACVSB, I'm not  
24 absolutely sure. I think it probably did.

25 Q. As you point out, ACTTD did originally see itself as

1 providing advice to the government departments as well.

2 A. I think so. I wasn't a member of ACTTD but that's my  
3 understanding, listening to discussions or taking part  
4 in discussions, primarily within the SNBTS, on the  
5 activities of the ACTTD. I think Dr Gunson, who was the  
6 chairperson of that committee at the time, was the main  
7 interface with the Department of Health.

8 So I think the ACTTD was also set up to provide  
9 Dr Gunson with expert views and expert positions and  
10 expert information that he could then transmit to the  
11 Department of Health when called upon to provide advice.  
12 I think Dr Gunson was the expert adviser to the  
13 Department of Health, as well as being the national  
14 director of the so-called National Blood Transfusion  
15 Service in England and Wales.

16 Q. Right. Keeping Dr Perry's statement open, could we have  
17 a look at another document, please, [\[SNB0019761\]](#)? That  
18 is the set of minutes from 24 April 1990, at which there  
19 was some discussion of the respective roles of the two  
20 bodies and we asked you about that. I think if we look  
21 particularly at the end of this set -- so if we could go  
22 to the last page, please --

23 A. Yes, indeed.

24 Q. You have been asked to look recently at that paragraph,  
25 32.

1 A. Yes.

2 Q. So this is 24 April 1990, so just over a year after both  
3 committees have started meeting really, there is this  
4 statement from the deputy chief medical officer about  
5 the respective roles of the two different committees.  
6 Dr Gunson, who by this time was on both committees, is  
7 to be the recipient of a letter concerning the  
8 respective roles and Dr Gunson, in fact, confirming that  
9 he shared the view that was being expressed. That is  
10 that ACVSB advises ministers, the Blood Transfusion  
11 Service committee considers the operational implications  
12 of policy and gives the department advice on safeguards  
13 against non-viral threats to blood and contributes to  
14 the advice on viral safety through input to ACVSB.

15 Can we go back to the statement, please, your  
16 statement, and look at page 2. I think, prompted by  
17 noticing that particular passage in those minutes, we  
18 wondered if there were difficulties about the boundaries  
19 between the two committees. You tell us, in your  
20 response -- can we go a little bit further down? -- that  
21 you don't recollect the chairman providing an  
22 explanation of why he was saying this and you don't  
23 remember taking the time or trouble to find out. Then  
24 you explain to us what you think underpinned what he was  
25 saying.

1 A. Yes, my response is speculative in that sense, yes.

2 Q. Right. Your speculation is that the statement was  
3 intended to be an assertion of the authority of ACVSB to  
4 make policy recommendations and that ACTTD was  
5 subordinate to this authority. You say:

6 "There was obviously overlap between the committees,  
7 both membership and agendas, although I do not recall  
8 this being perceived as unhelpful. It was more likely  
9 that Department of Health officials, including  
10 Dr Metters, were concerned that discussions at ACTTD  
11 might pre-empt any future decision in principle by ACVSB  
12 to introduce (or not) HCV testing."

13 Do you remember, during that first year or so, any  
14 sense of there being an awkwardness or any sense of the  
15 two bodies bumping into each other?

16 A. No, but that maybe is partly because I wasn't closely  
17 involved in the work of the ACTTD. I think, just to  
18 underline my role on ACVSB, I was there because I was  
19 a fractionator, not because I had an expertise in  
20 microbiological safety of blood and blood products.  
21 I wasn't, as I say, a member of ACTTD.

22 I think there was possibly a concern by the  
23 Department of Health that ACTTD, using the sort of  
24 colloquial expression, might be getting beyond itself.  
25 I think there was a very great concern held at high

1 level that the views of ACTTD could be represented or  
2 misrepresented as being the policy of the government.  
3 I think what Dr Metters was trying to do -- or this was  
4 my take on it at the time -- was that he was basically  
5 stamping the authority of ACVSB as being the body that  
6 provided policy advice to ministers and made the big  
7 decisions in terms of policy. ACTTD's job was to  
8 implement these policies.

9 Now, of course, neither can operate without the  
10 other, I don't think, and I think, certainly during the  
11 first 12 months and, indeed, throughout all discussions  
12 on Hepatitis C, there was a vigorous exchange of  
13 information between work being done by ACTTD and  
14 presented to the ACVSB by Dr Gunson.

15 I always regarded both committees as being  
16 complementary in that sense. I don't think ACVSB could  
17 have functioned without the ACTTD, without creating an  
18 operational group to explore some of the details that it  
19 needed to make its decisions.

20 Q. Right. Can we go a little bit back up this page, please  
21 and note what you say at the top about the emphasis, at  
22 the first meeting of ACVSB, on the need for  
23 confidentiality --

24 A. Yes.

25 Q. -- and that it was considered to be -- ACVSB was



1 considered to be the authoritative source of advice for  
2 health departments and ministers. So that certainly  
3 seems to have been the vision for ACVSB set out, right  
4 from the start.

5 A. Yes.

6 Q. As far as the Transfusion-transmitted Diseases Committee  
7 is concerned, you then say that:

8 "The Transfusion Service directors held the view  
9 that a professional group remained an essential source  
10 of information and advice for ACVSB".

11 I took it that your use of the word "remained" was  
12 really meant to convey that, even once the  
13 Transfusion-transmitted Diseases Committee was up and  
14 running and they knew that the ACVSB committee was there  
15 too, they felt that there was a continued need for their  
16 existence?

17 A. Absolutely, and for the reasons that I have described,  
18 it was very much a body of expert individuals, which  
19 I have -- who I have mentioned also in my evidence, were  
20 also -- they were represented on both ACVSB and ACTTD.  
21 So, in that sense, there was a quite a considerable  
22 amount of overlap between the two committees in terms of  
23 membership and expertise. But I think -- my  
24 understanding from the discussions was that, although we  
25 had this ACVSB thing -- which was perceived as slightly

1 over secretive and the confidentiality being slightly  
2 overdone -- then I think transfusion directors, who were  
3 responsible for delivering the products and services  
4 that they were charged to do, took the view that they  
5 needed an expert committee within the UK to consider all  
6 the various issues of product safety. Often beyond  
7 those which were being considered by ACVSB.

8 Q. Right.

9 A. So much of the operational detail, as you will have seen  
10 from the minutes of ACTTD, considered the creation of  
11 flowcharts, donor counselling algorithms and so on.  
12 Much of the detail that made policies actually translate  
13 into effective and safe working practice.

14 Q. Perhaps if I just call them TTD and VSB for short, since  
15 they both begin AC; it will save using the five letter  
16 abbreviations all day.

17 TTD, as we saw yesterday, first met on  
18 24 February 1989 and VSB first met on 4 April 1989. So  
19 in terms of who was first off the blocks, it was the  
20 TTDs who had their first meeting. But in terms of the  
21 genesis, as I think we will see when we look at some of  
22 the documentation, it might perhaps have been the other  
23 way round.

24 A. Yes.

25 Q. Can we go further down the page, please, and look at the

1 question relating to membership. Indeed, I think we can  
2 look at a document, [\[SNB0061922\]](#). This lists the  
3 members of the TTD committee in February 1989, I think  
4 actually from the top. That document has been prepared  
5 in January 1989 and we can see names we recognise.

6 A. Yes.

7 Q. In fact, I think the only name we wouldn't know by now  
8 is Mr Cosgrove, but we will come to him. Very roughly  
9 speaking, three members from Scotland, Professor Cash,  
10 Dr Follett and Dr Mitchell, and four from England.

11 A. That's correct.

12 Q. Dr Gunson, Dr Contreras, Dr Mortimer and Dr Wagstaff.

13 A. Yes.

14 Q. Yes. Can we look at [\[SGH0031235\]](#), please? Go to  
15 page 5. This is a submission dealing with the formation  
16 of ACVSB and, at that point, the membership, which was  
17 envisaged, is as contained in appendix 2, which we can  
18 see in front of us. I suppose the first thing to note,  
19 since this is a Scottish Inquiry, is that there isn't  
20 the same rough parity that there was in TTDs.

21 A. No, there is a -- there two members from Scotland on the  
22 committee, which I guess, in population proportion, is  
23 not doing too badly.

24 Q. Yes, that would be taking us into a whole other range of  
25 questions, all of which are interesting but probably not

1           for today.

2    A.   Yes.

3    Q.   But we can see there is one representative of SHHD in  
4           the observer category.  In the membership there is you,  
5           obviously, from PFC Liberton and there is Dr Urbaniak,  
6           and I think for reasons which were not very clear, but  
7           we probably don't have to probe, for some reason  
8           Dr Urbaniak became Dr Mitchell.

9    A.   It was Dr Mitchell, I don't remember Dr Urbaniak ever  
10           attending the meeting.

11   Q.   Dr Mitchell I think was there from the start.

12   A.   I don't think there is anything particularly mysterious  
13           about that.  Dr Mitchell had a much greater personal  
14           experience and expertise in large-scale testing systems  
15           compared to Dr Urbaniak.  I think he had the right skill  
16           set, I think, to do the work.

17   Q.   I didn't, Dr Perry, find it totally easy -- and no doubt  
18           this is my fault.  I didn't find it totally easy to work  
19           out who ended up on VSB.  There were a few changes here  
20           and there and people arrive in the minutes without there  
21           having been any record of their having been appointed as  
22           a member of committee or someone else having left.

23           Perhaps I could try a few other names on you who do  
24           not feature on this list but do start appearing in the  
25           minutes.  Dr Tedder appears from quite early on.

1 A. My recollection -- and had you asked me without  
2 reference to this document, I would say that Dr Tedder  
3 was an important, an influential, member of the  
4 committee. He was and still is a recognised expert,  
5 certainly in terms of infectious disease. He is an  
6 expert virologist and certainly had a track record and  
7 an interest in the work of the transfusion services.  
8 So, yes, Dr Tedder, to my recollection, attended most,  
9 if not all of the meetings.

10 Q. Yes, and Dr Philip Mortimer, who I think must have come  
11 instead of Dr Gill, we see there there is a Dr Gill from  
12 CDSC. I don't think he or she ever attended.

13 A. Not to my recollection, but Dr Mortimer certainly did  
14 and Dr Mortimer from the Public Health Laboratory  
15 Service as it was known then, was again a recognised  
16 expert and well regarded individual. So he brought  
17 a useful public health perspective to the discussions.  
18 He was also an expert virologist with particular  
19 interest in the work of the transfusion services. But  
20 both of those individuals were also on TTD.

21 Q. Dr Viner is shown, from NIBSC, but I wonder if that  
22 might just be a mistake because I think it was  
23 Dr Phil Minor.

24 A. Yes, it would have been Dr Philip Minor. I think this  
25 is a transcription error, or a misunderstanding, by

1           whoever typed up this document at the time.

2   Q.   Right.  As far as the observers go, we see

3           representative for SHHD and in fact that became

4           Dr McIntyre from pretty early on.

5   A.   That's right.

6   Q.   The secretariat, Dr Pickles appears to have moved from

7           the secretariat into the category of observer and

8           a Dr Rejman, was part of the secretariat.

9   A.   Yes.

10  Q.   I just wanted to ask you about the secretariat.  Did

11          they contribute to meetings, those individuals?

12  A.   Yes, they were -- certainly Dr Rejman and Dr Pickles --

13          and I'm trying to recall if there were others -- and

14          Dr Purves from the Department of Health medicines

15          division, certainly involved in the

16          Committee on Safety of Medicines and the licensing of

17          plasma products.

18                 Yes, periodically they were called upon specifically

19          to report on a particular issue, but also took a full

20          part in the discussions of the committee.  I think that

21          was probably less the case with the Welsh, the Northern

22          Irish and the Scottish departmental representatives, who

23          tended to be, as they were described there, more

24          observers than participants --

25  Q.   Right.

1 A. -- but that's not a criticism. That's just an  
2 observation on how it worked.

3 Q. Right. Can we look, just, I think, to fortify our  
4 understanding or strengthen our understanding of these  
5 early meetings, at [\[SNF0011219\]](#), which is the first VSB  
6 meeting, we can see the list of individuals there.  
7 Dr Summerfield, he is there as a haematologist. He  
8 didn't feature on the suggested list but, by this point,  
9 as I was saying, the secretariat has changed and is  
10 Dr Rejman and Mr Canavan. Dr Pickles has become an  
11 observer.

12 A. Yes.

13 Q. Dr Rotblat.

14 A. Yes.

15 Q. That's somebody I think you knew from your work --

16 A. Yes, I had quite a longstanding relationship with  
17 Frances Rotblat from the medicines division, primarily  
18 through my role in the Committee on Safety of Medicines.  
19 She was part of the secretariat of the biological  
20 subcommittee on the Committee on the Safety of  
21 Medicines. So I had a regular interaction with  
22 Dr Rotblat in terms of product licensing and so on.

23 Q. Right. Just while we are here, as it were, if we have  
24 a look at the rest of the minutes: The chairman  
25 reminding everybody, at the outset, that their advice on

1 the subjects under discussion could be publicly  
2 sensitive and should not be discussed outside the  
3 committee unless specifically indicated. I think that  
4 reflects the point you were making about discretion, if  
5 not secrecy?

6 A. Yes, I think the minutes slightly understate what was  
7 actually said at the meeting and I remember this --  
8 there are a few moments in one's life that you do  
9 remember and I think Ed Harris, who was the deputy chief  
10 medical officer at the time, did really underline and  
11 emphasise this point, almost threatening you with the  
12 tower of London if you were to breach that  
13 confidentiality.

14 Q. Right. Then the terms of reference. The chairman spoke  
15 to a paper on the terms of reference and we can see the  
16 committee has been set up to give advice to the UK  
17 health ministers and then that comment that:

18 "It was hoped to avoid conflicting views to  
19 government from other committees."

20 Then that attempt perhaps to make the distinction  
21 between policy and operation --

22 A. Yes.

23 Q. -- and that the committee was dealing with major policy  
24 issues and the implementation would be for others.

25 A. Yes. I think the other committees, just for



1 clarification, didn't necessarily refer to the TTD.  
2 I think it referred to all the various other expert  
3 groups that had been established: things like the Expert  
4 Advisory Group on AIDS and those government committees,  
5 where there is always an element of overlap. I don't  
6 think it was specifically referring to TTD at the time.

7 Q. Right. Can we just look on through the minutes? This  
8 is not a meeting at which hepatitis really was dealt  
9 with. We can see the other topics on page 3. A lot of  
10 discussion of human growth hormone.

11 A. Yes.

12 Q. Then, page 4, discussion of the Directive which was to  
13 be coming, discussion of testing for HTLV-I and then  
14 finally, on page 5 at paragraph 30, the chairman said  
15 that:

16 "Hepatitis could be in the agenda of the next  
17 meeting. Members were invited to submit papers."

18 A. Yes, that's correct. There was no discussion of  
19 hepatitis, surrogate testing or candidate HCV tests at  
20 that time.

21 Q. Right. Quite interesting just to glance at an SHHD  
22 paper at this point, Dr Perry, [\[SGH0031228\]](#). This is  
23 Dr McIntyre's own note of that first meeting. Have you  
24 seen this before? You are complimented in paragraph 1.

25 A. Yes, I see that, he must have been thinking of somebody

1 else. I certainly didn't see this at the time. I think  
2 this was typical of Dr McIntyre's response to attendance  
3 at the meeting. He would return back to the Scottish  
4 Home and Health Department and brief colleagues through  
5 these minutes and notes that he wrote.

6 I think that was important because, given the  
7 confidentiality of the discussions at ACVSB, I think the  
8 role of Dr McIntyre was, he was the conduit for  
9 providing information formally from the department down  
10 to the SNBTS, when they considered it was necessary for  
11 individuals to be briefed. I think again, while we are  
12 on that subject, it was important to recognise that  
13 I was -- and indeed Dr Mitchell was -- appointed to  
14 ACVSB, as was often typical at the time, in our  
15 individual capacities, not as representatives of our  
16 host or parent organisations.

17 So it was not appropriate, or it was indicated to us  
18 that it was not appropriate for either myself or  
19 Dr Mitchell or other members to return from the  
20 committee and brief colleagues in SNBTS on the  
21 activities of the committee. That was precluded by the  
22 terms of confidentiality.

23 Q. Yes. Professor Cash in his statement on this topic has  
24 taken up this point about it being difficult to find out  
25 what had been discussed and any decisions that had been

1 taken. There is, in fact, a separate chain of  
2 documentation about that particular issue, about just  
3 how far members of the committee could go in discussing  
4 what had happened with their colleagues. I'm planning  
5 to look at that with him, but I certainly hear what you  
6 say, Dr Perry, about that being a concern. You maybe  
7 recollect that Professor Cash was troubled by the need  
8 to find out what had been discussed?

9 A. I think so and understandably so. He was the head of  
10 the Scottish service. These were important and weighty  
11 matters that were being considered and, whilst they  
12 might only have been discussed at policy and in  
13 principle, that more often than not turned into  
14 operational practice. So he was very anxious to  
15 understand what discussions were taking place and what  
16 processes were in place so he could be in a state of  
17 readiness for operational implementation.

18 Q. Yes.

19 A. I think Professor Cash always liked to be slightly ahead  
20 of the curve, if he could be.

21 Q. Right. Can we just have a look at that paper, just  
22 quickly, to conclude. The rest of it following,  
23 unsurprisingly, the same order as the discussion we saw  
24 in the minutes. On to the next page, please. Then over  
25 the page.

1 THE CHAIRMAN: Sorry, could we go back to the page before?  
2 We see there is a conclusion, the very first conclusion.  
3 MS DUNLOP: I think that's HTLV-I, sir.  
4 THE CHAIRMAN: Oh, that's HTLV-I.  
5 MS DUNLOP: That's the whole discussion of screening for  
6 HTLV-I.  
7 THE CHAIRMAN: I picked up one line.  
8 MS DUNLOP: It's difficult when the heading is on the page  
9 before, but the reference to hepatitis comes towards the  
10 end. Could we go back to page 3 and then on to page 4,  
11 please, AOCB. Then page 4:  
12 "It was agreed that hepatitis would be the main  
13 subject for discussion at the next meeting."  
14 So that's Dr McIntyre's note of the meeting?  
15 A. Yes.  
16 Q. As you said, that appears to have been his practice, to  
17 prepare his own note?  
18 A. I think that was very typical of his response to  
19 attending their meeting. He would go back and brief his  
20 professional colleagues in the Scottish Home and Health  
21 Department and they would then take a view as to whether  
22 any specific information or advice needed to be given to  
23 the service.  
24 Q. Yes. Just to think a little bit more about the  
25 meetings, they appear to have been quite significant

1 events and to have involved the circulation of quite  
2 a lot of reading material in advance. Is that correct?

3 A. Yes, I think -- I'm not quite sure how the agenda was  
4 put together but it was put together, I think primarily  
5 by the Department of Health, by the secretariat. They  
6 would either seek -- commission, reports to be written  
7 on particular subjects, not from an expert point of view  
8 but to provide context, for example for HTLV-I testing.  
9 They would have brought papers together, either  
10 published documents, and then these would form the basis  
11 for discussion amongst the so-called experts.

12 Q. Right.

13 THE CHAIRMAN: Can you just remind me what Dr McIntyre's  
14 position was? Was he a member of the secretariat --

15 MS DUNLOP: No, he is an observer.

16 A. He was an observer.

17 THE CHAIRMAN: So he was not covered by the strictures on  
18 confidentiality that applied to you and your colleagues?

19 A. Well, certainly not within the department itself, not  
20 within the Scottish Home and Health Department. I don't  
21 think he was allowed to, or expected or permitted to  
22 write articles in the Scotsman or anything of that  
23 nature, but certainly within his own professional  
24 environment, I think the confidentiality really applied  
25 to a sort of within government confidentiality.

1 THE CHAIRMAN: Yes.

2 MS DUNLOP: One of the things that is noticeable about the  
3 different style of the minutes is that VSB, as it said,  
4 has these different papers, which have obviously been  
5 circulated in advance, and frequent reference is made to  
6 them in the minutes. TTDs does, however, have something  
7 that VSB doesn't have, which is that, in the minutes,  
8 there are initials of people who are, as we say  
9 nowadays, tasked with taking action on certain points.

10 A. Yes, but I think that reflected the different focuses of  
11 the meeting. I think the ACVSB's job was to ingather  
12 information and expert views and come to a decision,  
13 which is what it tended to do. I think ACTTD -- sorry,  
14 TTD also operated in that role, but was also an  
15 organisation or a body of professionals who would  
16 identify the need for additional work, additional  
17 studies.

18 I have given the example of flowcharts, detailed  
19 implemental policies, standard operating procedures and  
20 so on, which wouldn't have come to ACVSB, but  
21 nonetheless were essential elements of implementation of  
22 any new development. So ACTTD, again without implying  
23 any criticism of VSB, was much more action centred. It  
24 did generated a work stream from its meetings, whereas  
25 VSB tended to be more reflective on the information that

1           it gave. If indeed it did require additional works,  
2           then it would, more often than not, commission that  
3           through Dr Gunson and ACTTD.

4    Q.    I see.

5    A.    So, in that sense, both committees were complementary.

6    Q.    Right. Can we go back to the statement, please and we  
7           are now at page 2110. This is still on the question of  
8           how the members were actually chosen and you thought  
9           perhaps you were nominated by Dr Rotblat in light of  
10          your experience on the Committee on Safety of Medicines.  
11          That was the biological subcommittee you were on?

12   A.    Yes, I was a member of the biological subcommittee on  
13          the Committee on the Safety of Medicines. As I said  
14          previously, I worked closely with Dr Rotblat in that  
15          committee and this is pure speculation because I would  
16          be interested to find out who did nominate me. My best  
17          guess is it was Dr Rotblat, but I might be wrong.

18   Q.    Certainly we are finding out many things, Dr Perry, and  
19          if we come across the answer to that, we will let you  
20          know.

21   A.    Thank you.

22   Q.    You say about the overlap in membership and I think we  
23          have established certainly that would cover Dr Gunson,  
24          Dr Mitchell and Dr Mortimer?

25   A.    Yes.

1 Q. Then you say:

2 "It's not surprising that Dr Mitchell was a member  
3 of both committees."

4 A. Yes, I should perhaps also add in terms of membership,  
5 certainly on TTD and fairly frequently at VSB, to the  
6 best of my recollection, there were various other people  
7 that were invited. Dr Mitchell took his expert  
8 technical team with him often to TTD, people like  
9 Archie Barr, Mr Archie Barr, who was the laboratory  
10 manager responsible for enacting these things.

11 So its participants often were -- included people  
12 that are not specifically members and I think  
13 periodically VSB would call in a particular expert to  
14 talk about particular subjects.

15 Q. Can we look now at the second meeting of VSB, and this  
16 is actually something we covered, I think, in our  
17 question 5, which is not a question you have  
18 specifically focused on. I don't mean any criticism by  
19 that but just for our information, can we look at  
20 [\[SNB0019416\]](#)? This is the second VSB meeting. This is  
21 22 May 1989. Can we move on to the next page, please?  
22 Then we can see at the bottom of page 2 there is  
23 a discussion of Hepatitis B and then on to following  
24 page, non-A non-B. I must say, Dr Perry, I have  
25 struggled with the typographical error. Just in



1           passing. I don't myself see any difference but --

2    A. I think --

3    Q. Perhaps there is a typographical error in the

4           typographical error?

5    A. I think there is a typographical error in the minute

6           identifying the typographical error. I have no

7           recollection of this, but this would be typically

8           Professor Zuckerman, who was understandably and quite

9           rightly so, fairly obsessive about the correct

10          terminology because, you know, a lot of misunderstanding

11          can occur through inappropriate terminology. So he was

12          simply making sure that the record was accurate.

13   Q. Well, indeed. I think we will come on to see an

14          instance of that later on, which is of slightly more

15          significance. So I certainly won't risk any more

16          derision from my colleagues by spending any more time on

17          this.

18   THE CHAIRMAN: I don't know. It's fascinating. Is there an

19          answer?

20   MS DUNLOP: No; no; and this -- perhaps of slightly more

21          substance, this discussion in paragraph 17, about there

22          possibly being two or more viruses causing NANB:

23                 "The Chiron test was estimated to pick up

24          approximately 50 per cent."

25                 22 and a half years ago, Dr Perry. I don't expect

1           you remember where that 50 per cent came from?

2    A.   I have no idea, I'm sorry.  I think it may have come  
3           from the observation that the Chiron test only picked up  
4           50 per cent of known infectious donations; therefore,  
5           there must be a virus causing the other 50 per cent.

6    Q.   It was the 50 per cent figure actually.  I have looked  
7           for literature around this time and I could not find  
8           anything that said 50 per cent.  There are a lot of  
9           figures again -- anyway, it has obviously been in  
10          someone's mind, 50 per cent.

11   A.   Yes.

12   Q.   Then --

13   A.   There was, certainly, a widely held view that, at that  
14          time, hepatitis non-A non-B was not necessarily a single  
15          entity.  That was fairly well accepted, though not  
16          proven wisdom.

17   Q.   Perhaps more significantly, the paragraph 20:  
18                 "It was agreed NANB testing should not be introduced  
19                 into the NBTS, prior to the results of the UK BTS non-A  
20                 non-B trial.  Anti-HB testing was not without problems."  
21                 Then 21:  
22                 "The department would keep the issue of testing  
23                 under review.  The use of Chiron or surrogate testing  
24                 would be influenced by Chiron data, once released."  
25                 What do you think that means, that sentence:

1           "Chiron data, once released"?

2    A.   I think this minute is April 1989, isn't it?

3    Q.   This is May 1989.

4    A.   May 1989 the meeting took place. I think that was prior

5       to the formal release. I think the Chiron work and the

6       expectation of them having discovered the sequence of

7       Hepatitis C was coming to be well-known amongst

8       professionals. But I think this preceded, if I'm

9       correct here, the point at which Chiron formally and

10      officially released the data into a peer-reviewed

11      publication.

12   Q.   Well, they did publish in April 1989. It's also

13      interesting, that reference at the end of 17, to testing

14      without recourse to Chiron.

15   A.   I think --

16   Q.   Details were published on 21 April 1989. What I'm

17      wondering, Dr Perry, is is there a feeling at the

18      meeting that it might be possible to make a British test

19      and we won't need the American tests? Do you recollect

20      that?

21   A.   No, I don't recall that being a significant

22      consideration. I think it was simply saying that, once

23      the sequence has been published and that's in the public

24      domain, then it's possible for any organisation to make

25      a clone and develop their own test methodology. I think

1 that's what's being implied there.

2 It wouldn't necessarily have to be a British  
3 company; it could be from anywhere in the world, but  
4 it's simply advising that Chiron didn't necessarily have  
5 a global monopoly on this particular test. I think they  
6 found that reassuring. I don't think it was a made in  
7 Britain argument.

8 Q. It's just that other providers may enter the market?

9 A. That's right.

10 Q. I see.

11 A. That's my understanding.

12 Q. Right. Can we go back to the statement now, please? At  
13 our paragraph 6 we referred to Professor Cash initiating  
14 a study of the new tests. We asked whether the Scottish  
15 project was the equivalent of the assessment in England,  
16 which had been initiated by Dr Gunson, and your answer  
17 is that:

18 "The Scottish study sought to establish the  
19 prevalence of HCV in the Scottish donor population and  
20 any geographical variations, which also appeared to be  
21 the objective for the study at North London, Bristol and  
22 Manchester, but the Scottish study had a series of other  
23 objectives."

24 Actually we looked at these yesterday. I think  
25 there are a total of nine different objectives in that

1 particular project?

2 A. Yes.

3 Q. I suggested to Dr Dow it was quite an ambitious project.  
4 I don't know if you would agree with that?

5 A. Yes, but it was quite a powerful group of -- it was  
6 quite a powerful database of samples that was available  
7 and, I think fairly uniquely in the West of Scotland,  
8 they did have these small panels of patient samples and  
9 donor samples that were associated with other markers  
10 perhaps, that they could use to explore more -- in more  
11 depth what the test was actually picking up. I don't  
12 think those panels were available in England and Wales  
13 at the time.

14 Q. We did ask whether this was -- I think either the  
15 Scottish study on its own or the combination of the  
16 Scottish and English studies -- whether that was seen as  
17 capable of providing an answer to the question of  
18 whether these tests should be introduced. You say you  
19 weren't involved in design, execution or analysis of  
20 these studies, but you think that that would have been  
21 going too far too fast, basically, to put it like that?

22 A. Yes, I think this was the first time anyone had had  
23 their hands on a -- on something that purported to be  
24 specific for Hepatitis C. I think the first study would  
25 have been more a proof of principle than a decision to

1 go or not go with a particular test and I think that  
2 would have been typical of all these sorts of  
3 interventions at the time.

4 Q. Certainly, if one posed that question in relation to the  
5 Scottish study on its own, then, given the background  
6 that there was a decision that the UK should move  
7 together, then that would not have happened because the  
8 Scots weren't going to be taking a decision on their own  
9 anyway.

10 A. Absolutely, I think Scotland always liked to have its  
11 own analysis of these important technological advances,  
12 but it would have done it with a very enthusiastic and  
13 full view that this would contribute to the UK data on  
14 the test overall. So it would have been seen as  
15 a Scottish contribution to decisions to introduce the  
16 test or not and, more often than not, would have gone to  
17 ACTTD for discussion.

18 Q. Right. You refer there to acquiring further in-house  
19 operational evaluation, validation and then assessment  
20 of wider UK and international experience of its  
21 suitability. So international experience was seen as  
22 relevant too?

23 A. Yes, I think SNBTS and indeed the UK services overall  
24 would have always had an eye to the rest of the world to  
25 learn from other people's experience. That would have

1           been commonplace and typical, not only in transfusion  
2           but in any area of science or medicine. I think the  
3           international perspective is always important.

4    Q. I suppose, insofar as other countries are reporting  
5           their experience with this new form of test, there  
6           presumably has to be a note of caution because there may  
7           be differences in the population?

8    A. Indeed and I think that's -- if I understand you  
9           correctly, that's part of the reason why it's useful to  
10          keep a close eye on international developments. There  
11          could be a particular subtype or where the test kit is  
12          not effective or some such example. I think the point  
13          I'm making there is, in response to your question: was  
14          this initial evaluation designed or expected to provide  
15          a green light for introduction of testing?

16                 I'm just simply saying there were many other  
17          considerations before you would do that, even if our  
18          small study in Scotland had revealed that it seemed to  
19          be effective and there were -- false positives and false  
20          negatives were under control and so on. I think if, at  
21          the same time, we had learned of an international  
22          experience where there were significant issues and  
23          problems, then clearly that would have affected our  
24          decision to introduce.

25    Q. Right. Can we move on to the next page, please? We

1           dealt with a question that we posed in our paragraph 7.  
2           I think we were puzzled by another supposed assessment,  
3           the assessment of samples of special interest. But you  
4           think that the special interest samples were included in  
5           the Scottish study.

6   A.   Yes.

7   Q.   Yes. Can we look now, please, at the third meeting of  
8           VSB. That's 3 July 1989, [\[SNB0019513\]](#). We note that  
9           Dr Metters is taking over from Dr Harris as DCMO?

10  A.   That's correct.

11  MS DUNLOP: So he is going to be chairing VSB from now on.  
12           Actually here is the answer, I'm sorry, sir. I think  
13           sir, it's only you and I who are interested but there is  
14           a correction of the correction.

15  THE CHAIRMAN: I have to tell you that Professor James got  
16           it right in one.

17  MS DUNLOP: Right, yes. So it should have been "anti-HBc"  
18           instead of "anti-HBs."

19  A.   They actually are significant differences, certainly to  
20           a scientist.

21  Q.   That probably explains the derision, Dr Perry. If we  
22           move on through this particular meeting and look at the  
23           state of play: human growth hormone and HTLV-I again and  
24           then non-A non-B Hepatitis. Reference to  
25           a Council of Europe paper stating that anti-HCV testing



1 alone was not sufficient to eradicate post-transfusion  
2 hepatitis. Then a reference to the surrogate testing  
3 study. Members are cautioning against the overtly  
4 commercial stance of test manufacturers.

5 A. Yes.

6 Q. Then interestingly, the Chiron test had been used in  
7 first time recipients of 8Y:

8 "Preliminary results had shown no positives. Most  
9 recipients of earlier concentrates were Chiron  
10 positive."

11 I suppose that kind of discrimination would be as  
12 expected with a test for the virus?

13 A. Yes, but I think it was also seen as quite a significant  
14 piece of data; that populations which were well  
15 understood in terms of their risk of transmission of  
16 non-A non-B Hepatitis, as it was at the time -- to have  
17 a specific group of patients that were anti-HCV negative  
18 and none of the other markers of hepatitis was actually  
19 quite a significant -- it wasn't definitive.

20 It didn't lead to any overarching conclusion but I  
21 think it is seen as a very useful piece of data because  
22 you had a control group as well, which was those that  
23 had been infected and treated with unheated products.  
24 So, not just in terms of Factor VIII product, but in  
25 terms of evaluating whether this test is really picking

1 anything up real.

2 Q. Indeed, yes. Can we look on to the next page, please?

3 "Dr Mortimer had attended a recent conference and he  
4 considered the findings represented a persuasive case  
5 that Chiron test results were reliable."

6 A. Yes.

7 Q. The chairman is asking for all the data to be compiled  
8 and given to the committee for the next meeting.

9 A. Yes, I think Dr Mortimer was signalling there that he  
10 had seen this -- he had -- and I think he was simply  
11 signalling to the committee that, in his view, the test  
12 was effective, it was real, it was identifying something  
13 real. It was -- his most likely guess was that it would  
14 emerge as a useful and reliable screening test.

15 Q. Right.

16 A. Although he is noting, at that time, that it was ready  
17 to go, as it were. He was simply expressing cautious  
18 optimism.

19 Q. Right. At that point the date of the next meeting was  
20 expected to be 17 October. So this is the 3 July and  
21 looking to 17 October for a discussion. If we can go  
22 back to the statement, please, I think we suggested to  
23 you that there is no real detectable sense of urgency  
24 from this, so -- and I think you really agreed with that  
25 observation?

1 A. Yes, I think I would agree that there was a greater  
2 emphasis on understanding the science than there was in  
3 saying, "We must introduce a test as soon as possible".  
4 That paints it in very stark terms, but that's certainly  
5 my recollection. There was certainly no discussion, as  
6 I recall from that meeting, of a putative date at which  
7 the test could or should be introduced.

8 Q. Right. We asked also about ACVSB considering  
9 commissioning its own evaluation. I think you suggest  
10 that they felt -- VSB and the Department of Health felt  
11 that there was sufficient expert information coming in,  
12 and also that some of those who were on the committee  
13 were themselves involved in evaluations anyway.

14 A. Yes.

15 Q. So there was no need for an independently commissioned  
16 piece of work. Is that right?

17 A. Yes.

18 Q. We then went on to ask a little bit more about  
19 decision-making and you point out -- I think this is  
20 really covering the same ground, but you point out in  
21 answer 10 that there was no stated or agreed policy for  
22 the introduction of new screening tests. You say:  
23 "Many believed it to be only a matter of time."  
24 Would you have been one of those who, around about  
25 the summer of 1989, was thinking it was only a matter of

1 time before testing for Hepatitis C was undertaken?

2 A. No, I wouldn't actually include myself in that group.

3 I think I was fairly neutral at that time. As I have

4 mentioned, this wasn't an area of expertise, so I was

5 very much on the learning curve here. But I did come to

6 that view fairly soon after that.

7 Q. Right. Next page, please. Dr McIntyre is mentioning

8 his understanding that any new test would be introduced

9 simultaneously throughout the UK and we asked about the

10 source of that understanding. I suppose it would be

11 accurate to say that there weren't really any dissenters

12 from that, both in terms of government departments: SHHD

13 and Department of Health, and also the transfusion

14 services in the two countries at that time. The

15 understanding seems to have been that the introduction

16 of any testing would be a common UK move.

17 A. That would have been my view at the time. That was

18 a given. It was the default condition for obvious

19 reasons that I wouldn't wish to expand on at the moment,

20 but, yes, that was certainly my understanding. I think

21 it was the accepted view of the committee, that this

22 would be a UK decision and implemented in a coordinated

23 manner across the UK.

24 Q. Right. Then paragraph 11, more correspondence and

25 really I think we were focusing mainly on what might

1           have been Professor Cash's thinking at that point on  
2           timescales. I suppose Professor Cash is wanting to make  
3           sure that Scottish centres -- as you say, Scottish  
4           centres could be ready, so if a decision were to come,  
5           perhaps at quite short notice, to introduce testing, all  
6           the practical steps being in place would be very  
7           advantageous?

8    A. Absolutely.

9    Q. Yes. Then we have paragraph 12, we have reference to  
10       a meeting with Ortho in London in August 1989. We have  
11       glanced at a letter from Dr Mitchell reporting on that  
12       and it would be my intention really to go into that more  
13       with Dr Mitchell, since he was there.

14   A. Sure.

15   Q. We asked you too about a turnkey system. Can we go on  
16       to the next page, please? Your explanation is that  
17       a turnkey system is a complete system for testing,  
18       including equipment, reagents, precise operating  
19       instructions and result analysis. So something that's  
20       ready to roll out, clearly?

21   A. Absolutely, but bear in mind that comes from somebody  
22       that has never done a Hepatitis C or other test in his  
23       life. That would be my understanding of a turnkey  
24       analytical system.

25   Q. I think it was just our unfamiliarity with the term. We

1           wondered if someone could explain it.

2           Dr Mitchell -- again we can ask him about whether  
3           the figures he presented were coming from the ongoing  
4           work in Scotland.

5           Then question 13. We asked about the  
6           decision-making process, trying really to get a feel for  
7           how it could best be described. You have said that the  
8           subtle distinctions that we were attempting to draw in  
9           our questioning were probably best clarified by SHHD  
10          officials.

11          But you say your impression was that:

12          "... for all practical purposes the decision and  
13          timing of the introduction of HCV testing was led by the  
14          Department of Health and in particular by the DCMO."

15    A. Yes, and I would still take that view now from -- and  
16          that was certainly our belief at the time, that this was  
17          very much a process that was led by the Department of  
18          Health. I'm not aware, and I wasn't aware at the time,  
19          that there were detailed meetings between the various  
20          health departments to debate the issues for and against  
21          Hepatitis C testing, for instance. I think there were  
22          probably conversations and discussions about  
23          implementation but I think the decision was primarily  
24          one taken by -- well, by ACVSB and also the Department  
25          of Health people behind the scenes.

1 Q. Right. You say that:

2 "Participation or involvement of the ..."

3 What are sometimes referred to as the territorial  
4 departments, the Scottish, Northern Irish and Welsh,  
5 departments of health:

6 "... appeared to be limited to the presence of  
7 officials as observers ... at the meetings."

8 A. Yes.

9 Q. Then we asked about the formal position and you say  
10 that:

11 "It was understood that a decision by the Department  
12 of Health, and presumably English ministers, would be  
13 replicated in Scotland."

14 A. Yes.

15 Q. Can we go on to the next page, please? We tried to  
16 focus on confirmatory testing and the letter that we  
17 were highlighting is a letter we looked at yesterday.  
18 It's a letter from Dr Cash and others, in The Lancet of  
19 26 August 1989.

20 So there were various steps that could be taken to,  
21 as it were, conduct a second test once a positive  
22 screening test had been obtained. I think we have  
23 a preliminary understanding that there were seen to be  
24 drawbacks with certain types of test which didn't really  
25 do anything very different from the first kind of

1 test --

2 A. That's right, they were using the same principle --

3 Q. -- to put it in that very colloquial manner at the  
4 moment. Then, 15, we asked about the symposium in Rome  
5 and again Dr Mitchell was at that. There were meetings  
6 in quick succession in Rome and also in Durham in the  
7 autumn of 1989 and Dr Mitchell was at both of those. So  
8 it would seem sensible to ask Dr Mitchell and we will do  
9 that.

10 You say in your answer that you think the material  
11 already assembled, so the preliminary report, the  
12 minutes of meetings, and the judgment from A v The  
13 National Blood Transfusion Service Authority:

14 "... provide a fairly comprehensive account of  
15 discussions and events at that time."

16 The meeting, which was originally intended to take  
17 place on 17 October -- that is the next VSB meeting --  
18 was in fact postponed until 6 November. So the fourth  
19 meeting didn't take place until then.

20 I think it's useful if we can look at [\[SNF0011383\]](#),  
21 please in relation to that. These are the papers for  
22 that meeting. If we look at page -- we can see the  
23 agenda there. We can see the same sort of topics: human  
24 growth hormone, the EC directive, HTLV-1 and then non-A  
25 non-B Hepatitis.



1           If we look at -- I think it might be easier actually  
2           to keep these papers open and look at, as a separate  
3           exercise, at a set of minutes which are [\[SNB0019563\]](#).  
4           If we can keep both these documents open, so that we can  
5           go between them.

6           Although the minutes are contained within that set  
7           of papers, it looks to have been your practice,  
8           Dr Perry, to bundle up the papers for the meeting and  
9           the minutes --

10          A. Of the same meeting, yes.

11          Q. -- and file it altogether. Is that right?

12          A. Yes.

13          Q. If we look at the minutes, one of the things to note is  
14           that, in fact, you weren't at this particular meeting,  
15           you had sent your apologies. Then, if we move through,  
16           I think we really need to look at page 4 of the minutes  
17           and we see the discussion of non-A non-B Hepatitis.

18           So we have Dr Gunson speaking to a paper which was  
19           before the meeting, and summarising the meeting in Rome.  
20           Conclusions of the BTS committee. I think that means  
21           TTDs?

22          A. Yes.

23          Q. "... were that the test will detect a viral marker to  
24           NANB, a positive test may mean that blood is infected  
25           (but not always) and that routine testing for anti-HCV

1 will reduce NANB. Estimates of the extent of the  
2 reduction range from 20 per cent to 60 per cent.

3 "The problems that were identified were the lack of  
4 a confirmatory test and a question mark hanging over the  
5 status of the ALT and anti-HBc testing. The  
6 recommendations were that routine screening should be  
7 introduced only after a confirmatory test becomes  
8 available, after the FDA have approved the test and  
9 urgent pilot studies have been carried out in this  
10 country."

11 I think we can read for ourselves the summary of the  
12 discussion.

13 A. Yes.

14 Q. On to the next page. (Pause).

15 So there is this reference to the need for  
16 confirmatory testing, then also a focus on the FDA. The  
17 background to this, as I understand it, Dr Perry, is  
18 that the FDA would be deciding whether or not to approve  
19 the Ortho test?

20 A. Yes.

21 Q. This view is recorded that, "It could be difficult if  
22 the FDA do not decide in favour of the test."

23 I suppose we can understand the logic of that; that  
24 if the UK had somehow started testing with the Ortho  
25 test and then the FDA had said that they didn't approve

1           it: what would be the position then?

2    A.   Assuming the FDA's negative decision was based on a good  
3           premise, but, yes, in any event it would have been  
4           difficult -- particularly as the UK didn't, at that  
5           time, have any regulatory process for evaluation of  
6           these kits --

7    Q.   Yes.

8    A.   -- or diagnostics in general.  So, to an extent, the UK  
9           and I think other European countries, relied on the FDA  
10          licensing of these materials to give it at least a high  
11          degree of comfort that it had been through a rigorous  
12          regulatory process.

13   Q.   Yes.  Then a rejection in paragraph 29 of surrogate  
14          testing.  But we can see that one of the things to  
15          emerge from this meeting is a decision to undertake  
16          further studies.  So pilot studies to go on in  
17          Birmingham, Sheffield and Brentwood to show the  
18          feasibility of adding this test to routine practice.

19   A.   Yes.

20   Q.   Can we go back to the papers for the meeting, please.  
21          That was [\[SNF0011383\]](#).  Now go to page 19.  This is  
22          actually Dr Gunson's report, so this is what's being  
23          discussed in that section of the minutes we just looked  
24          at.  The usual sort of introduction about the cloning by  
25          Chiron, and this paper, which although I'm calling it

1 Dr Gunson's paper, was something that had been discussed  
2 and approved at the TTD's meeting of 9 October 1989.

3 A. Yes.

4 Q. In fact, I think slightly changed as a result of that  
5 discussion and this is the final version. So this  
6 paper, poses a number of questions, which I think we  
7 should just read for ourselves. (Pause).

8 So seven questions there.

9 Then on to the next page, please. (Pause).

10 So just to explain again, Dr Perry, this is from  
11 your bundle of papers from the meeting?

12 A. Sure.

13 Q. Yes, and this is -- your bundle of papers contains the  
14 report that had come from Dr Gunson through TTDs and was  
15 being considered at the VSB meeting?

16 A. Yes.

17 Q. Your bundle of papers does include a set of minutes as  
18 well?

19 A. That's right.

20 Q. But I thought it might be easier, for technical reasons,  
21 to keep the minutes separate and look at them as  
22 a separate document so we are not always scrolling  
23 backwards and forwards in this one.

24 So comments on different tests. In the group of  
25 patients defined as suffering from NANBH by clinical

1 observation, we can see in 3.4 that:

2 "The tests have shown consistent results. It seems  
3 that anti-HCV seropositivity indicates that a patient is  
4 suffering from NANBH and that the test is detecting  
5 a viral marker associated with NANBH."

6 A. Yes.

7 Q. So for diagnostic purposes, the test is proving useful?

8 A. That would be my conclusion from this report, yes.

9 Q. Then blood donors:

10 "Several countries have tested blood donations ...  
11 Consistency in the numbers of seropositives usually  
12 between 0.5 and 1 per cent. The exception is Italy,  
13 well-known for high prevalence of NANBH, where  
14 considerably higher seropositivity was found in parts of  
15 that country."

16 A. Yes.

17 Q. Then on to the next page. Results in the USA. Perhaps  
18 unexpectedly showing comparable seropositivity to that  
19 found in northern Europe and postulating that there has  
20 been a changing pattern of donors following  
21 self-exclusion for HIV risk categories.

22 A. Yes.

23 Q. Then saying:

24 "It can't be assumed that all anti-HCV-positive  
25 donors will transmit non-A non-B Hepatitis."

1           And the relationship with non-specific tests. On to  
2           the next page, please. Before we leave that page, we  
3           should note that the Scottish study is referred to:

4           "It is estimated that use of the test would have  
5           prevented only 21 per cent of cases of non-A non-B  
6           Hepatitis."

7           If we read on.

8           A. Yes, that was the initial Scottish --

9           Q. Yes.

10          A. -- done by Dr Dow.

11          Q. Yes, we looked at that yesterday. That was the six out  
12          of 28 figure in that paper.

13          A. Yes.

14          Q. So if we go on to the following page:

15                 "21 per cent of transfusion-transmitted NANBH".

16                 Then some answers to the questions posed.

17                 Interesting to see what's said about confirmatory tests,  
18                 Chiron Corporation have issued a statement. They have  
19                 said that:

20                 "The question of confirmatory tests has been an  
21                 issue for several months. The circular argument for a  
22                 confirmatory approach utilising the same antigen as the  
23                 screening test has been brought to everybody's  
24                 attention."

25                 They were pursuing feasibility studies of a RIBA or

1 HCV --

2 A. Yes.

3 Q. -- and were going to provide more information about  
4 that. Then the next page, please. Some further  
5 comments on non-specific markers.

6 A. Yes.

7 Q. Then a section headed "Recommendations". Dr Perry, it's  
8 probably important not to overplay this, but this report  
9 does contain a specific recommendation about approval,  
10 doesn't it?

11 A. Yes, it does, yes.

12 Q. Yes.

13 A. Absolutely, I think it's Dr Gunson who was the -- well,  
14 he was the national director of the blood service in  
15 England and Wales and his -- and I think what he is  
16 saying, he is not saying we are ready to go. He is  
17 saying that he has seen enough of this test to  
18 demonstrate to him that we should be planning on the  
19 basis that the test will be effective and ultimately it  
20 will be introduced.

21 He is basically advising the committee that they  
22 should -- well, he is suggesting to the committee that  
23 they should take a positive decision, in terms of the  
24 policy for introduction, not necessarily with  
25 a timescale but simply saying: can we work on this

1 basis, that this test is going to take place and it will  
2 be implemented?

3 I think for an operational manager, albeit it a high  
4 level one, I think that's quite important information to  
5 have; to know whether the government or whoever is  
6 making the final policy decision is likely to fall one  
7 way or another, because there is a great deal of  
8 planning required to introduce this and I think his  
9 recommendation is that it should.

10 Q. Noting that, we see that in 7.2, the second  
11 recommendation, there is mention of the confirmatory  
12 test:

13 "Every effort must be made to ensure that  
14 a confirmatory test is available at the time routine  
15 donor screening is introduced."

16 A. Yes.

17 Q. Then on to the next page, please. Can we look at the  
18 FDA? Not yet licensed by the FDA:

19 "Routine testing won't commence in the USA until  
20 such a licence is obtained. This is expected in the  
21 first half of 1990. The routine use of the test in the  
22 UK should not commence before an FDA licensing procedure  
23 is effected."

24 Then there is, 7.4, a reference to further pilot  
25 studies involving the routine prospective use of the



1 test in RTCs. It may just be a matter of impression  
2 but, having noted that first recommendation that  
3 a decision should be taken in principle, it's  
4 interesting that, in the minutes in the paragraph 23,  
5 which is summarising the recommendations in that very  
6 paper, it is said that the recommendations were that  
7 routine screening should be introduced only after  
8 a confirmatory test becomes available:

9 "After the FDA have approved the test and urgent  
10 pilot studies have been carried out in this country."

11 A. Yes.

12 Q. How would you put it? How would you describe the  
13 change, if there is one, from the recommendations to  
14 what's in the minute?

15 A. I think the minute simply reflected the discussion of  
16 the committee. This was Dr Gunson's, and maybe the  
17 transfusion service's view, of how they saw this  
18 unfolding and I think the minute, which it might be  
19 useful to go back to --

20 Q. Yes, certainly.

21 A. -- records a slightly different position and a much more  
22 cautious position, advised -- and I don't recall this  
23 exactly. This was the meeting that I wasn't at, isn't  
24 it?

25 Q. Yes, it is, I know.

1 A. So it's no wonder I don't recall it.

2 Q. I'm sure you read the minutes when they came in?

3 A. Of course I read the minutes and I knew the -- I knew  
4 how the committee worked. My understanding was that  
5 Dr Gunson put this view. I think there would be a very  
6 influential -- very knowledgeable people, like  
7 Professor Zuckerman, Dr Tedder and others who were  
8 presumably counselling for a much more cautious approach  
9 to this.

10 I think -- my recollection again is that Dr Metters,  
11 as chairman of this, was very anxious that the policy  
12 decision should not be taken until it was absolutely  
13 clear that all the various details associated with the  
14 test had been resolved.

15 That, certainly, was at slight variance with my own  
16 personal view, not that that means a great deal.  
17 I thought, fairly early on in the process, that there  
18 could have been a point earlier where the government,  
19 the Department of Health, had, subject to a number of  
20 conditions been satisfied -- that the testing would go  
21 ahead. The conditions had been identified and I think  
22 they were valid then and they are probably valid now,  
23 which is a confirmatory test, FDA licensure and proper  
24 operational validation, i.e. making sure the kit works,  
25 on a day-to-day basis, by the transfusion services.

1           But, clearly Dr Gunson's particular position, where  
2           he is urging the government to make a policy decision,  
3           Dr Metters and the Department of Health and presumably  
4           with discussions behind the scenes, I think took  
5           a slightly less enthusiastic view --

6   Q.   Right.

7   A.   -- and was very anxious not to send a signal that the  
8           government had taken a decision to introduce  
9           a Hepatitis C test. But that's my interpretation.

10  Q.   Yes. Dr Gunson then reported back to the next meeting  
11           of TTDs, which is on 22 November and I think it's --  
12           just to finish this train of thought -- if we have  
13           a look at that. That's [\[SNB0062041\]](#). We can move on  
14           through the minutes, please. We can see what Dr Gunson  
15           reported back to the TTDs. So:

16           "ACVSB had agreed to most of the points put forward  
17           in the committee's paper. It was agreed the test was  
18           a major step forward."

19           Then his report of the decision. Certainly there  
20           doesn't appear to be, at least communicated by the  
21           minutes, any particular dismay that some anticipated  
22           step had not been taken at the VSB meeting?

23  A.   No, it was probably an outcome that was predicted and  
24           had been, if I may be a little cynical, had probably  
25           been rehearsed before the ACVSB took place. I think

1 everyone knew at that point that the UK was not ready to  
2 implement HCV testing.

3 I think the FDA is important as well, that -- I'm  
4 not quite clear in my chronology when -- prior to the  
5 FDA granting a licence for the Hepatitis C kit, it would  
6 not have been able to export the product, unless under  
7 a specific export licence, which I think was -- I'm not  
8 sure whether that was -- at which point -- I can't  
9 recall offhand --

10 Q. The export permit is at the end of November.

11 A. That's right.

12 Q. So both of these meetings are before --

13 A. That's right.

14 Q. -- it is known that the export permit has been granted.

15 A. That's right. So a decision at this stage to go forward  
16 would have been fairly hypothetical because it wasn't  
17 known that the export licence would be available. It  
18 wouldn't have been possible for any routine use for the  
19 UK to receive or for the company to export outside of  
20 the US.

21 I think that position has changed slightly nowadays  
22 but at the time that's my best understanding of how it  
23 worked. But I think you are right, there was no  
24 display, there was no great shock. I think the  
25 transfusion services still hadn't -- were absolutely

1 clear that there was a need for a confirmatory test, for  
2 obvious reasons given the knowledge that was accruing  
3 about false positives. You needed to have a way of  
4 sorting out what were real positives from biological  
5 false positives. Without that, the test was dangerous  
6 and certainly not in the public interest to introduce.  
7 So that was absolutely clear.

8 TTD and VSB both knew that that wasn't available at  
9 the time. Although I think informally everyone saw the  
10 direction of travel of this discussion and that it was  
11 ultimately likely to move towards a test which was going  
12 to be satisfactory in use, but there was much more work  
13 to be done.

14 Q. I suppose what we have is a difference between  
15 a decision maker saying, "I will do A once X has  
16 happened," and a decision maker who says, "I will not do  
17 A until X has happened."

18 It's a sort of distinction that interests lawyers,  
19 but in a practical sense there is probably not much  
20 difference between the two?

21 A. My take on it is that the department is saying: I will  
22 not take a policy decision in principle until I know the  
23 consequences of that policy decision and at the moment  
24 I don't know that there is a confirmatory test, and so  
25 on. So, letting the cat out of the bag, as it were and

1           announcing and making some government policy decision  
2           that we will introduce Hepatitis C testing, however you  
3           frame that, creates an expectation -- and maybe I'm  
4           being a little sympathetic here to the government -- you  
5           create an expectation that ultimately may not be  
6           deliverable.

7   Q.   Right.  So you think --

8   A.   Therefore the Department of Health -- this is an  
9           interpretation, this is speculation -- my interpretation  
10          is that they were, typically were much more cautious in  
11          making, you know, the policy decision than others that  
12          were at the operational, sharp end of the practice would  
13          have liked.

14  Q.   Would it be to misrepresent your position to say that  
15          you think there is a significant difference between the  
16          two, but it's explicable?

17  A.   I think there is a difference of emphasis and I think --  
18          I'm sure you will come on to it -- at a slightly later  
19          stage.  I thought that there was quite compelling  
20          evidence to demonstrate that we could have taken the  
21          policy decision to introduce Hepatitis C testing earlier  
22          than was necessary.  But I think there was always going  
23          to be a conflict between the operational sharp end of  
24          these things and those that are making policy decisions  
25          in government.

1           I think the operational people will always want  
2           a much -- an early and definitive view from the  
3           government so that they can begin to plan for these  
4           things, both in terms of financially, training and  
5           operational implementation. But I didn't ever see this  
6           as a major difference and certainly, at this stage in  
7           the process, this was fairly early on in the process,  
8           there wasn't widespread implementation throughout Europe  
9           or elsewhere. So, in a sense, we were still ahead of  
10          the curve, or certainly on the curve here at least. So  
11          I don't think there was great disappointment or hand  
12          wringing that Jeremy Metters and his committee had  
13          failed to actually deliver the positive result that they  
14          had sought.

15 Q. Let's move along the curve after a break.

16 THE CHAIRMAN: After a break. If we just step off the curve  
17 for a moment, paragraph 5.1 contains Dr Gunson's report  
18 of the VSB meeting. The third subparagraph says:

19           "The ACVSB had noted the need for a confirmatory  
20           test, either before or shortly after any routine testing  
21           of donations."

22           That doesn't seem to reflect the decision as  
23           ultimately minuted.

24 A. No.

25 THE CHAIRMAN: I suppose Dr Gunson wouldn't have seen the

1 minutes by this stage?

2 A. He wouldn't have seen the minutes before he submitted  
3 his paper, that's for sure.

4 THE CHAIRMAN: Sorry, he wouldn't have seen the minutes of  
5 the VSB, would he?

6 MS DUNLOP: Between 6 and 22 November, who can say? Do the  
7 minutes come out quickly or slowly?

8 A. Not terribly quickly, I seem to recall.

9 THE CHAIRMAN: So this, perhaps, is an aspirational account.

10 A. I think it's a paper put forward to VSB to seek their  
11 view on it. I think this was probably written, although  
12 Dr Gunson is no longer with us, I'm sure he would say,  
13 if he was here, that this was part of a well-rehearsed  
14 process that took place between the operational services  
15 and the leaders of power, as it were.

16 So I think this may have been submitted with  
17 an expectation that there would still be caution  
18 expressed by VSB. But I think overall, as the minute of  
19 the ACTTD suggests, I think -- I would imagine they  
20 would have been fairly pleased, or reassured that at  
21 least we were on the same track here.

22 THE CHAIRMAN: We will have a break.

23 A. Thank you.

24 (11.11 am)

25 (Short break)



1 (11.33 am)

2 THE CHAIRMAN: Yes, Ms Dunlop?

3 MS DUNLOP: Thank you, sir. We have reached the end of 1989

4 and we need to go back to Dr Perry's statement,

5 [\[PEN0172108\]](#). The foot of page 7. We have really dealt

6 with this question with Dr Dow about the dev kit. Go on

7 to the next page, please. You make the point, Dr Perry,

8 that there were, according to SNBTS, significant

9 differences in test sensitivity between the dev kit and

10 later standard manufactured versions.

11 A. That's my understanding, but not from any direct

12 intervention by myself, just discussions with Dr Dow and

13 others.

14 Q. Right. 21 goes back to this concept of the Ortho test

15 kit being approved by the FDA. We looked, yesterday, at

16 the information about the grant of an export permit

17 in November 1989. So, even though it hadn't been

18 approved for use in the United States, the FDA had

19 approved it for export.

20 A. Yes.

21 Q. Yes. Dr Gunson was notified by Ortho on 27 November.

22 So the FDA approved an export permit, so Ortho was free

23 to make the assay available for screening in the

24 United Kingdom --

25 A. Yes.

1 Q. -- if they wanted.

2 A. I also think -- I think the export licence was also --  
3 I don't wish to underplay that -- I think it was seen as  
4 a very strong signal that the FDA licensure was fairly  
5 certain. I think an export licence wouldn't be granted  
6 without some degree of confidence that the final  
7 evaluation was going to be okay.

8 Q. Right. You have given us an answer to our question  
9 about why it was necessary to tie introduction of the  
10 test in the UK to approval by the FDA. Perhaps  
11 a slightly unorthodox position that there was this  
12 licensing regime in America but not in Britain?

13 A. Yes.

14 Q. So: how then did the UK position itself in relation to  
15 the grant or refusal of a licence in the United States?  
16 You have made the point that we discussed earlier  
17 that early introduction in the UK and subsequent refusal  
18 by the FDA to authorise routine use in the US would have  
19 been awkward, to say the least?

20 A. Yes.

21 Q. But I hear what you say about this being an optimistic  
22 early signal that this was less likely to happen.

23 A. Yes.

24 Q. Now, at this point I would like to look at the meeting  
25 of ACVSB on 17 January, which you haven't specifically

1 rehearsed in your statement. So can we go, please, to  
2 the minutes of that meeting, which are [\[SNB0019657\]](#).  
3 This is minutes and papers, actually. This is a long  
4 document and the minutes form pages 1 to 9. I'm sorry,  
5 no, this is the separate set of minutes and then the  
6 minutes are in the other bundle of papers, which I think  
7 we need to open up as well. That's [\[SNF0011491\]](#). Yes,  
8 105 pages. That's exciting.

9 Pages 1 to 9 in this bundle -- I don't know if it's  
10 easier technically for us to do what we did before, to  
11 have the minutes open as a separate document and that  
12 stops us having to scroll back and forward in this.

13 So can we keep the minutes, which are 9657 and also  
14 the relative papers.

15 THE CHAIRMAN: Just a minute. I have got a warning notice  
16 coming up here about an unhandled exception.

17 MS DUNLOP: So within the minutes, that is 9657, can we look  
18 at 9658, please, so second page. There is non-A non-B  
19 Hepatitis, beginning at the foot. Dr Gunson is giving  
20 details of the pilot trial financed by the department.  
21 Go on to the next page, please. Financed by the  
22 procurement directorate in fact. That's the one that  
23 involved Birmingham, Brentwood and Sheffield. Then  
24 a bit of information about it.

25 Some aspects to be discussed with Ortho. Then 15:

1            "It was noted that Ortho were holding a symposium on  
2            Hepatitis C in London in February on the same day that  
3            Abbott, who were expecting to produce a test shortly,  
4            would be holding one in Chicago. Members of the  
5            committee would be attending both symposia."

6            Then something headed "non-A non-B cost/benefit  
7            analysis". It does seem really to be a full discussion  
8            of the whole topic and the chairman is inviting the  
9            committee to address the question of whether the time  
10           has now come to introduce routine Hep C testing.

11           Professor Zuckerman spoke to his paper, which  
12           I would like to look at. That is page 21, please. It's  
13           a letter, a letter to Dr Rejman and perhaps we shall  
14           take a moment to read it ourselves. (Pause).

15           Then on the second page it gives some  
16           recommendations. (Pause).

17           Putting the matter in a nutshell, at least in his  
18           letter, Professor Zuckerman seems to be saying: don't  
19           introduce the test until after the FDA decision on  
20           licensing?

21           A. Yes, he has established that as a key milestone.

22           Q. Yes, that's quite clear from 1. Then what he says about  
23           confirmatory testing seems to be a proposal:

24           "To defer reactive donors until a confirmatory test,  
25           or a test for another marker becomes available, probably

1           within 12 months."

2           That doesn't seem to be absolutely essential. It  
3           looks as though he is saying in his letter that that  
4           doesn't have to be actually up and running before  
5           screening can be introduced?

6    A. That's my reading as well, although Professor Zuckerman,  
7           from my recollection, was a great proponent of the need  
8           for a scientifically robust confirmatory assay, based on  
9           an independent method and a different antigen and so on.  
10          He was quite consistent about that.

11          But you are absolutely right, in this particular  
12          letter, which responds to a question from Dr Rejman, he  
13          is suggesting that you don't need the confirmatory test  
14          immediately but you do need to know that one is  
15          inevitably going to come forward within the next 12  
16          months. I don't think he is leaving that completely  
17          open.

18          I'm not sure what the -- what a transfusion centre's  
19          response to that might be; to build up a large panel of  
20          donors who you have detected to be positive for  
21          something and you are not -- I think even then there  
22          would have been some interesting ethical questions about  
23          whether that was an appropriate thing to do or not.

24    Q. He makes another point in paragraph 2 about cost:

25          "Projected cost, at least initially, is very high

1 but considering the overall morbidity of chronic non-A  
2 non-B Hepatitis, including the very serious consequences  
3 and litigation which would be indefensible, the  
4 introduction of screening could not be delayed much  
5 beyond FDA approval."

6 Then pointing to the fact that Abbott are expected  
7 to come into the market.

8 A. Yes.

9 Q. Looking forward to a more comprehensive discussion.

10 Then if we go back to the minute, please, at 9659,  
11 we can see him speaking to his paper and, in fact, the  
12 first note of substance is that he is emphasising  
13 problems.

14 A. Yes, and he is suggesting that there is a problem,  
15 specifically to samples that have been frozen and  
16 thawed, but also suggests, I think, in his letter that  
17 that may not be important or relevant to the transfusion  
18 services. I apologise, I'm not sure whether samples  
19 taken for microbiological testing are frozen. I don't  
20 think they are. I think there is a very specific  
21 circumstance in which he is saying that does seem to  
22 generate an inordinately high level of false positives.

23 Q. It was really actually before that, Dr Perry. I was  
24 noticing that in paragraph 17 he is recorded as  
25 emphasising the problems posed by the lack of

1 a confirmatory test.

2 A. Yes.

3 Q. Which may be slightly different in emphasis from what  
4 the letter said.

5 A. Absolutely. I can only comment from my general  
6 understanding and participation in these discussions and  
7 often just listening. These were highly authoritative  
8 expert virologists and some of the subject matter was  
9 certainly outside my competence. But he was certainly  
10 a very powerful advocate of the need for a very -- as  
11 I have said before -- a very robust confirmatory testing  
12 system.

13 Q. Right. In the next paragraph, where he is attempting to  
14 give some figures, he is offering a figure of 5,000  
15 members of the donor population who could be excluded  
16 from donating, but 50 per cent could be false negatives.  
17 That's not terribly easy to follow, that sentence. It  
18 might -- I offer this tentatively, but it might make  
19 more sense if it was false positives, not false  
20 negatives.

21 A. A figure of -- I think that's right. I think it should  
22 read "false positives".

23 Q. That was not corrected at the next meeting?

24 A. No, that doesn't surprise me either.

25 Q. Maybe that's one that should have been corrected, if

1           indeed it's a mistake.

2   A.   I'm sure it must mean false positives.

3   Q.   Unless there was a separate sentence where he says:

4           "50 per cent of the test results could be false

5           negatives."

6           As a separate problem.  I don't know.  But anyway,

7           as it's written, it's a little hard to follow.

8   A.   I think it's probably a little late to have this

9           corrected now.

10  Q.   Yes, I wouldn't know how to go about it.

11           Then paragraph, 20, let's keep an open mind about

12           other tests:

13           "It was unlikely that the FDA would license the

14           Ortho test in the absence of confirmatory tests and it

15           would be difficult for us to approve a test which was

16           not approved in its country of origin."

17  A.   Yes.

18  Q.   Dr Rotblat also saying it was her understanding that the

19           FDA was unlikely to approve the test at this stage.

20  A.   Yes.

21  Q.   So they are not drawing the same reassurance from the

22           issue of the export permit as you were suggesting

23           a moment or two ago, but their prediction wasn't right,

24           as it turned out.

25  A.   Sorry, which prediction, that -- I think --



1 Q. The prediction that it was unlikely -- sorry, at the top  
2 of this page:

3 "It was unlikely that the FDA would license the  
4 Ortho test in the absence of a confirmatory test ...  
5 Dr Rotblat added that it was also her understanding that  
6 the FDA was unlikely to approve the test at this stage."

7 A. That's correct. They were incorrect there and the FDA  
8 did license them as two separate -- and again with  
9 hindsight that's not surprising. They were two  
10 different diagnostic systems, so they would not be  
11 provided, sold or authorised as a single kit. Therefore  
12 they were two separate products, so they would have been  
13 subject to separate regulatory processes.

14 Q. What seems to come over, from this discussion in the  
15 minutes, Dr Perry, is really a lot of different views.  
16 Dr Mortimer, we can highlight from paragraph 24 -- he is  
17 saying that:

18 "As the perceived risk is higher than that of  
19 HIV..."

20 Presumably he means in numerical terms or  
21 statistical terms?

22 "... we would be inconsistent in our screening  
23 procedure if we did not introduce routine testing... If  
24 we began routine use of this test we should soon have a  
25 better test to move on to."

1 Dr Mitchell was concerned about donors. Dr Gunson:

2 "Each centre must now consider how to set up the  
3 test and what extra resources they would need."

4 So more of a focus on the practical, which would be  
5 consistent with where he is coming from.

6 A. I think, in response to your suggestion and, again from  
7 my experience of taking part in these meetings, not as  
8 an expert but as an attendee at the meetings, I don't  
9 think it's quite accurate to suggest that there were  
10 widely divergent views. I think these divergent views  
11 were on -- I wouldn't say matters of detail, but matters  
12 of timing, matters of scientific rigour and what can  
13 actually be confidently stated about the test.

14 I think there was a general undercurrent within all  
15 the discussions that HCV testing was, every week that  
16 passed, becoming a much more likely, realistic prospect  
17 and the most likely outcome was that it would be  
18 introduced into the UK.

19 The difference of opinion was about timing, what  
20 needed to be done and what individuals were preoccupied  
21 with and Philip Mortimer, who was a public health  
22 person, he was quite preoccupied with public health  
23 considerations. Dr Mitchell and Dr Gunson were  
24 transfusion experts. So they were interested in both  
25 donor and patient implications. The government

1           representatives were interested in government issues and  
2           so on.

3           But I don't think it's correct to say that there  
4           were widely divergent views on the basic subject matter,  
5           which was whether or not HCV testing should be  
6           introduced.

7   Q.   Right.  Dr Perry, on a previous occasion you have used  
8           the expression "rate determining factor".  If that is  
9           so, and you are -- and the committee was moving towards  
10          the introduction of anti-HCV screening, was there  
11          a "rate determining factor"?

12  A.   I think the rate determining factor was, in my view --  
13          and I think reflects -- again reflects the general  
14          discussion in the committee -- was that it was basically  
15          satisfying the three conditions that had been  
16          established for the introduction of HCV testing.  That  
17          was FDA licensure, the availability of what was accepted  
18          as an adequate confirmatory test and proper and full  
19          validation and testing of the kits at a routine,  
20          operational level.

21          I'm not sure that's rate determining.  I guess the  
22          rate determining factor in that was the availability of  
23          confirmatory tests.

24  Q.   Right.

25  A.   Because that was a progressive process rather than --

1           whereas FDA licensure was a point at which it was  
2           expected that the product would be licensed by the FDA.

3   Q.   Right.  Just to deal with one or two of these points,  
4           can we look at page 15, please?  That's page 15 of our  
5           numbering of the document, rather than the pages at the  
6           foot.  That's Dr Gunson's report on the pilot trial.  So  
7           that's the one that had been decided upon at the meeting  
8           of 6 November.

9   A.   Yes.

10  Q.   We have seen this before, just to show that that was one  
11           of the papers before the meeting of 17 January.  The  
12           emphasis of this exercise seems to have been more on the  
13           practical?

14  A.   Yes.

15  Q.   Is that fair?

16  A.   Yes.  That's correct.  Its user friendliness, but also  
17           there is a epidemiological element to that.  That's  
18           identifying how much donors are likely to turn positive  
19           and so on.

20  Q.   Just to have a quick look at that, if we look down to  
21           the bottom and on to the next page.  Anything  
22           insurmountable?

23  A.   Well, I hesitate to answer that actually because --

24  Q.   All right.  I don't want --

25  A.   For very good reasons of competence.

1 Q. I don't want to take you out of your comfort zone. We  
2 also within this -- if we go on to the next page, there  
3 is a cost/benefit exercise which I think is also being  
4 carried out by Dr Gunson. I don't think this featured  
5 particularly prominently. As the paper itself says, it  
6 includes a number of guesses, so I don't think we should  
7 really spend very much time on it. Perhaps we should  
8 just note that it was there.

9 A. Yes. There may have been quite feverish activity below  
10 the water line on this particular topic, but it was  
11 never a major topic for discussion at the ACVSB meetings  
12 other than recognising that cost was an important  
13 consideration in all interventions in blood safety, and  
14 medicine generally.

15 Q. Right. That's between our pages 17 and 20, that paper.  
16 We have looked at 21 and 22, which is  
17 Professor Zuckerman's letter. There is then a letter  
18 from, I think a Professor Elwyn Elias, which doesn't  
19 seem to have featured in the discussion, and a long  
20 chunk of paperwork about HIV testing. Then, if we look  
21 at page 59 on our numbering please. That's a very large  
22 tranche, again, of guidelines, which were being  
23 discussed, and I think that takes us to the end of the  
24 105 papers to orientate people. There is some  
25 duplication, I think, in some of the paperwork.

1           But what seems to be missing from the minutes is  
2           this notion of a recommendation or a decision in  
3           principle. Is that a fair comment?

4   A. Well, I'm not sure. I would have --

5   Q. Let's go back to the minutes, sorry.

6   A. If we go back to the minutes. But certainly at that  
7           stage the committee had -- well, I think the way it  
8           worked was that Dr Metters, who was chairman of the  
9           committee, summarised what he considered to be the view  
10          of the committee and the committee would then be invited  
11          to agree or disagree with his conclusions.

12          So, in that sense, it was a perfectly robust  
13          inclusive process and, at that stage, my understanding  
14          is that Dr Metters took the view that there was  
15          insufficient evidence or data or information to justify  
16          the announcement of a policy decision on Hepatitis C  
17          testing.

18   Q. Yes. I'm sorry, Dr Perry, I should have let you have  
19          a look at that section of the minutes. We can see it  
20          starting there at the bottom of the page on the screen,  
21          paragraph 29 --

22   A. That's it.

23   Q. -- and on to the next page.

24   A. Yes, I think it reflects the mood of the -- certainly  
25          the mood of the virologists and the Department of

1 Health, and again this isn't intended as a pejorative  
2 comment but it's saying: scientifically not enough is  
3 known yet. So there was quite an emphasis on scientific  
4 rigour and wanting to understand the scientific  
5 principles and the downsides and the upsides of the test  
6 before the government was minded to create a policy  
7 decision to introduce testing.

8 Q. Right. Let's just work our way down that page in its  
9 entirety, please (Pause).

10 We haven't finished looking at the meeting papers,  
11 though, Dr Perry, your bundle -- because I think it's  
12 your bundle, this.

13 A. Yes.

14 Q. Because the other thing we have to look at is our  
15 page 10. Is this your note?

16 A. It certainly looks like it.

17 Q. It does, doesn't it?

18 A. It does.

19 Q. It's the same typeface as all your notes of that period.  
20 If we look at the bottom, there is a sort of cryptic  
21 reference.

22 A. "BP", yes, that's fine.

23 Q. That's you, Bob Perry?

24 A. That's correct.

25 Q. 22 January 1990. In our preliminary report we have said

1           that this is Dr Mitchell's note, but it's your note.

2           Now, can we go back then up, please, and just see

3           what you were saying.

4   A.   Yes.

5   Q.   It's actually that numbered paragraph 4, "HCV testing."

6   A.   Hm-mm.

7   Q.   Have you looked at this particular note recently?

8   A.   No, I haven't.

9   Q.   I had better give you a minute then.

10  A.   Yes, it's definitely from me.  (Pause).

11  Q.   Yes, it has been pointed out to me there is a signature

12       on the next page but I didn't want to presume it was

13       yours, Dr Perry.  Although I have seen a signature that

14       looks very like this and had it identified as yours.

15       But -- I don't want to offend you, but it's perhaps not

16       the most legible signature one has ever seen.

17  A.   No, it's not intended to be, no.

18  THE CHAIRMAN:  Could you share it with the rest of us, first

19       of all the bottom of this page, which I have yet to see

20       and then over --

21  MS DUNLOP:  Yes.

22  A.   My goodness.

23  PROFESSOR JAMES:  It looks as if you did the signature

24       writing part of the course that doctors go through.

25  A.   I think that's possible.  Or it's just a process of



1           progressive deterioration.

2   MS DUNLOP:  What's interesting about this, Dr Perry -- you  
3           can probably see where I'm going to zoom in -- is the  
4           second paragraph in your numbered paragraph 4.  Is that  
5           a bit more definite than what we see in the minutes?

6   A.  It's a view from my perspective.

7   Q.  Yes.

8   A.  I don't know how I judged whether it was a majority or  
9           not.  I think what I'm signalling there was the sort of  
10          growing inevitability that the test was going to be  
11          introduced but it also -- and I think this comes up at  
12          the next meeting as well, where a similar position is  
13          taken.

14                I'm not quite sure what I mean by, "Overriding  
15          factor was question of product liability".  I think it's  
16          probably --

17   THE CHAIRMAN:  This is Professor Zuckerman's point perhaps?

18   MS DUNLOP:  Yes.

19   A.  Well, I think Professor Zuckerman used to make many  
20          points and they were certainly worth listening to.  
21          I think the issue of product liability was probably to  
22          do with a slightly defensive position that, you know, it  
23          would be indefensible not to introduce testing and so  
24          on.  But I think when that was combined or synthesised  
25          with the lack of scientific understanding and good,

1 solid, peer-reviewed data on the performance of the  
2 test, I think -- as is recorded in the minutes, the  
3 evidence still failed to achieve the critical mass  
4 necessary for Dr Metters and apparently the committee  
5 and indeed the wider Department of Health, to authorise  
6 or recommend the introduction of testing.

7 THE CHAIRMAN: What I had in mind was the comment, on  
8 page 21 in his letter that, "Litigation would be  
9 indefensible."

10 A. That's right.

11 THE CHAIRMAN: Yes.

12 A. Yes, that's right.

13 PROFESSOR JAMES: Could I just ask about your remark below  
14 that that says:

15 "Department of Health indicated that new money would  
16 be made available."

17 Actually the minutes of the meeting. In the  
18 penultimate paragraph, Dr Metters states that no new  
19 money would be made available, it would have to be met  
20 within existing budgets.

21 A. Yes, I can't explain that. Again this is --

22 PROFESSOR JAMES: I mean, it may be that there was  
23 a conversation around money which Dr Metters didn't wish  
24 to have recorded and that your impression is totally  
25 correct, if you see what I mean. But, for the record he

1           wished to say, at that juncture, that no new money was  
2           available. Obviously that is compete speculation.

3    A. I think that's a perfectly feasible proposition that  
4           what was discussed at the meeting or informally -- and  
5           these notes are not a formal record of formal  
6           proceedings, they are informal discussions where I'm  
7           bringing back information to colleagues and so on.

8    PROFESSOR JAMES: Thank you.

9    MS DUNLOP: It's just that that second paragraph just sounds  
10           as though, if a completely independent observer, a fly  
11           on the wall, had called it, they would have called it in  
12           favour of taking a decision in favour of implementation,  
13           the clincher being the question of product liability.  
14           That's how it reads.

15   A. Yes, it does. What I have not recorded is the counter  
16           arguments against introduction. So I think what I'm  
17           trying to signal here, in what was probably a very  
18           hastily written note for -- not with an expectation we  
19           would be talking about it now, I hasten to add as  
20           well -- but I think it was simply saying, "the  
21           proposition is moving forward now that -- and the  
22           majority of the committee seem to be in favour of the  
23           introduction of testing. However, there are still  
24           concerns about the scientific rigour and various other  
25           issues that need to be resolved before the Department of

1 Health is going to give the green light to this."

2 But I think that's -- if I have written it there, it  
3 would have reflected, I think, at least a mood and  
4 a position that I was detecting at the actual meeting.

5 Q. Yes.

6 A. It certainly wasn't the case that the committee had the  
7 discussions and everyone voted in favour of introducing  
8 testing, and then the Department of Health went into its  
9 back room and changed the decision --

10 Q. No.

11 A. -- it was a perfectly competent process and I think --  
12 and I recall Dr Metters always doing that, summarising  
13 the discussion and then reflecting it back to the  
14 committee and seeking their approval.

15 Q. I'm sure you didn't vote at all really, did you?

16 A. No.

17 Q. No. Right. Let's leave that meeting and look at the  
18 next meeting, please, which is 24 April. Can we look at  
19 the minutes for it? That's [\[SNB0019761\]](#).

20 Usual format. That's your writing, isn't it:

21 "Bring forward for 2 July meeting"?

22 A. Yes.

23 Q. Yes. On to the next page, please and we find  
24 Hepatitis C on the next page. Hepatitis C, Ortho  
25 symposium. We saw that referred to. That was in London

1 in February 1990:

2 "The abstracts from this symposium had been  
3 circulated with the secretariat's comments. Dr Rejman  
4 said the overall expression was that the test was not  
5 sensitive or specific enough for reliable testing ...  
6 Dr Mortimer thought there had been an underlying feeling  
7 against screening because of the lack of confirmation  
8 ... Professor Zuckerman showed disappointment at the  
9 outcome of the symposium ... the non-specificity of the  
10 tests being the main talking points."

11 Dr Rejman was a member of secretariat?

12 A. Yes, he was a medical officer within the Department of  
13 Health, with specific responsibility for blood issues.

14 Q. Right. Do you know if he came from a transfusion  
15 service background or anything like that?

16 A. I think he was Icelandic in origin and I think he  
17 trained in the UK but, no, I don't think he had a -- he  
18 may have had a haematology background but I'm not clear  
19 on that. He was fairly young. He wasn't -- he didn't  
20 have sort of 40 years experience under his belt but he  
21 was still very able and very competent and knew the  
22 subject matter fairly well.

23 Q. I would like to look at the Ortho papers, which we have  
24 as well. [\[SNF0011628\]](#). These are the papers from that  
25 symposium in London on 8 February 1990 and they have

1           been sent out as one of the pieces of background reading  
2           for the meeting in April. We can see that from the note  
3           at the top:

4           "ACVSB 6/2." The note says:

5           "We append the Ortho abstracts recently received and  
6           supplementary notes. The overall impression, reinforced  
7           by informal discussion with delegates is that the test  
8           is not sensitive or specific enough and, in the absence  
9           of appropriate confirmatory testing, is unable to give  
10          data upon which appropriate clinical decision-making can  
11          be reliably based."

12        A. That's a report from Dr Rejman, isn't it?

13        Q. That was going to be my next question. The format of  
14          this bundle, if we perhaps just glance through it,  
15          bearing in mind that typeface.

16        A. Yes.

17        Q. Can we maybe look at the first few pages to see. The  
18          pattern is that there appears a document which looks to  
19          be the abstract of a paper by an individual, always  
20          prefaced, if we can go back, please, by a paper,  
21          a separate paper, in that typeface, which looks to have  
22          been something written by somebody in the Department of  
23          Health.

24        A. But it's headed "Professor Howard Thomas, Department of  
25          Medicine, Saint Mary's. HCV virus and disease."

1 Q. It may be that someone from the Department of Health who  
2 was at the meeting took notes and went back and typed  
3 them up.

4 A. Yes, okay.

5 Q. We are speculating, but it seems to make sense.

6 A. I don't know what the specific content of the meeting  
7 was but presumably Howard Thomas, I would expect him to  
8 be there, was talking about this and it's quite  
9 possible, given the slightly complex reference at the  
10 bottom, which does look suspiciously like  
11 a Civil Service reference system.

12 Q. It could be described as "delphic".

13 A. Yes.

14 Q. Professor Thomas' paper seems to have been about the  
15 disease.

16 A. Hm-mm.

17 Q. Entirely to be expected. So if we look at the next  
18 page --

19 A. Yes.

20 Q. -- we can see what he said. Information about the  
21 disease and indeed about the cloning, if we can call it  
22 that?

23 A. Yes.

24 Q. Then epidemiology, and then on to the next page please,  
25 I suppose showing the limited contribution of blood

1 transfusion to the overall epidemiology?

2 A. Yes. This certainly wasn't written by Dr Rejman.

3 Q. I think this is Professor Thomas' abstract.

4 A. Yes. This is a publication, yes, or an abstract.

5 Q. On to the next, please. Summary. The virus has been

6 found and a test has been created.

7 A. Yes.

8 Q. So that seems to have been his contribution, to speak

9 mainly about the state of knowledge of Hepatitis C --

10 A. Yes.

11 Q. -- really. Then, if we go on to the next contribution,

12 please. I think it's actually page 9 -- well, if we go

13 to page 8 we find -- yes, here is the same pattern.

14 This looks to be a note taken by someone else, of the

15 talk and this is Dr Barbara's talk.

16 A. Yes.

17 Q. This is interesting because of who Dr Barbara is:

18 "The original Chiron format was that

19 radioimmunoassay ... and gave much cleaner results ...

20 The Ortho ELISA format too long for comfort in BTS,

21 three hours ... Non-availability of a confirmatory

22 protocol seen as a severe drawback."

23 A. Yes.

24 Q. Then, looking at the bits that are underlined, I think

25 technically, the second of the underlined parts:



1           "Several 'HCV-positive' donors have not transmitted  
2           either transaminitis or HCV. How can 'false positives'  
3           be addressed, this is of great concern?"

4           The possibility of insect vectors -- serious  
5           possibility.

6           Then the next page is the actual abstract from  
7           Dr Barbara:

8           "The anti-HCV assay is another step along the path  
9           of the very successful but largely unnoticed  
10          contribution of transfusion microbiology to preventive  
11          medicine and rapid viral diagnosis ... The anti-HCV  
12          assay from Chiron and Ortho... has been the turning  
13          point of years of frustrating search for the agent of  
14          non-A non-B Hepatitis ..."

15        A. Yes.

16        Q. Then the validity of the assay dealt with in the next  
17          paragraph. And this exercise, which we have discussed  
18          already, of looking at patients with haemophilia --

19        A. Yes.

20        Q. -- who provide a very neat group to study, "An ideal  
21          control", as Dr Barbara says.

22        A. Yes.

23        Q. But he goes on to say at the bottom of the page:

24                "The predictive value of a positive anti-HCV result  
25                in a blood donor, in relation to transmissability of

1 NANBH is still under active study."

2 Then on to the next page:

3 "The imminent availability of supplementary  
4 recombinant immuno-blots from Ortho diagnostics is very  
5 welcome and should reveal if anti-yeast reactivity is  
6 responsible for any of the positive reactions with the  
7 anti-HCV assay."

8 Then:

9 "Alter has reported much better correlations of  
10 anti-HCV and PTH (more than 80 per cent) than  
11 Reesinck... "

12 Who had found 50 per cent.

13 PROFESSOR JAMES: I think that must be where that  
14 50 per cent, that you were alluding to earlier on  
15 Ms Dunlop, came from.

16 A. Yes.

17 MS DUNLOP: Well, possibly. I'm not sure. Sir, it has been  
18 very difficult to find because it's about ten months  
19 beforehand that someone is talking. I think we probably  
20 need to find the Reesinck work to try and get a feel for  
21 where that 50 per cent that was mentioned so much  
22 earlier comes from.

23 PROFESSOR JAMES: Comes from.

24 A. Yes, I don't know. Without looking at the studies  
25 again, it's difficult to explain that.

1 MS DUNLOP: Yes.

2 A. But these were patient samples that Harvey Alter was  
3 looking at, I think --

4 Q. Yes.

5 A. -- rather than donor samples. The patient samples are  
6 derived from a group of patients who are known  
7 clinically to have had non-A non-B Hepatitis. So you  
8 would expect a high correlation between HCV positivity  
9 and post-transfusion hepatitis.

10 Q. Indeed. So these points about serious concern and  
11 severe drawback and so on, they don't actually appear in  
12 the abstract. I suppose one has to assume that they  
13 were made orally by Dr Barbara in his presentation for  
14 them to feature in someone's note?

15 A. Or it's Dr Rejman's personal interpretation of what he  
16 was listening to, together with his own views. I think  
17 it was a synthesis of views.

18 Q. Right. There is also an abstract from  
19 Dr Philip Mortimer. There are many abstracts in this  
20 bundle but the next one I want to look at is the  
21 Philip Mortimer one. Can we go to our page 14, please?  
22 This is the notes of Dr Mortimer's presentation.

23 A. Okay.

24 Q. "No confirmatory tests at present. The Ortho antibody  
25 is a late antibody appearing 130 to 150 days

1 post-transfusion. The presence of antibody does not  
2 mean/imply infectivity."

3 That would be quite surprising as it stands, maybe  
4 necessarily needs to be put in there?

5 A. I think that's right. I think it needs a "necessarily"  
6 for it to be more precise in one's understanding.

7 Q. Yes.

8 A. But that's simply raising the false positive issue --

9 Q. Yes.

10 A. -- and expressing it in a slightly different way.

11 Q. Yes. Then just looking to the bottom of the note, if we  
12 could, please. Some epidemiology and then on to the  
13 abstract on the following page. Sorry, that's the end  
14 of the note. There is the abstract.

15 This is quite a big group of contributors, including  
16 Dr Barbara --

17 A. Yes.

18 Q. -- and Dr Bassendine, whom we have seen referred to  
19 before, from Newcastle. Finding an incidence of  
20 0.6 per cent in 10,316 blood donors.

21 A. Yes.

22 Q. Various different findings in those with hepatitis.  
23 83 per cent of intravenous drug users, 15 per cent of  
24 homosexual men, 6 per cent of patients in a hospital for  
25 the mentally handicapped. 9 recipients of untreated

1 Factor VIII, none of 19 recipients of dry-heated  
2 concentrates.

3 A. That's right.

4 Q. And the conclusion that:

5 "Except among certain groups, the prevalence of  
6 anti-HCV in England is probably low."

7 A. Yes, all these measurements are relative, relative to  
8 other -- certainly relative to the US.

9 Q. Well, yes. Then the protection of haemophilia patients.

10 A. Yes.

11 Q. Then just to skip over the -- for the record, the  
12 following papers are to do with HCV and the drug addict.  
13 HCV and tropical studies, HCV and liver cancer. Then  
14 there is a paper from Sheila Sherlock, which is  
15 something we can look at. This is page 23 on our  
16 numbering. The suggestion is that:

17 "The relationship between anti-HCV and autoimmune  
18 chronic hepatitis is due, usually, to a wrong diagnosis.  
19 This team suggests that more sensitive tests are  
20 required."

21 I don't know whether that is meant as an absolute or  
22 just meant to elucidate the problem in this particular  
23 group of patients. Anyway, let's turn over to the  
24 Abstract, talking about autoimmune chronic hepatitis.

25 A. I'm wondering whether Professor James might be able to

1 help us here. I hazard to make a guess that the  
2 symposium was not just about blood safety; it was about  
3 the introduction of a diagnostic test for Hepatitis C.  
4 So it covered a broad range of potential applications in  
5 (inaudible) hepatitis.

6 Q. It does look to have been probing whether this  
7 particular class of patients, namely those with  
8 autoimmune chronic hepatitis, would show a high  
9 prevalence of anti-HCV.

10 A. Yes.

11 PROFESSOR JAMES: That's correct and in fact I have to  
12 complement the anonymous summariser because the  
13 sentence:

14 "The suggestion is that the 'relationship' between  
15 anti-HCV and autoimmune chronic hepatitis is due usually  
16 to a wrong diagnosis."

17 Turned out to be absolutely correct.

18 MS DUNLOP: "More sensitive tests are required." Does that  
19 mean for the group of people -- we don't know because we  
20 don't have the writer of the note. It could mean: for  
21 the group of people with autoimmune chronic hepatitis or  
22 it could mean for everybody.

23 PROFESSOR JAMES: People with autoimmune chronic hepatitis  
24 had raised globulin levels, which gave a variety of kind  
25 of possibly non-specific positive results for a variety

1 of things. I think that was the problem.

2 MS DUNLOP: Right.

3 PROFESSOR JAMES: Then finally, very rarely in Italy and  
4 perhaps in Spain, there was a slight relationship  
5 between the two and finally, finally -- to confuse  
6 things further, of course -- when the liver biopsy  
7 histology appearance of Hepatitis C was further  
8 clarified, there were a small proportion of individuals  
9 whose liver histology looked very like the liver  
10 histology of autoimmune chronic hepatitis, although they  
11 just did not -- you know, the two diseases are  
12 completely separate.

13 MS DUNLOP: Right. Can we look on to the next page, please?

14 There is that sentence:

15 "Better tests are needed for the Hepatitis C virus."

16 A. Yes.

17 Q. Then I think, just to show two further papers contained  
18 in this collection, can we go to our number 27, please?

19 This is hospital diagnosis of HCV:

20 "A Serological diagnostic test that's accurate and  
21 reliable is obviously needed."

22 Then just looking at the -- well, some figures  
23 given:

24 "Patients tested by this group, 54 per cent positive  
25 after 15 weeks, rose to 67 per cent positive at 24

1 weeks."

2 Then the last comment:

3 "The Ortho test is in its infancy, it is not  
4 infallible and there are no quality control panels  
5 available to check its reactivity."

6 Then on to the paper, the next page, please. And  
7 the following page talking about the findings in groups  
8 of patients who are ill, pointing out that the diagnosis  
9 of acute disease:

10 "The diagnosis of acute disease is difficult and no  
11 test is yet available for early anti-HCV and/or  
12 neutralising antibodies."

13 Then can we go to our page 32, please? It's  
14 a postscript. So there is a second generation test  
15 coming from manufacturers who may have Japanese  
16 connections. But Chiron are expecting to be in clinical  
17 evaluation of their own second generation test in mid  
18 1990. The world market, now worth \$237 million. I  
19 think we saw a suggestion yesterday it was about  
20 \$85 million, something like that. Then a pricing  
21 strategy:

22 "Non-US market. The blood donor test, \$1.85 and the  
23 diagnostic market, \$3.35 per test. This dual strategy  
24 is at variance with what ..."

25 I guess that's "procurement"?



1 A. Yes, I think that's probably right.

2 Q. The Blood Transfusion Service had been led to believe --

3 A. Presumably they are referring to the dual pricing  
4 strategy.

5 Q. Yes.

6 A. So this was presented at the same time as the report  
7 back from the Ortho symposium and --

8 Q. And included in the bundle of papers you were sent for  
9 reading.

10 A. Included in the bundle of papers, yes.

11 Q. Then, just 33 to 37, this is a set of guidelines. If we  
12 can just look at it, we can see. This document appears  
13 in a number of different places and it does appear to be  
14 the guidelines from the United States --

15 A. Yes.

16 Q. -- planning the implementation of testing.

17 A. Yes. I think it's an FDA document, I believe but I'm  
18 not sure.

19 Q. Well, or an AABB and ARC document. But this version is  
20 a version that we have that's in American because the  
21 word "center" is spelt "er". This version is not. So  
22 whether it was retyped or whether there were different  
23 versions of it produced, I'm not very sure but they do  
24 seem to be in the same terms.

25 I think we can see, if we were to go back -- we will

1           be going back to the minutes of 24 April 1990 -- this  
2           appears to have been the document that Dr Mitchell had  
3           brought back from his trip to America, to find out about  
4           the Abbott test. He had brought back a set of the  
5           guidelines. That's the final pages in this bundle.

6    A. This document was in preparation for the introduction of  
7           the testing in the US.

8    Q. Yes. If we look at the end of it, so that's our  
9           numbered page 37.

10   A. Yes, I see.

11   Q. You see there, "American Association of Blood Banks,  
12           American Red Cross and the Council of Community Blood  
13           Centres, February 8th 1990"?

14   A. Yes.

15   Q. Now, it feels like a long time ago that we were looking  
16           at the actual minutes. Could we go back to the minutes,  
17           please, and we can see that this is the Ortho symposium,  
18           the first of the events reported on in the discussion  
19           and then the Abbott symposium. I think, at an earlier  
20           stage, we assumed that Dr Mitchell had tendered an  
21           actual paper on the Abbott symposium, but I think it's  
22           more likely that what Dr Mitchell tendered was that set  
23           of guidelines. We can ask him if he is able to remember  
24           what it was he had when he returned.

25           The other contribution made, if we just flip on to

1 the next page of the minutes, please, this is  
2 Professor Zuckerman and he has been to a conference,  
3 I think, in Houston where he had provided some notes and  
4 can we have a look at them, please? I think that's  
5 [\[SNF0011700\]](#). Yes.

6 Just have a look at what is contained in that. Here  
7 we are. Information from Dr Miriam Alter. Then an  
8 interesting little table at the bottom of the page.  
9 This is from the transfusion-transmitted viruses study  
10 in open heart surgery. Number tested, 166 with no  
11 hepatitis, however defined, 77 of the group having non-A  
12 non-B Hepatitis. Then how many were anti-HCV-positive  
13 of those who had non-A non-B Hepatitis, 74 per cent were  
14 anti-HCV-positive.

15 A. Using the first generation test, of course.

16 Q. Yes. Then on to the next page, please. That figure of  
17 74 per cent featuring in the first conclusion, and then:

18 "64 per cent of the NANB recipients have at least  
19 one anti-HCV-positive donor. This increases to 77  
20 per cent when only anti-HCV positive recipients are  
21 considered. Donors without anti-HCV may still be  
22 infectious and transmit non-A non-B Hepatitis to  
23 recipients. A donor who has been found to be anti-  
24 HCV-positive should be excluded permanently from further  
25 donations, since anti-HCV titres may fluctuate while the

1 donor remains infectious."

2 Then mention of the RIBA and you have written --

3 A. "But RIBA not available."

4 Q. Yes I suppose, are you thinking when you wrote that, you  
5 may be thinking of in the UK, are you?

6 A. I'm searching to find an explanation for what that  
7 meant. It might have been a note that I was taking  
8 during the discussion while the data was being presented  
9 at the meeting.

10 Q. Right.

11 A. But I can't reconstruct what I actually meant by "RIBA  
12 not available". Presumably on those samples.

13 Q. Yes. Then, just to look at the next couple of pages --  
14 I don't think there is anything --

15 A. I think actually it means that the 13 -- where it says  
16 "not confirmed" is actually, rather than saying they  
17 were negative, ie not confirmed, I'm just simply saying  
18 I don't think they were tested. I think that's the  
19 implication of that note.

20 Q. Right. Yes. I see, yes. So those who were not  
21 implicated were not actually tested, so there is  
22 a slight logical flaw in --

23 A. Yes.

24 Q. I understand. Then tables about -- including figures on  
25 intravenous drug abusers?

1 A. Yes, indeed.

2 Q. Then the final page. Now, can we go back then to the  
3 minutes, please? There must have been an awful lot to  
4 read before the meeting and an awful lot to keep up with  
5 at the meeting?

6 A. Hm-mm, yes.

7 Q. Do you remember this particular meeting?

8 A. Well, I do, but not for reasons of -- this is the April  
9 meeting, isn't it?

10 Q. Yes.

11 A. This is the April 1990 meeting and I remember it, not  
12 because the bulk of the information and data which  
13 actually would have gone through -- I don't think it  
14 would have been discussed in detail. I think Dr Rejman  
15 would have presented this as summary, others would have  
16 discussed that.

17 I remember it really for the latter parts, where we  
18 were asked to consider whether we thought the time was  
19 right to recommend introduction of testing and, as my  
20 personal note to Professor Cash and others records -- so  
21 I remember it for that. I remember it being the first  
22 point at which -- and you may wish to come on to this,  
23 of course.

24 For me I remember the meeting because it was the  
25 first point at which I thought that the information

1 available, the epidemiological evidence available and  
2 the test kit performance data to me suggested that there  
3 was quite a good case for introduction -- for at least  
4 taking a decision in principle --

5 Q. Right.

6 A. -- to introduce testing.

7 Q. I have gone to the external papers, if we can call them  
8 that: the Ortho symposium, the guidelines from the  
9 Abbott symposium and Professor Zuckerman's conference  
10 report, so that we can try to see what it was the  
11 members of the committee had been sent, in advance, to  
12 read.

13 A. Yes.

14 Q. Certainly as far as the Ortho symposium is concerned,  
15 Dr Rejman gave a very crisp summary of all of those  
16 papers by saying that the overall impression was that  
17 the test was not sensitive or specific enough for  
18 reliable testing.

19 Let's work on through the minutes.

20 A. I think I must be careful what I say, but I think you  
21 wouldn't include Dr Rejman amongst those who were the  
22 most enthusiastic about introduction of Hepatitis C  
23 testing, so that comment was -- that distillation of the  
24 symposium in these papers we were only seeing through  
25 Dr Rejman's prism.

1 Q. Right.

2 A. I'm not suggesting that he was wrong but I'm suggesting  
3 that it's only one person's view of the key data that  
4 was presented at the symposium and I think others may  
5 have taken a slightly more positive view of the data --

6 Q. And certainly the committee is fortunate to have wide  
7 expertise and all of the papers have been sent out to  
8 people to read.

9 A. Absolutely.

10 Q. And one must presume that they did read them.

11 A. Absolutely, yes.

12 Q. Then there is the discussion. We can see:

13 "Before he opened up the subject for general  
14 discussion, the chairman reported that France, Belgium  
15 and Luxembourg had introduced routine screening ..."

16 This is April 1990:

17 "Italy had introduced the test on a voluntary  
18 basis."

19 We can see for ourselves what the chairman is  
20 minuted as having said.

21 A. Yes.

22 Q. And then on to the next page. Dr Mitchell commenting,  
23 mentioning a report from Harefield Hospital.  
24 Professor Zuckerman. He is concerned that the Ortho  
25 test had a false positive rate of 50 per cent but the

1 litigation concerns might force its use.

2 A. Yes.

3 Q. Dr Gunson. And Professor Zuckerman is still concerned,  
4 a little concerned, that the FDA had not approved the  
5 Ortho test.

6 A. Hm-mm.

7 Q. Dr Mortimer mooted a further study:

8 "The Ortho and Abbott tests to be run together in  
9 some regional transfusion centres and the positive  
10 samples referred for PCR testing. A sample which would  
11 produce 50 to 100 reactive donors would be sufficient.  
12 Estimated this would require 25,000 to 50,000 donors."

13 A big study?

14 A. Yes, but certainly not undoable within -- we are talking  
15 about at that time 3 million blood donors in the UK, so  
16 it was not an undoable exercise. But a substantive  
17 undertaking. But I think also Dr Mortimer was, as  
18 I recall, a very practical individual and he was  
19 basically saying -- it is recorded in the minute here --  
20 that in principle his belief is that we should introduce  
21 testing. The only question is what needs to be done to  
22 the tests to make them more reliable and more robust.

23 Q. Yes.

24 A. But his advocacy was to take that bold step to  
25 a positive decision in favour of testing, rather than



1           waiting for perfection before you made the policy  
2           decision to introduce, as it were.

3    Q.   Then in the chairman's summing up there does again  
4           perhaps seem to be missing any decision in principle.

5    A.   Yes. Well, at that point it was quite clear that the  
6           chairman took the view, having listened to those at the  
7           meeting and having heard the reports, that there was not  
8           a justification to recommend to ministers the  
9           introduction of a new microbiological test for the blood  
10          supply.

11   Q.   Can we just look at the final page of the minutes,  
12          please? Also of relevance is Dr McIntyre's parallel  
13          note.

14   A.   Yes.

15   Q.   I'm saving your note for last, Dr Perry.

16                 Dr McIntyre's parallel note, which is [\[SGH0027947\]](#).  
17          Bottom of the page, please, "Hepatitis C".  
18          Dr McIntyre's recording that:

19                 "It was agreed by those who attended that this was  
20          a rather disappointing symposium."

21   A.   That's correct, yes.

22   Q.   Yes. Then Abbott. I think this takes us a little bit  
23          further on the question of what it was Dr Mitchell  
24          tendered. I think the paper that he tendered was the  
25          set of guidelines.

1 A. Yes.

2 Q. I think, just to mention, you are not really involved in  
3 answering the question about the hornet's nest, but this  
4 is the hornet's nest paper.

5 A. Okay.

6 Q. So Professor Cash said -- and we will ask him all about  
7 it, but he said:

8 "Ruthven has returned from America with a press  
9 release and this has stirred up a hornet's nest."

10 A. Okay.

11 Q. Just to link that in for those who were wondering about  
12 the hornet's nest.

13 A. I wasn't in that hornet's nest.

14 Q. Right. Then we have Dr McIntyre's report of  
15 Dr Mitchell's report of Chicago. Then, I suppose,  
16 a rather dry sentence at the end of the  
17 second paragraph.

18 A. Yes.

19 Q. And here we all are.

20 The chairman's disappointment being noted:

21 "[The] RIBA was becoming available ... but [costing]  
22 £20 per test."

23 Then:

24 "... inadequate information to introduce full  
25 routine testing ... should be a confirmatory test ...

1 FDA had not so far licence ... need to investigate the  
2 donor panel..."

3 An even larger study mentioned by Dr McIntyre:

4 " ... a large pilot study involving 100,000 blood  
5 donors."

6 Well, whatever, a large study either way, and  
7 a small committee set up to draw up the protocol.

8 A. That's right, and, interestingly, that would have been  
9 done via ACTTD. That would have been perceived or --  
10 that would have been enacted through the TTD --

11 Q. Right. Then, just before lunch, let's look at your  
12 note, [\[SNF0011710\]](#). This is 2 May. You set high  
13 standards for yourself, Dr Perry; you apologise for the  
14 notes being belated on 2 May and the meeting was only on  
15 24 April.

16 A. Thank you. I knew they would get me into trouble  
17 eventually, though.

18 Q. Can we turn to "HCV testing", at the bottom of the page:

19 "Main agenda item -- dominated by reports and  
20 discussion from academic virologists!"

21 Exclamation mark! Then on to the next page, please.

22 Eight bullets.

23 A. Yes. These are, I guess, the key points that I drew  
24 from the meeting --

25 Q. Yes.

1 A. -- and the discussions.

2 Q. And then the conclusion.

3 A. I think, looking back, it's a reasonably faithful  
4 perspective on the discussion and I think I would  
5 probably still stand by the last paragraph as well.

6 Q. Right. It is, of course, the last paragraph that has  
7 leapt out at us.

8 A. Of course, yes.

9 Q. That's Dr Gunson and yourself?

10 A. Yes.

11 Q. " ... felt that there was sufficient data to justify  
12 testing now, based on US data suggesting 50 per cent  
13 reduction in PTH but the majority and DOH preferred more  
14 cautious approach."

15 A. Yes.

16 Q. "More details from Dr Mitchell."

17 A. Yes.

18 Q. Perhaps we could just let it speak for itself, Dr Perry.

19 A. I think, other than to -- just some health warnings with  
20 it. This wasn't a carefully crafted document; it was  
21 intended, and its purpose really, was to provide  
22 information to Dr Cash, effectively, because at that  
23 time we were still bound by confidentiality and so on.  
24 So I chose to make a personal decision to slightly  
25 breach that confidentiality, and briefing on matters

1           that I thought were important.

2           So it was written, not for a wide audience, but for  
3           a very selective audience. But it was my view. And  
4           when I say there was "sufficient data to justify testing  
5           now", I think that's far too simplistic. What I was  
6           actually implying was that I felt there was compelling  
7           information available, at least from what I had heard,  
8           suggesting that the current technology available had the  
9           capability of reducing post-transfusion non-A non-B  
10          Hepatitis by about 60 per cent -- this is what I was  
11          listening to at the meeting -- and took the view,  
12          without going into the deep scientific inadequacies and  
13          the flaws and the absence of confirmatory testing, that  
14          that suggested to me that we, the committee, should be  
15          taking a view now that this is a test that should be  
16          refined and ultimately introduced and I thought we were  
17          being over cautious in raising these continued  
18          scientific concerns as the sole basis for not  
19          introducing it.

20          So it wasn't suggesting that in April 1990 we were  
21          ready to introduce the test, it was simply saying that  
22          I thought there was enough information available for the  
23          government to make a policy decision that we can and  
24          should, particularly in the light of the fact that other  
25          countries were already beginning to adopt it. We knew

1 the US was, we knew France and Belgium, Luxembourg and  
2 so on were in the process of introducing it and it just  
3 seemed to me and, I think, Dr Gunson -- and we both  
4 expressed this view -- that we should be advocating  
5 a more positive approach than simply saying, "We are  
6 still waiting for the science to improve."

7 Q. Right. Sir, that would be a good moment to break.

8 A. Thank you.

9 (1.01 pm)

10 (The short adjournment)

11 (2.00 pm)

12 THE CHAIRMAN: Yes, Ms Dunlop.

13 MS DUNLOP: Thank you, sir. There are a couple of loose  
14 ends from this morning which I would like to clear up,  
15 if I could. The first is the reference to the hornet's  
16 nest. I think I said that Professor Cash had used the  
17 term "hornet's nest". That's wrong, if we look at  
18 [\[SGH0028477\]](#). The context of this is that it's that set  
19 of guidelines we looked at, the guidelines for the  
20 introduction of testing in the United States.  
21 Professor Cash sent it to Dr McIntyre and there is his  
22 covering letter, 19 February 1990:

23 "Dear Archibald, Ruthven has returned from the  
24 States armed with the enclosed press statement issued  
25 jointly by three bodies that control US blood collection

1 for whole blood. I thought you should be aware of its  
2 existence and contents."

3 Then there are some manuscript notes. That is  
4 Mr Panton saying take it to Dr McIntyre's personal  
5 secretary, "Keep a copy for our files."

6 Then this note at the bottom, which I think is  
7 penned by Mr Angus:

8 "Spoke to Pam Reenay..."

9 Who is a lady in the department of Health:

10 "This press statement was copied to Dr Pickles by  
11 Dr McIntyre and has stirred up a hornet's nest."

12 She asked for further info on it, "In particular was  
13 the statement issued?"

14 Just to explain the reference to the hornet's nest,  
15 which is in the preliminary report as well.

16 The other loose end is that we have obviously spent  
17 a lot of time looking at the abstracts from the Ortho  
18 symposium. They were sent with a covering letter, which  
19 is [\[PEN0160208\]](#), if we could have that, please. That's  
20 a covering letter from Ortho, dated 26 March 1990. It's  
21 relevant to note that it comes from Ortho in  
22 High Wycombe, so UK Ortho, if you like:

23 "To all participants of HCV meetings, please find  
24 enclosed a copy of the abstracts."

25 What is also interesting is the last paragraph:

1            "I'm pleased to inform you that the Ortho HCV ELISA  
2            test is now available from stock should you, or any of  
3            your colleagues, be considering placing orders for it."

4            So that is as at 26 March 1990 and plainly the whole  
5            discussion we are having about the possible introduction  
6            of screening would have needed kits, so information  
7            about when, in time, the kits were available to order  
8            must be relevant to that exercise. Can we go back,  
9            please, to Dr Perry's statement, [\[PEN0172108\]](#)?

10            Dr Perry, your numbered paragraph 23 deals with the  
11            topic we were exploring before lunch.

12            A. Yes.

13            Q. We have looked at that note.

14            THE CHAIRMAN: Ms Dunlop, could we go back just briefly to  
15            the question of the availability of Ortho ELISAs.

16            Do you know whether, at this stage, these kits would  
17            have been used in liver units in hospitals; is this  
18            something within your knowledge?

19            A. No, I don't know the answer to that question, I'm sorry.

20            THE CHAIRMAN: You can take it that's an inspired question.

21            PROFESSOR JAMES: I believe the point about this marketing  
22            managers thing is -- and we have discussed this  
23            before -- that individual units or major hospitals would  
24            have been using the Ortho ELISA to test patients with  
25            possible liver disease --



1 MS DUNLOP: Yes.

2 PROFESSOR JAMES: -- so they would have been in quite  
3 a different position. They wouldn't have been, you  
4 know, gearing it up for screening, which is -- and  
5 furthermore they would certainly have been testing  
6 people who were suspect letter of having possibly got  
7 Hepatitis C. So they would be a rather specific "high  
8 risk group".

9 MS DUNLOP: Yes. Certainly one of the individuals whose  
10 circumstances we examined in March, had a diagnostic  
11 test for Hepatitis C quite a long time before screening  
12 tests were introduced.

13 PROFESSOR JAMES: I would be astonished if they weren't  
14 using it in the virology labs in both Glasgow and  
15 Edinburgh from some time around this. If the test was  
16 available, they would have been using it.

17 A. I think that's probably right, the burden of regulatory  
18 evidence and so on for a patient diagnosis system would  
19 be much less. I think it would be classified, for  
20 instance, as a research kit at that time and doctors  
21 would have access to those, but the burden of scientific  
22 and regulatory evidence for introduction of a mass  
23 screening test for healthy donors would have been at  
24 a much higher level. So I think Professor James is  
25 probably right. I have no direct knowledge or

1 information on that.

2 MS DUNLOP: I think, Dr Perry, we have really dealt with the  
3 whole matter covered in your answer 23 that we can see  
4 there. I think the answer actually continues on to the  
5 following page of your statement, so if we can turn the  
6 page. Thank you.

7 So that was matters as they stood at the end  
8 of April 1990. The next document which I would like to  
9 look at is the one mentioned in the next paragraph.  
10 There are actually two related documents, [\[SNB0020245\]](#),  
11 and [\[SNB0020247\]](#), which is the annex to the letter.  
12 This is a letter that was sent to you by Dr Metters, the  
13 DCMO in England. It's dated 5 June 1990. It does look  
14 as though it must have been a circular type of letter.

15 A. It wasn't just me, it was to all members --

16 Q. It was to all members, yes. When we left the story just  
17 before lunch, there was this large study -- whether it  
18 needed 50,000 donors or 100,000 donors is not entirely  
19 clear -- but a large study, with a subgroup to devise  
20 a protocol for it.

21 The deputy chief medical officer is wanting to bring  
22 forward the next meeting of ACVSB.

23 A. Yes.

24 Q. In fact, the changed circumstances are principally that  
25 there has been a grant of approval for the test by the

1 FDA. So one of the matters that had been mentioned in  
2 the VSB meetings has been resolved.

3 Can we look at the other document, the annex then,  
4 please? This is a meeting to be held on 2 July. Just  
5 to confirm, for the record, that that announcement -- or  
6 the licensing of the Ortho test, had occurred on 2 May  
7 in America. There is a list of questions annexed to  
8 Dr Metters's letter:

9 "What new information is available about the  
10 screening tests themselves or on the use of  
11 supplementary (RIBA) and confirmatory (PCR) testing  
12 methods?"

13 You have written. It looks like, "Not well enough  
14 validation", is that, "Not well enough validated"?

15 A. "Not well enough validated."

16 I don't know -- I am not sure whether that is a  
17 reflection of the discussion or whether it was just a  
18 note I had made in preparation for the meeting to make  
19 that point. I think, at that stage, it would have  
20 probably reflected a comment that I would have wished to  
21 have made at the time, ie that there was still some work  
22 to be done to ensure that, in routine use, these were  
23 reliable and effective tests.

24 Q. Right:

25 "I'm wondering if the FDA's decision has been

1 influenced by some scientific or other information which  
2 has now become available. Are there advantages attached  
3 to either of the tests, Abbott or Ortho in respect of  
4 specificity, sensitivity, operational ease of use,  
5 cost?"

6 You have written --

7 A. :

8 "Carefully evaluated."

9 Q. Then:

10 "If routine testing were to be introduced, what  
11 implications would this have for the UK BTS? How would  
12 positive findings be dealt with, what supplementary or  
13 confirmatory testing would be required, and where would  
14 this be carried out? How and when would the donor be  
15 counselled?"

16 A. Yes.

17 Q. I can't actually remember if this goes on. Is there  
18 a further page of this we should look at? Yes, thank  
19 you:

20 "UK BTS are reconsidering their action chart, tabled  
21 at the last meeting and will put forward a revised  
22 version for discussion. If testing is to be introduced  
23 in the UK, should it be limited to whole blood or also  
24 extended to plasma donations. Bearing in mind the  
25 supposed efficacy of heat treatment ..."

1           And so on. Sorry, can we go back to the terms of  
2           the letter? Dr Metters is saying in the third  
3           paragraph:

4           "I feel the committee need to consider further  
5           whether UK blood donations should be routinely screened  
6           for Hepatitis C antibody. A special meeting will be  
7           devoted entirely to Hepatitis C screening... Events are  
8           now moving fast."

9           That's 5 June. We should also note another letter  
10          from Ortho, [\[SNB0045013\]](#). So this is actually something  
11          else which has happened since the last meeting. This is  
12          a letter dated 11 May 1990, and this is relating to the  
13          RIBA, the Ortho RIBA:

14          "This exciting new assay is designed to detect the  
15          presence of antibodies to Hepatitis C virus in samples  
16          that have given a positive result with the Ortho HCV  
17          antibody ELISA test."

18          Can we just look at the rest of this letter? Thank  
19          you. It's not very easy to understand for us, Dr Perry.

20        A. Nor for me.

21        Q. Right. Fine. Then can we --

22        A. But what we do know -- it was the long awaited  
23          confirmatory assay for Hepatitis C testing and I think  
24          it had been subject to an evaluation, so this was one of  
25          the key milestones towards making the decision. One

1           could now tick this particular box, that a confirmatory  
2           assay which broadly had the support of the scientific  
3           community, was now available.

4   Q.   Yes.  There was a bit of discussion yesterday, Dr Perry,  
5           about the use of the terms "confirmatory" test and  
6           "supplementary".  I don't think we want to go there  
7           again.  But anyway, would it be your field?

8   A.   Goodness me.  I think there is a significant  
9           distinction, a supplementary assay just adds a little  
10          bit of confidence to the original assay, whereas  
11          a confirmatory assay is what it says it is.  It does  
12          what it says on the tin; it confirms that the result is  
13          either positive or negative.

14                 So a supplementary assay, for instance, would be  
15                 repeating the ELISA test in a different manufacturer's  
16                 test system and seeing whether you get the same result.  
17                 But it is not a confirmatory test in the same sense that  
18                 a RIBA is; that uses a different technique and different  
19                 antigens to actually carry out the analysis.  So I think  
20                 there is a difference, but I have no particular wish to  
21                 debate it in any great detail.

22   Q.   Thank you.  Excuse me a moment.  (Pause).

23                 Would it be correct to say that a confirmatory test  
24                 has a higher specificity?

25   A.   Yes.

1 Q. Or a good one?

2 A. A good one. Certainly a higher one than -- in my  
3 lexicon I would say that a confirmatory assay has a much  
4 greater utility for its purpose than a supplementary  
5 assay.

6 Q. Right.

7 A. I'm trying to think of a good analogy but I can't come  
8 up with one quickly.

9 Q. I think we were trying to manufacture different  
10 analogies yesterday afternoon, but I don't think we  
11 should waste our time --

12 A. Certainly the view in Scotland was, I think -- and again  
13 this is not from a personal expert position -- but in  
14 the various discussions that were proceeding at this  
15 time, I think latterly in this process in Scotland we  
16 took the view that even the RIBA wasn't a perfect test  
17 system for confirmatory testing. Our preference was the  
18 use of PCR testing, which is actually detecting the  
19 virus itself. But I think that was later on in the  
20 chronology.

21 Q. Right.

22 A. For us that was the gold -- that became the gold  
23 standard for confirmatory testing.

24 Q. I see. Can we just look at the next page of the letter,  
25 please? This is quite a technical letter really. It

1 becomes steadily more technical as you read on. Ortho  
2 are saying that:

3 "The solid phase and the conjugate used in the RIBA  
4 assay are different from those used in the ELISA."

5 A. That's correct, yes.

6 Q. They said:

7 "There was the addition of a second antigen,  
8 expressed in a different organism."

9 A. That's right. So it increases its specificity quite  
10 substantially.

11 Q. Right. Then the last page, please. I think is there  
12 one more? Yes, there we are. Interesting to note the  
13 pricing.

14 So really a lot more expensive than the basic  
15 screening tests?

16 A. Yes, but intended to be used on far fewer donations,  
17 obviously.

18 Q. Yes.

19 A. But it became significant if you had a screening assay  
20 that was generating large numbers of false positives.  
21 Apart from the operational difficulties of handling  
22 such -- this cost difference may have become significant  
23 but I don't have enough information on that.

24 Q. Right. So can we move on then to the next meeting.  
25 This is the meeting of 2 July and its minutes are



1 [\[SNF0011705\]](#). That's the agenda, obviously.

2 A. Yes.

3 Q. Then we see the minutes there, and you were there.

4 A. I was, yes.

5 Q. The chairman is reiterating the confidentiality of the  
6 committee's proceedings and then, paragraph 5, Dr Rejman  
7 was asked:

8 "To summarise the course of events since the last  
9 meeting in April, resulting in the necessity of  
10 a reconsideration of the committee's decision."

11 There is that reference to the FDA decision to  
12 approve Hepatitis C screening and that America had  
13 already introduced screening and other countries were  
14 following:

15 "More studies had been carried out confirming that  
16 Hepatitis C testing reduced infection and RIBA was now  
17 available as a supplementary test."

18 Let's avoid going there, shall we?

19 A. Yes, I can see Professor Zuckerman behind that  
20 particular minute.

21 Q. Right:

22 "It was now felt that a study along the lines of  
23 those talked about in April was no longer viable and the  
24 meeting had therefore been brought forward so that a  
25 decision on the introduction of UK Hepatitis C testing

1           could be reached."

2    A.   Yes.

3    Q.   Then on to the next page, please.  There is

4           Professor Zuckerman's comment in paragraph 7.

5    A.   Yes.

6    Q.   He is now thinking it was time for the screening to go

7           ahead:

8                 "There is still concern about the subject of

9                 counselling anti-HCV-positive ..."

10                Donors, I imagine:

11                "...Very difficult public relations exercise."  He

12                felt that, "The screening test should be introduced as

13                a public measure ..."

14                And you have written in -- I think that's your

15                writing --

16   A.   Yes, "Public health measure", yes.

17   Q.   "After further discussion, the committee concluded that

18           they should recommend to ministers that Hepatitis C

19           testing should be introduced in the UK.  But that first

20           a pilot study using the Ortho and Abbott tests was

21           necessary to decide which was the better test for the

22           regional transfusion centres."

23                Then there is reference in paragraph 9 to the fact

24                that Wellcome are developing a test.

25   A.   Yes.

1 Q. Then there had been prepared a protocol for the  
2 comparison exercise.

3 A. Yes.

4 Q. Dr Gunson is discussing that. Some more practical  
5 issues.

6 Then on to the next page, testing of plasma, which  
7 is obviously a matter of interest to you. Then the  
8 heading, "Pilot scheme to compare the Abbott and Ortho  
9 tests." Cost was discussed. Then:

10 "It was estimated that the overall timescale for the  
11 study would be approximately four months after finance  
12 had been agreed."

13 A. Yes.

14 Q. Then the chairman sums up. In the fourth bullet:

15 "The decision as to which Hepatitis C test to use  
16 will be made after the results of the Ortho and  
17 Abbott tests are known."

18 That seems perhaps to be straying into the territory  
19 that I had understood to be covered by ACTTDs. Is  
20 that -- or --

21 A. Yes, I agree. I know the boundaries between these two  
22 committees did become blurred. But I agree, that's --  
23 but I think the -- the analysis would have been done by  
24 TTD and people involved in that and that recommendation  
25 would have been taken to VSB, where a decision would

1           have been homologated or approved or --

2   Q.   There is there that decision in principle, really, the

3       first bullet:

4           "The UK should introduce Hepatitis C testing."

5   A.   Yes.  But importantly it doesn't mention a date.  It's

6       really just establishing the principle.

7   Q.   Yes.  In fact, to be strictly accurate, this is the

8       committee's recommendation --

9   A.   Yes.

10  Q.   -- that the UK should introduce Hepatitis C testing.

11  A.   That's right.

12  Q.   That's a recommendation to government.

13  A.   Yes.

14  Q.   In view of that in paragraph 21, it's recorded that:

15           "A submission outlining the committee's

16       recommendations would be put to ministers for their

17       approval."

18           It's actually coming under the heading of the pilot

19       scheme but I think it is probably meant to relate to the

20       whole thing.

21  A.   I think it does actually.

22  Q.   Yes.

23  A.   It was always the case at these meetings that Dr Metters

24       always emphasised that the views of the committee were

25       advisory.  It was an advisory committee and it didn't

1           have the final say. So it always carried the caveat  
2           that ministers may or may not agree.

3   Q.   Yes. Can we go back then to the statement, please? In  
4           paragraph 29 you are covering this particular meeting.

5   A.   Yes.

6   Q.   I suppose what struck us when we were looking at this,  
7           is the letter is suggesting -- that's the letter of  
8           5 June, the circular letter -- is suggesting that  
9           because the changed circumstances, the study that had  
10          been decided on in April might no longer be appropriate.

11  A.   Hm-mm.

12  Q.   But the outcome of the meeting of 2 July is that there  
13          is to be another study.

14  A.   Yes, I think they had different objectives, these two  
15          studies. I think the first study, which was the 50,000  
16          or 100,000 donors, was to actually get a better idea of  
17          the performance of the Ortho kit, whereas this study was  
18          to try and differentiate any performance characteristics  
19          of the two candidate tests; the Abbott and the Ortho  
20          one, to see if there was a clear benefit in using one or  
21          either/or both of them. So I think they had slightly  
22          different -- and this was a much smaller -- my  
23          understanding is this was to be a smaller evaluation.

24  Q.   Yes.

25  A.   I think that would have been a perfectly sensible and

1 responsible thing to do. I think there was this problem  
2 that both the kits identified two quite distinct and  
3 different populations of positive donors, although they  
4 overlapped to a considerable extent, but only to the  
5 extent of about 50 or 60 per cent. So I think it was an  
6 attempt to see whether there was any particular  
7 weighting in favour of one test or another --

8 Q. Right.

9 A. -- and also to get some operational experience of using  
10 these kits at fairly large-scale.

11 Q. You did say, Dr Perry, getting experience of the Ortho  
12 test; you mean Ortho rather than Abbott?

13 A. Well, both.

14 Q. Right. I was just thinking Abbott was more of  
15 a newcomer.

16 A. It was, that's right, but my understanding is that this  
17 was a comparative trial. As I said in my statement:

18 "Useful to identify any problems or advantages  
19 associated with the large-scale routine operational use  
20 of both tests."

21 There could have been information gathered on false  
22 positivity rate, ease of use, robustness, cost and so on  
23 that may have led to a conclusion that one of the tests  
24 was superior to the other in our particular population.  
25 You could argue -- well, perhaps this has already been

1 done in the US but I don't think we had access to these  
2 data. In any event, the epidemiology was different in  
3 the US and also I think we always have to bear in mind  
4 that this was only about 12 months on from having  
5 discovered the Hepatitis C virus in the first place.

6 So I think understanding the complex epidemiology  
7 was certainly not as well advanced then as it is now.  
8 So I think this notion of wanting to evaluate tests that  
9 had already been evaluated in the US sounds a bit  
10 overkill now, but at the time -- I think there is always  
11 a possibility that our particular population, with its  
12 peculiar and local epidemiology, may have produced  
13 different results.

14 Q. I should have said -- I don't think it's necessary to go  
15 back to the minutes but paragraph 10 of the minutes does  
16 record that the three centres, North London, Newcastle  
17 and Glasgow would each be performing 3,500 tests.  
18 Initial positive results would be identified and  
19 repeated against both the Ortho and Abbott tests.  
20 Repeat positives were to go to Drs Mortimer, Tedder, and  
21 Follett for supplementary testing in their specialist  
22 laboratories by the Ortho RIBA and the Abbott  
23 confirmatory test procedure, followed by PCR.

24 A. That's right.

25 Q. So that was the plan. That study did begin, although it

1           took a little bit longer than four months. We suggested  
2           that the outcome, being that each centre was to be free  
3           to make its own choice, might mean that the time taken  
4           for this study was wasted and you think the answer to  
5           that is not necessarily.

6    A. Well, for the reasons I have described before, I think  
7           there was some -- whether or not it needed to take four  
8           months or whether it was done in reasonable time,  
9           I can't comment on, I wasn't involved in the design, the  
10          execution or the analysis of the studies. But the  
11          notion of doing a -- such a trial, I would suggest, from  
12          my perspective, seemed sensible, reasonable and  
13          professionally valid.

14   Q. Right. Can we look then at the next meeting, VSB  
15          meeting which is 21 November 1990. I should perhaps  
16          point out that there is quite a significant gap in the  
17          chronology of the meetings of ACTTD. They met on  
18          16 March 1990 and then didn't meet again until  
19          8 January 1991. So that's why we haven't been looking  
20          at them.

21                 But here we are on 21 November and similar format.  
22                 Then, on the second page, a reference to Hepatitis C  
23                 testing. Dr Gunson is introducing a paper on the  
24                 results of the pilot study and also papers from  
25                 Dr Tedder and Dr Mortimer, results from Glasgow were not



1 yet available. I think we can actually probably come  
2 back to that because we were a bit puzzled with Dr Dow  
3 yesterday as to the end point of this study and I think  
4 there is a separate report relating to Glasgow, but we  
5 will not go to that at the moment.

6 A. Yes.

7 Q. Then Professor Zuckerman is saying:

8 "The study was very worthwhile and encouraging, but  
9 [he felt that] it was impossible to choose between the  
10 two screening tests because of the discordant results."

11 The figure being quoted from France and Germany by  
12 Professor Zuckerman. He is saying that:

13 "Studies in France and Germany, where the HCV  
14 screening tests had been used extensively in combination  
15 with surrogate tests, only identified 30 per cent of  
16 post-transfusion hepatitis. The committee agreed it was  
17 important to start screening as soon as practicable as  
18 a measure which would further enhance the safety of the  
19 blood supply."

20 A. Yes.

21 Q. Then a bit of reassurance, in paragraph 11, about the  
22 size of the problem of counselling donors. Really quite  
23 a bit of this meeting actually is discussing  
24 practicalities.

25 A. Yes, it does.

1 Q. Yes. It goes on to talk about counselling on the next  
2 page. In fact, before that we should note paragraph 18,  
3 where the chairman is summing up as he generally does.  
4 The chairman summed up the discussion by saying that:

5 "There was agreement that the UK should introduce  
6 Hepatitis C testing as soon as practicable. RTCs would  
7 decide individually whether to use Ortho or  
8 Abbott test."

9 And so on. If we just move to the end of this --  
10 counselling, and then there is a section on anti-HB core  
11 testing and then other discussion which doesn't really  
12 relate to the topic we are discussing.

13 Two parallel notes of this meeting. The first is  
14 Dr McIntyre's, [\[SGH0028501\]](#).

15 A. Yes, I think that accurately records the --

16 Q. So --

17 A. -- discussions.

18 Q. Dr McIntyre is saying that the:

19 "The chairman started by referring to his summing up  
20 on 2 July ... The meeting went on to consider  
21 a comparison of the tests using the Abbott and Ortho  
22 kits ... Glasgow played an important part in this  
23 study."

24 The 69 samples appear to have gone to all three of  
25 the laboratories participating:

1            "All 69 repeatable positive samples were referred to  
2            three specialist laboratories. There then followed  
3            a long and detailed discussion about the results of the  
4            highly specialised tests."  
5            A. Yes.  
6            Q. Then donor counselling. Then this figure again:  
7            "Other causes of non-A non-B hepatitis. Routine  
8            testing for Hepatitis C would only reduce the incidence  
9            by 30 per cent. This was considered a valuable  
10           contribution."  
11           A. Hm-mm.  
12           Q. Then on to the next page. Dr McIntyre's summary.  
13           A. Yes.  
14           Q. Yes.  
15           A. Importantly, I'm not quite sure who were the "some" that  
16           wanted to start forthwith, whether that was Dr Gunson --  
17           I think at this stage, having established that the  
18           policy or principle of introduction of testing, it  
19           wasn't for me to have a view on when it should be  
20           introduced. It wasn't part of my operational  
21           responsibility and so on, but it may have been others,  
22           such as Dr Mortimer, that were advocating a very rapid  
23           introduction, now all the criteria for introduction of  
24           the test had been met.  
25           Q. Yes. Dr Perry, because it now becomes more of

1 a practical exercise or an operational exercise, I'm not  
2 really going to take you through all the steps in 1991  
3 that led to the screening finally being introduced. We  
4 can do that with others. But it is interesting to note  
5 from this meeting note that the date that was being  
6 discussed was 1 April 1991.

7 A. Yes, indeed.

8 Q. Dr McIntyre has that in his note.

9 A. Yes, and that came from the chairman, so presumably that  
10 was the chairman having rehearsed that date with  
11 officials within the Department of Health to make sure  
12 that that was a viable and particularly sensible date.

13 Q. This may be me, but I can't find that in the actual  
14 official minute of the meeting.

15 A. No, it might not have been recorded. But --

16 Q. Just a conundrum.

17 A. I think if Dr McIntyre had put that in, he would have  
18 heard it. I think that would be an accurate  
19 recollection of a comment or a particular point that had  
20 been made. I think it was probably edited out of the  
21 minute for very good reasons of government caution; that  
22 it didn't want to record in that particular minute any  
23 particular date, before that date had been properly  
24 discussed and validated and so on.

25 Q. Then there is a letter also from Dr Mitchell. This is

1           [\[SNB0053696\]](#). Dr Mitchell reported back to  
2           Professor Cash.

3    A.   Hm-mm.

4    Q.   We can see again -- no doubt Dr Mitchell would be  
5           technically disappointed not to have the results from  
6           Dr Follett.

7    A.   Yes.

8    Q.   Somewhat belatedly we will be able to show them to him  
9           tomorrow. I guess he has seen them in the interval?

10   A.   I think he has been waiting a long time.

11   Q.   Yes.

12   PROFESSOR JAMES: He is blaming Edinburgh for the delay in  
13           the results, I note.

14   MS DUNLOP: Yes.

15           A number of different bullets made by Dr Mitchell in  
16           his letter, to keep Dr Cash informed.

17   A.   Yes.

18   Q.   Then, on to the second page. We can see reference to  
19           Ortho introducing a second generation test.

20   A.   Yes.

21   Q.   Much discussion on counselling.

22           It's possibly worth recording that that 30 per cent  
23           figure about prevention of 30 per cent of the cases, did  
24           undergo some further scrutiny. If we look -- I don't  
25           think it's necessary to go to it, but the minutes of the

1 meeting of ACVSB on 25 February 1991, which are  
2 [\[SNB0018934\]](#). Professor Zuckerman appears in effect to  
3 be saying he wants to confirm the percentage of  
4 post-transfusion hepatitis cases identified by HCV  
5 screening in combination with surrogate tests in France  
6 and Germany. The ultimate figure given for that is in  
7 fact 70 per cent. So just to mention that at the  
8 moment, without necessarily --

9 A. Certainly my recollection -- and again not from  
10 an expert position but I thought 30 per cent was quite  
11 low and I think it was subsequently raised to -- the  
12 figure I have in mind is 50 or 60 per cent.

13 Q. Yes. Anyway -- so that is the November meeting and the  
14 reports back from Dr McIntyre and Dr Mitchell. We note  
15 that reference to the 1 April 1991.

16 A. Hm-mm.

17 Q. Then can we go back to the statement, please? We are  
18 now on page 2116. We asked about submissions going in  
19 line with what was said in the minutes, submissions  
20 going to government. There is quite a long narrative by  
21 us and I think that's something that we can explore with  
22 Mr Tucker, if we look on to the next page.

23 A. Yes.

24 Q. We also asked about the commencement of testing by  
25 Newcastle. I think that question may actually not be

1 accurate, in that I don't know that the actual testing  
2 began in Newcastle until July 1991 but, at any rate,  
3 Newcastle did start their testing ahead of other  
4 centres.

5 A. They did, yes.

6 Q. We will look at that in more detail with other  
7 witnesses.

8 A. Yes.

9 Q. Then you have given your answer on really the whole  
10 matter of whether individual areas, individual centres,  
11 could have, as it were, done their own thing.

12 A. Yes. Well in a practical sense I think my response is  
13 yes, it would have been possible for different parts of  
14 the UK services, for all sorts of different reasons, to  
15 have gone at different times in terms of state of  
16 readiness. So from a practical viewpoint, yes, it would  
17 have been possible, I think, for the SNBTS to have gone  
18 in -- on the original date of April. I think we were in  
19 a reasonable state of readiness by then.

20 But underpinning the whole exercise was this UK --

21 Q. Common start date.

22 A. -- common start date. So I think there is different  
23 answers from different perspectives. From a practical,  
24 political, management perspective, I think the idea of  
25 SNBTS going ahead outside of this common UK start

1 position -- maybe I'm being unimaginative, but I can't  
2 imagine how that could have been made to work without  
3 causing a major problem.

4 We wouldn't have had the authority from the Scottish  
5 Home and Health Department to do that. We wouldn't have  
6 had the authority from the Department of Health, so  
7 I can't begin to imagine the circumstances in which that  
8 might have occurred. You know, there were funding  
9 issues as well from the Scottish Home and Health  
10 Department and so on. So I think, from a practical  
11 point of view, Scotland happened to be -- as a result of  
12 its really quite vigorous involvement in this whole  
13 activity -- ready some time before 1 September. But in  
14 a practical sense, in a management sense, I'm not quite  
15 sure that we could have opted out of a UK common start  
16 date.

17 THE CHAIRMAN: Dr Perry could I ask you just a little about  
18 the sentence dealing with the Glasgow centre? What you  
19 say in inverted commas was, "The extended study".

20 A. Yes.

21 THE CHAIRMAN: Did the 50 per cent figure mean in effect  
22 that everyone in Glasgow was being screened?

23 A. Well, the West of Scotland -- the Glasgow and  
24 West of Scotland centre covered 50 per cent of the UK  
25 population. So I'm basically --



1 MS DUNLOP: The Scottish population.

2 A. What I'm saying is that all of the donations that were  
3 collected from that population were screened for  
4 Hepatitis C and positive donations were taken out of the  
5 blood supply.

6 THE CHAIRMAN: It rather suggests that, in that area at  
7 least, testing, comprehensive testing, started  
8 considerably earlier than the agreed date.

9 A. It started in May. But it was part of a process,  
10 I think -- and I think you will perhaps discuss this  
11 with other witnesses. There was a need to accommodate  
12 the activities of Newcastle and what started out as  
13 a study became an extended study, really to accommodate  
14 people who had -- or one particular organisation that  
15 had broken away from the pack, as it were.

16 But I think, as time moved on in 1991, certainly  
17 colleagues who were at the sharp end of this, were  
18 beginning to become concerned that the clear policy of a  
19 common starting date, particularly in Scotland, where  
20 50 per cent of the -- 50 per cent of donations were  
21 already being screened, was becoming increasingly  
22 difficult to reconcile and sustain.

23 PROFESSOR JAMES: When they were screened, obviously, you  
24 know, we may hear much more about this from other  
25 witnesses but, I mean, is it your understanding that,

1 for example, these people were postponed, counselled or  
2 anything at all was done, or they were just screened out  
3 on that particular occasion? Do you know what the sort  
4 of operational policy was with the positive screened  
5 individuals at that time?

6 A. I think you would need to get confirmation from people  
7 that were actually involved, Dr McClelland, Dr Mitchell  
8 and so on. My understanding is that it wouldn't have  
9 gone through the whole counselling algorithm and follow  
10 up. Donations that came up positive were certainly set  
11 aside, at the very least. At the very least, the blood  
12 supply would have had these positive donations removed  
13 from it. Whether there was any follow-up action for  
14 donors I can't say with any confidence.

15 PROFESSOR JAMES: Thank you.

16 MS DUNLOP: You do mention in your answer, Dr Perry, that  
17 there was a bit of debate around this issue -- that is  
18 the common UK start date -- at the SNBTS board meeting  
19 on 11 and 12 June 1991 and you say:

20 "It was finally agreed to remain firm on the agreed  
21 date of 1 September 1991 for introduction of testing, as  
22 is very briefly recorded in the minute."

23 Just so we can see that for ourselves, can we have  
24 [\[SNB0027666\]](#)? Go to page 4, please. Someone has  
25 circled it.

1 A. Yes.

2 Q. "Anti-HCV testing: agreed. Routine donation testing to  
3 begin on 1 September 1991."

4 A. Yes, that's correct.

5 Q. So, not really any discussion recorded but there was  
6 discussion?

7 A. No, there was no discussion recorded but there was  
8 a very substantial discussion that took place.

9 Q. Differing views?

10 A. Yes.

11 Q. Can we go back to the statement, please, and go to  
12 page 2118? Really you have said this already:  
13 "It's difficult to imagine how this ..."  
14 That is earlier testing in Scotland:  
15 "... would have been achieved without SHHD or CSA  
16 authority which bodies presumably continued to be bound  
17 by UK health departments' agreement for a common  
18 starting date. Also SNBTS had (through Professor Cash)  
19 consistently expressed its commitment to a common UK  
20 start date."  
21 That really brings us back to what I described  
22 earlier and you agreed, to a position from which there  
23 were no dissenters. Both the government departments:  
24 the politicians, the ministers, the civil servants and  
25 the blood transfusion services, at earlier points in

1 this story, were unanimous in wanting a common UK start  
2 date.

3 A. Yes, I think that's an accurate description, absolutely.

4 Q. "A near disaster". I think we know a bit more about  
5 that now and we don't really need to ask to you  
6 elaborate on your answer. I think you're right, but we  
7 will explore that with other witnesses.

8 [\[SNB0054822\]](#) appears to be a recognition that there  
9 had been failings in the process leading to the  
10 introduction of screening.

11 You were asked if you agreed with the views of  
12 Mr McIntosh, who is the writer of that letter. This is  
13 Mr McIntosh's letter to Professor Cash of  
14 30 August 1991.

15 A. Yes.

16 Q. If we could work down to the bottom, and then over the  
17 page. (Pause).

18 There are things in the letter that one would be  
19 interested in picking up. We will pick up some of them  
20 and Mr McIntosh is going to come and comment on his own  
21 views as well, but you have really broadly endorsed what  
22 he says.

23 Can we go back to the statement, please, at the last  
24 paragraph, paragraph 37 and you have obviously,  
25 Dr Perry, put some thought into composing your answer,

1 here, so I suspect we should probably let it speak for  
2 itself but just to let everyone have a look at what you  
3 said. (Pause).

4 I suppose, before we leave --

5 THE CHAIRMAN: Can we go down a little bit; is there more?

6 Q. There is more on the next page. I just didn't want to  
7 leave this page without observing, Dr Perry, that that  
8 gap -- the fact that ACTTDs had met on 16 March 1990 and  
9 didn't meet again until 8 January 1991 -- perhaps takes  
10 your fourth bullet there on a little further because, if  
11 the body that was supposed to be more responsible for  
12 operational matters wasn't actually meeting in this  
13 period, it's more difficult to see how the baton was  
14 going to be passed on.

15 A. I think that's a very good observation and I don't know  
16 enough about the detailed discussions that took place  
17 outside VSB with people like Dr Mitchell and Dr Gunson  
18 and Professor Cash to follow up on the decisions from  
19 VSB.

20 Q. Then can we turn over the page, please? Right,  
21 Dr Perry, is there anything in that answer you want to  
22 change or supplement?

23 A. No, I think the -- certainly the penultimate bullet  
24 point, I think, was an important -- it was  
25 a particularly confused period. I think from the

1 original putative date of April 1991, following  
2 the November agreement of ACVSB when policy decisions  
3 were being made, it did seem to slip, as a result of the  
4 introduction of the second generation -- the coming  
5 along of the second generation kit in a sense ambushed  
6 that decision, rightly or wrongly, and led to this sort  
7 of slippage -- what I would describe as slippage  
8 from April, then to July and then to September.

9 It was never absolutely clear to me or to colleagues  
10 why this was actually happening and why this was taking  
11 place. I think all sorts of, perhaps, with hindsight,  
12 urban myths began to emerge about funding difficulties  
13 and so on. But from my perspective it did -- and, with  
14 hindsight, in answer to your question, I think that  
15 process could have been tighter.

16 Having made the decision to go, we had a testing  
17 system in place, we had a confirmatory testing system --  
18 without greater knowledge of what actually caused this  
19 delay from April to September, it's -- I think it's  
20 something that in an honest answer to your question, we  
21 could have done better -- as a process.

22 Q. Thank you very much, Dr Perry.

23 PROFESSOR JAMES: Can I ask two questions briefly? Could  
24 you summarise these delays, which were effectively from  
25 something around about mid 1990 to September 1991,

1 effectively in two parts. You have alluded to the fact  
2 that perhaps "scientific rigour" was a very important  
3 influence on the advisory committee.

4 A. Yes.

5 PROFESSOR JAMES: So that perhaps the scientific rigour,  
6 "manana, manana" of new and better tests just over the  
7 road, beyond the horizon, might have accounted for  
8 delays, let's say, from June/July 1990 until, let's  
9 say, April 1991. Then you have alluded to these other  
10 rather different sort of  
11 financial/managerial/communication-type difficulties for  
12 the last period of four or five months. Would that be  
13 correct?

14 A. I think that's broadly correct. It wasn't just  
15 financial issues, I think, that contributed to the  
16 latter delays; I think it was the introduction of the --  
17 what you could describe as changing the goalposts. It  
18 no longer became a timescale for introduction of the  
19 first generation test.

20 PROFESSOR JAMES: Quite.

21 A. That got thrown out of the window, as it were, in the  
22 belief that there was something much better coming  
23 along.

24 PROFESSOR JAMES: Quite.

25 A. So, if one is being critical of this process, it's

1 a case of the best being the enemy of the good on that  
2 particular occasion. Many other organisations and  
3 countries had already taken decisions to introduce --

4 PROFESSOR JAMES: The good?

5 A. The good, yes. But again I do offer the health warning  
6 that, you know, this is not my area of expertise and  
7 I think the discussions that took place and the  
8 motivation behind going for a second generation kit  
9 instead of a first one, were fairly well discussed  
10 and -- but it did seem to me that, against an  
11 international backdrop of many other organisations,  
12 having introduced first generation testing, then it  
13 became difficult for me to understand why we had  
14 completely abandoned that and had gone for a second  
15 generation --

16 PROFESSOR JAMES: My second, brief question is: do you think  
17 actually in retrospect that the composition of that  
18 committee was perhaps too -- well, didn't contain enough  
19 sharp end transfusionists, in particular. There were  
20 only two on the committee and they were outnumbered by  
21 strong-minded and authoritative "virologists" for  
22 example, so that the committee might have paid rather  
23 more cognisance, in that important period in 1990 in  
24 particular, and the beginning of 1991, to the virology,  
25 as against the public health/needs of the screening



1 service; or do you think that's not correct.

2 A. I was just -- no, I think I agree with your analysis to  
3 an extent and the reason I was hesitating was because  
4 this was something that I considered before I wrote my  
5 statement. I thought composition of the committee was,  
6 perhaps with hindsight, unduly biased to the science,  
7 the expert virologists, who are very authoritative  
8 people. I have to say this, it is not a criticism of  
9 them. But, standing back, and perhaps 20 or 30 years  
10 on, the public health perspective was not as dominant in  
11 fact as it possibly could have been.

12 PROFESSOR JAMES: When the committee was constituted, that  
13 would have been appropriate but events moving on as far  
14 as, you know -- as Hepatitis C was concerned meant that  
15 there was this perhaps inherent flaw, which hadn't been  
16 appreciated, in the composition of the committee at its  
17 outset.

18 A. Yes, I think -- it's not for me to judge who was right  
19 to be on the committee but I think it would have  
20 benefited, and further value could have been added  
21 having a slightly increased presence of, not  
22 specifically public health doctors but people with  
23 a slightly greater public health perspective on it.  
24 Which is not to say that Professor Tedder and  
25 Professor Zuckerman don't have a knowledge of these

1 things but their area of specific expertise is in the  
2 virology and the science and the understanding of what  
3 the tests are actually doing.

4 PROFESSOR JAMES: Quite. Thank you very much. Thank you,  
5 sir.

6 THE CHAIRMAN: Mr Di Rollo?

7 MR DI ROLLO: Sir, I don't have any specific questions for  
8 Dr Perry but obviously that doesn't detract from the  
9 importance of the comments that he has made just now and  
10 in the course of his evidence.

11 THE CHAIRMAN: Mr Anderson?

12 Questions by MR ANDERSON

13 MR ANDERSON: I'm obliged. Dr Perry, just two matters.

14 Towards the end of your evidence just now you used the  
15 phrase, "We could have done better". Who did you mean  
16 by we. Was this SNBTS, or was this everyone involved.

17 A. I think the entirety of the process. I think I'm  
18 perhaps slipping into Mr McIntosh language here, where  
19 I'm describing the collegiate "we" including all the  
20 agencies involved in that.

21 I think if you -- specifically, as far as SNBTS and  
22 there is element of "I would say this", but I think  
23 SNBTS were very, very active in this particular area.  
24 They were, certainly in terms of their contribution to  
25 the process and evaluating the test kits and developing

1 algorithms and developing the basic principles of donor  
2 counselling and all these very, very important  
3 operational details, the SNBTS were at the forefront of  
4 that. Which is why, in my view, but not as somebody who  
5 was responsible for enacting it, but from my view --  
6 which is why I think SNBTS could have been in a position  
7 to implement sooner if that decision had been taken.  
8 But again I can't imagine how that decision would have  
9 been taken.

10 Q. I wonder, was this a case of too many cooks spoiling the  
11 broth?

12 A. I think it's as I have described in my slightly  
13 carefully worded comments. It's about not having, at  
14 the outset of this, a clear plan and strategy for  
15 implementation. It seemed to me that the decisions were  
16 being taken by VSB on a step by step basis. So we  
17 weren't considering the implications of introducing  
18 testing, ie the counselling and the follow-up and the  
19 evaluation, until such times as the policy decision had  
20 been taken.

21 It seemed to me -- as an operational manager, one  
22 usually plans on the basis that you do scenario  
23 planning. So VSB, for instance -- and this is all with  
24 hindsight of course -- could have said "in the event  
25 that we do take a decision to introduce the testing,

1           this is what the subsequent processes and steps might  
2           look like". And there was no element of that.

3    Q.   One final matter, please, Dr Perry. We have seen the  
4           minute of the SNBTS directors' meeting in June 1991  
5           which simply has the rather terse entry that:

6                    "It was agreed that routine donation testing would  
7           begin on 1 September."

8           You went on tantalisingly to say that:

9                    "There was very substantial discussion and that  
10          there were differing views."

11   A.   Yes.

12   Q.   If the decision had been different, in other words if  
13          the decision had been to press for earlier testing or an  
14          unilateral introduction in Scotland, if that is the  
15          decision that had been made at that SNBTS directors'  
16          meeting in June, do you think it would have made any  
17          difference in real terms?

18   A.   I don't know. If the decision had been -- my assumption  
19          is it must have been because there were very capable  
20          proponents of the argument that there was a case for  
21          early introduction in Scotland and that case wouldn't  
22          have been made if it were not for the fact that it was  
23          a practically feasible proposition. I don't think the  
24          board would have wasted time considering hypothetical  
25          scenarios.

1           So I think it was a at a fairly advanced state of  
2           readiness in June 1991. So it's possible, but I think  
3           on the day the argument for maintaining a common UK  
4           start date, including Scotland, was the argument that  
5           won over.

6   Q. I'm obliged to you, thank you very much.

7   THE CHAIRMAN: Mr Johnston?

8                               Questions by MR JOHNSTON

9   MR JOHNSTON: I have just one point I would like to ask you  
10           about which relates to your final answer, the first  
11           bullet point mentioning the unnecessary secrecy and  
12           confidentiality associated with the VSB committee. I'm  
13           wondering whether you can take that any further in two  
14           senses. One: why you think it was stressed so much and  
15           secondly in light of the fact we have seen reports from  
16           you and from Dr Mitchell, for example to Dr Cash,  
17           I wonder really whether this is something that mattered  
18           greatly, or whether, in fact, all those who needed to  
19           know on key matters were adequately informed in spite of  
20           the confidentiality?

21   A. I actually think it did matter. I think there was undue  
22           emphasis on this, for reasons which were never really  
23           clear. I think there was a nervousness in the UK  
24           committee under the chairmanship of Dr Harris and  
25           Dr Metters, that these were extremely sensitive issues

1 in terms of public perceptions and public  
2 communications. It really sought to make sure that any  
3 of these discussions about scenario plannings and these  
4 risks that existed, didn't inadvertently, without proper  
5 rehearsal and proper explanation, find their way out  
6 into the public domain. I think they saw that as  
7 potentially damaging in a public health perspective, but  
8 also exposes the government to all sorts of pressures in  
9 complex situations that it wasn't -- which it wasn't  
10 wishing to debate in an unstructured way.

11 So I think it was -- I don't think it's correct to  
12 say that, despite that, we dug tunnels underground to  
13 get the information out and this was successful.  
14 I think there were often frustrations about not being  
15 free to communicate the various ruminations of the  
16 committee.

17 But equally I think -- and this perhaps was lacking  
18 as well -- those departmental officials that attended  
19 the meetings as observers, specifically with the  
20 intention of either feeding into the discussions or  
21 communicating back to their respective health  
22 departments the outcomes of those, part of the reason  
23 for being there, from my understanding, was that they  
24 would then operate as the basis -- as the formal  
25 government communicator to the operational service.

1           So there was an expectation, certainly from my  
2           perspective that important decisions and positions  
3           adopted by VSB would and should have been communicated  
4           via Scottish Home and Health Department and the  
5           Welsh Office and the Northern Irish office. That's what  
6           they were there for; to take account of the discussions,  
7           see what was going on and see whether or not it was  
8           important for operational planning and policy purposes  
9           to communicate that to the SNBTS.

10           I think that was a sporadic process. There was no  
11           structured approach to that. I'm not sure if those --  
12           for instance, those very useful and probably very  
13           accurate minutes by Dr McIntyre ever found their way to  
14           the SNBTS. I suspect they didn't.

15   MR JOHNSTON: So the way you view it is that the means in  
16           which information was gathered from experts and relayed  
17           to government which then took a view on it.

18   A. Yes, absolutely and the involvement of the operational  
19           part of the activity, which was ultimately charged with  
20           the responsibility of introducing these things and doing  
21           the donor follow-up and the counselling and so on really  
22           wasn't factored into the process and the structure in  
23           any meaningful or consistent way.

24           That is not to say it never happened, I'm just  
25           simply saying there was, at least by today's standards

1           you would expect a much clearer process for  
2           communicating these important decisions. So that's,  
3           I guess my observations on the process. I didn't put it  
4           in -- I think the membership of the committee, I didn't  
5           include in my comment because I didn't think it was  
6           a failure of the process; I think it was simply  
7           a decision that was taken and, whilst I may have a view  
8           that the members of the committee could have been more  
9           broadly based, I didn't see that as a part of a process  
10          failure.

11   Q.   Right, thank you very much.

12   THE CHAIRMAN:  Dr Perry, such limited experience as I have  
13          would suggest that committees advising government on  
14          policy formation are generally confidential and that the  
15          dissemination of policy would be back down via  
16          a department and not via members of the advisory  
17          committee. Do you have any wider experience, than  
18          membership of this committee, to instruct you on what  
19          the norms might be?

20   A.   The only other experience I have where confidentiality  
21          was a vital and again reiterated at every meeting was  
22          when I was a member of the Committee on the Safety of  
23          Medicines. That was primarily for commercial -- that's  
24          commercial confidentiality and so on and that was very  
25          rigorously and rigidly observed. But I don't think



1 I have any other experience of that personally.

2 THE CHAIRMAN: I think that ministers would generally look  
3 upon policy with some jealousy as their preserve,  
4 including the sources of advice that fed into it, do you  
5 see?

6 A. Yes, indeed, certainly -- it was certainly never my --  
7 sorry, it was always my view that it wasn't my role to  
8 communicate the formal outcomes of ACVSB's decisions to  
9 my operational colleagues, that was not part of my job  
10 and role. Although it became irresistible at times, not  
11 to communicate quite important bits of information that  
12 I knew were critical to the planning in SNBTS. But it  
13 was -- and that would have been fine had there been  
14 behind it a clear structure for communicating what the  
15 policy decisions were and how they were to be enacted  
16 and basically the ... erm ...

17 THE CHAIRMAN: Mr Johnston, I think you may be wanting to  
18 take this up with tomorrow's witness in some way, but  
19 I think certainly the constraints on dissemination of  
20 information are a matter for your interest. If there is  
21 something significant, perhaps I'll hear about it.

22 MS DUNLOP: Yes.

23 THE CHAIRMAN: Ms Dunlop?

24 MS DUNLOP: There is some correspondence on that matter,  
25 sir, which I can draw to your attention, but not just

1 now. I think it might be a good time for a break.  
2 Dr McClelland is here and I would certainly like to  
3 start him today. Fortunately he is available to come  
4 back tomorrow morning and I would be optimistic that we  
5 will finish him tomorrow morning.

6 THE CHAIRMAN: And the knock-on from that?

7 MS DUNLOP: It should be perfectly do-able tomorrow. Thank  
8 you.

9 (3.29 pm)

10 (Short break)

11 (3.46 pm)

12 DR BRIAN MCCLELLAND (continued)

13 Questions by MS DUNLOP

14 MS DUNLOP: Good afternoon. Dr McClelland. I'm sorry to  
15 have kept you waiting.

16 A. Good afternoon.

17 Q. You have provided for us a statement on this topic,  
18 topic C4, which is [\[PEN0172491\]](#). Could we have that up?  
19 We can move past paragraph 1, because we have already  
20 looked at that correspondence. Paragraph 2 relates to  
21 the two different groups, ACVSB and ACTTD and we asked  
22 why it was necessary to have them both.

23 You said it has never been clear to you. You  
24 remember that:

25 "At some time in 1988 [you] discussed with Dr Gunson

1 the idea of establishing a single group to form policy  
2 in relation to transfusion-transmitted infections. Both  
3 were established early in 1989. [You] suspect there  
4 were two groups because both the Department of Health  
5 and the NBTS national director wished to influence the  
6 decisions that were taken. The committees had very  
7 similar remits."

8 Could we look, please, firstly, at [\[SNB0019366\]](#)?  
9 Here we have what I have been calling for short "VSB".  
10 This is their paper 1/1. So the first paper, considered  
11 at the first meeting. That is the remit that you have  
12 quoted:

13 "To advise the health departments of the UK on  
14 measures to ensure the virological safety of blood,  
15 whilst maintaining adequate supplies of appropriate  
16 quality for both immediate use and for plasma  
17 processing."

18 If we keep that open, please, and look at the remit  
19 of ACTTD, which I think really in effect it composed  
20 itself, which is [\[SNB0061923\]](#). This is  
21 from February 1989 and the terms of reference were  
22 agreed at the first meeting:

23 "1. To consider the epidemiological, clinical and  
24 laboratory aspects of diseases which may be transmitted  
25 by the transfusion of blood and blood products.

1           "2. To determine the appropriate policy which  
2           should be implemented by the UK Blood Transfusion  
3           Services for the control of transfusion-transmitted  
4           diseases.

5           "3. To advise the departments of health  
6           accordingly."

7           So that bears out what Dr Perry pointed out that,  
8           originally ACTTD saw itself as providing advice directly  
9           to the departments of health as well as ACVSB.

10   THE CHAIRMAN: I wonder, is that necessarily so? The second  
11   paragraph begins:

12           "To determine the appropriate policy for the  
13           transfusion services ..."

14           Now, the words, "To advise", at the beginning of the  
15           third paragraph can have more than one meaning. Can you  
16           say whether this was to provide advice or to tell the  
17           department what the blood transfusion services' policies  
18           were?

19   A. I really don't know. It might have been a skilful  
20           ambiguity but I think, looking back at this -- I don't  
21           think that I was particularly aware of it at the time,  
22           but there was clearly a bit of a battle for territory  
23           going on here. I can understand why, you know, I think  
24           the -- Dr Gunson, who was a very responsible guy, who  
25           wanted to try and see that the best was done in the

1 National Blood Transfusion Service, was probably keen to  
2 do whatever he could to grasp the initiative and you  
3 know, make the running for the department rather than  
4 the other way round.

5 I think that's probably what this was about. It's  
6 interesting; in number 2 he used the words "Appropriate  
7 policy", which is not about operational detail, which is  
8 what was -- the term I think was used in later attempts  
9 to "clarify" the two remits.

10 THE CHAIRMAN: It's a typical lawyerly -- I wouldn't say  
11 it's a lawyer's approach, since I'm no longer a lawyer  
12 but it's a particularly lawyerly approach to pick the  
13 words in this way. But there is, of course,  
14 a difference between the policy of the blood transfusion  
15 services, to be implemented, and government policy.  
16 Yes. I don't want to take it any further, Ms Dunlop.  
17 It's just I think that this is either a very cleverly  
18 worded statement, full of ambiguity, or it perhaps is  
19 just ambiguous.

20 A. I honestly suspect the latter.

21 MS DUNLOP: Yes, I think just to look at these two groups at  
22 the outset, and if we can go back to your statement, you  
23 say -- and this is moving on to the second page that:

24 "Early in the life of these groups, the documents  
25 show evidence of difficulty in differentiating between

1           their respective roles."

2           And you say:

3           "At the first meeting of ACSVB, its chairman offered  
4           the following interpretation of its remit."

5           That's from the same paper, 1/1, that is

6           [\[SNB0019366\]](#):

7           "Our concern is matters of major policy, not the  
8           implementation of policy ... our specific remit is with  
9           blood donors ..."

10          In fact the other quote which you show, if we jump  
11          a paragraph and see the next quote:

12          "ACTTD will be considering many of the same issues  
13          as the present committee (ACVSB) but only from  
14          a transfusion point of view."

15          That also comes from that same paper. Then I think  
16          it might make slightly more sense if we read next the  
17          paragraph that you have beginning, "Some time later",  
18          because we have looked at this next extract and it comes  
19          from the minutes of 24 April 1990:

20          "Some time later the chair of ACVSB thought it  
21          necessary to make further comments which, as I read them  
22          now, seem to add to the confusion rather than clarify  
23          the role of the two groups."

24          That's that quote about, "There should be no  
25          confusion". In fact, a direct quote says:

1           "The UK BTS committee..."

2           This is reading from the end of the third line:

3           "The UK BTS committee considered the operational  
4 implications of policy ... contributed to the advice on  
5 viral safety through input to the ACVSB".

6           That was something that, according to the minutes of  
7 VSB in April 1990, Dr Gunson signed up to.

8           I think it's interesting to look a little more  
9 carefully at how the two groups began. Can we look,  
10 first, at [\[SGH0031265\]](#). This is a minute from  
11 Dr Harris, the deputy chief medical officer, in the  
12 summer of 1988, more particularly dated 14 July, sent to  
13 quite a wide range of people, including Dr Forrester.  
14 We can see that actually there is a reference to EAGA,  
15 so the Expert Advisory Group on AIDS. The question was  
16 raised as to how advice should be given to the necessary  
17 steps for ensuring the virological safety of blood in  
18 the UK:

19           "Since viruses other than HIV-1 and HIV-2 are  
20 involved, EAGA is not the appropriate body."

21           Presumably because it's disease-specific. Then  
22 several groups with an interest in procedures for  
23 screening donors. Then the minute goes on to explain  
24 who these groups are:

25           "The Committee on Safety of Medicines, most

1 particularly the biological subcommittee."

2 Then there is reference to the FDA, lots of  
3 initials. Directed by the EC:

4 "The CSM would resent any interference with their  
5 independence. They are concerned about quality, safety  
6 and efficacy and have no responsibility for costs or  
7 supplies."

8 Then on to the next page, please. The CBLA and the  
9 NBTS. In fact PFC is mentioned in paragraph (b) also.  
10 3.2:

11 "Since CSM gives advice for all health departments,  
12 we need to work together with the territorials."

13 So that's the Northern Irish office, the  
14 Welsh Office and SHHD, I guess:

15 "Any differences between the territorials, unless  
16 adequately justified, could be exploited in any  
17 litigation."

18 Then just some further thinking on the composition  
19 of such a group.

20 Then if we could scroll down and look at the  
21 infections that Dr Harris had in mind, including non-A  
22 non-B and he is suggesting a new advisory group under  
23 his chairmanship.

24 He is suggesting terms of reference and membership.  
25 Can we just move through the document, just to see for



1           ourselves how it continues. Here we are. Actually that  
2           document we looked at earlier, sir, is one of the  
3           appendices with the list of suggested members as at that  
4           stage.

5   THE CHAIRMAN: Could I see the whole sentence that ends:

6           "... is no need to consult ministers on this  
7           initiative."

8   MS DUNLOP: Yes.

9   THE CHAIRMAN: Why is -- just highlight why.

10   MS DUNLOP: That changed of course.

11   THE CHAIRMAN: I appreciate that, but I'm just wondering  
12           what the reason was at that stage from Harris. Could  
13           I see the page before, please? It's just, "I feel there  
14           is no need ..."

15   MS DUNLOP: So that's 14 July and Dr Forrester replied on  
16           18 July that's [\[SGH0031264\]](#). We can see from the  
17           bottom:

18           "Silent copies sent to Dr McIntyre, Mr Macniven."

19           It looks as though Mr Panton as well. I don't think  
20           there is anything under that. Perhaps if we scroll down  
21           just to check. CMO. The nomination of Dr Urbaniak has  
22           been agreed with Professor Cash. I think that's  
23           actually Mr Macniven's writing.

24           Then the next document from around this period is  
25           [\[SNB0061010\]](#). I think it's not particularly difficult

1 to reconstruct, Dr McClelland, this minute has come in  
2 from Dr Harris, Dr Forrester has replied, there has been  
3 discussion with Professor Cash about who might serve  
4 from Scotland and this has triggered a letter from  
5 Professor Cash to Dr Pickles on 19 July 1988 and it's  
6 just the final paragraph:

7 "I was pleased to learn that there are now  
8 discussions taking place which hopefully will lead to  
9 the establishment of a UK group which will concern  
10 itself with the long-term problems associated with blood  
11 donations (microbial) screening. In due course I would  
12 much appreciate the opportunity of providing an input  
13 with regard to the membership of such a group."

14 There are documents between government departments  
15 in the autumn of 1988, and I plan to look at those with  
16 Mr Tucker, sir, but I don't see any evidence that they  
17 were revealed outwith the government departments. So an  
18 impression may have been created that nothing was  
19 happening and, if we move to the SNBTS directors meeting  
20 in December 1988 and look at that minute, which is  
21 [\[SNB0027350\]](#). Here we have a meeting at which you were  
22 in attendance, although perhaps not for all of it.  
23 Professor Cash is there and Dr Gunson is also there.

24 It's worth noting that Dr Gunson has a new role as  
25 national director of the NBTS. So he has become the

1 English Dr Cash. Is that right. Yes, you are nodding.

2 A. I'm not sure that his role as national director was  
3 exactly equivalent to Dr Cash's role in Scotland. In  
4 fact I am sure it wasn't.

5 Q. All right. Do you want to expand on that for us,  
6 please, just to explain what you see were the main  
7 differences?

8 A. I probably would need a little bit of notice of that but  
9 I think in 1988 we were still in Scotland in the  
10 situation where Dr Cash was national director. He was  
11 effectively, if you like, general manager and medical  
12 director, because this, I think, preceded the  
13 appointment of the first general manager per se.

14 At this time I'm not certain who -- what was the  
15 composition, as it were of the top management team in  
16 the National Blood Transfusion Service but I think there  
17 may have been a senior managerial presence, possibly  
18 someone seconded from the Department of Health. So the  
19 roles could have been slightly divided in the National  
20 Blood Transfusion Service, whereas they were encompassed  
21 in one post in Scotland at that time.

22 Q. Right.

23 A. I hope that's historically accurate.

24 Q. Fine. Thank you. Can we move down the page, please?  
25 In fact look on in the minute -- if we go to the next

1 page -- yes, there we are. This is actually under  
2 a heading "AIDS", you see the last two paragraphs?  
3 Actually the whole thing really is worth study:

4 "Uniform advice on microbiological testing", is the  
5 subject covered:

6 "Dr Gunson recalled that advice on anti-HIV testing  
7 had come originally from the UK working party on AIDS  
8 and from EAGA. The latter had subsequently withdrawn  
9 from the field. Dr Pickles of DOH had indicated some  
10 nine months ago ..."

11 I think that must be the reference to the  
12 correspondence from July that we had looked at:

13 "... that the department would take an initiative  
14 and this had not happened and mean while certain  
15 problems needed to be addressed. Mr Panton reported  
16 that his medical colleagues would welcome the formation  
17 of a professional group on which the SHHD would wish to  
18 be represented.

19 "After discussion it was agreed that UK Blood  
20 Transfusion Services should establish a group to advise  
21 the departments of health on policies. It was noted  
22 that the matter was urgent since the USA would soon  
23 begin testing blood donations to HTLV-I and HG agreed to  
24 liaise with Dr Pickles as soon as possible.

25 "JDC and Dr Gunson, together with the SHHD would

1 exert pressure on the Department of Health."

2 I don't expect you remember this discussion,  
3 Dr McClelland? No.

4 But it does look as though there is a bit of  
5 a feeling that nothing much is happening. An initiative  
6 had been discussed by Dr Pickles, but it looks to those  
7 who are having this discussion recorded in the minutes  
8 as though not much progress has been made. Is that  
9 a reasonable --

10 A. It appears that this is an attempt to do something that  
11 they thought was needed and had not materialised from  
12 the departments of health, although it's interesting  
13 that there were two people from the Scottish department  
14 present at that meeting, who clearly weren't aware of  
15 some of the correspondence that you just showed us  
16 a moment ago. This is all new to me. I must have seen  
17 that minute before obviously but I hadn't appreciated  
18 the significance of it in relation to the question I was  
19 asked.

20 Q. It's the sort of archaeology on which we are all engaged  
21 I am afraid. Can we go back to the page before then,  
22 please. Certainly you can see Mr Panton is there and we  
23 know he is from SHHD. It's just your reference to 2.

24 I think Dr Skinner is the other one, yes?

25 A. I think Dr Skinner was possibly pretty new to the

1 liaison role with the Blood Transfusion Service at that  
2 time --

3 Q. Right.

4 A. -- so she might well not have been completely up to  
5 speed with all these issues.

6 Q. Yes. Then next can we look at [\[SGH0031251\]](#). So bearing  
7 in mind that's 13 December 1988 and presumably the  
8 minutes are typed up and sent out. Here is a letter  
9 from Dr McIntyre dated 9 January 1989 and he is writing  
10 to Dr Pickles. In the first paragraph he alludes to  
11 correspondence between Mr Macniven and Miss Webb of the  
12 Department of Health, concerning the setting up of the  
13 advisory committee on virological safety of blood. Then  
14 Dr McIntyre goes on to say:

15 "When I discussed this matter with you recently,  
16 when we met at the latest meeting of ACDP..."

17 The Advisory Committee On Dangerous Pathogens is  
18 that? I think that is what that stands for:

19 "...I indicated that we felt there was a measure of  
20 urgency about setting up this advisory committee. I now  
21 enclose, in confidence, an extract from an unconfirmed  
22 draft minute of a meeting of the directors of the  
23 Scottish National Blood Transfusion Service, held in  
24 Edinburgh on 13 December 1988, at which Dr H Gunson and  
25 Dr W Wagstaff were present.

1            "This extract, you will note, suggests that the UK  
2            Blood Transfusion Services should establish a group to  
3            advise the departments of health on policies related to  
4            microbiological testing. This method of approaching the  
5            problem we consider to be unsatisfactory, and we suspect  
6            that the decisions reached might be influenced, to  
7            a considerable extent, by the views of the transfusion  
8            directors. As this is a matter which has policy  
9            implications and will be of considerable interest to  
10           ministers we feel that this advisory committee should be  
11           set up jointly by the departments."

12           I may as well read the whole thing:

13           "In Scotland we are under considerable pressure from  
14           the SNBTS to fund the introduction of additional  
15           virological testing and, as this is a matter which we  
16           feel should be addressed on a UK basis, I should be  
17           grateful if you could let me know what steps your  
18           department intends to take in this matter as we would  
19           not like to be forced into a course of action which  
20           might have repercussions for the UK as a whole."

21           So, I suppose it's a get a move on letter, is it?

22           A. Among other things.

23           Q. Yes.

24           A. I think it's a remarkable exposition of aspects of the  
25           department's attitude which we have alluded to at other

1 times in the Inquiry.

2 Q. Well, it's just -- I suppose sometimes we come across  
3 letters, Dr McClelland.

4 A. I'm choosing my words very conservatively.

5 Q. Yes, just another letter we came across. We know that  
6 although, as I have been putting it, the transfusion  
7 directors committee was first off the blocks, having its  
8 first meeting in February 1989, and the VSB not starting  
9 until April 1989, it does really pretty conclusively  
10 look as though the idea for the Advisory Committee on  
11 the Virological Safety of Blood pre-dated the  
12 Transfusion-transmitted Diseases Committee, if it was  
13 being discussed in July 1988 and then it met for the  
14 first time in April 1989.

15 A. I have some recollection of the original idea, which  
16 went back earlier because I was a member of the expert  
17 advisory group on AIDS and I think Professor Cash was as  
18 well. We had both, I think, probably made ourselves  
19 quite unpopular on EAGA actually by, you know, exploring  
20 how other infection-related matters could be dealt with  
21 sensibly on a UK basis, because there wasn't at that  
22 time a forum for doing that.

23 The chair of EAGA said, I think very correctly, this  
24 is nothing to do with EAGA, we are about AIDS. So there  
25 was an imperative to take that away and try and



1 stimulate something. Where the idea originated -- was  
2 that the origin of the requirement? It's probably  
3 something -- it was probably a multi-focal origin  
4 because other people would have realised that there was  
5 a gap that needed to be filled because we anticipated  
6 that there would be virological challenges coming along  
7 that we would have to address in a sensible way across  
8 the country.

9 Q. Yes.

10 A. None of this, I think, still really explains to me  
11 adequately why we ended up with two committees.  
12 Although I do think this letter now, which I don't  
13 recall ever seeing before, does provide a very  
14 interesting clue, which is the view that it would be  
15 undesirable if the opinions of the transfusion directors  
16 were influential. The transfusion directors at the time  
17 probably did feel that they had, you know,  
18 a responsibility to have a say in these matters.

19 Q. Yes. I suppose it's just -- well, it's not entirely  
20 speculative, Dr McClelland, to say that the initiative  
21 that Dr Gunson and Professor Cash were taking was  
22 against a background where they felt that the initiative  
23 from the Department of Health had gone cold?

24 A. That's what I understand from looking again at that  
25 minute, yes.

1 Q. Yes.

2 A. Absolutely.

3 Q. Yes. Sir, it has been quite long day and I do still  
4 have quite a bit to put to Dr McClelland, but I think we  
5 can finish it comfortably tomorrow and deal with the  
6 other witnesses. I wonder if we might be able to rise  
7 at the moment and start again --

8 THE CHAIRMAN: I'm catching a train to Glasgow tomorrow  
9 evening and I intend to catch it.

10 MS DUNLOP: What time is the train?

11 THE CHAIRMAN: In time to get me to Glasgow University for,  
12 I think, half past six.

13 MS DUNLOP: Right, thank you.

14 (4.15 pm)

15 (The Inquiry adjourned until 9.30 am the following day)

17 I N D E X

18

19 DR ROBERT PERRY (continued) .....1

20 Questions by MS DUNLOP .....1

21 Questions by MR ANDERSON .....138

22 Questions by MR JOHNSTON .....141

23 DR BRIAN MCCLELLAND (continued) .....146

24 Questions by MS DUNLOP .....146

25

