

1 Wednesday, 27 April 2011

2 (9.30 am)

3 DR MARK WINTER (continued)

4 Questions by MS DUNLOP (continued)

5 THE CHAIRMAN: Good morning.

6 MS DUNLOP: Dr Winter, when we finished yesterday, I said
7 that we would be beginning today in 1983. That isn't
8 quite right, it is the tail end of 1982 but I thought
9 I would just ask you when in 1983 you became centre
10 director?

11 A. On 12 December.

12 Q. Right. So the very end of 1983. Yes. Right, thank
13 you. That gives us some context.

14 I thought we would start while we are fresh, with
15 Koch's Postulates, and perhaps if we could look firstly
16 at a page in the preliminary report, which is page 5 of
17 [\[LIT0012479\]](#) or page 190 in the hard copy.

18 The part I wanted to look at is actually in footnote
19 16:

20 "There were further significant reports from the
21 United States of America in the MMWR of
22 10 December 1982. The three haemophiliacs referred to
23 in the July publication had died. Children with
24 haemophilia must now be considered at risk. The illness
25 may pose a significant risk for patients with

1 haemophilia.

2 "At pages 652 to 4, the same edition reported that a
3 20-month old infant appeared to have developed the
4 syndrome after transfusions which had included platelets
5 from a male subsequently found to have AIDS. It is
6 commented that these reports raise serious questions
7 about the possible transmission of AIDS through blood
8 and blood products."

9 In fact that reference doesn't include the second
10 part of the quote. So to look at pages 652 to 654, we
11 need to go to [\[SGH0085105\]](#). That is the publication,
12 and in particular if we could look at 5108, and this is
13 it:

14 "Possible transfusion-associated Acquired
15 Immunodeficiency Syndrome, California."

16 Obviously this is going into that episode in greater
17 detail than our footnote:

18 "... a 20-month old infant from the San Francisco
19 area who developed unexplained cellular
20 immuno-deficiency and opportunistic infection. This
21 occurred after multiple transfusions, including a
22 transfusion of platelets derived from the blood of
23 a male subsequently found to have ... (AIDS)."

24 Perhaps just to give everybody a chance to look at
25 some of that. Then can we go on to the next page,

1 please? So this is a baby, and perhaps in particular
2 one should highlight that paragraph beginning:

3 "Investigation of the blood products received by the
4 infant during his first month of life has revealed that
5 one of the 19 donors was subsequently reported to have
6 AIDS.

7 "He was in apparently in good health when he donated
8 blood on March 10, 1981. Platelets derived from his
9 blood were given to the infant on March 11 and then
10 eight months later, he, the donor, developed symptoms."

11 In fact he ended up with pneumocystis pneumonia.
12 The editorial note points out at the end of the first
13 paragraph that:

14 "If the infant's illness described in this report is
15 AIDS, its occurrence following receipt of blood products
16 from a known AIDS case adds support to the infectious
17 agent hypothesis."

18 Perhaps we should just look at the next page as
19 well. The very last part:

20 "This report and continuing reports of AIDS among
21 persons with haemophilia A raise serious questions about
22 the possible transmission of AIDS through blood and
23 blood products. The Assistant Secretary for Health is
24 convening an advisory committee ..."

25 Can we go on next, please, to the statement you

1 provided for this Inquiry, which is [\[PEN0150292\]](#) but at
2 297. Dr Winter, you mentioned Koch's Postulates to us
3 and we asked if you could -- and I appreciate this is
4 actually looking at a different issue, question 1.14
5 that we can see there, but if we can perhaps decouple
6 the first part about something Kenneth Clarke said
7 in November 1983, and we will be coming to that, but all
8 I wanted you to talk about at the moment, please, is
9 Koch's Postulates and you have set out an explanation
10 there but perhaps you could just explain it to us here
11 today.

12 THE CHAIRMAN: I think you are expected to do it briefly and
13 succinctly.

14 MS DUNLOP: For those of us who are not familiar with Koch's
15 Postulates, they were mentioned in our first block of
16 hearings but the basic thrust of the idea of Koch's
17 Postulates if you could, please.

18 A. You sent me correspondence from The Journal of
19 Thrombosis and Haemostasis, quite recently published,
20 last year, the reminiscences of Dr Bruce Evatt, and
21 I just wanted to point out in the response to that
22 correspondence that one of the doctors responding makes
23 the same point that I do, that at this stage of the
24 epidemic, prior to this, the aetiology of the disease
25 remained unknown because the Koch's Postulates had not

1 been fulfilled.

2 Q. We are going to come on to that as well.

3 A. It is not only I that speaks of Koch's Postulates.

4 Koch, I believe, was a 19th century German physician who
5 set out criteria to prove that an infectious condition
6 was the cause of a particular illness when transmitted
7 from one person to another. So if you were trying to
8 prove, as at this time, that AIDS was a transmissible
9 agent, and if you were relating that to Koch's
10 Postulates, you would have to have a situation where
11 somebody had acquired the disease of AIDS with all its
12 characteristic clinical features, and ideally -- let's
13 talk about blood tests in a minute, but certainly they
14 had the characteristic clinical features -- that it
15 could be traced and proven that they had had, in the
16 case of blood, some form of blood transfusion or blood
17 product given from a blood donor who either at that time
18 or subsequently proved to have the same clinical
19 condition.

20 As I say, ideally that would be accompanied by
21 stronger evidence in the format of a definable and
22 detectable virus. But that essentially is how Koch's
23 Postulates would relate to this particular situation.
24 Here was a situation where a recipient of blood had
25 developed AIDS and it could be traced that one of the

1 blood -- or in this case platelets, I think --
2 concentrates that they had received had come from
3 a blood donor who had subsequently developed that
4 selfsame condition.

5 So from that point of view, because you had the
6 three parts of the equation -- the donor, the recipient
7 and the blood transfusion -- it could have been said to
8 have fulfilled Koch's Postulates.

9 Q. Yes.

10 THE CHAIRMAN: So Koch's Postulates demands a series of
11 particular propositions to be established positively.
12 Does it require the exclusion of alternative
13 explanations?

14 A. Not as originally set out. I believe it is really just
15 establishing that link, from one person to another
16 person via another medium that can be traced to have had
17 that agent.

18 THE CHAIRMAN: So it is a level of probability established
19 by the positive factors?

20 A. Yes.

21 MS DUNLOP: The first thing about Koch's Postulates which
22 might strike a layperson, Dr Winter, is whether doctors
23 would ever take action even if not all three of the
24 links in the chain have been established. So if we
25 think of the three links in the chain, and I'm looking

1 at how you have set it out in fact in the context of
2 AIDS in your answer 1.14, which we have in front of us;
3 the three links in the chain are: one, that a blood
4 donor who had contributed to a batch of concentrate had
5 either developed AIDS or been shown to be HIV positive;
6 two, that HIV had been identified in the suspected
7 batch; and three, that the patient had developed AIDS or
8 been shown to have HIV.

9 If we think of this report about the infant, would
10 it be the case that propositions one and three were
11 satisfied by that episode?

12 A. Well, it would because the virus at that stage had not
13 been discovered and there was no blood test.

14 Q. Yes.

15 A. But if I can make some other comments around this whole
16 situation, if I may at this time.

17 Q. Yes.

18 A. Because, as one looks back at the whole epidemic of AIDS
19 infection in people with haemophilia, it seems to me
20 that there are three or four absolutely critical times
21 and here was one of them. As we were discussing
22 previously, by, shall we say, the early autumn of 1982
23 British doctors had doubts as to whether AIDS could be
24 transmitted by blood products. There were a small
25 number of cases, there were no German cases, there were

1 no British cases, there were other theories as to the
2 aetiology of AIDS. American doctors, we know, from the
3 statements of MASAC, the Medical Advisory Panel of the
4 National Haemophilia Association, we know that they had
5 major doubts because of the rather inconclusive
6 recommendations that they made at that time, and that is
7 also set out in the correspondence of Dr Bruce Evatt,
8 who clearly documents the disagreement among American
9 doctors.

10 So shall we say September 1982 there is uncertainty.
11 There is this very small number of cases. We don't have
12 an agent. What does it mean? There are other theories.
13 Most of the patients are gay.

14 By December 1982 that theory is no longer tenable
15 because you have now ten patients with haemophilia but
16 most particularly you have this case. Any clinician
17 looking at this data would have to believe that AIDS was
18 a transmissible disorder and that it could be
19 transmitted by blood and blood products. It was the
20 only clinical interpretation of the data that was
21 available. There was no other way that this child could
22 have acquired this very unusual condition; very unusual
23 for a baby to have these series of opportunistic
24 infections. So it was very highly likely that it must
25 be AIDS and must have been caused by the blood

1 transfusion from the donor who subsequently developed
2 AIDS.

3 So here is a really critical moment. Doctors
4 everywhere now have to believe that AIDS is
5 a transmissible disorder. In America that leads them on
6 to, as haemophilia doctors, just trying to decide how to
7 cope with it in a country where they have commercial
8 concentrate.

9 In Britain, as we shall doubtless see in great
10 detail, the theme changed. Doctors said, if you like,
11 it really does look as if this is an infectious disorder
12 transmitted by blood, transmitted by commercial
13 concentrate, but maybe this virus, if that's what it is,
14 might not be present in British concentrate. So that
15 became the major dynamic for British haemophilia
16 treaters from that moment in time: an acceptance that it
17 was a transmissible disorder, presumably a virus, and it
18 was in commercial concentrate.

19 Would it prove to be in British concentrate? There
20 was immediately a major split, as we shall see, between
21 some haemophilia treaters in Britain who thought, as the
22 patients did, as we heard in previous evidence, that
23 British blood was essentially likely to be very safe of
24 viruses and that British Factor VIII was extremely
25 unlikely to transmit this disorder, and there were other

1 doctors who were really greatly concerned, given the
2 vulnerability of the concentrate system, with 20,000
3 donors, that maybe this virus could be present also in
4 the British blood supply, albeit to a minor degree.

5 This was a very major time and I'm sure we shall
6 discuss this in more detail in due course.

7 Q. Yes. Thank you, doctor Dr Winter.

8 The next publication I wanted to ask you to look at
9 it actually a cutting from The Observer. That's
10 [\[DHF0017108\]](#). There is a document that goes with it,
11 which is [\[DHF0017111\]](#). If we look at The Observer
12 first.

13 This is 16 January 1983 and it's from a reporter in
14 Washington:

15 "Commercial blood product imported into Britain from
16 the United States, may pose a grave threat to the health
17 of haemophiliacs who inject it to encourage clotting."

18 Then saying:

19 "It has been linked in America with a devastating
20 and mystifying disease previously associated with
21 homosexuals, which causes a serious breakdown in the
22 body's immunity system. Officials at the CDC have
23 described the spread of the disease as an impending
24 epidemic among haemophiliacs."

25 Then some more discussion about what has been

1 happening, the fact that 50 to 60 per cent of
2 Factor VIII in Britain is from the United States. Then
3 looking at the column on the right:

4 "In the past ten months the disease has spread from
5 the homosexual community to include haemophiliacs, Asian
6 immigrants, drug abusers, a handful of heterosexuals and
7 some children. The cause remains baffling. One theory
8 is that an infection agent is transmitted directly,
9 either sexually or through contaminated blood products,
10 in a similar manner to Hepatitis B."

11 Then there is a highlighted passage, which I'll just
12 read out:

13 "Although no cases of AIDS have been reported from
14 British haemophiliacs, the deaths of at least ten
15 American haemophiliacs, are now known to be caused by
16 the disease following a survey of nearly 6,000
17 haemophiliacs."

18 Then there is a quote at the end from
19 Dr Peter Kernoff, who I think is another very well-known
20 name in the treatment of haemophilia in Britain:

21 "'Assessing the risk is not a straightforward
22 matter. We need much more hard evidence', he said,
23 'Factorate VIII is a very valuable product and the
24 advantages far outweigh the disadvantages'."

25 That found its way to the desk of somebody in the

1 Department of Health and Social Security, and if we look
2 at the other document, [\[DHF0017111\]](#), we can see that on
3 18 January there is an internal communication about The
4 Observer article. Somebody has confirmed that:

5 "... the value to severe haemophiliacs of clotting
6 Factors VIII and IX far outweigh the possible and as yet
7 unproven hazards of the transmission of Acquired
8 Immunodeficiency Syndrome."

9 There is a reference at the end of that to a draft.
10 I'm not quite sure what the draft was but somebody had
11 obviously drafted something and was wondering if they
12 needed to change it.

13 So the first thing perhaps I should record, sir, is
14 that we have asked for the names of the people in this
15 memo. We have asked for the blank in the first line and
16 we have asked for the signatory, but we were then asked
17 in turn to explain why it was we wanted to know and
18 that's the way matters rest.

19 THE CHAIRMAN: I think that I can help you by saying that
20 these names seem to me to be very important, having
21 regard to Dr Winter's evidence generally and the
22 significance of this period in the development of
23 knowledge and of policy and response to knowledge. To
24 know precisely who had confirmed the value of clotting
25 factors in this relative way and to find out who was

1 passing the information on seems to me to be of vital
2 importance.

3 MS DUNLOP: Yes, thank you, sir. The position obviously may
4 change. We have tried to explain why it is we are
5 asking but at the moment I'm not able to say who it is.

6 THE CHAIRMAN: I have no wish to ask for all of the
7 redactions to be reversed and we know that there has
8 been a change of policy since these documents were
9 originally prepared for Freedom of Information Act
10 purposes. However, where a document clearly has
11 a significant part to play in the developing history, we
12 ought to get the names.

13 MS DUNLOP: Yes.

14 THE CHAIRMAN: I hope that assists in your efforts.

15 MS DUNLOP: Thank you, sir.

16 Dr Winter, I don't think I really need to ask you
17 very much about this. Perhaps save to say that it
18 doesn't look as though much is changing within the
19 Department of Health, at least in response to all the
20 information that's coming in.

21 A. I think Dr Kernoff's comments exactly encompass what
22 I was trying to get across to you and the situation at
23 this time. He is a very respected figure looking at
24 this data saying it is of concern, but we are talking
25 about a product which has revolutionised the lives of

1 patients and there is major obvious benefit to this
2 treatment. We will have to look at the risk that
3 appears to be evolving. That was the situation of the
4 day.

5 Q. So back to the balance of which we spoke yesterday.

6 The next document I would like to put to you is an
7 article from Science, which I think is an American
8 publication rather than a British publication, but it is
9 dated 21 January 1983, and the reference for it is
10 [\[LIT0011589\]](#). This concerns a workshop which had taken
11 place on 4 January 1983 in Atlanta. The main topic of
12 discussion had been the possibility that the disease --
13 and this is the first paragraph:

14 "... might be spread in blood and blood products."

15 You know about this gathering, I think, Dr Winter,
16 do you not?

17 A. No, I was not aware of this.

18 Q. Oh, right.

19 A. I think it was one of a series of meetings that CDC held
20 around this time.

21 Q. Right. CDC had recently reported that:

22 "Haemophiliacs are at high risk of contracting AIDS.
23 Bruce Evatt told the workshop that AIDS was the second
24 leading cause of death for haemophiliacs in 1982, even
25 though the disease was first discovered in haemophiliacs

1 in the summer of that year ... Eight other people who
2 had none of the other known risk factors had died from
3 AIDS compared to 40 who died of bleeding."

4 James Curran says:

5 "The sense of urgency is greatest for haemophiliacs.
6 The risk for others who receive blood products now
7 appears small but is unknown."

8 Then there is a reference in the next paragraph to
9 the case that we looked at about the infant who had
10 contracted AIDS. From the middle column, perhaps if we
11 could go up a little bit, we can see:

12 "The workshop participants easily reached agreement
13 on some measures."

14 But looking further down the middle column to the
15 last full paragraph:

16 "The seriousness of the threat of AIDS transmission
17 and what, if anything, ought to be done in the current
18 state of uncertainty, remained thorny issues for the
19 workshop participants. Not everyone agrees with the
20 conclusion accepted by CDC officials and many other
21 investigators that AIDS is caused by an infectious
22 agent, presumably a virus, which could contaminate blood
23 products."

24 I suppose because he is American, it is
25 Louis Aledort, is it?

1 A. Yes. He was director of the centre in New York.

2 Q. Right. And he is the medical director the National
3 Haemophilia Foundation as well. He says:

4 "It is too easily concluded that there is
5 a transmissible agent. I cannot rule it out but the
6 data are not there yet."

7 Then he goes on to say:

8 "Aledort favours the idea that haemophiliacs,
9 because they are exposed to a great number of foreign
10 antigens, experience a high degree of antigenic
11 stimulation that effectively wears out their immune
12 systems."

13 Dr Winter, I think we all understand, from having
14 read a lot of the material from this period, that that
15 was, in a sense, a competing theory, but it doesn't
16 appear to be particularly reassuring because even if
17 that were right, it is still causing a very serious
18 illness in people with haemophilia. Is that not the
19 case?

20 A. Yes, I mean, I think it is valid to stress that there
21 was this alternative theory. You know, the commonest
22 theory, we spoke about previously, was that the gay
23 patients had immune function that was defective because
24 of some lifestyle-related factor and maybe that's why
25 haemophiliacs were getting this disease as well, because

1 there had been previous evidence, and I think
2 Professor Ludlam has published on this, that you could
3 demonstrate that the immune function of patients with
4 haemophilia was not completely normal. Presumably it
5 was thought because of the many, many proteins that
6 their immune system was being exposed to through the use
7 of concentrates. So there was this alternative theory,
8 which was much in vogue at the time in the months
9 leading up to the discovery of the virus by the French
10 team.

11 There was talk, therefore, if you followed that
12 alternative theory, that maybe the manufacturers ought
13 to look at making the Factor VIII more pure, and for
14 several years from this point there was great talk about
15 the type of purity of coagulation factor concentrates.

16 Indeed, the concentrates being used at this time
17 were then traditionally described as being intermediate
18 purity. That's to say, they had plenty of Factor VIII
19 and Factor IX but they also had quite a significant
20 number of other proteins, and discussions would then
21 take place from this time about whether the
22 manufacturers ought to be making concentrates of high
23 purity, which consisted more or less exclusively of
24 Factor VIII and Factor IX. Very eventually these
25 concentrates were produced. But for those doctors who

1 believed in the alternative theory of immune
2 suppression, that was the logical way forward, to look
3 to purify the concentrates.

4 THE CHAIRMAN: Dr Winter, one of the things that has
5 concerned me here is how to approach these competing
6 theories once it had become clear that children had been
7 affected. If one takes the thesis that Dr Ludlam had
8 developed, which did take progressive deterioration of
9 the immune system after long periods of exposure as one
10 of its central planks, one can see, I think, the
11 argument in the case of haemophilic patients who had
12 been treated over a long period of time.

13 But once one had an child, particularly as young as
14 the children referred to in the American literature, it
15 doesn't seem that that explanation has quite the same
16 strength. Can you tell me how this information about
17 the child was disseminated at the time and whether it
18 did make an impact. I can see that looking back in
19 retrospect you might say that it should have done but
20 can you tell me whether it did make the impact at the
21 time that it might have?

22 A. Well, I think that, as I have stated, my recollection is
23 that it did have a very significant impact because it
24 did so much to move the aetiologies towards that of
25 a transmissible agent. So from that point of view it

1 was a very seminal case and hugely influenced, I think,
2 the way that haemophilia clinicians in Britain and the
3 US were thinking.

4 I mean, there had been data about immune function
5 not being normal in patients with haemophilia but the
6 way in which these tests are done are quite
7 research-based. They are quite complex. The
8 methodology is open to interpretation. So I think that
9 there was quite a good deal of discussion in any case
10 about what the implications of these in vitro findings
11 might be.

12 Yes, you could demonstrate in a laboratory test tube
13 that the white blood cells of people with haemophilia
14 didn't respond very well to stimulants, but was that in
15 any case relevant to what was happening in vivo.

16 I think the data, such as it was, about perturbed immune
17 function seemed to be related to those patients who had
18 been most heavily treated. I'm not sure that that data
19 was ever done on children, and in any case the
20 methodology was complex and research-based and there was
21 some reservation about what the data actually might
22 mean.

23 THE CHAIRMAN: Yes. On any view, the data about the
24 homosexual community involving cytomegalovirus,
25 Epstein-Barr virus and all the other factors that might

1 cause a deterioration in the immune system, would be
2 different in the case of haemophilia patients.

3 A. The comparison is between doing these tests on
4 haemophilia patients who were completely well and
5 healthy and finding that these in vitro tests were not
6 completely normal as compared with a control population.
7 Obviously, the first tranche of AIDS patients, the
8 immune function was much more profound than that, and it
9 was so profound that they had then gone on to develop
10 this new clinical syndrome and these very characteristic
11 clinical illnesses like pneumocystis and
12 Kaposi's sarcoma.

13 THE CHAIRMAN: Yes, thank you. It is a difficult area and
14 I'm going to have to be very careful about how
15 I eventually form views about the contemporary
16 situation.

17 A. Yes, but I stress, to me this was a highly critical time
18 and any regulatory body looking at this data should have
19 been saying, "We must believe that blood can transmit
20 this disorder," and they should have therefore been
21 really looking very hard at their practices from this
22 moment in time to see whether the blood or blood product
23 that they were producing might be transmitting the
24 disorder.

25 MS DUNLOP: Just to finish looking at the article,

1 Dr Winter, can we perhaps move to the next page. The
2 writer says:

3 "Meanwhile, haemophiliacs who need clotting factor
4 face an uneasy situation."

5 There is a reference to Dr Oscar Ratnoff and his
6 proposal about using cryo instead of concentrate;
7 pointing out that cryo might not be potent enough for
8 some patients, and then a suggestion from the
9 Haemophilia Foundation that new patients be given cryo
10 as long as possible.

11 So it does look, Dr Winter, as though, within the
12 haemophilia clinician community in the United States,
13 there was a considerable divergence of view. We have
14 looked at what Dr Aledort was saying, and here is
15 someone else presumably taking a slightly different
16 line?

17 A. Yes, and also Dr Evatt says that in his published
18 correspondence. Dr Ratnoff was a particularly
19 interesting figure. He was a very important figure in
20 the history of coagulation research and he was, I think,
21 to my knowledge, the only American clinician who made
22 this decision that he was not going to use any more
23 concentrate from this period of time -- and he was
24 criticised significantly by his colleagues -- and for
25 all the reasons we have discussed previously: that was

1 the patients weren't very happy about going back to
2 cryoprecipitate because it meant going back into
3 hospital. But when the AIDS blood test was eventually
4 developed and introduced, in his centre there were
5 remarkably few people who had HIV. So you could
6 construct a view that he was remarkably astute in making
7 that change, even though it had practical implications.

8 Q. Yes. Just before we finish referring to the gathering
9 in America on 4 January 1983, can we look at
10 Douglas Starr's account. This is page 268 of the
11 Douglas Starr book, Blood, and the reference for that is
12 [\[LIT0012936\]](#) at page 2938. It is rather vivid,
13 Dr Winter, to read from that paragraph beginning:
14 "Throughout the fall of 1982, Evatt and his
15 colleagues embarked on a campaign to warn the nation's
16 medical establishment. The CDC was undergoing budgetary
17 cutbacks so Evatt used his own money for the travel ...
18 received mixed responses."
19 Then on the following page, we see a reference to
20 Dr Aledort and his reluctance to abandon concentrate
21 therapy. And then others in the National Haemophilia
22 Foundation could not ignore Evatt's findings. It comes
23 across, Dr Winter, that Dr Evatt is a really key figure
24 in the American part of the story. He had a background,
25 before he went into CDC, in haemophilia care as well,

1 did he?

2 A. I believe he did, but anyway he is, you know, a heroic
3 figure in this epidemic because he is the one who has
4 identified, through requests for pentamidine, that
5 haemophilia patients were getting pneumocystis and
6 therefore were getting AIDS, and here he is working for
7 an organisation that does not have a mandate to provide
8 clinical advice. Clinical advice in the US for
9 haemophilia patients comes from MASAC. So here he is,
10 gone off on a campaign to try and persuade the doctors
11 of MASAC to consider that they might be on the edge of
12 a major epidemic and this is the response that he is
13 getting.

14 Q. Yes. Then perhaps also worthy of note:

15 "Ironically, the most cooperative early response
16 came from the profit-oriented drug companies, although
17 some would later try to stall. Tom Drees, president of
18 Alpha at the time, said he was knocked off his chair
19 when Evatt addressed a group of fractionators."

20 Then perhaps, as lawyers, certainly we would be able
21 to think of this ourselves, that:

22 "The companies did not react solely out of altruism.
23 Living in the worlds of medicine regulation, public
24 relations and the law, they recognised certain hard,
25 even cynical realities."

1 There are some fairly clear reflections from that
2 source. If we look on to the next page it says that:

3 "A Cutter official concluded that Cutter should
4 agree ..."

5 And this is to exclude higher risk donors:

6 "... for political, moral and liability reasons."

7 Then, page 270, there is a day-long session at CDC
8 on 4 January:

9 "Evatt laid out his most recent data."

10 Then a description of what happened on 271, that
11 Evatt thought that they had presented a complete
12 package. They thought it was a no-brainer but that
13 turned out not to be an accurate perception.

14 We can all read this for ourselves but there is also
15 mention of Dr Ratnoff on 272. Quite a full account, up
16 to page 274, of the events at that particular meeting.

17 You yourself mention an editorial in the New England
18 Journal, which I gather is a very prestigious medical
19 publication. Would that be correct?

20 A. I think you could probably argue it is the most
21 prestigious.

22 Q. This is the editorial that appeared on January 13,
23 [\[LIT0010040\]](#). Most of the data summarised in the
24 editorial is material with which we are now more
25 familiar. I really just wanted to ask you, Dr Winter,

1 about what's said towards the end, on the next page; so
2 on 0041. If we go down towards the bottom, this is
3 Jane Desforges. Do you know who she was?

4 A. She was an American clinician of the time, I believe.

5 Q. Right. I'm just interested in that pair of sentences at
6 the end of the penultimate paragraph:

7 "The present programme has been extremely successful
8 and been given up by physicians and patients only with
9 great reluctance. Yet it is time to consider doing so
10 even though we may not have enough evidence to demand
11 such a radical change."

12 In some ways, Dr Winter, the second sentence is
13 slightly puzzling. I think perhaps one needs to know
14 where the emphasis is meant to go but, even though we
15 may not have enough evidence to demand, we should
16 consider changing treatment. If you didn't have enough
17 evidence, why would you change course?

18 A. I think she is just setting out theoretical options,
19 isn't she, as to how to respond to the data that they
20 have. They can either bash on as they are or they can
21 consider a switch, but in terms of practicalities, she
22 herself says, you know -- and I previously set out to
23 you -- it wasn't practical to give people
24 cryoprecipitate at home because of the requirement for
25 freezing.

1 Another major factor was that there was only
2 a limited supply of cryoprecipitate and, as we shall
3 see, when there were suggestions that we might move back
4 to cryoprecipitate in England, the blood transfusion
5 companies or the blood transfusion services very quickly
6 said to us, "We just don't have the supply". So those
7 were the two particular problems about a potential
8 response to this crisis by moving back to
9 cryoprecipitate. You couldn't use it at home
10 realistically and there wasn't enough of it in any case.

11 Q. I wondered perhaps if the key word is "demand". She is
12 really saying that it is something that one should
13 consider but it's not so clearcut that one could demand
14 the change of course. I don't know, we would really
15 need to ask her, I suppose.

16 THE CHAIRMAN: Was Jane Desforgess a haemophilia clinician?

17 A. I believe she was. I don't, I have to say, recall her
18 but I assume she must be a haemophilia treater.

19 THE CHAIRMAN: I suppose it is possible that at this time
20 different specialists would have different emphases in
21 their analysis of the problem. Were the haemophilia
22 clinicians particular in having to have regard to the
23 benefits associated with factor concentrate use? Or was
24 that recognised more generally?

25 A. Sorry, can I just ask you to repeat the last part?

1 THE CHAIRMAN: Yes. Were the haemophilia clinicians
2 particular in having special regard to the implications
3 for patients of giving up factor concentrate treatment
4 or was that recognised more generally across the medical
5 profession?

6 A. I think these matters were really solely in the province
7 of haemophilia treaters. It is such a specialised
8 disorder that even other haematologists would
9 probably -- actually might not even have been aware of
10 these developments. Medicine is so specialised these
11 days.

12 So, no, as editorials would have been commissioned
13 by the journal, it must be the case, I'm sure, that
14 Dr Desforgess was a haemophilia treater because it would
15 have been very strange if they had commissioned an
16 editorial from a doctor who was not a haemophilia
17 treater.

18 THE CHAIRMAN: You see, on one view of some of the
19 documentary material from around this period, one might
20 form the view that there was particular resistance on
21 the part of some, at least, of the haemophilia
22 clinicians in this country to take on board the
23 implications of the American experience, in particular
24 because of the advantages that had been experienced in
25 using concentrates. So they were perhaps resisting

1 responding to the science that was emerging.

2 A. I think, as I set out in my evidence, that was the case.

3 The initial -- if you like, the clinicians didn't want

4 to believe any of this data, because we have just been

5 through such a very major advancement in healthcare. So

6 that would have been the mindset originally and then

7 they are looking at this American data and the next

8 thing is, okay, these patients -- they are a very small

9 number and there were no British ones and there were no

10 German ones, so I'm just going to keep on looking at the

11 situation, and now you have

12 a situation, December 1982/January 1983, I can't ignore

13 this any more. These patients must have a disorder

14 that's caused by blood transfusion in the forms of the

15 concentrates. So maybe in Britain things will be fine

16 if we now just switch or do all we can to use British

17 concentrate.

18 In America it was the same, as we have already seen

19 from Evatt's correspondence, Aledort's correspondence,

20 the MASAC recommendations: the clinicians didn't want to

21 believe it, the commercial companies didn't want to

22 believe it, the blood transfusion services didn't want

23 to believe it because they were particularly sensitive

24 about excluding certain risk groups as donors. There

25 were lots of political issues around that. So none of

1 the related agencies wanted to know this. That's why,
2 if you like, I'm sure, this data took some time to
3 really hit home.

4 THE CHAIRMAN: On one view, thinking that the United Kingdom
5 position might be different could be said to reflect
6 wishful thinking since the supply of concentrates
7 depended on importation from America, and one might say
8 in retrospect that the potential for risk associated
9 with collection practices in America had to be the same
10 when the blood product was used here or in Germany as it
11 was in America.

12 A. Yes, remember, this is a group of doctors who several
13 years previously had made representation to the DOH
14 along the lines of the World in Action documentary,
15 along the lines of saying, "As a country, we shall not
16 be importing blood from commercial sources, let alone
17 the cost of it, it is the safety of it".

18 So deeply engrained in the psyche of haemophilia
19 clinicians, as in the patients, as we have discussed,
20 was this concept that British blood was likely to be
21 much freer from viruses than American blood. So here we
22 were in 1982, we already knew about the hepatitis, we
23 already knew about the increased risk from commercial
24 donors. Here was now what looked like a transmissible
25 disease that also appeared to be occurring in these same

1 unsavoury American blood donors. This reaffirmed the
2 view that these things weren't likely to happen in
3 British blood donors.

4 THE CHAIRMAN: Perhaps a strange view of these unsavoury
5 donors, as you refer to them, that they were confined to
6 people resident in America and excluded people visiting
7 America from this country.

8 A. This theory was wrong, of course. All the things that
9 those group of British doctors were saying proved to be
10 incorrect, as we shall see.

11 THE CHAIRMAN: Thank you. I think the only one thing that
12 I would ask generally at this stage is that we try very
13 carefully to distinguish what would have been understood
14 at the time from what can be seen in retrospect. This
15 is an area in which it could be very, very dangerous to
16 allow hindsight to dictate the formation of views.

17 A. I think that's why it is so helpful to see these
18 documents, because everything that I have said to you,
19 the other clinicians who you are demonstrating in these
20 documents, the other groups, they are all making the
21 same sentiment, aren't they? They are all saying, "Yes,
22 we are looking at this data very hard. We don't know
23 what it exactly means, we are concerned about it, but we
24 couldn't possibly change our practice because look at
25 all the benefits of the new treatment." All of these

1 articles are saying the same thing, whether they are
2 American or British, and that was exactly what was
3 happening at that time.

4 THE CHAIRMAN: Thank you. Yes.

5 MS DUNLOP: Dr Winter, just before we leave the
6 United States for just now, there was another article
7 I wanted to mention briefly in the Annals of Internal
8 Medicine. Where does it stand as a publication?

9 A. Rather more in the Championship than the Premier League.

10 Q. Right, thank you.

11 THE CHAIRMAN: You might have to explain that to me. I'm
12 not a football fan.

13 A. Not quite of the same rank as the New England Journal.
14 It is also an American publication, related, as its name
15 suggests, to general medical science.

16 MS DUNLOP: Does it tend to be read in this country?
17 Perhaps I should ask: in the 1980s would it tend to have
18 been looked at in this country?

19 A. Yes, the post-graduate centres in Britain would be sure
20 to stock that on their shelves.

21 Q. There is an article from March 1983 and its reference is
22 [\[LIT0010047\]](#). This seems to be a reasonably full
23 summary as at that time of the nature of the difficulty,
24 starting, as most accounts start, in June 1981.
25 Then we can see that that issue actually contained

1 a further six articles, which the writer says lend
2 further support to the transmissible agent hypothesis,
3 and talking a bit more about clotting factor
4 concentrates.

5 It is interesting to see that the figures given
6 there are really getting very large. We can see on the
7 screen, about ten lines up, that:

8 "Each lot contains material pooled from 2,500 to
9 22,500 individual donations and contains approximately
10 500,000 U of anti-haemophilic factor. The average
11 patient with severe haemophilia needs 30,000 to 50,000
12 U/yr, which is obtained from five to ten separate lots."

13 Actually, if you do the arithmetic on this, their
14 statement that a person with severe haemophilia is
15 potentially exposed to tens of thousands of donors per
16 year, in fact even on these figures it could be hundreds
17 of thousands for some people, which is really quite a
18 dramatic exposure to all the different problems that
19 might come from receiving products made from the blood
20 of other people.

21 Then, if we look at the following page, I think
22 perhaps just to record that this editorial also mentions
23 what I think you have already agreed was a very
24 significant development -- this is at the bottom of the
25 left-hand column; that is, the transmission in the

1 infant:

2 "Patients receiving blood products, those with
3 haemophilia, will continue to be at highest risk.
4 However, one case has been reported in an infant."

5 Then some recommendations, and we can see the name
6 of Dr Evatt there too.

7 To return to Britain, Dr Winter, the UKHCDO
8 hepatitis working party, you told us yesterday they were
9 looking into AIDS. There is a report, also
10 from March 1983, which is [\[DHF0017178\]](#). In fact we can
11 tell from the database that this is dated 1 March 1983
12 and it was sent to the DHSS on 11 April 1983. I guess
13 this was probably written by Dr Craske. Would that be
14 your expectation? Again we don't have a name on this.

15 A. Yes, either that or the chairman of the -- Dr Craske
16 wouldn't have been the chairman of the working party, as
17 he is not a haemophilia doctor; he is virologist. So it
18 might have been written by the chairman of the working
19 party.

20 Q. In any event, the same material is set out about what
21 has been happening so far, particularly if we look at
22 page 3. We can see that there is reference to all the
23 different groups of people who so far have been noted to
24 suffer from AIDS. Then the writer advances
25 three theories but really the first two appear to be

1 advanced to be discounted, and the third theory, which
2 we can see on the following page, is the one about
3 transmission of an infectious agent. So certainly it
4 looks as though this body -- that is, the working party
5 of the UKHCDO -- was on the side of the infectious agent
6 theory. Do you think that would reflect the virological
7 input?

8 A. I think by that stage all haemophilia clinicians were
9 signed up to the infectious theory because of the
10 evidence of the San Francisco child. There was no other
11 construction you could put on that evidence. So I think
12 these minutes are just reflecting -- they are setting
13 out the other theories and discounting them because of
14 the new haemophilia data.

15 Q. What about the part on page 5, if we can look? That's
16 DHF0017182, a discussion of the progression of the
17 disease. If you look at that, there is a sentence in
18 the middle of the first paragraph:

19 "It is therefore evident that the disease is not
20 universally fatal and some patients may recover."

21 In hindsight that rather stands out. Is there
22 a basis for saying that?

23 A. I think they seem to have the right data but the wrong
24 conclusion. They set out actually really pretty well
25 a lot of the major clinical problems that people with

1 AIDS experience in that first half a dozen lines and
2 then they say not everybody may progress to AIDS -- or
3 that's the sentiment, which is fine. So I don't know on
4 what basis they then say some patients may recover
5 because clearly that wasn't the case. So I think that's
6 the phrase that stands out as being in retrospect not
7 appropriate. Everything else they are saying actually,
8 25 years on, still looks pretty accurate.

9 Q. Even at the time, Dr Winter, was there anybody who had
10 recovered from AIDS?

11 A. No. So that's my point, that the phrase, "Some patients
12 may recover," is clearly not true. So that is not
13 correct. But everything else they say actually stands
14 up pretty well.

15 THE CHAIRMAN: In the last sentence they really do appear to
16 nail their colours to the mast on the effect of the
17 epidemiological evidence. It is all consistent with the
18 existence of a transmissible agent.

19 A. Yes, I think by this stage all the haemophilia
20 clinicians believed in the transmissible theory.

21 MS DUNLOP: We need to look at what was happening at
22 a regulatory level. Could we go, please, to
23 [\[DHF0017168\]](#). This is a letter from the National
24 Institute for Biological Standards and Control to the
25 DHSS. I know, Dr Winter, that you weren't yourself

1 involved in matters regulatory, but where do NIBSC fit
2 in?

3 A. "NIBS and C", we call them. They are a regulatory
4 organisation based in north London that are responsible
5 for biological standards, with quite a wide remit. They
6 are still in operation, perhaps with a different title,
7 now. Our interactions as haemophilia doctors with them
8 were not very great. They would be more relating to
9 blood transfusion centres rather than to haemophilia
10 centres.

11 Q. This seems to be the first mention that we have been
12 able to find of the possibility of discussing the
13 problem at the Committee On the Safety of Medicines. In
14 fact, I think the abbreviation CSM(B) is the biological
15 subcommittee of the Committee On the Safety of
16 Medicines.

17 A bit of redaction but in fact from the first names
18 in the last paragraph we can, with some certainty, work
19 out who is being referred to. I think the first blank
20 is probably Professor Bloom, saying that:

21 "At such a meeting it would be extremely helpful to
22 secure the advice of Professor Bloom, who acts as
23 chairman of the Haemophilia Unit Directors' Group."

24 Then also the next blank that -- what would be
25 needed would be the latest information on surveillance

1 undertaken by CDSC at Colindale, possibly, and I guess
2 that's Dr Galbraith, Spencer Galbraith, asked to provide
3 the up-to-date picture.

4 So I suppose inviting Professor Bloom along is
5 really to get the user perspective, is it, at least the
6 clinicians' perspective on the significance of the
7 products?

8 A. Yes, because this is an organisation which is not
9 clinical at all. This is an organisation whose
10 functions are regulatory and to do with safety of blood.
11 So, as I say, they would be mainly interacting with the
12 blood transfusion services on a day-to-day basis and not
13 with haemophilia centres and, as it states here, they
14 wouldn't be involved in any sort of clinical
15 investigation of the potential epidemic. That was done
16 by the CDSC, who were the British equivalent of the CDC
17 and based in Colindale in north London.

18 Q. The writer of this letter to the DHSS is thinking about
19 licensing in mooted discussion at the Committee On the
20 Safety of Medicines, is he not -- he or she?

21 A. Yes, they would have a mandate, as I say, for all
22 matters relating to the regulation of blood and blood
23 products. So they would have been the ones that would
24 issue licences to the individual commercial
25 manufacturers for the product to be used in the UK.

1 Q. Yes. As we will go on to see, that did happen. It was
2 a discussion in the context of licensing later in the
3 year.

4 Before we look at that, however, our preliminary
5 report mentions, and you have also commented on, the
6 letter that was sent by the Haemophilia Society in May.
7 It is [\[DHF0014474\]](#). I think this is a circular letter
8 sent out by the Haemophilia Society but obviously with
9 the chunk in the middle written by Professor Bloom,
10 because we can see his name. We can see that among
11 a number of statements approximately half way through
12 the middle chunk it says:

13 "The cause of AIDS is quite unknown. It has not
14 been proven to result from transmission of a specific
15 infective agent in blood products. The number of cases
16 is small, neither have any cases been reported from
17 Germany, and it would be counter-productive to alter our
18 treatment programmes radically."

19 I just wanted to have a quick look, having looked at
20 the letter, which was sent out. It is dated, as we can
21 see, 4 May 1983. Just to have a look at what else was
22 happening at that time.

23 I'm actually going to start with the Daily Mail,
24 which is [\[DHF0014328\]](#). If we look on the left, this is
25 the Daily Mail of 2 May 1983. It says that:

1 "There is a discovery that two men given routine
2 blood transfusions for haemophilia are now seriously ill
3 apparently suffering from AIDS."

4 A little more detail on that, if we look also at
5 [\[PEN0150244\]](#). This is a bulletin for the week ending
6 6 May 1983, and we can see:

7 "Acquired Immunodeficiency Syndrome Cardiff.
8 Acquired Immunodeficiency Syndrome has been reported in
9 a 20-year old man with haemophilia in Cardiff."

10 Professor Bloom was the director in Cardiff was he
11 not, Dr Winter?

12 A. He was the director of the Cardiff centre.

13 Q. "This is the first report of AIDS in a patient with
14 haemophilia in the United Kingdom known to CDSC."

15 I accept that to a slight extent one is speculating
16 in saying Professor Bloom must have known about the
17 patient in hospital in Cardiff. I think it is probably
18 justified to infer that. Why do you think he composed
19 the passage in such reassuring terms?

20 A. I'm not sure that, you know, he had much -- maybe he
21 considered he didn't have an option to do it any other
22 way. He must have known about the Cardiff case. He
23 must have been aware that by this stage a significant
24 number of American haemophiliacs had AIDS, and he would
25 certainly have been aware of the San Francisco baby. He

1 presumably might have considered that he didn't have any
2 other way forward in terms of writing such an article.
3 As yet, haemophilia doctors did not have any agreed way
4 forward as to how to cope with the evolving situation.

5 If he was here now, he might say, "What could I have
6 said? Would you have expected me to write, it looks as
7 if commercial concentrates can transmit a new disorder
8 and we are looking into it?"

9 So I think it is probably -- I can only assume it
10 was the lack of more detailed information and the lack
11 of a clear action plan as to how to respond to this data
12 that led him to set out, I agree what does seem
13 inappropriately complacent in retrospect. It seems
14 wrong that he was, in essence, reassuring people but
15 then that's probably what he had been asked to do by the
16 Society who had probably said to him, "Would you please
17 write an article for our bulletin to reassure people
18 that everything is all right".

19 Q. Dr Winter, he does say in terms:

20 "We are unaware of any proven case in our own
21 haemophiliac population."

22 If he himself had a patient in his own unit,
23 a patient with haemophilia who was ill with AIDS, there
24 must be a degree of playing with words going on there:

25 "We are unaware of any proven case."

1 Are we back to Koch's Postulates?

2 A. Professor Bloom was not a clinician, as were many of the
3 people of his generation. They were not clinically
4 trained, and it is possible that Professor Bloom was not
5 aware of this patient because he actually did not
6 directly look after patients. Professor Bloom was
7 laboratory-based. He was head of the centre. He was
8 chairman of the haemophilia centre's organisation. But
9 many of these people of that vintage, who had not
10 received clinical training after qualification, spent
11 their lives in laboratories, actually did not look after
12 patients.

13 So, you know, you have put forward a theory that he
14 is playing with words; another theory would be that he
15 didn't actually see patients on a regular basis. It was
16 looked after by his colleagues and the senior
17 registrars, and because he was very, very busy his other
18 work as chairman of the directors and going to the CBLA
19 and NIBSC, it is possible he hadn't been told.

20 I mean, here we are in a situation trying to look
21 back 30 years and trying to work out why doctors wrote
22 certain things in a certain way, and we can only
23 speculate looking back. Professor Bloom was a very
24 charming, genuine, honest, caring man, and I find it
25 very hard to believe he would deliberately mislead

1 people. He was a laboratory-based doctor who
2 contributed enormously to the benefit of haemophilia
3 patients through his laboratory-based research work. He
4 was not a clinically-trained doctor.

5 THE CHAIRMAN: Dr Winter, I have some problems with that
6 defence. If he were involved with a laboratory, I would
7 find it difficult to understand that he wouldn't know
8 what was passing through his lab, and the examination of
9 the samples and so on of a patient in his hospital, one
10 might think would pass through his lab; but is there
11 another possible explanation, that he composed the
12 article much earlier than its date of publication?

13 A. Yes.

14 THE CHAIRMAN: So it really is speculative to try to relate
15 his knowledge to the date of publication.

16 A. I'm sure Professor Bloom would regret his choice of
17 words but I'm absolutely sure he would not have
18 deliberately misled the people. He was a very honest,
19 caring doctor.

20 MS DUNLOP: It does say in the bulletin, Dr Winter, that for
21 three months the patient had had certain symptoms.

22 I mean, there are a number of possibilities. One
23 possibility is that it is the use of the word "proven"
24 which is crucial:

25 "Unaware of any proven case."

1 A. I'm pretty sure that Professor Ludlam was a senior
2 registrar in Cardiff at this time. When he comes to
3 give evidence to you next week, I'm sure he can give you
4 a much more helpful response than I have able to do.

5 THE CHAIRMAN: I don't know that we are going to get much
6 more help than you are prepared to give us, Dr Winter,
7 but we will see. However, as you will readily
8 appreciate, coming to a conclusion that Professor Bloom
9 was deliberately misleading the haemophilia community is
10 something that one would do with very great care and
11 indeed hesitation.

12 A. I'm absolutely sure he was not doing that.

13 MS DUNLOP: You say, Dr Winter, in your statement for us at
14 0295 -- we don't need to go to it -- that the tone
15 appears in retrospect inappropriate. I simply wanted to
16 ask you that actually, even at the time the tone is
17 probably inappropriate, given all the information we
18 have been looking at: the information from America, the
19 fact that there is a patient in Cardiff, which one might
20 say was likely to have been known to him even at the
21 time.

22 A. I completely agree. Any clinician of the time asked to
23 set out an exposition of the current state of play would
24 not have written sentiments like that. I think the
25 other factor we have to consider was that he was writing

1 to patients and maybe, you know, there was something
2 there that he just didn't feel able to say the sort of
3 things he would have said to other doctors. You know,
4 again we look back in time but maybe that was part of
5 the agenda.

6 Q. Yes.

7 THE CHAIRMAN: But wouldn't one rather say nothing in those
8 circumstances?

9 A. Again, one agrees. If one was asked by the Society to
10 write an article reassuring patients, an appropriate
11 response might have been to say, "We really are very
12 concerned about the evolving situation and we will
13 provide the patients with clear information once we have
14 it".

15 MS DUNLOP: Yes. Just, Dr Winter, to take forward the
16 mention of Germany and other countries, there was
17 a Council of Europe resolution in the summer of 1983,
18 and we do have a report which appears to have been
19 prepared in advance of that meeting, the meeting of the
20 Council of Europe. Could we have a quick look at that?
21 It is [\[DHF0014394\]](#).

22 We can see that this is dated 28 April 1983. It's
23 at first sight not entirely easy to follow what has
24 happened but if we look towards the back of the document
25 at DHF0014406, we can see information from Canada. Just

1 in case anyone is wondering: if this is the
2 Council of Europe, what's Canada doing there? Probably
3 the explanation is on the very first page of this, which
4 says:

5 "Information on the present situation in
6 Council of Europe member states and in other countries
7 represented on the committee ..."

8 That's the committee of experts on blood
9 transfusion. So one could perhaps speculate that there
10 must have been a Canadian on the committee. Question 1
11 that everyone seems to have been asked to answer, if we
12 look only the next page. I'm only doing this because
13 not all the countries repeat the questions. It is a
14 problem we have had ourselves. If you ask questions,
15 people sometimes give you the answers without the
16 question:

17 "Number of known cases, including mortality rate,
18 which have occurred in your country since 1981."

19 Then if we look to the next page, question 2. This
20 is 4408:

21 "Measures introduced by transfusion centres for the
22 selection of donors."

23 Bearing in mind that those are the questions, can we
24 go back, please, to [\[DHF0014394\]](#)? Countries are in
25 alphabetical order. So if we start with Austria,

1 perhaps just as we pass, we can see that they have two
2 cases in Vienna, a third case is suspected; a patient
3 who is a haemophiliac is still alive. Then Belgium and
4 so on. If we move through to 4397, we can see Germany,
5 the Federal Republic of Germany:

6 "18 cases of AIDS have occurred so far in the
7 Federal Republic of Germany (16 homosexuals and two
8 haemophiliacs)."

9 I accept, Dr Winter, the point you make about, that
10 we don't know when Professor Bloom's letter was drafted
11 and so on, but in retrospect, the statement that there
12 have been no cases reported from Germany when in fact it
13 looks as though, by the end of April there have been two
14 cases in people with haemophilia in Germany; it is
15 unfortunate that the letter contains that as well, isn't
16 it?

17 A. Yes, I mean, I don't find any of this evidence
18 straightforward. You are asking me about the words of
19 a doctor who has been deceased, bless him, for many
20 years and asking me to explain why he wrote in a certain
21 way, and I obviously don't know.

22 Q. Yes. In a wider sense, though, Dr Winter, you have
23 mentioned Germany a few times and it does look as though
24 there was a developing problem in Germany too, doesn't
25 it?

1 A. Eventually, unsurprisingly given their very heavy usage,
2 the German problem did evolve. The Germans used a lot
3 of concentrate from a local German-Austrian
4 manufacturer, called Immuno. So I would expect that the
5 rate of viral infection amongst their donors was
6 significantly less than amongst American donors.

7 Q. Right. Just to finish that little excursus into the
8 Council of Europe, we can look at the resolution that
9 appeared [\[DHF0022149\]](#). We can see that this is from
10 23 June 1983, and just to note perhaps that the recital
11 refers to:

12 "A new and severe health hazard that may be caused
13 by an infectious agent transmissible by blood and blood
14 products ... recalling previous work."

15 Then going on to the following page, 2150.

16 A recommendation, the governments of member states,
17 which I think one could perhaps summarise as: avoid,
18 inform and prevent:

19 "To avoid, wherever possible, the use of coagulation
20 factor products prepared from large plasma pools ...
21 Especially important for those countries where
22 self-sufficiency in the production of such products has
23 not yet been achieved ... Inform attending physicians
24 and recipients, such as haemophiliacs of the potential
25 health hazards of haemotherapy, and to provide all blood

1 donors with information so that those in risk groups
2 will refrain from donating."

3 A. Can I just say, despite their grand title, the
4 Council of Europe was not a body with whom we had any
5 interaction. I had never previously heard of them.
6 Their pronouncements were never, ever circulated through
7 the UKHCDO, very worthy though I'm sure they were.

8 Q. Perhaps we can get some insight as to how they were seen
9 within the DHSS as well, just before we break. If we
10 have a look at [\[DHF0022148\]](#). We can see that this is
11 a memo headed up "Recommendations, resolutions et cetera
12 by international bodies":

13 "From time to time we submit to ministers
14 international instruments which involve DHSS interests.
15 It is normal practice during the preparation of these
16 documents to ensure that the UK is not committed to
17 policies which would not otherwise be followed, so that
18 there is correspondingly no action to be taken if and
19 when they are adopted."

20 This is referring to that recommendation we have
21 just looked at, R(83)8. So it does rather look,
22 Dr Winter, as though the policy seems to be that we
23 don't sign up to anything that we wouldn't do otherwise
24 so that we don't have to take any specific action
25 anyway. That seems to be a rather crude summary of

1 what's being said, doesn't it? In particular perhaps we
2 should note paragraph 5:

3 "The recommendation does not prevent the
4 United Kingdom from continuing to import Factor VIII
5 concentrate from the USA on whom we currently rely for
6 about 50 per cent of our supply."

7 A. I have read these recommendations and, you know, I don't
8 find them very sophisticated. It doesn't make any
9 recommendation of the use of alternative products for
10 people with haemophilia, like the use of DDAVP,
11 desmopressin, which by that stage was widely available
12 and would have been available for the treatment of
13 people with mild haemophilia. And, you know, the
14 statement on page 2 of its original recommendation to
15 avoid, wherever possible, the use of coagulation factor
16 products prepared from large plasma pools, well, that
17 was the only concentrate there was, apart from
18 cryoprecipitate. So if I may say so, this document has
19 clearly been written by people who aren't haemophilia
20 people.

21 Q. I quite accept, Dr Winter, that where possible it is, to
22 say the least, question-begging.

23 THE CHAIRMAN: I think that we could assume that the
24 ultimate outcome was the result of a great deal of
25 negotiation and compromise and probably reflected the

1 anxiety of several of the parties to avoid being
2 committed to any particular approach. I think that
3 might characterise many of the pronouncements of the
4 Council of Europe.

5 MS DUNLOP: Sir, it is 11 o'clock. I don't know if it would
6 be a good time --

7 THE CHAIRMAN: I think it is a good time. We will have
8 a break.

9 (11.02 am)

10 (Short break)

11 (11.28 am)

12 THE CHAIRMAN: Dr Winter, I gather you have been having some
13 difficulty in hearing me. You are not unique in that
14 but will you tell me if you are finding difficulty,
15 please? And I'll do my best.

16 A. Thank you. My hearing is not good, I am afraid.

17 THE CHAIRMAN: I think sometimes my diction cannot be all
18 that good either. But please do tell me. Don't be in
19 any difficulty.

20 MS DUNLOP: Thank you.

21 Dr Winter, I wanted to take you next to a meeting of
22 the reference centre directors in the UK, and the
23 minutes I hope are LOT0032858. Is that the wrong one?
24 Sorry. This is a document which has a number of
25 different references.

1 THE CHAIRMAN: What is the date of it?

2 MS DUNLOP: 13 May 1983. If we look at -- no, that's not
3 the right one. [\[DHF0014384\]](#). I think the advantage of
4 the "LOT" reference, sir, is that it is a later arriving
5 set of minutes which has all the names in it. So this
6 is probably -- yes, this is a redacted document.

7 But this is a special meeting of the reference
8 centre directors which took place at St Thomas' on
9 13 May 1983. It was chaired by Professor Bloom.
10 Dr Craske was there, Dr Kernoff, Dr Ludlam, Dr Rizza,
11 Dr Diana Walford. We can see that the purpose of the
12 meeting was solely to discuss AIDS. You will have seen
13 these minutes before, I expect, Dr Winter, have you?

14 A. Yes.

15 Q. Yes:

16 "To date in the United Kingdom, one haemophiliac is
17 suspected of suffering from AIDS."

18 Then some echos of the competing theories about
19 aetiology:

20 "Many individuals with evidence of impaired
21 cell-mediated immunity."

22 Then perhaps what's more important for today's
23 purposes is to look at the following page. We can see
24 a paragraph beginning:

25 "The steps to be taken ..."

1 This is what should happen if a patient should
2 develop AIDS and what treatment they should continue to
3 receive in the form of concentrates. And then
4 a paragraph:

5 "With regard to general policy to be followed in the
6 use of Factor VIII concentrates, it was noted many
7 directors have reserved a supply of
8 National Health Service concentrates for children and
9 mildly affected haemophiliacs. It is considered it
10 would be circumspect to continue with that policy. It
11 is also agreed there was, as yet, insufficient evidence
12 to warrant restriction of the use of imported
13 concentrates in other patients in view of the immense
14 benefits of therapy."

15 I suppose if you weren't a director until December
16 of 1983, you personally won't have been directly
17 responsible for treatment policy in May 1983. Is that
18 correct?

19 A. I would not have been directly responsible, no.

20 Q. Do you remember this debate?

21 A. Yes. So the first part of this, going back to the
22 evidence that people with haemophilia could have low
23 immune function, what they are saying in the first of
24 these paragraphs is that if a patient with haemophilia
25 actually acquired AIDS, would it make his situation

1 worse if he got a certain concentrate that might be more
2 likely to make that immune function even worse, and they
3 are saying they don't see any evidence for that.

4 So they are making a perfectly reasonable decision
5 not to alter therapy for someone who has AIDS. That's
6 the first part of that. Then now we are into familiar
7 territory: what to do about the use of concentrates. So
8 it was my recollection that from this meeting, more or
9 less formally it was adopted that for children and
10 irregularly treated patients and people who had never
11 been treated before, they should have
12 National Health Service concentrate rather than
13 commercial concentrate. They, again, don't seem to
14 mention and stress the use of the DDAVP, which they
15 might have done given that that drug had been licensed
16 for six years by this time.

17 Then the final sentence -- you know, there is not
18 enough evidence -- that has to be made against
19 a background of a country, or England, where there was
20 not enough NHS concentrate to go round. 50 to
21 60 per cent was imported; centres like mine were using
22 more or less exclusively imported concentrates. Beyond
23 going back to cryoprecipitate, there really wasn't any
24 other option. So that's why their hands are so tied at
25 this time, even in a position when they are being faced

1 with this sort of evidence.

2 Q. Were you still at Guy's in May 1983?

3 A. I was still at Guy's in May 1983. At my subsequent
4 centre we more or less exclusively used commercial
5 concentrate. At Guy's most of the concentrate that was
6 used was commercial.

7 Q. Use of cryo, the possible use of cryo; you alluded
8 earlier to difficulties of supply. In Guy's, for
9 example, if it had been decided around this
10 time, May 1983, to revert to cryo, would there have been
11 enough?

12 A. We were advised no by the regional transfusion centres
13 who were the people who manufacture the cryoprecipitate.
14 It is a quite a laborious process to manufacture it. It
15 comes in individual bags, and we were told that there
16 was not enough cryoprecipitate to allow a decision of
17 abandoning commercial concentrates to be made.

18 Q. And do you know what the position would have been in
19 Kent?

20 A. The same. It all comes within the same regional health
21 authority. So the whole of the southeast of England is
22 under the blood transfusion centre at Tooting in
23 south-west London, which covers the whole of London and
24 the south. So they would have been the transfusion
25 centre to which we would have related.

1 Q. You mention DDAVP and actually I think it does feature
2 in the letter that was sent out to haemophilia directors
3 after this meeting. It is actually in the preliminary
4 report. This is discussed in paragraph 8.36. Perhaps
5 we can look at that. We can see that Professor Bloom
6 and Dr Rizza -- at this point we didn't, I think,
7 appreciate that this was a circular letter. It appears
8 to have gone to all haemophilia directors. If we look
9 at [\[SGH0022175\]](#).

10 A. If I can point out that the minutes of the reference
11 centres would not have been circulated to other
12 haemophilia centres. They would only have been
13 circulated to the reference centres. Hence the need for
14 a separate letter to all haemophilia centres.

15 Q. Thank you. This seems to have been the letter of
16 24 June and this sets out recommendations. This does
17 mention DDAVP. Perhaps you could very briefly explain
18 to us; DDAVP is a synthetic drug. Is that right?

19 A. It is a synthetic drug called desmopressin, and it is
20 a synthetic analogue of a naturally occurring brain
21 hormone called vasopressin. And in about 1977 it was
22 discovered by Professor Mannucci, who at that time was
23 working at St Thomas' Hospital, subsequently in Milan,
24 that if you gave DDAVP by injection to people with mild
25 haemophilia and von Willebrand's disease, it released

1 supplies of Factor VIII and von Willebrand factor from
2 the lining of the blood vessels, and that this increased
3 release lasted for about five days and the injection
4 could be given under the skin.

5 It did not work in more severely affected patients
6 but it was a very effective, and remains so, treatment
7 for mildly affected haemophilia, haemophilia carriers,
8 von Willebrand's patients, because it gets them through
9 episodes of surgery, dentistry and trauma, and it
10 obviates the need for the use of coagulation factor
11 concentrates.

12 Q. Right. Would it ever have a role to play in somebody
13 who was severely affected and who could sense that
14 a bleed was coming, or is it not --

15 A. No, if you give DDAVP to people with severe haemophilia,
16 it does not increase their Factor VIII level. It is
17 effective in people with mild haemophilia and mild
18 von Willebrand's, so it could not be given to the other
19 groups, but it is an extremely important and effective
20 treatment and very simple for mildly affected patients.
21 And I must say, one of the more poignant aspects of the
22 HIV epidemic was a good number of people in Britain with
23 mild haemophilia and mild von Willebrand's disease, and
24 who were haemophilia carriers got HIV, and one wonders
25 why they were ever treated with concentrate. Because

1 they would have been suitable to have DDAVP treatment.

2 Q. We have looked, Dr Winter, at spreadsheets for the
3 Scottish centres, and at least our understanding based
4 on the spreadsheets is that they don't include any
5 patients with mild haemophilia who acquired HIV from the
6 treatment that they received. So it may be that that
7 problem didn't occur in Scotland, as far as we can
8 detect.

9 THE CHAIRMAN: Dr Winter, you have several times now
10 referred to the fact that in Kent you couldn't get NHS
11 Factor VIII, and you have now told us that you are part
12 of a very wide geographical area in which presumably
13 some people did. Why couldn't you get it in Kent?

14 A. We were part of this wide geographical area, including
15 the whole of South London, not North London, who related
16 to the Edgware blood transfusion centre. So we would
17 have certainly had the three big teaching hospitals in
18 the south of London and the whole of the south of
19 England. My understanding was that there was a formula
20 that the regional transfusion centres collected blood
21 and they sent that blood off to Elstree to be
22 fractionated into Factor VIII, and how much Factor VIII
23 they received back related to how much blood they sent.
24 And I suspect, therefore, that there was some logistical
25 or political issue that the amount coming back to the

1 Blood Transfusion Service at Tooting, perhaps combined
2 with the fact that it was covering such a wide area, was
3 such -- they were getting very little in the way of NHS
4 concentrate back, which in any case was distributed
5 round a large number of hospitals, including three of
6 the biggest hospitals in England. So I suspected it was
7 for a combination of all those reasons that there was
8 relatively little NHS concentrate available in the
9 southeast of England.

10 THE CHAIRMAN: You mean, you just didn't have the clout in
11 competition with the big teaching hospitals?

12 A. I suspect there were political machinations in operation
13 to which I was not privy.

14 THE CHAIRMAN: I see. Perhaps we shouldn't follow that too
15 far.

16 A. I would not wish to imply that there was a preference to
17 send blood to London.

18 MS DUNLOP: Can we just finish looking at that letter. If
19 we could scroll down, please, there is a mention of
20 haemophilia B:

21 "Evidence to incriminate Factor IX concentrates in
22 AIDS is even less. It seems logical to continue to use
23 our normal supplies of NHS concentrate."

24 A. Yes, there was an important point here, just to make
25 sure that you have this on record.

1 The way in which Factor IX concentrates are
2 manufactured is different to that of Factor VIII and
3 because of that, thankfully, it proved much harder for
4 viruses to be transmitted. So whichever country's
5 statistic you will look at, you will see that a far
6 lesser proportion of Factor IX deficient than
7 Factor VIII deficient patients were infected with
8 viruses, and that was related to the nature of the
9 concentrate manufacture.

10 Q. Yes. There was never anything like the same use of
11 commercial product for haemophilia B as there was for
12 haemophilia A; is that not also true?

13 A. I don't know why that should be so. They are clinically
14 the same and the patients, by and large, bleed as
15 frequently and the Factor IX concentrate was as
16 available as the Factor VIII concentrate. So I think we
17 certainly do ascribe the lesser incidence to the nature
18 of the manufacturing process.

19 Q. Then --

20 THE CHAIRMAN: I think we would have formed the view that
21 self-sufficiency in Factor IX was achieved very early in
22 the history of domestic production of factor products.
23 Both in England and Wales and in Scotland.

24 MS DUNLOP: There are some graphs, sir, which we are going
25 to look at in a minute, which seem to make that point.

1 THE CHAIRMAN: Thank you.

2 MS DUNLOP: Just to complete, there is a second point made
3 there about trials of hepatitis-reduced Factor VIII
4 concentrates. Just to perhaps note that without comment
5 at this stage. If we can move over to the letter to see
6 the conclusion of that paragraph. Move over to the next
7 page.

8 Dr Winter, there was a meeting, a significant
9 meeting, at Karolinska in Stockholm in June 1983. Did
10 you attend that?

11 A. No, I didn't. This is the bi-annual meeting of the
12 World Federation of Haemophilia.

13 Q. I think then perhaps if you weren't there, we should
14 just note for the record that there is a, again quite
15 a detailed account of events in Douglas Starr's book,
16 pages 281 to 282. That's [\[LIT0012936\]](#) at 2951. Perhaps
17 we could just quickly look at that. We can see that
18 again in fact there seems to have been a bit of a clash
19 perhaps between Dr Evatt and Dr Aledort:

20 "Bruce Evatt had been invited to speak. He felt
21 himself set up in a way. Aledort swung into a lengthy
22 discourse on how little scientists knew about the
23 disease, and Dr Evatt felt he had to defend how much
24 they did know."

25 Then we can see from the next page, 282, that

1 a proposed resolution -- insufficient evidence to
2 recommend any changes in the treatment of haemophilia --
3 was actually carried despite attempts, in particular, of
4 the Dutch representatives.

5 World Federation of Haemophilia, Dr Winter, how
6 influential was it?

7 A. They would be very influential because they are the
8 global body representing patients with haemophilia. As
9 I say, their bi-annual meetings would be attended by
10 nearly all the haemophilia community, not only doctors
11 and scientists and nurses but also patients. So it was
12 the most important gathering of haemophilia clinicians
13 and patients in the world.

14 Q. I want to ask you next, Dr Winter, about Dr Galbraith's
15 paper. We looked earlier at the reference in the spring
16 to the possibility of discussing imported concentrates
17 at the Committee On the Safety of Medicines' biological
18 subcommittee, and we know that Dr Galbraith sent
19 a letter, which is dated 9 May, with a paper on the
20 topic. It's easier if we look at, not the original
21 version because that's rather faint, but a retyped
22 version, which is [\[MIS0010005\]](#). I should say, sir, for
23 the record, that the original rather faint version of
24 the communication is [\[MIS0010001\]](#).

25 Just before we look at the terms of the letter, it

1 is perhaps worth noting that firstly in the Daily Mail
2 piece that we looked at earlier from May, there was
3 a reference to there being no question of stopping
4 imports, that being the position of the DHSS. Secondly,
5 there is an internal DHSS memo specifically in response
6 to this letter in similar sorts of terms. But if we
7 look at the letter, we can see that this is Dr Galbraith
8 writing to Dr Field. He is mentioning the case in
9 Cardiff. I should say we are pretty sure the date is
10 9 May, although there is a question mark there. But he
11 has done a bit of research also on the Spanish cases,
12 that they received American Factor VIII concentrate, a
13 tally of 11 reported cases in haemophiliacs in the USA,
14 and a paper describes a case in a multiply transfused
15 child in the USA:

16 "I have come to the conclusion that all blood
17 products made from blood donated in the USA after 1978
18 should be withdrawn from use."

19 He sets out a paper, giving that recommendation in
20 more detail. He is also recording surprise that the
21 American manufacturers haven't informed their customers
22 of this new hazard. No official warning in the
23 United Kingdom. You must be familiar with the paper,
24 Dr Winter. I expect you have seen it before. If we go
25 on and look at it, it comes, I think, on the next page.

1 It's called "Action on AIDS", if we look at 0006. He
2 sets out the data with which we are now quite familiar
3 about what has happened so far. It says in paragraph 3
4 that although the absolute number is small, this may not
5 indicate that the risk is small. Incubation period is
6 long. This is going on to the following page.
7 Factor VIII concentrate and pooled product would appear
8 to have a high risk of being contaminated with the AIDS
9 agent.

10 Just before I ask you about this, can you look too
11 at the internal DHSS memo, which is [\[DHF0014387\]](#).

12 I'll just let you take a minute to look at that. We
13 can see that the writer of the memo is somebody who has
14 been at the reference centre directors' meeting on
15 13 May because that's quoted. He or she thinks the
16 suggestion is premature and unbalanced. What do you
17 think?

18 A. I think scientifically everything that Dr Galbraith says
19 is true and accurate. I keep on referring back to what
20 it was like at the time in terms of the choices
21 available, and I cannot stress too much the times that
22 the other doctors had lived through and the patients had
23 lived through before the introduction of concentrate.
24 There was very major concern about the possibility of
25 cerebral bleeding because that's what had happened in

1 the 1960s, when the doctors at the time were trying to
2 look after people with haemophilia, and that's what the
3 concentrate was all about and the prospect of bleeding
4 into the brain and dying, which was clearly the common
5 dying event in people with haemophilia, was held in
6 terror, quite rightly, by the patients and their
7 families and with great concern by the doctors. That
8 was the place that they had been to and that's what the
9 concentrates offered freedom from.

10 So that was setting the bar, if you like, at a level
11 where to move away from any sort of concentrate usage,
12 to put you back into the risk of giving your patients
13 the possibility of another cerebral bleed was something
14 that would only have been taken with very, very great
15 reluctance by doctors and by patients, although
16 Dr Galbraith's comments, of course they are accurate and
17 of course he is right, the only choice that they could
18 do at the time beyond these relatively minor amendments
19 affecting the mild patients and the children, the
20 reality of the day was there was not enough concentrate
21 to go round in England at least -- I know the Scottish
22 situation was different but in England 50 to 60 per cent
23 was not English.

24 So the prospect of overnight withdrawing 60 per cent
25 of the nation's concentrate supply and saying to

1 patients, "You are not having any more concentrate, we
2 will give you cryoprecipitate if you come into hospital
3 with a bleed," that would have been an act that would
4 have been bound to increase the risk of cerebral
5 bleeding in those patients and that was the reality.

6 They were very, very restricted as to which of these
7 two choices they could make. And of course,
8 Dr Galbraith is accurate and of course it would have
9 saved some lives, one suspects, if his recommendation
10 had been introduced in terms of lives saved from those
11 patients who went on to get HIV and die of AIDS.

12 On the other hand, you could speculate that other
13 patients would have died of cerebral bleeding. So this
14 was, you know, yet another highly critical time where,
15 whichever side of the seesaw you fell off, it had lots
16 of problems attached to it.

17 Q. In fact, we know that the paper was considered at
18 a meeting on 13 July. We have a suggested agenda for
19 that, which I'm not going to go to, but just for the
20 record, it is [\[DHF0014587\]](#), particularly at 4588. That
21 sets out, really in advance, an approach that might be
22 taken at the meeting on 13 July and then we also have
23 the minutes, which we will look at. That's
24 [\[MIS0010291\]](#).

25 We actually have two different redacted versions of

1 these minutes, sir, and they are redacted in different
2 ways, which really means that it is probably better to
3 look at them both, but this one is useful because it
4 does at least have the names of some of the attendees.

5 We can see that Mr Watt was there and obviously we
6 saw Mr Watt, in fact, in a television programme and we
7 will come to look at that, but I think not with you,
8 Dr Winter, but with those witnesses who can more
9 specifically comment on the position in Scotland and
10 then if we look at the next page.

11 Yes, from the other set of minutes we can see that,
12 because there is less redaction, Professor Bloom,
13 I think Dr Craske, Dr Galbraith, Dr Gunson all appear to
14 have been there, although that's not entirely clear
15 because their job descriptions are given in the other
16 set of minutes but not their names. But looking at the
17 conclusions, 5.1:

18 "The cause of AIDS is unknown, but an infectious
19 aetiology seems likely."

20 Then 5.2:

21 "Patients who repeatedly receive blood
22 clotting-factor concentrates appear to be at risk ...
23 this risk is small."

24 Back to the balance:

25 "... balanced against the risk of AIDS (...)

1 transmitted by blood products) are the benefits [of the
2 use of concentrate]: in the case of haemophilia they are
3 life saving ..."

4 That's the point you have just made, Dr Winter:

5 "The possibility was considered of withdrawing
6 clotting factor concentrates from the market and
7 replacing them with cryo-precipitate. It was concluded
8 that this is not feasible in the UK on grounds of
9 supply.

10 "The possibility was considered of withdrawing US
11 preparations ... this is not at present feasible on
12 grounds of supply. Moreover, the perceived level of
13 risk does not at present justify serious consideration
14 of such a solution."

15 Of course, some of these points about supply might
16 have been different in Scotland, Dr Winter, and
17 I suspect, as a general proposition, you couldn't
18 dispute that. We would need to ask the Scottish
19 clinicians and suppliers about that but --

20 A. I would have expected it to be different in Scotland
21 with its much higher, relatively speaking, supply of
22 locally donated blood for concentrate manufacture.

23 Q. Yes. So I suspect from what you have already said that,
24 looking at these minutes now and trying to put yourself
25 in the position of the time, you don't find these

1 conclusions that surprising?

2 A. I don't find them -- they really were between a rock and
3 a hard place, and even if the doctors decided to go down
4 the pathway of not using commercial concentrate, which
5 in centres like mine might have effectively meant
6 cutting your use down to about 10 per cent, trying to
7 persuade the patients to agree would have been something
8 that would have been very difficult as well.

9 Q. I suppose, Dr Winter, the only point that might strike
10 one about this committee is that in terms of the
11 legislation it is looking at the quality, safety and
12 efficacy of a product; and at first blush, questions of
13 supply don't seem relevant to that, do they?

14 A. That reflection doesn't alter the choice that was in
15 front of them, does it? There were only two options
16 they could use to respond to this quite properly
17 articulated situation, and whichever way they went, they
18 had problems. I mean, the Committee on the Safety of
19 Medicines were not -- you notice that none of the people
20 on the committee are haemophilia doctors. As you say,
21 their main mandate was for safety. Issues about supply
22 and efficacy were actually not quite their main concern.

23 Q. Although they were, we know, guided by Professor Bloom,
24 who was presumably talking about these matters at the
25 meeting, one would jalouse?

1 A. Yes.

2 Q. Just in passing, I think we should note, without any
3 particular comment at this stage, that the following day
4 the question of the cause of AIDS in people with
5 haemophilia arose in the House of Lords. Look at
6 [\[SGH0026720\]](#). Then note at the bottom of the page
7 a question from Baroness Dudley about AIDS and then an
8 answer from Lord Glenarthur on the following page, 6721,
9 which contains the wording at the top:

10 "Although there is no conclusive evidence that AIDS
11 is transmitted by or blood products ..."

12 I'm noting that at the moment and I want to come
13 back and ask you about that a little later in 1983, but
14 I thought, particularly in view of what you have just
15 said about usage at the time, we should also look at the
16 annual returns for 1982, which are dated from the end
17 of July 1983. This is [\[SNB0017540\]](#). This just gives us
18 some information about the shape of the usage up until
19 31 December 1982. Interestingly under the heading
20 "Treatment of patients" we can see 48 per cent were
21 receiving replacement therapy in 1982, 1,101 on home
22 treatment. 50 per cent of severely affected patients
23 are on home treatment. Nearly 10 per cent of mildly
24 affected haemophiliacs are receiving home treatment.

25 Two things to note about that. The first is in

1 light of what we said yesterday about whether
2 definitions had changed over time, that the reference to
3 mildly affected haemophiliacs is given as being people
4 whose Factor VIII is above 10 per cent. So that looks
5 as though at least in some circles at that time --

6 A. And the severely affected is registered as being below
7 2.

8 Q. Yes. It does look as though there was a slightly
9 different gradation in those days, at least as far as
10 some people were concerned. But the other thing is this
11 comment:

12 "It is interesting that nearly 10 per cent of mildly
13 affected haemophiliacs are receiving home treatment."

14 Was that the wrong thing to have been happening at
15 this time?

16 A. If they were genuinely mildly affected patients, and if
17 they had been shown to be responsive to DDAVP -- not
18 everybody is -- then one wouldn't have expected them to
19 have been treated with concentrates. The way in which
20 these returns are done are by the forms going out to 105
21 centres and a doctor or a nurse working their way down
22 the list of patients registered for each centre, and one
23 of the lines would be: is this patient on home
24 treatment? And it might be, for instance, that
25 a patient with mild haemophilia said, "I do a lot of

1 travelling around the world and I would like to take
2 some Factor VIII with me, would that be okay?" And they
3 had a supply for that sort of purpose.

4 So I think there is a lot of different sort of ways
5 of looking at that data. I don't think it really means
6 that a significant number of people with mild
7 haemophilia actually were being treated at home because
8 by definition, people with mild haemophilia don't need
9 much treatment. If they do, it can usually be with
10 DDAVP and there could have been other possible
11 explanations of the type I have outlined to you.

12 Q. Right. Just to revert quickly to the point that was
13 made a short time ago about haemophilia B, if we go
14 through to what is table 7; that's page 9 of [\[SNB0017540\]](#).
15 We can see haemophilia B, NHS Factor IX, 9,252,000 units.
16 That's then shown as total units. It does look as
17 though there really isn't anything like the same amount
18 of commercial haemophilia B treatment going on?

19 A. Yes, it may have been, relatively speaking, the amount
20 of Factor IX concentrate being produced by BPL was
21 relatively greater than the amount of Factor VIII.
22 Whereas, across England certainly, with haemophilia A
23 patients it might have been 30 to 40 per cent receiving
24 NHS product. With Factor IX that percentage receiving
25 NHS product appears to be a little greater.

1 Q. Sir, I referred to the graph. If we go to 7555, still
2 in this same document, we see there is four lines.
3 Perhaps the easy one to note from the start is the third
4 line, the line for plasma, which has shown a drop since
5 1969. Then we can see NHS Factor IX, which is the line
6 with the crosses and total Factor IX, which is the empty
7 circles, that they are almost the same.

8 So that, I think, really makes the point but in
9 a different way. We should, for completeness look at
10 the page before, which is Factor VIII, 7544, of course
11 this is the UK, sir, so it's giving, I think, truly the
12 UK; it's giving the picture for Scotland, England,
13 Northern Ireland and Wales. We see the total and then
14 commercial is the triangles and then NHS.

15 In fact, it looks from the other tables in this,
16 Dr Winter, as though the ratio at that time was roughly
17 twice as much commercial as NHS, which no doubt reflects
18 the position in England. It's about 44 million units to
19 22 million units, very roughly speaking.

20 Just for the record, I think that's on 7545. But we
21 don't really need to go to that.

22 This line:

23 "There is no conclusive evidence that AIDS is
24 transmitted by blood product".

25 Perhaps there is a bit of a contrast with what was

1 being said in the United States. If we look at
2 [\[DHF0014724\]](#), I just want to highlight a statement in
3 the right-hand column:

4 "The best evidence for transmission of AIDS through
5 blood products is the occurrence of AIDS in a small
6 number of haemophilia patients receiving large amounts
7 of Factor VIII, a clotting substance in blood."

8 This is issued by the American Department of Health
9 and Human Services. So we have the DHSS, they have the
10 DHHS. This is September 1983 but really quite
11 a different line from what we saw in the House of Lords
12 in July 1983, no conclusive evidence.

13 Do you agree with the proposition that this is
14 actually the best evidence for transmission of AIDS
15 through blood products, the occurrence of AIDS in a
16 small number of haemophilia patients. That was really
17 the best there was at the time, wasn't there?

18 A. If I have understood you, it doesn't surprise me that in
19 the House of Lords somebody stands up and makes very,
20 very generic comments about a disease that was not at
21 all well understood. So I personally don't read too
22 much into the rather non-specific nature of the comments
23 made by that politician.

24 Q. We are coming back to that, Dr Winter, I'm not just
25 going to drop it yet. I want to go back to the

1 reference centre directors, who met again in September.
2 I have two different references for this one. We could
3 try [\[LOT0032862\]](#).

4 THE CHAIRMAN: What's the precise date of this one?

5 MS DUNLOP: Sorry, sir, this is 19 September.

6 This is the reference centre directors' meeting
7 again, and we have all the names. This is a slightly
8 different topic here, Dr Winter. If we look at page 3,
9 which is 2864, we can find Dr Walford talking about the
10 possibility that some centralisation and control of
11 supplies of commercial Factor VIII would be introduced
12 by the DHSS:

13 "It was felt that there was a strong case for all
14 orders of Factor VIII, both NHS and commercial, to be
15 made via the Blood Transfusion Service mechanism. Many
16 of the directors had grave misgivings about this scheme
17 but since the DHSS recommendation had not yet been
18 circulated, discussion was limited. Dr Walford assured
19 the reference centre directors they would be involved in
20 any discussions."

21 Then if we look at page 5 of [\[LOT0032862\]](#), we
22 can see that there is another document going to be
23 circulated by the Haemophilia Society and that
24 Professor Bloom has again been involved in the drafting
25 of that. In fact, he has read it out to the reference

1 centre directors.

2 Just holding both these points in our minds, if we
3 could look firstly at [\[DHF0014759\]](#). This is an internal
4 DHSS minute, 19 September 1983 also. This person has
5 invited him or herself to the meeting to hear the latest
6 on AIDS. This is paragraph 2:

7 "The relatives of the haemophiliacs who died of AIDS
8 in Bristol have taken legal advice and are keen to sue
9 [underlined] the manufacturers. If they go ahead this
10 could put the cat amongst the pigeons."

11 I mean, I suppose in general terms we can just note
12 that it seems to be a fear of litigation, which maybe is
13 not that difficult to understand. But on the point
14 about supply, at the end of paragraph 4:

15 "I took the opportunity to mention to directors
16 further consideration is to be given ..."

17 I think this does read very much as though it is
18 Dr Walford:

19 "... further consideration is to be given to
20 rationalising the purchase of blood products ... this
21 was to be considered by the Advisory Committee on the
22 NBTS. I promised that the Directors would be given an
23 opportunity to comment on any proposals to change the
24 present system of FVIII purchase and distribution. (It
25 is clear that this is a fertile ground for almost wilful

1 misunderstanding on their part)."

2 What do you think is meant by that?

3 A. I think the person writing this would have been aware
4 that their proposal would have been extremely unpopular
5 with the haemophilia directors because the haemophilia
6 directors would lose control over the type of
7 concentrate that was being purchased on their behalf.

8 Haemophilia doctors had specific preferences over
9 which type of commercial Factor VIII and Factor IX they
10 might want to use for their patients. Haemophilia
11 doctors liked interacting directly with the companies
12 and talking to them about their products and putting in
13 orders to cover a year's supply, and the idea and the
14 prospect that that in future might be carried out by
15 someone at the DHSS would have been guaranteed to have
16 been received extremely poorly.

17 Q. So this was a bit of a long-running debate?

18 A. In the end, by the time I became a consultant, three
19 months after this, I think the idea had not been taken
20 any further. Probably because of the rude reception it
21 got from the haemophilia directors.

22 Q. Then the other point that we noted in that meeting was
23 the reference to another circular from the Haemophilia
24 Society that would seem to be [\[DHF0014767\]](#).

25 THE CHAIRMAN: Just before leaving that explanation, was it

1 appreciated at the time that by taking such a stance,
2 the haemophilia directors might be thought to have
3 accepted full responsibility for the selection of
4 products and the consequences of their use?

5 A. I think the haemophilia directors were comfortable with
6 that. I think it was, you know, they saw it that it was
7 a clear remit for them as director of a centre to be at
8 all times responsible for the type of blood products
9 that was being used in their centre. And part of that
10 was to form a view as to what they felt about NHS and
11 commercial concentrates, and then that would relate to
12 how much NHS or commercial concentrate they were able to
13 obtain. Once they knew how much NHS concentrate they
14 were likely to get in one year, they could then enter
15 into negotiations with a commercial company alongside
16 the hospital's supply department for the best deal for
17 the commercial concentrate of their choosing. So
18 I think that was taken for granted by haemophilia
19 doctors, that they alone were responsible for the type
20 of concentrate being used in their centre.

21 THE CHAIRMAN: There are two quite different aspects to
22 that, it seems to me. The total autonomy to select
23 might not be thought to be dependent on whether they
24 were getting any NHS products. If it were simply a case
25 of resolving on the purchase of a balance after

1 exhausting the available NHS prospects, one might take
2 one view, but if the selection of commercial products
3 was thought to be within their autonomy to the extent
4 that they could do that to the exclusion of available
5 NHS products, one might take a different view. What was
6 the extent of the autonomy that was asserted?

7 A. There was autonomy. For instance, I can remember
8 clearly a meeting which was convened at St Thomas',
9 shortly after I became a consultant, where we looked at
10 the amount of NHS concentrate that was going to be
11 available throughout London and the southeast. London
12 and the southeast had an number of small haemophilia
13 centres that would not have had dedicated budgets for
14 the purchase of concentrate. And at that meeting it was
15 therefore decided that the two major centres, which at
16 the time were St Thomas' and my centre in Kent, because
17 we had budgets for commercial purchase, that they would
18 take very little, maybe none at all, NHS concentrate and
19 the NHS concentrate would also be then preferentially
20 distributed to these very small centres, of which there
21 were perhaps 15 throughout London and the southeast,
22 because they didn't have the wherewithal financially in
23 terms of budgetary structure to start purchasing their
24 own commercial concentrate and, you know, that situation
25 certainly happened for a number of years.

1 It saved the smaller centres problems in the sense
2 that they didn't have to seek finance to buy commercial
3 concentrate. They didn't want to buy commercial
4 concentrate, they just wanted to be given a relatively
5 modest supply of NHS concentrate to keep themselves
6 going with their relatively modest supply of patients.
7 So this was another reason why the proportion of NHS
8 concentrate used in my centre and at St Thomas' was
9 relatively slight because we had preferentially given
10 it, once we knew the distribution from the blood
11 transfusion centre, to the smaller haemophilia centres.

12 THE CHAIRMAN: Yes, thank you.

13 MS DUNLOP: Again just the other point that we saw in the
14 reference centre directors' meeting, that there was to
15 be another circular from the Haemophilia Society. We
16 have it on the screen in front of us. The factsheet
17 contains important information concerning Acquired
18 Immunodeficiency Syndrome, 22 September 1983.

19 Could we go to the next page, please? Firstly we
20 note on the left-hand side that members of the Society
21 had been at the Karolinska congress:

22 "A medical board of WFH emphasised and confirmed the
23 points made in our last letter sent in May."

24 Then in bold further down on the right-hand side:

25 "Our message remains unchanged. The advantages of

1 treatment far outweigh any possible risks. The risk of
2 AIDS is tiny compared to the risks from untreated
3 bleeding episodes."

4 I'm not going to ask you for any comment on that,
5 Dr Winter, it just looks as though the position is
6 consistent?

7 A. Yes.

8 Q. In October 1983 there was an annual general meeting of
9 UKHCDO and you weren't at that, at least if the minutes
10 are correct. But I suppose you will have been aware of
11 it?

12 A. I would have been aware of it.

13 Q. Yes. Just to look at a section in the minutes,
14 [\[SNB0017517\]](#) are the minutes. Can we look at 7526.

15 A Dr Chisholm has raised the problem of patients
16 refusing to take up commercial Factor VIII because of
17 the AIDS scare. I think Dr Chisholm was in Southampton?

18 A. She was the director in Southampton.

19 Q. Yes, we did try to trace Dr Chisholm as part of our
20 research for the Inquiry but we were unable to make
21 contact with her despite the number of different
22 attempts and she was wondering about reverting to
23 cryoprecipitate, and she says she could get unlimited
24 supplies of cryoprecipitate. I think there was a very
25 specific reason for that, was there?

1 A. Yes, because the Blood Transfusion Service for the
2 region was in the same city.

3 Q. Then on the following page, 7527, a paper from Dr Craske
4 about AIDS. He is describing proposals to investigate
5 UK cases of AIDS and haemophiliacs and look at a control
6 group:

7 "There was some discussion regarding the two cases
8 of AIDS in haemophiliacs in the UK ... Dr Craske urged
9 Haemophilia Centre Directors not to put the word 'AIDS'
10 on pathology request forms."

11 Why was that? Why would that be? Was that about
12 stigma?

13 A. Can I just ask to you repeat that bit?

14 Q. Yes. It was just the section where Dr Craske has urged
15 haemophilia centre directors not to put the word "AIDS"
16 on pathology request forms. Do you think that would
17 have been a fear of stigma?

18 A. Yes, I mean, AIDS was a communicable disorder, so you
19 had to notify cases to CDSC. What you were supposed to
20 do was label all pathology request forms with a sticker
21 that said "danger of infection", and that applied to any
22 infectious disorder, hepatitis, et cetera. As you say,
23 there was widespread stigma at the time but I can't see
24 particularly why the word "AIDS" shouldn't be used on
25 pathology request forms. The important thing from the

1 health and safety point of view would have been that the
2 pathology request forms were being labelled as being
3 "danger of infection", so that in the event of a needle
4 stick injury by a pathology technician, advice could
5 have been taken.

6 But maybe there had been some examples of pathology
7 staff being uncomfortable in handling blood samples
8 where the word "AIDS" was stamped all over the request
9 form.

10 Q. As with other UKHCDO meetings, we have got other notes
11 of the meeting, Dr Winter. Just look at [\[SNB0017531\]](#).
12 Again we will have to ask Dr Perry, when he comes, but
13 this looks as though it may have been Dr Perry's note,
14 and he has recorded perhaps a little more detail of the
15 presentation on AIDS at 7532. Quite a lot of
16 statistics. Then on to 7533. The conclusion, which
17 looks to have been a conclusion he is noting on the
18 basis of this presentation:

19 "Serious disease in haemophiliacs, a low
20 possibility??"

21 Is that likely to have been based on the sorts of
22 figures we see immediately above: 1.2 in 1,000 at risk?

23 A. Sorry, that doesn't seem to be on my -- oh, the screen
24 at the top?

25 Q. Yes.

1 A. A crude interpretation. Oh, well, that's based on the
2 number of haemophiliacs in Britain and two patients have
3 got AIDS. So when it says "crude", it is crude.

4 Q. From the other paper, [\[SNB0017535\]](#), again this is
5 Dr Boulton, and we know because he has signed it. We
6 see a number of points referred to but, most
7 interestingly perhaps, on 7537 -- again this is from
8 Dr Craske's presentation on AIDS:

9 "No evidence of AIDS entering the general
10 population."

11 Perhaps a slightly surprising notion, as if certain
12 groups already referred to are not in the general
13 population. Moving on to the next page, we can see the
14 familiar arguments, 7538, looking at the passage just
15 above the report of the working party chairman,
16 Dr Craske:

17 "Dr Jones argued there was no case for stopping the
18 use of commercial Factor VIII."

19 There was a case for it, wasn't there, Dr Winter?
20 It was just a question of whether one found that more
21 compelling than the case for continuation?

22 A. Sorry, I'm not quite sure I can identify the right
23 lines.

24 Q. Sorry, it is the sentence that's just above the heading
25 marked "5":

1 "In view of the AIDS incidence in haemophiliacs in
2 the USA, it was felt there was no logic in not using
3 imported Factor VIII. Dr Jones argued there was no case
4 for stopping the use of commercial Factor VIII."

5 A. Yes. I mean, the sentence itself doesn't make sense,
6 does it:

7 "In view of the AIDS incidence in haemophiliacs in
8 the USA ... there was no logic in not using it."

9 I would have thought there was pretty good logic to
10 not using it, but it is back to this agenda that we have
11 been discussing for some time now of there were only two
12 fairly stark choices open to haemophilia clinicians and
13 on balance most of them came down on the side of not
14 stopping using commercial Factor VIII.

15 THE CHAIRMAN: Doctor, I wonder if I could ask you something
16 that's just slightly collateral to this at the moment.

17 I see that in fact there were only the two choices.
18 I know you have mentioned that earlier there was
19 pressure from the haemophilia directors for an increase
20 in the domestic product, but at this stage were the
21 haemophilia directors pressing for an increase in the
22 production of the domestic Factor VIII product?

23 A. My recollection is -- because we discussed this
24 yesterday -- that by this time the £20 million
25 development at Elstree had already been announced,

1 I think in 1982, if I remember, because we saw evidence
2 yesterday that the DOH official was looking at some data
3 and didn't want to alter the decision to go ahead with
4 that development. So I think by this time haemophilia
5 clinicians knew that there was going to be expansion
6 because that political decision had been made and
7 finance had been put forward to Elstree for the
8 development to occur.

9 THE CHAIRMAN: So people were just waiting for that to be
10 implemented?

11 A. Yes, waiting for Elstree to kick in with the greater
12 supply, which took longer than you might have expected.

13 THE CHAIRMAN: No, perhaps not.

14 MS DUNLOP: On the same day, 17 October 1983, there was
15 a meeting of the advisory committee on the National
16 Blood Transfusion Service in London. We have the
17 minutes of that. That's [\[SGH0018446\]](#). We can see that
18 Dr Bell, whose name we have seen on a number of
19 occasions, from the Scottish Home and Health Department
20 was there. The paragraph I wanted to look at, Dr
21 Dr Winter, is paragraph 23, which is on SGH0011849.
22 I think there may be a typographical error in this:

23 "Dr Walford reported that to date, of the 24 cases
24 of AIDS reported in the UK, two were haemophiliacs, of
25 whom one had died. Comparison with reported incidences

1 in ..."

2 I suspect that's maybe meant to be "in the US
3 haemophiliac population":

4 "... suggested that the UK could anticipate between
5 two to four deaths amongst haemophiliacs from the
6 disease."

7 Now, Dr Winter, a lot of what we have looked at is
8 about balancing and to a large extent different
9 judgments made by people from different clinical
10 backgrounds, but this is a prediction which was very
11 seriously an underestimate, was it not?

12 A. Spectacularly so.

13 Q. Yes. Do you have a figure in your head for roughly what
14 the total is more likely to have been?

15 A. Of people with haemophilia in Britain who lost their
16 lives to HIV through the use of contaminated blood?

17 Q. Yes.

18 A. I have a very good idea because I served on the
19 Macfarlane Trust and we provided immediate funeral
20 grants to people who died. So the figure of the 1,300
21 people registered with the Macfarlane Trust, about 900
22 have so far died. That's of HIV. Of course, some
23 patients have died of hepatitis.

24 Q. Just to go back very briefly -- and then I promise I'll
25 drop it -- to the no conclusive evidence or the no

1 conclusive proof line, Kenneth Clarke said that in
2 The Commons on 14 November 1983 and I noticed, if we
3 look first -- actually before we look at what he said,
4 if we look at your submission to the Archer Inquiry --
5 that's [\[PEN0150283\]](#) at 0285 -- you say in that statement
6 that:

7 "The Health minister, Kenneth Clarke, announced in
8 Parliament that there is no evidence that AIDS is
9 transmitted by blood products."

10 I mean, in those terms that would be a very
11 reassuring comment. If we look at [\[DHF0015064\]](#), we can
12 see on the right-hand side that what he actually said
13 was:

14 "There is no conclusive evidence that Acquired
15 Immunodeficiency Syndrome is transmitted by blood
16 products."

17 Now, as you recalled it, you thought that in essence
18 what he was saying was that there was no evidence, but
19 he is saying there is no conclusive evidence. Do you
20 think that people, including you, took the message to be
21 that there wasn't really evidence of a connection?

22 A. Well, again, these things are occurring in Parliament,
23 which is a relevant observation, to start with.

24 Mr Clarke I know to be a man of the law. I doubt if he
25 was an expert on Koch's Postulates, but technically it's

1 probably true. If you want to push Koch's Postulates to
2 its ultimate, you could say: if it is caused by a virus,
3 we don't have the virus yet so we can't demonstrate that
4 the virus is in the blood product that was given to
5 patient A, who got it from donor A, and therefore there
6 is no conclusive evidence.

7 What, if you like, I objected to is the clear
8 sentiment. The sentiment is saying, "We have no good
9 evidence that AIDS is due to blood products." I mean,
10 all haemophilia clinicians by this stage clearly
11 believed that commercial blood products could and were
12 transmitting AIDS. So it would have been more
13 appropriate if the Secretary of State had said something
14 to that effect, rather than using that form of words,
15 with its implication that there remained doubt.
16 Technically he was correct but I don't think he realised
17 how fortunate he was, in terms of that, really.

18 Q. Yes.

19 THE CHAIRMAN: I'm not sure. You say he was a man of the
20 law; I'm surprised that any lawyer should use the words,
21 "No conclusive evidence", since we are much more
22 accustomed to deciding things either on a balance of
23 probabilities or on a test of beyond reasonable doubt,
24 where every judge takes care to instruct every jury that
25 beyond doubt does not require the exclusion of

1 possibilities, as on a test of mathematical certainty.

2 Now, my worry about "no conclusive evidence" is it
3 tends to suggest that unless one had excluded all
4 possibilities, there can be no proof, for otherwise why
5 would one use the expression "conclusive" rather than
6 a more conventional expression such as "beyond
7 reasonable doubt"?

8 I take your point that, since it's in Parliament,
9 one can't really perhaps analyse these things too
10 closely, but it's a very worrying expression and I think
11 that any help you can give to Ms Dunlop in understanding
12 this is of advantage. So I, frankly, am not content
13 that I understand it properly.

14 PROFESSOR JAMES: Lord Penrose, I would strongly suggest
15 that these exact words were given to Mr Clarke by
16 a civil servant.

17 THE CHAIRMAN: I'm sure about that.

18 PROFESSOR JAMES: My point is it is not his lawyer's words,
19 it is what was thought at that time to be the most
20 advisable phrase, by a civil servant from the Department
21 of Health, to use.

22 THE CHAIRMAN: I trust that if I take up any expression of
23 Ms Dunlop's, I can use the same defence when the final
24 report comes out, but I'm not sure that I would get away
25 with it.

1 MS DUNLOP: There is a little more information, sir, on how
2 this line came to be used. Look at document
3 [\[DHF0015006\]](#).

4 THE CHAIRMAN: Just before we go there, there's no doubt on
5 "profesional" (sic) advice with one "S", as we see in
6 the last sentence of the last reference.

7 MS DUNLOP: I didn't spot that, sir.

8 If we look at this, we can see again this is
9 a selection of newspaper cuttings. The date of this is
10 not immediately obvious but I think we can see from the
11 top right that it is November 1983 -- the "11" and the
12 "83" are not too difficult to make out -- and as far as
13 dating goes, if we go to the bottom of the page, we can
14 see that there is a handwritten date of 23/11.

15 But it is the exchange that's of some interest.
16 Firstly -- sorry, we have to go back up -- we can see
17 a cross has been put beside a quote from Dr Helena Daly
18 and Dr Geoffrey Scott at Bristol Royal Infirmary.
19 That's from the Lancet:

20 "It seems highly probable that the development of
21 AIDS was related to this treatment."

22 This is the person with haemophilia who has died in
23 Bristol:

24 "This case provides further evidence for a link
25 between blood products and AIDS."

1 Someone has marked that with a cross. Then at the
2 bottom it says:

3 "Have you seen? On X -- is it okay for me to
4 continue to say, 'There is no conclusive proof that the
5 disease has been transmitted by American blood
6 products'?"

7 "PS. Congratulations on your promotion."

8 And the answer is:

9 "Thanks. Yes, it is okay."

10 We have made enquiries about this, sir, and we have
11 a letter which, for the notes, I should just refer to.
12 It is [\[PEN0150484\]](#). Just to highlight the penultimate
13 paragraph:

14 "The note beginning, 'Have you seen ... ' on the
15 document marked 2842.1 [which is the one we have just
16 looked at] was written by an official ... The note in
17 return, 'Thanks. Yes, it is okay.', was written by
18 Dr Diana Walford. Dr Walford was the medical member of
19 the secretariat to ACNBTS at this time."

20 I think that must stand for "Advisory Committee on
21 the National Blood Transfusion Service", is it,
22 Dr Winter?

23 A. Yes.

24 Q. Yes. So it does look as though there has been medical
25 input to the formulation of the line?

1 A. And Dr Walford, as we have seen, had been attending some
2 of the meetings of the reference centres, so it seems
3 bizarre and inappropriate that she was continuing to
4 offer that advice to the DHSS.

5 THE CHAIRMAN: Did we discover who wrote the original note?

6 MS DUNLOP: The, "Have you seen?"?

7 THE CHAIRMAN: Yes.

8 MS DUNLOP: We are only told that this was a middle-ranking
9 official. I think I said yesterday, sir, that that's
10 a term we have been given, "a middle-ranking official".

11 THE CHAIRMAN: Yes, it's a middle ranking official who seems
12 to have perceived that he or she had the authority to
13 make the statement.

14 MS DUNLOP: Yes. But has felt the need to check.

15 THE CHAIRMAN: Yes.

16 MS DUNLOP: Now, you do explain, Dr Winter, in your paper --
17 and this was more in connection with what Kenneth Clarke
18 said -- that, strictly speaking, according to Koch's
19 Postulates, the position may be defensible.

20 I understand that. But look at -- and this is fast
21 forwarding -- the Sunday Times in March 1984. We will
22 just do that now. This is [\[DHF0015335\]](#). Firstly,
23 looking at the article, it says:

24 "Doctors now have conclusive proof that the
25 mysterious and generally fatal ailment known as 'AIDS'

1 has been passed to a hospital patient through a blood
2 transfusion ... a feat of medical detection ... A man
3 suffering from AIDS ... "

4 Has been admitted to hospital in Los Angeles and he
5 told health officials that he had been a blood donor.
6 His blood had been:

7 " ... given to two women patients ... [and] tests on
8 the women showed the dangerous abnormality that is
9 evidence of AIDS."

10 Then going on to show that one of these ladies had
11 developed pneumonia:

12 "Doctors managed to save her but her outlook is
13 grim."

14 This article too was noticed within the DHSS and
15 actually what appears to have been the reverse of this
16 photocopied cutting, [\[DHF0015334\]](#). Three people have
17 been shown this. We actually can work out who number 1
18 is. I think we are back to middle-ranking officials.
19 Number 2, I think, is Dr Alison Smithies, and then there
20 is a comment:

21 "We dropped, 'There is no conclusive proof that AIDS
22 is transmitted through blood or blood products,' from
23 our standard line some time ago."

24 That's 26 March 1984. I don't want to say actually
25 definitively who wrote that, but what's interesting

1 about that, Dr Winter, is, if the reason for saying it
2 before -- that's the autumn of 1983 -- was because,
3 strictly speaking, Koch's Postulates couldn't be
4 satisfied, had anything changed by March 1984?

5 A. I think that around then was the first report of the
6 French virus. It's LAV. So I think that might have
7 been a factor that would have changed there.

8 Q. Actually, the reports are slightly later than that,
9 Dr Winter. I mean, if it's something to do with the
10 fact that a donor has developed AIDS and patients who
11 have received blood from that donor have gone on to
12 develop AIDS, then that's really the situation that
13 obtained at the end of 1982, isn't it?

14 A. Well, it is, as we have discussed at the start of
15 evidence today. By that time you just couldn't have
16 a tenable position that commercial concentrates did not
17 transmit blood products, so these sentiments are
18 inappropriate and you can't construct any argument or
19 any reason why they have made them in this way, beyond
20 what you might call matters political. A scientist and
21 a clinician would clearly have said at the time, not
22 just looking back, like we are today, "This statement is
23 not true."

24 Q. Yes. Because time is short, I don't want to go to it,
25 but the Haemophilia Society, in a report they published

1 on 9 January 1984, said that there was no reliable
2 evidence of the connection between AIDS and blood
3 products, which is obviously rather different from
4 saying no conclusive evidence. Do you think that these
5 statements, particularly statements made in Parliament,
6 misled people?

7 A. I don't think statements in Parliament really had much
8 effect on people with haemophilia or the clinicians.
9 I think that the haemophilia community is a well defined
10 one and the discussions that were going on at the time
11 were amongst haemophilia clinicians working with the
12 Haemophilia Society and then at centre level with the
13 patients, and what a politician might or might not have
14 said in Parliament, I don't think anybody would have
15 taken any great notice of.

16 Q. Thank you.

17 I only have some more general and reflective
18 questions to put to Dr Winter, sir. There are quite
19 a few of them, though, so it might be better to stop for
20 lunch now, if that's all right?

21 THE CHAIRMAN: Yes. I'm just getting concerned about how
22 far I should go in antagonising the whole political
23 world, Dr Winter. If I took your last answer, I might
24 be inclined to do so but I may have to be more
25 circumspect than that.

1 (12.50 pm)

2 (The short adjournment)

3 (1.50 pm)

4 MS DUNLOP: I should say for the record, sir, that in
5 relation to the topic of the line which was formulated
6 and maintained within the DHSS, we did have an exchange
7 of letters with Dr Walford, which are [\[PEN0100156\]](#).
8 Perhaps we could just briefly look at that.

9 It's a request for a witness statement and then
10 a particular reference to these documents and then the
11 reply is [\[PEN0100079\]](#):

12 "I can confirm that given the state of knowledge
13 about AIDS and its causative agent at that time, this
14 was the appropriate answer to the question as posed."

15 Dr Winter, I wanted to ask you about heat-treated
16 commercial products and that, I think, for you really
17 takes us into 1984. Before we look at the question more
18 specifically, I want to mention in passing a letter
19 which is [\[DHF0030892\]](#).

20 This is another circular letter. It's actually from
21 Professor Bloom and Dr Rizza and it is to do with:

22 "... four commercial companies being about to
23 introduce preparations of Factor VIII, possibly Factor
24 IX, being processed in an attempt to reduce the risk of
25 transmitting Hepatitis B and non-A non-B."

1 Just to say for the record that on reflection, the
2 date, 11 January 1982 would really be very early for
3 this to be accurate, that four companies are about to
4 introduce heat-treated products. To cut a rather long
5 and tedious story short, the team has become convinced
6 that it is one of these January letters where someone
7 has forgotten to change the year and it would be correct
8 perhaps to see this as being from January 1983.

9 I mention that, Dr Winter, because it's probably
10 important, given the context of this, to understand the
11 timeframe within which heat-treated concentrates started
12 to come through.

13 I intend to return to this, sir, to explain why we
14 think that it was probably 1983 but now is not the time
15 perhaps.

16 You, Dr Winter, made a decision to use heat-treated
17 product and you narrate that in your statement to the
18 Archer Inquiry at [\[PEN0150283\]](#) but at page 0285.

19 If we look at the bottom of that page you say:

20 "By early 1984 a number of commercial companies had
21 begun to work with heat-treated concentrates based on
22 the observation that heat treatment might theoretically
23 inactivate viruses present in the concentrates."

24 You mention Alpha Therapeutics. Just at this point
25 it may be useful for our reference to look at an article

1 published about ten years later, a little less than ten
2 years later, in a journal called "Transfusion". This is
3 [\[SGH0021947\]](#). This article is interesting from
4 a narrative point of view but also useful in that it
5 contains, if we go through it, a number of tables. Go
6 to 1952, which is page 427 of the article. This is
7 where the tables begin.

8 We can see that there is a table of concentrates
9 marketed by Armour and we can see a heat treated
10 Factor VIII, given an FDA, Food and Drugs
11 Administration, licence in January 1984. We can see on
12 the following page concentrates marketed by Alpha, and
13 we can see Profilate heat-treated. I guess that must
14 have been your one, was it, Dr Winter?

15 A. That would be Profilate heat-treated.

16 Q. Yes. Then if we look at the next page, SGH0021954:

17 "Concentrates marketed by Hyland, a division of
18 Baxter."

19 We can see Hemofil T, which was licensed
20 in March 1983. Do you know anything about that
21 particular preparation, Dr Winter?

22 A. No, I think by the start of 1984, we were aware of the
23 commercial companies looking at heat-treating
24 Factor VIII to try and eliminate the putative hepatitis
25 virus, the one that proved to be Hepatitis C. None of

1 these concentrates were available on licence in the UK.

2 In early 1984, because we were already purchasing
3 commercial supplies from Alpha Therapeutics, they
4 approached me and my colleague at St Thomas' Hospital
5 and at Sheffield and University College London to say
6 that they were introducing, or they were evaluating
7 heat-treated Profilate, the commercial name for the
8 Alpha product, and would we be interested in using it,
9 or evaluating it. We could get that on a named patient
10 basis, even though it didn't have a formal product
11 licence. We were able to use it on a named patient
12 basis.

13 This was against the background, obviously, of
14 UKHCDO at that time not making any very strong
15 recommendations about looking to use heat-treated
16 concentrate and, as I have set out earlier, it was
17 against the context of many, indeed the majority, of
18 haemophilia clinicians holding a view that NHS
19 concentrates were very much less likely, maybe
20 completely unlikely, to transmit this new disease, which
21 was presumably viral in nature.

22 So there then followed some very difficult
23 decisions. I would say probably the most difficult and
24 important decision I ever had to make in my time as
25 a consultant, and I would record that I was greatly

1 influenced by my colleague at St Thomas',
2 Professor Geoffrey Savidge, who felt very strongly that
3 it was going to be very likely that all forms of
4 concentrate would prove to transmit the putative virus.

5 There were reasons for believing experimentally that
6 heat treating might get rid of a virus and he was very
7 strongly of the view that we ought to switch over, even
8 though we were in a very small minority, even though the
9 new product was 50 per cent more expensive than the old
10 one and we didn't have any money for it.

11 I first used the product in May 1984. Perhaps
12 I could just set out one or two things for you just to
13 set the sensitivity of this time; which is yet another
14 of these absolute landmark periods where terribly
15 important decisions had to be made.

16 In April 1984, one month before I first used
17 heat-treated Factor VIII, a four-year old boy was
18 diagnosed as having mild haemophilia in a hospital
19 12 miles from mine, was given unheat-treated Factor VIII
20 and got HIV, and I looked after him for 14 years until
21 he died in the week of his 18th birthday.

22 In May 1984 the first person I treated was a man who
23 had never had Factor VIII before, and he presented to me
24 with haematuria, which was severe. So I gave him
25 heat-treated Factor VIII. That was the first time in

1 his life he had ever been treated. One month later, at
2 a hospital west of my hospital, he was seen in the
3 casualty department because he had cut his hand on
4 a glass window, he was given unheat-treated Factor VIII
5 and he got HIV.

6 Before he died of AIDS, he passed on that virus to
7 his wife. So for people with mild haemophilia and mild
8 von Willebrand's, these were times of the greatest
9 significance as to potentially what sort of Factor VIII
10 you were given by the doctor.

11 In England, BPL did not start making heat-treated
12 Factor VIII until April 1985 and I do not believe that
13 the country had switched completely to heat-treated
14 Factor VIII until July 1985. I believe I'm right in
15 saying in Scotland heat-treated Factor VIII came in
16 in December 1984. So this period from spring of 1984 to
17 the summer of 1985, where the speed of transition to
18 heat-treated Factor VIII was of very great significance
19 for patients with mild haemophilia and mild
20 von Willebrand's, who, for whatever reason, were
21 considered as not being appropriate for DDAVP therapy.

22 I wanted at this time, if I may, to extend that to
23 the evidence of Dr Peter Kernoff at the Royal Free
24 because in my view his research is of quite
25 extraordinary importance in understanding the HIV

1 outbreak in British haemophiliacs and trying to answer
2 the question whether it might have been prevented or
3 not.

4 Dr Kernoff, as we have heard, was the director of
5 the centre at the Royal Free Hospital, one of the
6 largest in Britain. He had the admirable practice of
7 always storing blood on his patients whenever he saw
8 them. They were having blood tests done anyway. He
9 would store it in a deep freeze. In October 1984 we had
10 the HTLV-III antibody test, as it was then known,
11 introduced. Dr Kernoff identified in his centre more
12 than 100 patients with HIV, as we now know the virus.
13 He was then able to go back to his frozen stored blood
14 samples and thaw them and he could try and answer the
15 question: when did these patients get the virus?

16 He made two observations, which I believe are
17 absolutely critical to our understanding of the whole
18 epidemic. Firstly, he found that nearly all the
19 patients were infected at some stage between 1980 and
20 1982. So all these discussions one can have about
21 switching in 1984, April or July or November or right
22 until July 1985, for most patients was not relevant
23 because we now know through Dr Kernoff's data that
24 actually these patients by and large had already been
25 infected with HIV.

1 The second terribly important observation that
2 Dr Kernoff made was that he couldn't find HIV in his
3 stored blood samples from before 1979. That is
4 a terribly important observation because you can look at
5 the hepatitis outbreak in people with haemophilia and,
6 as we have done, you can do the mathematics and come to
7 a firm conclusion that actually it didn't matter whether
8 you received commercial concentrate or NHS concentrate
9 during the 1970s because these concentrates were derived
10 from 20,000 or so blood donors, it was more or less
11 inevitable that you acquired the virus now known as
12 Hepatitis C if you had Factor VIII during the 1970s. If
13 you had it regularly, it was an absolute certainty.

14 So you can conclude that, in my view, if the
15 initiative of Lord David Owen in 1976-ish had been
16 successful and this country had become more or less
17 self-sufficient in blood products, it would not have
18 made any significant difference to the outbreak of
19 hepatitis in haemophilia patients because of the natural
20 vulnerability of the concentrate system.

21 Through Dr Kernoff's data we can say that the HIV
22 evidence is different to that in an important way
23 because there does not seem to have been HIV in the
24 blood supply before 1979, whether that concentrate was
25 commercial or NHS.

1 So one could speculate -- and I stress this is
2 speculation -- that if Dr David Owen's initiatives had
3 gone forward in, say, 1977, let us just say that the UK
4 had become completely self-sufficient by 1977/78, we
5 would have been moving from a situation where in England
6 at least 60 per cent of the concentrate was coming from
7 a donor population where there was a relatively high
8 incidence of HIV to a situation where we might have been
9 sourcing concentrate exclusively from a local donor
10 population, who almost certainly had a much lower
11 incidence of HIV.

12 So you might consider, as a result of all that
13 evidence produced by Dr Kernoff, that if there had been
14 self-sufficiency towards the end of the 1970s, there
15 might have been some reduction in the number of HIV
16 cases that eventually occurred. It absolutely certainly
17 would not have prevented the epidemic but it might have
18 reduced the numbers from 1300 to a figure that was much
19 lower than that.

20 So I feel of all the evidence I have given you,
21 that's probably the most important because I'm saying to
22 you as a doctor that my opinion is that the hepatitis
23 outbreak in haemophilia patients could by and large not
24 have been prevented for regularly treated patients. For
25 mildly affected patients, that might be different. And

1 that for people with HIV, it might have been the case
2 that the scale of the catastrophe could have been
3 significantly reduced if -- and it seems that the DOH
4 were very frustratingly very close to doing it; they
5 even held a press conference -- a decision had been made
6 to go ahead with Lord David Owen's initiative and to get
7 this country self-sufficient by 1977/78, at a time when
8 HIV was not in the blood supply.

9 Q. Dr Winter, this may seem a bit like stating the obvious
10 but I think I need to ask it just to be sure that
11 I haven't misunderstood. If we take what you have said
12 for England at the end of the 1970s and try to apply it
13 in Scotland, we have already seen that around 1980,
14 taking the adult centres in Glasgow and Edinburgh, which
15 numerically accounted for the majority of patients with
16 haemophilia in Scotland, that both those centres in 1980
17 were using of the order of 90 per cent NHS material. So
18 not quite self-sufficiency but pretty close to it.

19 The children's hospital in Glasgow is in a different
20 category because there was a very high use of commercial
21 material there and that we need to look at separately.
22 But taking the adult centres for Edinburgh and Glasgow,
23 does it follow that if they had not been able to use
24 such a high proportion of NHS material, the figures for
25 HIV infection in haemophilia in Scotland would be

1 higher?

2 A. It seems certain that the Scottish experience would have
3 been like the English experience, where 80 per cent plus
4 of the regularly treated patients got infected with HIV.
5 That's the implication of the fact that happily, for
6 Scotland, by the early 1980s, 90 per cent of the supply
7 was NHS-based, and that was a very, very important
8 development in Scotland; and because it did not happen
9 in England, 1,000 people got infected with HIV.

10 That might have happened anyway to a lesser degree,
11 but if you follow my reasoning, the logic is to believe
12 that the numbers in England -- very much less so in
13 Scotland, because of the minority use of commercial
14 concentrate -- might have been reduced if the whole
15 country had been completely self-sufficient.

16 Q. I have a number of questions from what you have told us
17 about the use of heat-treated commercial product, and
18 I think the first thing, which you mentioned in your
19 answer and which you also mention on page 0286 in your
20 statement, if we can just go to that. That's
21 page 4 of [\[PEN0150283\]](#). The paragraph that begins:

22 "In May 1984, therefore, I approached a small number
23 of patients who required major surgery or suffered acute
24 trauma, and who had had little or no Factor VIII.
25 I offered them the choice."

1 You said this a moment ago, but may we therefore
2 take it that you didn't shift all your patients on to
3 heat-treated commercial product?

4 A. At that time in May -- and this is a reflection of how
5 concerned we were -- I could only get hold of a very
6 small supply and I targeted those patients who I was
7 especially concerned about, which would be the patient
8 I told you about, who had never been treated before, and
9 people who needed surgery which was urgent, who only had
10 mild haemophilia and hadn't been heavily pre-treated.

11 By July 1984, two months later, I was able to get
12 sufficient supplies to completely switch all of my
13 patients, not only to Factor VIII but Factor IX, and
14 that was on 1 July 1984. The St Thomas' centre and my
15 centre in Kent, from that moment we only exclusively
16 used heat-treated concentrate.

17 I should say another controversy in relation to this
18 was that there was some sort of theoretical
19 consideration that the heat treatment might alter the
20 nature of the Factor VIII molecule. About 20 per cent
21 of people with haemophilia get inhibitors, antibodies,
22 against the Factor VIII and there was a significant
23 concern expressed by those clinicians who didn't agree
24 with us, that they had real reservations about using
25 heat treated because they were very concerned that the

1 heat treatment process would alter the antigenic nature
2 of the Factor VIII molecule and that these patients
3 would then develop an inhibitor, which was clinically
4 a very significant adverse development.

5 So that was one of the major reasons why the other
6 doctors of the time said to us, "We really don't know
7 why you are doing what you are doing". They too, if you
8 like, were following the Tarzanoid philosophy. They
9 didn't believe that British Factor VIII was likely to be
10 a significant problem or may be a problem at all, and
11 they didn't want to use heat treatment in any case
12 because it wasn't licensed, it might alter the molecule,
13 and also because it was 50 per cent more expensive.

14 So these were the dynamics around this argument at
15 that time in the summer of 1984, for each haemophilia
16 clinician: should they switch to heat treated,
17 unlicensed, more expensive, and American, and then try
18 and sell it to the patients? Or should they stay on
19 British, free, volunteer donor? That was the major,
20 major dynamic at that time. And again a very, very
21 difficult time for haemophilia doctors and patients.

22 Q. That change that you made in July 1984, where only
23 heat-treated Factor VIII and Factor IX was used in your
24 centre, that was actually too late for a number of
25 patients in the centre, wasn't it?

1 A. Well, it was, because from Dr Kernoff's data -- I did
2 not have stored blood samples. I started there at the
3 end of 1983, but most of the regularly treated patients,
4 one assumes, had already been HIV positive for three or
5 four years, particularly as nearly all the concentrate
6 in my centre was commercial in origin.

7 Q. Yes. Another point that you have made, I think, in your
8 written statement, on one view, what you did was
9 actually contrary to what Professor Bloom had said in
10 the letter of 24 June 1983 about heat-treated commercial
11 product. Perhaps we should just have a look at that.
12 That's [\[SGH0022175\]](#).

13 If I may say, Dr Winter, I'm not referring you to
14 this as a criticism. I think perhaps it reflects
15 exactly the sorts of dilemma that you are describing,
16 but if we look towards the end of the letter:

17 "The proposed trials of hepatitis-reduced
18 Factor VIII concentrates ... no evidence the processes
19 inactivate any other hypothetical viruses."

20 Then on to the next page, please:

21 "It is still important that the effectiveness of ...
22 these products is subjected to formal clinical trials in
23 mild haemophiliacs ... directors are urged not to use
24 these concentrates randomly on a named patient basis."

25 Is there a bit of a conflict between your decision

1 in May and what had been said in that letter?

2 A. Very much so. The actions we took in May were firstly
3 contrary to the extant policy of UKHCDO, which was that
4 clinicians should go on using unheat-treated
5 concentrate, with the reservations about the use of
6 commercial for mildly affected patients and children,
7 and maximising DDAVP usage, but also as related to the
8 recommendation in Professor Bloom's letter.

9 One of the problems that was subsequently faced in
10 evaluating heat-treated concentrates follows from our
11 discussions that it was more or less inevitable that if
12 you had received Factor VIII you would have hepatitis.
13 So you couldn't use the new heat-treated Factor VIII to
14 work out whether it was safe or not because nearly all
15 the patients were already infected. So that meant --
16 which was a particularly unhappy situation -- that the
17 only subgroups of patients you could use to evaluate the
18 new type of Factor VIII -- and this is still the
19 situation today -- were people who had never had it
20 before, who, by definition, were children or mildly
21 affected patients having surgery. There weren't many of
22 either of that category around. So we felt that we
23 couldn't wait. It would be two years before you could
24 get enough patients to do a trial giving them
25 heat-treated Factor VIII to see whether it was safe or

1 not, and we just didn't feel that they could wait that
2 long.

3 But that, as I say, was a particular issue, and
4 remains so to a degree. Even today new genetically
5 engineered Factor VIIIs, they are evaluated on what are
6 called PUPs -- previously untreated patients -- and they
7 are very often children or now, in this day and age,
8 they are patients in developing countries who may never
9 have been treated before.

10 Q. Yes. Another point that should be made -- and this is
11 partly why we were looking at the tables earlier in the
12 article. I asked you about Hemofil T, the Baxter-Hyland
13 Travenol product, which had its FDA licence
14 in March 1983. So one might look at that and think,
15 gosh, from March 1983 there was something out there but
16 can we look at a letter of Dr Walford's. It is
17 [\[DHF0025668\]](#).

18 Simply to record, Dr Winter, that there do appear to
19 have been problems with that early heat-treated product:

20 "Three chimpanzees which received the Hyland
21 heat-treated Factor VIII developed hepatitis."

22 Just to ask you -- and I think I have to remind you
23 about the microphone, I'm sorry, because I'm not sure we
24 are getting all your answers through the microphone --
25 do you think that put people off the heat-treated

1 concentrates in 1983, that news came through that they
2 still transmitted hepatitis?

3 A. My personal view is that it did not particularly deflect
4 clinicians. I think there was a view that data obtained
5 from primates was not necessarily transferable, and
6 later on the heat-treated concentrates that had been
7 completely safe when given to primates did actually, on
8 some occasions, transmit hepatitis and HIV to people
9 with haemophilia.

10 So I think we learned that you shouldn't pay too
11 much attention to data derived from monkey and
12 chimpanzee studies. They weren't necessarily
13 extractable to the patients. I mean, Travenol may have
14 been licensed by the FDA in 1983 but it certainly wasn't
15 available in the UK. None of these products had
16 a product licence, and to my knowledge the Alpha product
17 was the first one that was made available on a named
18 patient basis.

19 Q. I see.

20 THE CHAIRMAN: Doctor, I think I picked up that there did
21 emerge evidence that the failure to transmit infection
22 to primates was not a reliable equation for the risk to
23 humans, but this is talking about actual transmission of
24 hepatitis. Is that not in rather a different position?

25 A. This is the other way round, isn't it?

1 THE CHAIRMAN: Yes.

2 A. Yes.

3 THE CHAIRMAN: It could hardly be transmitted unless it was
4 there and carried in the product.

5 A. Yes, so the early heat-treated products, in retrospect
6 they didn't heat for long enough and to a high enough
7 temperature. So they were pretty soon changed after the
8 patient outbreaks on heat-treated Factor VIII to
9 a higher temperature for a longer time. These early
10 concentrates would have been at 60 degrees centigrade
11 for 30 hours.

12 THE CHAIRMAN: So Dr Walford's letter on this occasion could
13 have been a warning to the profession generally that
14 there was a risk?

15 A. It could have been but my recollection is that those who
16 were opposed to heat treatment were not using this so
17 much as their major evidence; it was rather the fact
18 that firstly they didn't think it was necessary. Here
19 was a choice between heat-treated American Factor VIII,
20 unheat-treated British, they preferred the latter, and
21 secondly they were worried about the inhibitor theory.
22 Those were the two main arguments.

23 THE CHAIRMAN: Thank you.

24 MS DUNLOP: Of course, you know that in Scotland, in
25 Edinburgh, there was a very significant episode of

1 infection of individuals from NHS product, and I wanted
2 to ask you to look at a letter, which is [\[SNF0013211\]](#).
3 This is a letter from Dr Ludlam to Miss Spooner at
4 Oxford Haemophilia Centre. It's actually about the
5 subject we have been discussing, Dr Winter, which is
6 trials of the commercial treated concentrates, and what
7 Dr Ludlam says is:

8 "Most of our patients have been treated exclusively
9 with SNBTS F8. I'm therefore very reluctant to consider
10 using any of our patients as trial subjects for any of
11 the commercial hepatitis-reduced Factor VIII
12 concentrates. As you probably know, we have been
13 testing a new higher purity heat-treated SNBTS
14 Factor VIII concentrate and at present I should like to
15 reserve any patients we may have for this product."

16 Was that a reasonable line to take?

17 A. Well, there would be two reasons for wanting to consider
18 using the heat-treated product. The first one would be
19 to try and reduce hepatitis and the second reason would
20 be to reduce the putative new virus that was the cause
21 of AIDS.

22 If you had a population of the type that
23 Professor Ludlam did, where most of the concentrate was
24 of local voluntary donor origin, you might not
25 necessarily have been that much concerned about the new

1 disease, if you held the majority view. But it would
2 still have been -- you know, the introduction of
3 hepatitis-reduced Factor VIII, heat-treated Factor VIII,
4 would still be considered by clinicians to be very
5 important if you believed, as clinicians did, that it
6 was inevitable that if you gave somebody unheat-treated
7 Factor VIII, you gave them hepatitis, which was widely
8 accepted at this time.

9 So the important sentiment is that doctors should
10 have been looking by then to use or consider
11 heat-treated Factor VIII, whether that was of commercial
12 origin or of local Scottish origin obviously relates to
13 the local situation, and a clinician would
14 understandably have preferred the local product because
15 of the donor origin.

16 Q. So is that a yes in answer to the question if it was
17 reasonable?

18 A. Yes, it was reasonable.

19 Q. Right. Can we just go back to Dr Craske for a moment?
20 To a letter which is [\[PEN0150250\]](#)?

21 You refer to this letter in your original Archer
22 statement at 0288. Just for the record. But if we
23 could keep the letter -- actually there are two letters,
24 because there was one in October -- relating to what
25 appeared to be contamination of English product, and

1 then this is the letter of 30 November 1984 going to
2 Dr Ludlam. This is to do with the infection in
3 Edinburgh but the terms of the letters are very similar.

4 If we can turn to the second page, and this is
5 Dr Craske setting out what he says are some of the
6 facts, is there anything in particular -- and actually
7 you have commented on this letter also in your
8 supplementary statement on 0300, but without going to
9 that, you say in your supplementary statement that there
10 are a number of comments subsequently shown to be untrue
11 in this letter. I just wondered what in particular
12 would you highlight?

13 A. Well, in section 3 he says that you can see:

14 "It is likely that a significant proportion of
15 patients will remain in good health."

16 Which proved not to be true, particularly,
17 obviously. And then that last paragraph:

18 "It is likely that the proportion of patients who
19 contract HTLV-III infection who develop AIDS will be of
20 the order of 1 in 100 to 1 in 500."

21 I don't know on what basis he made that judgment,
22 but of course that too proved to be very inaccurate.

23 Q. Yes. Right. Dr Winter, I want to ask you one or two
24 general reflections in conclusion. Sorry, actually
25 there are more than one or two but the first is about

1 the relevance in this story, the story in particular of
2 the use of commercial products, of financial
3 contributions by drug companies.

4 It may be that there is evidence that that occurred
5 to a greater extent in England than it did in Scotland.
6 The Inquiry has investigated this as far as it can and
7 really all that we have discovered is support given to
8 conferences and seminars and gatherings and so on by
9 drug companies. So there might be a symposium, say,
10 which was sponsored by a particular drug company.

11 Against the background then that the support seems
12 to have been of that sort of level, what effect, if any,
13 do you think that had on decision-making?

14 A. I don't think it had any significant effect on
15 decision-making. I assume you are commenting on
16 purchasing of concentrate.

17 Q. Yes.

18 A. Yes, because that process would have been done in
19 conjunction with the hospital's supply department. It
20 would not have been done independently by a haemophilia
21 doctor because there were a number of regulatory
22 processes that had to be followed, even in those days.
23 But the relationships between the haemophilia centres
24 and the companies was a close one and sort of symbiotic,
25 I guess, in that here was the haemophilia community in

1 the middle of this evolving crisis.

2 It proved extremely difficult to get extra resources
3 from the NHS to respond to the crisis. It was a time of
4 great clinical difficulty. You could approach
5 a company, for instance. You might choose to approach
6 a company and say, "I have a new nurse and I would like
7 her to go on a course about AIDS so she can learn all
8 about it". You wouldn't have been able to get funding
9 from the NHS for that.

10 There were a number of activities that we have
11 discussed, for instance, like producing patient
12 information sheets. We spoke about the filo-factor,
13 where we wanted much better, accurate information about
14 the use of concentrates in the home setting. There was
15 no way that that would ever have been funded by the
16 National Health Service. That was funded by a
17 commercial company, who contracted another company to
18 make the custom-designed filo-factors as they were.

19 I think on occasions some of the major centres may
20 have had a kick-start funding for, shall we say, a post
21 for a counsellor perhaps. One of the ways of getting
22 a permanent post on the NHS is to find funding yourself
23 for the first couple of years, get somebody into that
24 post and then you say to the NHS, how would you like to
25 make this temporary post more permanent because the

1 person is very good and we could do with their services
2 longer at the moment.

3 So I think there were some of the major centres that
4 may have had some priming help for various posts from
5 the companies, particularly in relation to HIV and
6 counselling services or getting extra nursing support.
7 That was the way the sort of level of support went. It
8 was done to that degree. It was probably done variably
9 by various of the commercial companies. In return, the
10 haemophilia centres would have done teaching and
11 training for the companies, provided advice for them
12 about the way forward in terms of manufacture. So it
13 was quite a two-way process.

14 Q. We have also seen, Dr Winter, that over the period we
15 have looked at, which is really, I suppose, the summer
16 of 1982 onwards, particularly into 1984, there really
17 doesn't seem to have been much difference between the
18 sort of line about the use of concentrates that was
19 taken by the Haemophilia Society and the line that was
20 taken by UKHCDO. Is that a reasonable summary of the
21 position?

22 A. I think that's true. I mean, because the Haemophilia
23 Society had their own medical advisory panel who
24 consisted of haemophilia directors.

25 Q. There is a bit of overlap apart from anything else?

1 A. Yes.

2 Q. Yes. I just wanted, though, to get your comments on
3 something that Douglas Starr says. If we look at
4 pages 293 to 294, which is [\[LIT0012936\]](#) at 2963, the
5 context of this is that an incident is being related
6 where somebody in Austin, Texas died of AIDS. He was
7 named in the newspaper. The local plasma centre manager
8 checked her records and found that they had purchased
9 plasma from him 48 times in the previous year. Cutter
10 Laboratories were involved and they recalled whatever
11 they could.

12 Then he says:

13 "Meanwhile the NHF, the National Haemophilia
14 Foundation ..."

15 I think it is, which would be roughly equivalent to
16 the Haemophilia Society, would it?

17 A. That's correct, yes.

18 Q. Yes:

19 "... continued to assure the nation's 20,000
20 haemophiliacs that clotting factors were basically
21 safe."

22 He goes on to refer to the mother organisation,
23 which, I suppose is the NHF, the pharmaceutical firms.
24 If we were crossing the Atlantic and thinking of the
25 United Kingdom, we might add in the UKHCDO and the

1 Government, and he says:

2 "It seemed no one was telling haemophiliacs the
3 truth."

4 Would that reflect the position in Britain?

5 A. Well, we have been discussing this, haven't we?

6 Q. Yes.

7 A. Firstly, nobody knew what absolute truth was. We didn't
8 have a virus identified at that time as the cause of the
9 new disease. There were a whole range of questions that
10 we didn't know the answers to. I do think that the
11 Haemophilia Society statements that we have been looking
12 at have not been worded in a way that was necessarily as
13 accurate as they might have been. I think by the time
14 those pamphlets were written, there was good evidence
15 that AIDS could be transmitted by commercial
16 concentrates and there was every reason for there to be
17 concern.

18 Obviously, though, you have to put that in the
19 context of the time at which the pamphlets were written
20 and the Society saying to the medical advisory panel,
21 "WE really hope you can come up with some documents
22 which will reassure our patients because we are getting
23 a number of worried people in contact with us". So that
24 would have been the context in which this information
25 was passed on.

1 The only alternative way in which it could have been
2 done, which maybe would be the way it would be done now,
3 would be a doctor would have written, "There appears to
4 be a new disease in America, which is affecting people
5 with haemophilia. It looks as if you can get it from
6 commercial concentrate. There is no test for it. If
7 you get the disease, it looks like it will kill you."
8 That would not have been a very reassuring message to
9 the patients, but I accept it probably would have been
10 nearer to the truth.

11 Q. Yes. Just briefly, I wanted to look at what happened
12 in -- it is really three other countries. The first is
13 Australia. I have a couple of articles there. The
14 first is [\[LIT0010548\]](#). It is entitled "Hepatitis and
15 haemophilia therapy in Australia". It was published in
16 the Lancet on 17 July 1982. What's interesting in the
17 summary is the statement that:

18 "Commercial blood products are not used in
19 Australia. The patients were treated with products of
20 blood from unpaid donors, screened for Hepatitis B
21 surface antigen."

22 Then in the introduction there is reference to:

23 "The treatment of haemophiliacs with blood products
24 is associated with a high frequency of post-transfusion
25 hepatitis."

1 The article goes on to look at the incidence of
2 non-A non-B hepatitis in that study, and we can see in
3 the next page, page 147 on the left-hand side, there
4 were 66 episodes of presumed non-A non-B hepatitis
5 during the study, giving an overall incidence of
6 27.2 per cent.

7 Then under the discussion:

8 "This study has confirmed several previous
9 observations on the frequency of liver function
10 abnormalities in patients receiving treatment for
11 haemophilia and related disorders. The major treatment
12 agent during the study period was cryoprecipitate."

13 Then they say that:

14 "The findings emphasise the greater risk of liver
15 disease for patients with severe haemophilia."

16 And they say in the middle of the following
17 paragraph:

18 "The relatively high frequency of liver
19 abnormalities in our patients is disturbing since all
20 plasma for Factor VIII preparation is obtained from
21 voluntary, unpaid and Hepatitis B surface
22 antigen-screened donors."

23 Then just on the last page, comments that are not
24 surprising given all that we have looked at. On the
25 left-hand side:

1 "At present Australia uses much less Factor VIII
2 than is used in major centres in the UK, the USA and
3 West Germany ... lower usage due primarily to
4 Australia's policy of attempted self-sufficiency."

5 Then they give the use as a percentage of what's
6 used in Germany, the USA and the UK. You see that the
7 import of commercial products was actually prohibited.
8 That raises the question: well, what happened as far as
9 HIV was concerned? And if we look at the second
10 article, which is [\[PEN0120255\]](#), this is an article from
11 the Australia and New Zealand Journal of Medicine in
12 1987. Just to go straight to it, this is from the
13 abstract:

14 "The prevalence of HTLV-III antibodies in 1985 was
15 40 per cent. The highest frequency being in those with
16 severe haemophilia A, 78 per cent, and the lowest in
17 patients with haemophilia B."

18 I don't want to take up a lot of time with this. We
19 can read it for ourselves, Dr Winter, but in short
20 Australia ended up with a significant HIV problem in
21 people with haemophilia, despite actually having banned
22 the import of commercial concentrates. I think you
23 referred to that in your evidence to the Archer Inquiry?

24 A. I did. I mean, the study is of interest in that regard
25 really, because it is underscoring the point that the

1 safety of your voluntary donor panels relates to the
2 type of voluntary donors that they are. I think it is
3 accepted and set out in Starr's book that one of the gay
4 groups of the 1960s and 1970s did have altruistic
5 activities as part of their communion, as it were, and
6 one of these was to go and give blood on a regular
7 basis.

8 So our understanding of this data was that
9 a significant number of gay Australian donors were
10 donating blood and that that, if you like, skewed the
11 incidence to a much higher degree than you might have
12 expected, and certainly higher than other countries
13 where they had voluntary donation systems.

14 Q. Another country to look at by way of comparison is
15 Belgium. Look at Douglas Starr, page 346. Which is
16 [\[LIT0013015\]](#) at 3016. There is actually a very
17 interesting table published in a Council of Europe
18 publication, which gives rates for many European
19 countries, but I am afraid I have not managed to print
20 it out. I think you have to buy the book.

21 But we can see here that Belgium is referred to and
22 it's the same figure as is in the Council of Europe's
23 table. Belgium, which used many cryoprecipitates from
24 local donations, suffered a rate of only 7 per cent.

25 So for whatever reason, Belgium seems never to have

1 switched wholesale to concentrates from cryoprecipitate.
2 I don't know if you know anything about Belgium,
3 Dr Winter. I don't want to take up time on this but it
4 has obviously been a different course that has been
5 followed there.

6 A. I think that's correct. The Dutch have their own
7 national blood product plant, the Belgians do not and
8 they didn't have much local concentrate; they didn't use
9 much concentrate, they used cryoprecipitate. They
10 didn't get much HIV but they did get patients with
11 significant arthritis and bleeding as a result. I have
12 met Belgian clinicians who said that was the outcome of
13 that decision.

14 Q. Another country which is nearly at the bottom of the
15 Council of Europe's table is Finland. We do have
16 a statement from Professor Leikola on what happened in
17 Finland. It is [\[PEN0131396\]](#). If we look at that, we
18 can see, just in passing, that Professor Leikola was
19 involved in the activities of the Council of Europe
20 in May and June 1983. He was one of the drafters of
21 recommendation R(83)8. If we look to the next page he
22 sets out how haemophilia A patients were treated with
23 cryoprecipitate and then coagulation factor concentrate:

24 "... is further processed from cryoprecipitate."

25 But he says in paragraph 9 that:

1 "Finland continued to use cryoprecipitate between
2 1980 and 1984 simply because there was no domestic
3 concentrate available."

4 Then paragraph 10:

5 "Because of the known, since 1983, risk of AIDS from
6 American commercial Factor VIII concentrates, the
7 Finnish haemophiliacs were persuaded not to use imported
8 products, should they be introduced to the Finnish
9 market. Commercial preparations did not come to the
10 Finnish market in the 1980s."

11 Then finally in 16, 17 and 18, which are on the next
12 page, he narrates the number of cases in Finland, which
13 is extremely small.

14 A. Can I make the point that section 16 -- it's a very
15 important point, isn't it, they have cases from
16 cryoprecipitate. All the discussions we were having
17 earlier about would a switch to cryoprecipitate have
18 been a good idea, you can still get virus infections
19 from the cryoprecipitate, even though the donor pool you
20 are being exposed to might only be 20 to 40 rather than
21 20,000, it does not mean to say you will not get a virus
22 infection when you treated with a cryoprecipitate.

23 Q. Yes. Just finally, Dr Winter, you have been sent
24 a series of articles written as recently as 2007 by
25 Dr Evatt and Dr Aledort. Well, Dr Evatt's is an article

1 and Dr Aledort's is a response. Perhaps we could have
2 them up. The first is [\[PEN0150265\]](#). It is entitled "The
3 tragic history of AIDS in the haemophilia population,
4 1982 to 1984". Had you seen this article before we sent
5 it?

6 A. I had previously seen this article. You will see it was
7 published by the World Federation of Haemophilia.

8 Q. Yes. It's really a narrative, isn't it, of the key
9 period?

10 A. Well, it is but it is a very helpful one because it
11 really, in his reflections, mirror the evidence I have
12 been given of the variability of view held by various
13 haemophilia clinicians at the time, the reluctance of
14 haemophilia clinicians to accept the evolving data, the
15 confusion as to what to do next.

16 Q. Yes. He mentions Dr Ratnoff, he mentions the
17 transfusion in the infant in December 1982, the events
18 of 4 January 1983, which he describes as possibly the
19 most discouraging and frustrating day of the epidemic
20 for CDC. That's on 2298. Perhaps we can go forward to
21 that. That will be, I think, page 4. So page 267.
22 Well, I'm not sure if I have --

23 A. I actually think there is a page missing here. I noted
24 that in the documents you sent to me because 267 does
25 not seem to go on to 268. The bottom of 267 is the

1 middle of a sentence.

2 Q. I don't know quite what has happened. The hard copy
3 which I have, since I like to have these things in my
4 hand as well as on the screen, does go from page 2297 in
5 the article to page 2298, but it may be that for some
6 reason that's not in there, but anyway it's not
7 essential.

8 It provoked a response, I expect you had seen the
9 response as well, have you?

10 A. I have seen the response.

11 Q. Yes. [\[PEN0120179\]](#).

12 A. I mean, you will note that MASAC didn't recommend
13 a switch to heat treatment until October 1984, which,
14 given all the evidence we have heard and seeing the
15 number of cases in America at that time, really does
16 seem quite a late recommendation.

17 Q. I think we can see, Dr Winter, that Dr Aledort didn't
18 like Dr Evatt's article. Do you think that Dr Evatt's
19 article is a "self-serving, inaccurate paper"?

20 A. I'm firmly on the side of Dr Evatt, who was a heroic
21 figure and had no particular points to prove, and
22 I think Dr Evatt's record is very helpful for just, as
23 I say, really affirming what we knew: that a number of
24 very distinguished and leading figures on the National
25 Haemophilia Foundation and the American treating

1 organisations held the view that the new disease wasn't
2 going to be important for people with haemophilia.
3 I recall a very distinguished American physician saying
4 that he didn't think AIDS would ever be a problem for
5 people with haemophilia. So I think that the tension
6 that's apparent in the reply reflects all the previous
7 events that's happened to MASAC in those important
8 years.

9 THE CHAIRMAN: I think that's what occurred to me, that
10 Dr Aledort really had been a leader of the opposition as
11 it were to Dr Evatt's initial forays into this field.

12 A. Dr Aledort in particular had stood up at a meeting in
13 1983 and said clearly that AIDS could not be caught from
14 commercial concentrates and wouldn't be a significant
15 problem for people with haemophilia.

16 MS DUNLOP: Then on the following page Dr Evatt's response
17 to Dr Aledort:

18 "He graciously accepted Dr Aledort's expression of
19 his personal thoughts on Dr Evatt's article."

20 And he made some selected points he picked up and
21 responded to, and then at the end a general comment:

22 "The AIDS epidemic will not be the last human
23 plague. Group dynamics observed during this epidemic
24 replicate how experts faced with little or incomplete
25 scientific data often adhere to existing paradigms

1 Questions by MR DI ROLLO

2 MR DI ROLLO: Dr Winter, I just wanted to ask you one or two
3 questions.

4 Just one issue in relation to epidemiological
5 matters. In relation to Hepatitis C, I think we have
6 understood that the position was that if a patient
7 received concentrate, then it was the position that they
8 would inevitably contract Hepatitis C virus. This is
9 between 1975 and 1980 or in the late 70s. When we get
10 to HIV, the position appears to be -- or an
11 understanding that we may have is that the more factor
12 concentrate or commercial factor concentrate you get,
13 the more likely it is that you are going to get HIV.
14 I realise that's a rather simplistic way of putting it
15 but is that a correct understanding?

16 A. Yes, that is broadly correct. The incidence of HIV in
17 the commercial donor community was clearly significantly
18 higher than that in donor communities which were local
19 and voluntary. As of course is the case with hepatitis,
20 but the particular difference between the two was that
21 hepatitis appears to have been around for a long time in
22 the blood supply, whereas HIV didn't really appear to
23 have been there before 1979. That's the crucial
24 difference between the two viral outbreaks in
25 haemophilia patients. Not so much the difference

1 between the commercial and the voluntary donors but the
2 fact that the HIV appears to be a relatively new virus
3 in the blood supply at that time.

4 Q. But in relation to HIV, you don't necessarily get it if
5 you get factor concentrate, even commercial factor
6 concentrate. But the more often you get commercial
7 factor concentrate, then the more likely it is that you
8 are to contract HIV?

9 A. That would apply obviously to any infectious agent. The
10 more you had of it -- I mean, another factor would be
11 that the incidence of Hepatitis C in American blood
12 donors at the time we know to be about 1 per cent, shall
13 we say. We have seen evidence that maybe the incidence
14 in voluntary donors was 10 to 20 to 50 times less than
15 that. But we did the mathematics, if you remember, so
16 if you were having concentrate from 20,000 donors, one
17 in 100 of them have Hep C, you are going to get Hep C
18 but even if you are from a voluntary donor panel with 1
19 in 1,000, shall we say, there is still a jolly good
20 chance you are going to get Hepatitis C. So with
21 Hepatitis C it seemed to be inevitable that during the
22 1970s you would get it if you had commercial
23 Factor VIII.

24 The incidence of HIV would have been a lot less than
25 that. It would be difficult to put a figure on it but

1 it would certainly, in commercial blood -- it certainly
2 wouldn't have been more than 1 in 1,000, perhaps a lot
3 less than that, I don't know. So that's the difference
4 between the likelihood of getting HIV and hepatitis.
5 There wasn't as much HIV around in the blood supply in
6 terms of donor incidence as there was hepatitis at that
7 time.

8 Q. Right. Can I just turn to a matter in relation to
9 information and knowledge in 1983? It really relates to
10 material that we have already seen but I just wanted to
11 go back, first of all, to the Council of Europe document
12 at R(83)8, [\[DHF0022149\]](#).

13 One of the comments that was made this morning,
14 I think, in passing, as we went through this document,
15 was in connection with how this might be implemented
16 nationally. If we look over the page on the second page
17 of the document, so that would be 2150, we see that the
18 ministers say that:

19 "... take all necessary steps and measures with
20 respect to Acquired Immunodeficiency Syndrome and in
21 particular to avoid, wherever possibly, the use of
22 coagulation factor products prepared from large plasma
23 pools. This is especially important for those countries
24 where self-sufficiency in the production of such
25 products has not yet been achieved."

1 You made a comment, I think, this morning, that
2 that's all very well but if there is no option but to
3 carry on, then you have to carry on. I think that's
4 essentially what you were saying?

5 A. I was saying that the recommendation not to use
6 coagulation factor concentrates derived from large
7 plasma pools is the same as saying you shouldn't use
8 coagulation factor concentrates, because that's the only
9 concentrates that there were. They all came from large
10 plasma pools.

11 My understanding from the manufacturers is you need
12 about 20,000 donors because the Factor VIII circulates
13 in the blood in such tiny amounts, only in 1 millionth
14 of a gramme. So that's why so very many blood donors
15 are needed to make a meaningful batch and why there had
16 been no treatment of haemophilia for 2,000 years.

17 Q. Obviously it's to avoid wherever possible the use of
18 these and I'll come back to that in a moment, but what I
19 want to ask you that you didn't comment on this morning
20 was the next matter, which is:

21 "... to inform attending physicians and selected
22 recipients, such as haemophiliacs, of the potential
23 health hazards of haemotherapy and the possibilities of
24 minimising these risks."

25 That particular requirement or recommendation, if

1 you like, does contrast, does it not, what in fact
2 haemophiliacs were being told about the hazards or
3 potential hazards at this time, when we look at the
4 document which was distributed by the Haemophilia
5 Society, said to be on the advice of Professor Bloom.
6 Is that reasonable?

7 A. Yes, I have already said today that nobody actually saw
8 these Council of Europe recommendations in the
9 haemophilia world. They were not circulated to UKHCDO
10 to my recollection, or to haemophilia centres. I have
11 already given evidence that I do not think that the
12 statements that were made to patients in the Haemophilia
13 Society leaflets were as accurate as they should have
14 been. The actual advice that was given, given the very
15 difficult choices available for haemophilia doctors, and
16 all the potential dangers already outlined about moving
17 back to cryoprecipitate, was a very balanced decision:
18 haemophilia patients had always faced risk, the
19 concentrates had huge advantages, it would have been
20 dangerous to not use them while more information was
21 being garnered. I don't see any particular problem with
22 that advice.

23 I would agree, however, that the quality of the
24 information actually given to the patients was not what
25 it might have been but, as we have discussed, that may

1 just have been because of the culture of the day; they
2 did not want to concern patients about what was
3 potentially, and indeed proved to be, a grave situation.

4 Q. It does appear -- and nobody could argue with this,
5 I don't think -- that the patients wanted the product
6 because, as we have seen in the programme and you have
7 explained in your evidence, there was a very clear
8 desire to continue with the treatment. That's
9 undoubtedly what you have told us, isn't it?

10 A. The Society actually wrote to the DOH, asking him not to
11 ban the impart of commercial concentrates.

12 Q. But the Society obviously is entirely dependent upon
13 medical advice in relation to obviously medical matters.
14 It is dependent upon the doctors to tell the Society as
15 to what the medical advice should be, is that not fair?

16 A. By and large, yes. I mean, patients do have strong
17 views, quite rightly, and did so in those days. But,
18 yes, I mean, that was the point of having a medical
19 advisory panel of the Society so that the Society could
20 form a formal view about medical matters.

21 Q. You have told us this morning that by at
22 least March 1983, you said:

23 "I think by that stage, all haemophilia clinicians
24 were signed up to the infectious theory because of the
25 evidence of the San Francisco child. There was no other

1 construction you could put on that evidence."

2 So I think that that's what you indicated, that
3 by March of 1983 it was clear to the doctors that the
4 blood-borne route of the AIDS infection had been
5 established, that was what their understanding was. Is
6 that what you are telling us?

7 A. That's the evidence I gave, yes.

8 Q. So it does appear that if one was to rely on what was
9 being said apparently by Professor Bloom -- and we had
10 better have the document up, [\[DHF0014474\]](#). The preamble
11 to it is:

12 "In view of the unduly alarmist reports on AIDS,
13 which appeared in the press over the weekend, we are
14 writing to reassure members of the Society about the
15 true position. We have been in touch with
16 Professor Arthur Bloom, chairman of the
17 haemophilia centre director, a senior member of our own
18 medical advisory panel and a member of the Central Blood
19 Laboratories Authority, who has kindly written to us all
20 as follows."

21 Obviously it is not clear as to when he provided
22 this information, but if it is being represented as
23 being the position as at May 1983, it is clearly
24 misleading in terms of the understanding of the doctors
25 at that time, isn't it?

1 A. Well, we did discuss this, surely, in great detail
2 earlier in the day, and I did point out to you firstly,
3 I couldn't account for the way in which another doctor
4 wrote to people 25 years ago, and I did very clearly
5 give evidence that I don't think his comments are
6 appropriate because by then the dangers of commercial
7 concentrates were known. But I'm not quite sure how you
8 would have expected the letter to have been written
9 given the brief by the Haemophilia Society of:

10 "Our patients are very worried about this new
11 disease. Please will you write something that will
12 reassure them."

13 It might have been better if Professor Bloom had
14 said to them, "Actually, we are really worried about
15 this situation because we think that this new disease
16 may well be transmitted by commercial concentrates". So
17 I don't think a short article of this type is
18 appropriate at the moment. What would be much better
19 and more helpful for patients is a detailed list of
20 advice and recommendation once we have a very much
21 clearer view of this situation.

22 But, you know, as a doctor and a colleague of
23 Professor Bloom, I fully accept that the information in
24 that short article is incorrect.

25 Q. Well, I'm not asking you to criticise him. All I'm

1 asking you to do it to agree with the proposition that
2 what is contained there is misleading, and that is
3 correct, isn't it?

4 A. It is.

5 THE CHAIRMAN: Dr Winter, did any patient bring you this
6 letter, having regard to the invitation at the end, to
7 seek further advice from your own centre director?

8 A. I don't recall, sir. Of course, I was not a consultant
9 at the time that this letter was written but I don't
10 remember any of my local patients at Guy's talking about
11 this letter. Of course, only a percentage of patients
12 with haemophilia belonged to the Haemophilia Society.
13 So this letter only would have gone out to, you know,
14 maybe half the haemophilia people in Britain.

15 THE CHAIRMAN: And another question is: do you remember
16 seeing the document at the time it was issued?

17 A. No, I don't.

18 THE CHAIRMAN: Yes. Sorry, Mr Di Rollo, I'm just trying it
19 find out whether it made an immediate impact.

20 MR DI ROLLO: Yes, thank you.

21 A. And I'm assuming that Professor Bloom was acting in his
22 capacity as chairman, and certainly the contents of the
23 letter would not have been discussed with other
24 haemophilia clinicians. This would have been an article
25 he was asked to write by the Haemophilia Society as

1 chairman.

2 MR DI ROLLO: It is obviously readily understandable that
3 patients would have absolute faith in their doctors.
4 One of the reasons for that would be the very
5 significant achievement in protecting them from the
6 disease of haemophilia in the golden period that you
7 referred to. They would understandably have absolute
8 faith in the haemophilia doctor. Is that not right?

9 A. Well, the relationship between haemophilia patients and
10 their doctors is understandably a really close one
11 because here is a disorder that you are born with, your
12 earliest memories are of going to hospital with a pain
13 in your knee and seeing somebody like me who would stick
14 a needle in it and make it better.

15 So, yes, people with haemophilia do have very, very
16 close relationships with their doctors, that impacted in
17 a way -- maybe we will talk about this in a few
18 minutes -- it impacted on the way in which people were
19 told of their HIV status and responded to that.

20 But, yes, relationships have always been close and
21 a patient -- as often was said to me -- I would say to
22 a patient, "We have options A, B or C for your
23 treatment", and the patient would look rather bemused
24 and say to me, "You have looked after me all my life.
25 I don't expect to make the decisions myself. I expect

1 you to, as my doctor. Give me the best advice and give
2 me the best treatment."

3 So obviously there is a close relationship and, of
4 course, yes, patients are very reliant on their doctors
5 for the best of advice and one accepts this was not the
6 best of advice.

7 Q. I'm suggesting to you, and obviously we have heard the
8 evidence, that this is what the patients did want to
9 hear for understandable reasons?

10 A. I think that's very important. That was the remit of
11 the whole thing, wasn't it, the article? The Society
12 clearly are saying, "People are worried; they want to
13 keep on with the treatment. We, the Society, want to
14 keep on with the treatment. Let's commission
15 a haemophilia doctor to write an article about how the
16 treatment is still okay."

17 Q. But ultimately, tempting though it is to tell somebody
18 what they want to hear, the duty of the doctor is
19 obviously to try and give them an accurate understanding
20 rather than an inaccurate one.

21 A. I just think it is helpful to understand that's the
22 background of the whole article, and it was probably
23 also the background from which Professor Bloom was
24 coming. He was trying to be reassuring but of course,
25 he has ended up by not stating scientific truth.

1 Q. Can I just move on then. I appreciate we have been over
2 some of this ground a bit before. One of the things
3 that you have described in quite significant detail is
4 the hard choice that one would have to make if the only
5 option with a severe haemophiliac was, as you have
6 explained, either you take commercial concentrate or you
7 don't treat them at all. And you say that
8 cryoprecipitate in reality wasn't an option for reasons
9 which you explain, there isn't really much of a choice
10 there. You really have to go with the commercial
11 concentrate. I think that's what you were telling us
12 this morning. Am I right about that?

13 A. Very much so, particularly coloured by the experience of
14 the previous 20 to 30 years of people dying from
15 cerebral bleeding and the major quality of life that the
16 concentrates afforded.

17 Q. If you did have a choice -- and I'm putting
18 a hypothetical situation -- between treatment with
19 commercial concentrate or treatment with NHS
20 concentrate, which, in your view, is the appropriate
21 choice to make?

22 A. And we are talking about the late 1970s or something
23 like that?

24 Q. We are talking about 1983?

25 A. We are talking about 1983. Well, by choice, if the

1 choice is between NHS and commercial concentrate,
2 I don't think you would find a haemophilia clinician who
3 would choose commercial concentrate. The UKHCDO were
4 unanimously signed up to approaching the DOH to
5 encourage self-sufficiency. There are ways, of course,
6 in which you can moderate the treatment, both as
7 a doctor and a patient. If you were really concerned
8 about concentrate safety, you might not use so much of
9 it, you might postpone surgery. A patient who had two
10 days of treatment for a bleed, you might not give Day 3
11 on the basis that you thought things had settled. You
12 might reduce the dose of treatment you were giving on
13 each occasion. You might not implement prophylaxis
14 programmes, which were going by the early 1980s.

15 So there were ways of cutting down the amount of
16 concentrate that was being used, although that wasn't of
17 course what the patients wanted. The patients were
18 enjoying the fantastic improvement in quality of life
19 that the concentrates afforded. They didn't want any
20 change. They wanted to be reassured by their doctors
21 that all was well and they could go on using it, but all
22 was not well.

23 Q. If they had had an informed choice they may well perhaps
24 have accepted some of the modifications that you have
25 indicated.

1 A. I mean, in 1983, if you had stopped using concentrate,
2 if you were a patient and said, "I'm so worried about
3 this situation. I'm not going to use any more
4 concentrate, I will go to hospital for cryoprecipitate
5 when I really have a big problem," you effectively would
6 be saying, "I'm going to go back 50 years in my
7 treatment. I'm going back into the times where daily
8 I'm at risk of serious internal haemorrhage." That's
9 the danger of that decision.

10 Remember, haemophilia runs in families. So
11 haemophilia patients would say, "Yes, my uncle died of
12 a bleed into his brain when he was 22". And that, for
13 years and years and years, was what everybody dreaded,
14 and that was what the concentrate was protecting you
15 against. So even knowing what we know now, you know, if
16 I had been a haemophilia patient in 1983, I don't think
17 I would have chosen not to have any concentrate.
18 I might have looked at the way I was giving it to myself
19 and reduced it to the absolute minimum.

20 Q. It's that modification I was referring to. You might
21 reduce it to a minimum, you might defer treatment,
22 operations, you might not go with the prophylactic
23 treatment?

24 A. I accept your point, which is, I think, that if the
25 patients had had fuller information, starker

1 information, they might have modified the use of
2 Factor VIII in the home setting. That is fully
3 accepted.

4 Q. That would perhaps at least have reduced the possibility
5 in certain cases of contracting the HIV virus?

6 A. It might have reduced it to a degree but it's hard to
7 quantify.

8 Q. All right, thank you.

9 THE CHAIRMAN: Mr Anderson?

10 MR ANDERSON: I have no questions, thank you, sir.

11 THE CHAIRMAN: Mr Sheldon?

12 MR SHELDON: I have no question, thank you, sir.

13 THE CHAIRMAN: Thank you very much.

14 Questions by MR GARDINER

15 MR GARDINER: Dr Winter, I would like to ask you some
16 questions in connection with information that was given
17 to patients about the risks of treatment.

18 I want to ask you about testing for HIV and also
19 I want to ask you about the information that was given
20 to patients about infection after they had been
21 diagnosed. We have touched on that a little bit but
22 I want to expand a little bit in that area. We have
23 been calling this the B5 topic. We have chopped up the
24 topics. So this is the B5 topic.

25 Could I look, first of all, at your submission to

1 the Archer Inquiry, which is [\[PEN0150283\]](#). Which is at
2 page 9. That's page 9 of your submission. Just in the
3 middle of the third paragraph, right at the very end you
4 say:

5 "In looking back at this time, it is unreasonable to
6 apply the standards of today to the early 1980s. Things
7 were very different then, in particular medicine was
8 more paternalistic."

9 I wonder if you could explain what you meant by
10 medicine being more paternalistic in the 1980s, and
11 could you explain how that affected clinical practice?

12 A. Well, firstly let's talk about diagnosis. Nowadays it
13 goes without saying, it is standard that you always tell
14 the patient a diagnosis. At that time that was by no
15 means a standard practice. The standard chain of events
16 you were trained as a doctor to do was, if you had
17 a patient with a serious illness, such as cancer or
18 leukaemia -- I being a leukaemia doctor -- the first
19 course of action was to go and talk to the relatives.
20 You would say, "I'm sorry to say that your husband,
21 father, has acute leukaemia and it is a very serious
22 disorder and it may end their lives. Do you think he
23 would want to know? What's your advice? We are very
24 happy to tell him but we have come to you first for your
25 view." And sometimes the relative, next of kin, would

1 say, "I really don't want you to tell him". Sometimes
2 they would say, "Yes, of course, he must be told".

3 So that was really standard practice, as I say,
4 particularly for any serious disorder. That was the way
5 medicine was at that moment, together, of course, with
6 a culture, which in my view, and as set out in my Archer
7 submission, was completely changed by AIDS, the epidemic
8 in general.

9 There was no culture of doctors and nurses working
10 with patients. If you were a patient, you were
11 a passive vehicle with the illness, you went into
12 hospital, where an active vehicle, the doctor or the
13 nurse, made you better. It was not expected of you as
14 a patient that you would have a view about your
15 treatment. So you would be told your treatment but you
16 wouldn't be offered choices about it. You would be told
17 you have an illness, here is the treatment, and you will
18 get better.

19 That culture, I think, was particularly the case in
20 haemophilia. I generalise obviously, but you can
21 imagine, as a haemophilia patient you are brought up all
22 your life and every time you have a problem you go to
23 the same centre and you see the same doctor and the same
24 nurse to try and make it better. From your earliest
25 memories. So that, I think, did breed a culture of

1 passivity when the HIV epidemic broke. And remember, by
2 this time I was an HIV physician. I had 100 gay
3 patients. The gay patients were completely the other
4 end of the spectrum. They wanted to know every single
5 thing about their illness. They wanted to be involved
6 in every single decision about their treatment, all
7 quite rightly. And I have always felt that it was this
8 new disease, affecting, as it did, such a very
9 articulate and intelligent group of people; they were
10 the ones that in my view changed the nature of medical
11 practice because it started to get doctors and patients
12 working together as a relationship for the first time,
13 and it meant that the doctor for the first time was
14 really an adviser. He was not somebody who came through
15 the door in a striped suit and a patrician air and said,
16 "We have got this treatment for you which will make you
17 better". That was changed into the role of doctor as an
18 adviser, quite rightly, who fully informed the patient
19 of everything, good and bad. Then set out various
20 choices and let the patient decide which of those
21 treatment choices was appropriate. That, in my view,
22 was all new because of AIDS.

23 As I say, when one did that to the haemophilia
24 patients, you were sometimes met with bemusement. "Why
25 are you asking me? You are the doctor. You get on with

1 it." There was a very striking contrast between these
2 two groups of patients.

3 Q. Thank you.

4 Just to move on to advising patients of the risks,
5 I think it is clear to all of us from the
6 World in Action documentary that haemophilia patients
7 were aware of the risk of hepatitis from fairly early
8 on. Are you clear that in about 1983 your patients were
9 aware of the risk of contracting the new virus, if it
10 was a virus, from continuing to use concentrates?

11 A. Remember, I started December 1983. So that's when
12 I first come on board as a consultant. You know, my
13 first week, I'm straight into the crisis because of all
14 the data that's there, and within a few weeks I'm
15 discussing with Professor Savage at St Thomas' about the
16 offer from Alpha of heat-treated.

17 So really, within a couple of months of taking up my
18 post as a consultant, I would have been talking to
19 patients about the possibility of using heat-treated
20 Factor VIII and what did they think about it.

21 Q. So you never had the occasion to discuss with your
22 patients the possibility of simply giving up factor
23 therapy completely?

24 A. I would have done that when I was a senior registrar at
25 Guy's, all the things we have been talking about today.

1 And my recollection is that it nearly always went along
2 the lines of one which we have said really, that there
3 was this data which was rather worrying and was being
4 followed and, you know, we were trying to find out more
5 as quickly as we could, but in the meantime, exactly as
6 Dr Kernoff's statement that we have seen earlier today,
7 it was perceived that the advantages outweighed the
8 disadvantages and the medical advice was to carry on
9 with the treatment.

10 Q. But that's a choice that you gave to your patients, is
11 that --

12 A. I gave them the choice, yes. Most of the patients
13 I looked after do as I said, which I'm rather sad about
14 because, you know -- but that was the way of the time,
15 you know. Patients didn't say to their doctors,
16 "Actually, thank you for offering this treatment, I'm
17 not going to agree with you, I'm going to do something
18 quite different". That was a very, very unusual thing
19 to happen. Within a couple of years of AIDS becoming
20 identified, it became very commonplace.

21 Q. Yes, thank you. You have told us about switching to the
22 heat-treated product in May 1984, and if we could have
23 a look at your paper to our Inquiry, which is page 8 of
24 [\[PEN0150292\]](#), at paragraph 1.19. We discussed this:

25 "Heat-treated concentrate, commercial in nature, was

1 first used in my centre in May 1984 ... especially
2 critical time ... patients were being asked to switch
3 from concentrate of UK origin to US original."

4 You say:

5 "Considerable time had to be spent with each patient
6 and their family to explain the basis of this
7 recommendation."

8 Could you just describe in a bit more detail what
9 your discussions with patients would have consisted of
10 about that decision?

11 A. These discussions were not easy or straightforward
12 against a background of the patients quite rightly
13 preferring concentrate of UK donor origin to concentrate
14 of US origin. For their doctor to then sit down with
15 them and say, "I'm going to recommend to you that we use
16 Factor VIII of American rather than British origin" was
17 naturally of great concern to them first of all.

18 So it was by no means an easy interview but it would
19 have been along the following lines really, that I would
20 have said to them, "There is increasing evidence that
21 the new disease of AIDS ..." which they have heard of
22 "... can be transmitted through the use of Factor VIII".
23 That this is a matter of increasing concern, and that we
24 now have access to a new type of Factor VIII, which is
25 heat-treated, which in theoretical reasons, but not

1 practical ones, because it had never been done, could be
2 considered to get rid of any viruses. That this new
3 Factor VIII wasn't licensed and that it was from
4 American blood donors, but that essentially the choice
5 was between having the current, licensed commercial
6 concentrate or the current licensed NHS concentrate,
7 which, remember, we had very little of anyway. And
8 I would have said to them, "We have pretty good evidence
9 that that's going to give you hepatitis anyway, if you
10 haven't got it already, and it might well give you this
11 new disease because it seems to be giving other patients
12 like you the same disease when they have it." So that's
13 choice number one.

14 "Or we could give you this second new treatment,
15 which is heat-treated, yes. It's from American blood
16 donors but it is designed to knock out hepatitis viruses
17 and maybe this new virus as well, if it is a new virus."
18 Which it was. "You have to have the Factor VIII because
19 you are just about to have your stomach removed. If we
20 don't give you Factor VIII, you will die of bleeding. So
21 here we are in this pretty stark situation where, if you
22 use the current concentrate that's available, it seems
23 certain you are going to get hepatitis. If you haven't
24 got it already, you might get the new virus. If you use
25 the new heated concentrate, whilst we can't be sure, you

1 might not."

2 That was really the base for this very difficult
3 conversation. For what it's worth, the patients agreed
4 to have the heat-treated and then we had the switch in
5 July 1984, and none of the patients asked to switch
6 back.

7 Q. Would you be able to give an estimate of how long an
8 interview like that could take?

9 A. Half an hour, usually with the family as well.

10 Q. Thank you.

11 Just to move on to the question of testing now, and
12 if we could go to your submission to the Archer Inquiry
13 at 0287, which is page 5. It is the second paragraph
14 and what you say is:

15 "In the summer of 1984 HIV was isolated for the
16 first time and by August of that year a blood test (then
17 known as the HTLV-III antibody) had become available in
18 the UK in the laboratory of Dr Richard Tedder at
19 University College Hospital. UKHCDO arranged for all
20 samples from patients with haemophilia, who might have
21 been exposed to HIV, to be forwarded for testing to
22 Dr Tedder's laboratory."

23 Just reading that short, if we go down a paragraph
24 and pick it up:

25 "In our centre we informed patients that a blood

1 test was now available and that their blood was being
2 sent to UCH for testing. In some other centres they saw
3 the availability of the new test as merely an extension
4 of their pre-existing screening programme and did not
5 perceive any need to inform patients."

6 So could you just elaborate on how this was done:
7 informing the patients about the blood test and so on?

8 A. So the practice was firstly, if I can just take you back
9 from the start of what we call comprehensive care, when
10 concentrates were introduced in, say, 1973. Very soon
11 after that doctors were aware that some patients had
12 hepatitis like pictures. So a standard part of care
13 that was done every few months, the patient would come
14 in, have a clinical review and then they would have
15 blood tests to see what their blood factor level was;
16 did they have an antibody against their Factor VIII?
17 And have their liver function test, and routinely a test
18 for all known viruses.

19 So it was absolutely routine to test for viruses in
20 haemophilia centres on regularly treated patients and it
21 was perceived as being a core part of care, and because
22 it was a core part, there was no need to talk to
23 patients about it.

24 In October 1984 Dr Tedder at university college in
25 London had developed the test or had access to the test.

1 I knew him because it was the hospital I had been in.
2 He made an arrangement with UKHCDO to test all
3 haemophilia patients in the country. Some centres would
4 have had stored blood samples. So they would have had
5 a letter from Dr Tedder or Professor Bloom saying there
6 is this arrangement in place, you can send your blood
7 sample to say, this doctor in London and they will do
8 this new test.

9 So some centres may have said, "That's good, we
10 already have the patient samples in the deep freeze".
11 So they would have probably just gone off to the deep
12 freeze and thawed them and sent them because they would
13 have thought this is just yet another virus test. The
14 test is now available, we don't need to tell the patient
15 because we haven't got to bleed them. We haven't got to
16 tell the patient because we don't tell the patient
17 anyway about blood tests.

18 So that would have been some centres. If you had to
19 call for the patient to have blood taken, as I did, that
20 was different because the patient would come in and say,
21 "Why have you called for me?" So if you like, in other
22 centres because they had had to summon the patients,
23 inevitably they would be saying, "I know you were only
24 here a month ago for your review but we have asked you
25 to come back because we have now got access to this new

1 blood test and this is what it's all about".

2 Q. And that's what happened in your centre?

3 A. That's what happened in my centre.

4 Q. Is that because --

5 A. Because I did not have any stored blood.

6 Q. Thank you.

7 If we could have a look at page 5 of your
8 submissions to Archer, which is 0287. The second last
9 paragraph on that same page. You say:

10 "In 1984 there was, of course, no concept of
11 pre-test counselling. This concept only emerged years
12 later as a result of the HIV epidemic and the impact
13 that a positive test had on a patient's lifestyle
14 including the possibility of not obtaining life
15 insurance and mortgages."

16 Could you perhaps explain to us what pre-test
17 counselling consists of?

18 A. So the way in which the AIDS test changed the whole
19 practice of taking blood tests from patients was as
20 follows. It became apparent a few months after the AIDS
21 test became available that if you had this test
22 performed and the result was negative, an insurance
23 company or mortgage adviser might subsequently want to
24 either decline your proposal or increase the premium on
25 the basis, presumably, of, "We think you might have been

1 something of a risky individual to have wanted that test
2 done in the first place".

3 Never before in medical practice had there been
4 a blood test where just by having it changed your
5 prospects for things like insurance and mortgages.
6 Whatever the result was. So for the first time in
7 medicine, I think, it became necessary to talk to
8 patients who had come in and say -- these are all
9 patients -- remember, I'm an HIV physician.

10 A patient would come in and say, "I split up with my
11 boyfriend six months ago and I'm in a new relationship
12 and I would like to have this test done". To reassure
13 them you would say to them, "Before you do that, there
14 are things we need to discuss. If you have this test
15 done, even if it is negative, you might find it more
16 difficult to get life insurance. If you have this test
17 done, even if it is negative, you might find it more
18 difficult to get a mortgage."

19 So you talked the patient through really what the
20 consequence was of a negative result and what the
21 consequence was of a positive result. And that was
22 a completely new concept, now standard; and that was
23 what pre-test counselling became.

24 Q. Thank you.

25 When, to your recollection, did that start, that

1 concept.

2 A. I would say mid 1985 onwards. So the haemophilia
3 patients would have been bled in the autumn of 1984.

4 Q. So am I right in thinking that this concept of pre-test
5 counselling is really something that comes from this
6 particular disease?

7 A. That is my opinion.

8 Q. Can I just backtrack slightly, Dr Winter, and ask you
9 a hypothetical question about testing blood at that
10 time. If you had had stored blood samples, would you
11 have sent them to be tested by Dr Tedder without asking
12 your patient's permission first?

13 A. I may well have done, the point I'm trying to make is
14 there was no special stigma about having a blood test
15 done and there had never been any impetus for doctors to
16 tell patients that they were having a certain blood test
17 done. And that was because the act of having the test
18 had not actually affected the patient. I mean,
19 I probably would have done, yes, but I wouldn't have
20 done mid-1985.

21 Q. No. Thank you.

22 Moving on to the question of diagnosis, the results
23 of tests, and reading the last paragraph on page 5 of
24 your submission to the Archer Inquiry, here you say:

25 "In November 1984 I received the results of the 30

1 or so patient samples that I had sent to Dr Tedder's
2 laboratory. These showed that in all but one case the
3 patients were positive for the new virus. 18 of these
4 patients were children."

5 Then you have put here what did the phrase "HTLV-III
6 antibody" mean, and so on. Could you explain to us how
7 you interpreted these results when you got them back at
8 that time?

9 A. So this is a test not for the virus but for the antibody
10 that the immune system makes against the virus. So for
11 sure you could say that the patient had been exposed to
12 the virus. With the proviso, which made life difficult
13 for us, that there was some possibility, it was
14 considered, of getting false positive results.

15 Some doctors were rather reluctant to tell their
16 patients in the first instance because they said, "How
17 do I know the result is accurate?" They might have
18 waited for two results. Anyway, be that as it may, if
19 the result was accurate, it meant the patient had been
20 exposed to the new virus.

21 The next difficulty was what did that mean, because
22 in many medical disorders, if you have antibody against
23 a bacterium or a virus, you are immune to it. On the
24 other hand we knew by then that AIDS patients had
25 HTLV-III antibody. So we had to assume that the

1 antibody was not protecting them. So our assumption --
2 and it was an assumption -- was that although they had
3 the antibody, it didn't mean they were immune. This
4 meant they had the virus, which was proved to be true.

5 Q. And how did you interpret that in terms of a prognosis
6 for the patient at that time?

7 A. Well, you couldn't know what the prognosis was going to
8 be. We have already seen the wildly inaccurate
9 estimates of figures of survival today and progression
10 to AIDS today. So all you could do was sit down with
11 the patient and say, "You have heard about this new
12 disease, AIDS. We have now, as you know, the patient,
13 because I have told you, tested your blood. These tests
14 show that you have been exposed to this virus. Only
15 a very small number of people with haemophilia in the
16 world so far have AIDS. So we are going to monitor you
17 and follow you extremely closely and look out for any
18 signs of problems. There is a great deal of research
19 going on which will help us to understand this disorder
20 better."

21 At that stage, I think, early on, as we have seen,
22 the recommendations were talking about the possibility
23 of sexual transmission. We would have had the families
24 in as well. Probably a bit later on we would have
25 started talking about hygiene around the house and

1 sharing razor blades and toothbrushes and things like
2 that.

3 In the first instance, this interview, which you
4 will understand was a difficult one -- 18 of these
5 people were children -- we would have kept it pretty
6 short and then followed it up two or three weeks later
7 with another such interview, just to reinforce the
8 points.

9 This was at a time of very great stigma. We had
10 people who lost their jobs, people who had their doors
11 painted in red paint, "You have got AIDS", school kids
12 who were on the bus, they chanted, "You have got AIDS,"
13 a dry cleaner's wouldn't press trousers because the
14 patient had haemophilia. So this was not a disorder you
15 could talk about with anybody else. Some of our
16 patients never told their families, outside of the
17 immediate family. They may actually have died of AIDS
18 without their family knowing.

19 So this was a very, very stigmatic illness. This
20 was a very shocking interview for the patients and
21 a very distressing one. The news was potentially very
22 bad, we couldn't give them very clear information, there
23 was the possibility of sexual transmission, and it was
24 the new disease that was all over the papers: could you
25 get it from mosquitoes, bed bugs, commune chalices,

1 et cetera. So it was a very harrowing and difficult
2 time for them.

3 Q. I think on page 6 of your submissions to the
4 Archer Inquiry you explain that you told each of the
5 patients that they had tested positive for the new
6 virus. When did you do that? When did you --

7 A. To my recollection, Professor Tedder's results took
8 about a month, so this would have been
9 from November 1984 onward.

10 Q. Yes. So how much time elapsed between you receiving the
11 results and you passing --

12 A. I think I got going straight away over a period of a few
13 weeks.

14 Q. Thank you. Just to backtrack slightly to the question
15 of how to interpret the result of the test, how much
16 guidance were you getting from other specialists at this
17 time? I think we have seen Dr Craske's letter, where he
18 made the prediction that 1 in 100 to 1 in 500 would
19 contract AIDS. Was there any more advice than that?

20 A. I have made the point previously there was no standard
21 virological body giving standardised advice, as happens
22 at the moment with variant CJD, for instance. So that
23 was a major problem. We were haemophilia doctors, we
24 were not virologists. We knew nothing about sexual
25 transmission. We had never spoken about sexual activity

1 with our patients. This was completely new territory.

2 Dr Craske in his letters to us, which is in your
3 preliminary report, says something like:

4 "Ideally, I think the patient should be told but it
5 depends on whether they are requesting information."

6 So that's more interesting for what he is not
7 saying. He is not saying it is very important that
8 everybody should be told, firstly because it's important
9 medical information and, secondly, because of the risk
10 of sexual transmission. He is not saying that, and he
11 is the virologist giving us advice.

12 That is why the practices I have described in my
13 centre were followed exactly by some other centres and
14 very, very differently by some other centres. Some
15 centres did not tell patients for some time. One centre
16 in England sent the results out by post. You got
17 a letter saying, "You seem to have this new virus. If
18 you are worried about it, please go and discuss it with
19 your general practitioner."

20 So there was great variability of practice, much of
21 it inappropriate, as to how the patients were told their
22 HIV status.

23 Q. Are you able to give us an estimate, Dr Winter, of what
24 the prevailing approach was to informing patients about
25 the results of their tests?

1 A. It is very hard. I don't think there were centres where
2 patients weren't told but it was done in a very variable
3 way, an unstandardised way. It might have been done by
4 a doctor or a nurse, it might or might not have included
5 sexual advice and they weren't following any
6 standardised recommendations, which would have been
7 extremely helpful.

8 Q. Sir, I think I should just record in passing that the
9 letter from Dr Craske that Dr Winter is referring to is
10 in the database at [\[SNF0014020\]](#). We don't need to look
11 at it at the moment, but just for the record, as they
12 say.

13 I think you just mentioned again there, Dr Winter,
14 that most haemophilia centre directors had not been
15 clinically trained and you mentioned that about
16 Professor Bloom as well. Did that make a difference, in
17 your opinion, to the way information was passed to
18 patients about these things?

19 A. Some of my colleagues were rather dismissive about my
20 remarks to the Archer Inquiry about this, but actually
21 I do feel it is relevant. There was a sea change in the
22 training of haematology doctors in 1976 because from
23 that moment onward, if you wanted to be a consultant in
24 haematology, you had to have the membership of the
25 Royal College of Physicians examination, which you took

1 two to three years after you qualified. It was no
2 longer possible for you to become a consultant
3 haematologist without doing clinical medicine after you
4 qualified. So that led to a new generation of
5 haemophilia doctors, of which I was one.

6 We had spent three years, after we qualified,
7 dealing with cancer and leukaemia patients. We had been
8 trained about bad news, we had been used to sitting down
9 with people whose lives were ending and telling them
10 that. We had been used to following those patients on
11 a daily basis until they died.

12 For the older doctors, they had never done any of
13 that. They had no training about bad news, they weren't
14 clinically trained about telling people bad news, they
15 weren't used to looking after very sick people, and I do
16 think that made a difference when I hear about those
17 centres that didn't communicate very well with their
18 patients. I do have a view that they were run by the
19 elder generation of doctors, who were very brilliant
20 academically, very clever in the laboratory, but they
21 were not clinically trained and it showed at time when
22 patients needed very sensitive disclosure and advice
23 about this potentially devastating illness.

24 Q. And I suppose those doctors wouldn't be used to dealing
25 with sexual matters with patients?

1 A. Absolutely not.

2 Q. Dr Winter, I have nearly finished. I have just got
3 one question for you. Could I ask you to look at your
4 paper for us, the Penrose Inquiry, at page 0301. This
5 is the last page. We have touched on this already but
6 this is your answer to a question. The question you
7 were asked was when, in your view, the balance shifted
8 from the paternalistic approach that you have told us
9 about to the more modern, patient-centred approach, and
10 at paragraph 1.24 you say:

11 "As set out in my Archer submission, the onset of
12 the AIDS epidemic changed for ever the nature of medical
13 practice in this country. Never before had there been
14 a situation in clinical medicine in which the
15 performance of a blood test -- even if the result of
16 that test was negative -- could have profound lifestyle
17 consequences ..."

18 You also talk about the fact that AIDS was very
19 likely to be fatal, the treatment choices complex, and
20 so on. Is there anything else that you would like to
21 tell the Inquiry about that whole topic that's in that
22 paragraph there, 1.24?

23 A. No. I think, on behalf of my colleagues, I'm sure we
24 would say as an organisation that in retrospect the way
25 in which some patients were told of their HIV status was

1 not handled as well as it might have been, even given
2 the standards of those days. I think we do make a case
3 and can explain why patients weren't told that the test
4 was being performed, and I'm sure very few people were
5 probably told that the test was being performed. But as
6 for the actual telling of the news, which one accepts
7 was a very difficult process, I think that our
8 organisation would accept that it didn't always happen
9 in a way that was as good as it might have been, even
10 though it was done with the best of intentions. And the
11 lack of training, the lack of standardised virological
12 advice and the lack of information. We didn't know what
13 the phrase meant. Professor Ian Weller in London, who
14 was the major AIDS treater at the time, in the Simon
15 Garfield book, "AIDS, the End of Innocence," he is
16 saying the same thing. They are the major AIDS
17 treatment centre. They didn't know really what to say
18 to people who had HIV antibody, in terms of the obvious
19 questions the patients would then ask: What does it
20 mean? Am I going to get ill? Am I going to die? When
21 will I die? We didn't know.

22 Q. Thank you very much, Dr Winter.

23 I have no further questions, sir.

24 Further questions by MR DI ROLLO

25 MR DI ROLLO: Just one very quick matter. Just for

1 clarification, you didn't keep blood samples of
2 patients, you had to get their consent and you had to
3 take a blood sample, in order for it to be tested.
4 Other centres did keep blood samples of the patients.
5 Can you explain why there was a diversity of practice
6 there?

7 A. I had taken over the directorship of a centre from
8 another doctor whose practice it had not been to store
9 blood samples. Again there was nothing mandatory about
10 that; it just seemed like a good idea. You were in
11 a field of medical practice where patients were getting
12 viruses from their treatment, we knew that from 1974, so
13 how could you be sure that more viruses might not appear
14 in the blood? If you look at Dr Kernoff's data, HIV had
15 been around in the blood supply for three or four years
16 without anybody realising it, so wouldn't it be a good
17 idea to store blood from the patient on the basis that
18 maybe they have already got a virus that you don't yet
19 know about and that would be very useful in three to
20 four years' time, when the virus became identified. You
21 could then test for how long it had been present.

22 So, although it was not a formal recommendation,
23 a lot of haemophilia doctors did have the practice of
24 storing blood in a deep freeze. You were taking blood
25 from the patients anyway for liver function tests. You

1 could just walk into the laboratory and say, "Could you
2 put that into the deep freeze? I might need it at some
3 stage."
4 Q. Do you know when that practice actually started?
5 A. No, I suspect around the time when concentrates were
6 introduced. I was a registrar in the Middlesex Hospital
7 in 1976 under Professor Jimmy Stewart. One of the first
8 things he ever said to me was, "It's a very good idea to
9 store patients' blood." It was something he did, and he
10 was doing that in 1976.
11 Q. Thank you.
12 THE CHAIRMAN: Mr Anderson?
13 MR ANDERSON: Thank you, sir, I have no questions.
14 THE CHAIRMAN: Mr Sheldon.
15 MR SHELDON: No questions, sir, thank you.
16 THE CHAIRMAN: Dr Winter, as you will appreciate, I have got
17 a long way to go and the assessment of your evidence
18 will have to take into account evidence from all sorts
19 of other people before the end, but I think I can say
20 and speak for everyone in saying thank you very much for
21 a very clear account you have given of your evidence in
22 this matter and for all the help you have given the
23 Inquiry. Thank you very much indeed.
24 A. Okay.
25 THE CHAIRMAN: Are we going at that point or do you have

1 other business and we can allow Dr Winter to go?

2 MR GARDINER: I think it is time to go, sir.

3 THE CHAIRMAN: Time to go.

4 (4.12 pm)

5 (The Inquiry adjourned until 9.30 am the following day)

6

7

DR MARK WINTER (continued)1

8

Questions by MS DUNLOP (continued)1

9

Questions by MR DI ROLLO132

10

Questions by MR GARDINER146

11

Further questions by MR DI ROLLO168

12

13

14

15

16

17

18

19

20

21

22

23

24

25

