

Friday, 28 April 2011

1

2 (9.30 am)

3

PROFESSOR CHARLES FORBES (sworn)

4

THE CHAIRMAN: Good morning.

5

Questions by MS DUNLOP

6

MS DUNLOP: Good morning, sir, we have

7

Professor Charles Forbes with us today.

8

Good morning Professor Forbes.

9

A. Good morning.

10

Q. Before I ask some questions of a witness, we usually

11

start by looking at their curriculum vitae, and we have

12

your CV. I don't know if you have a hard copy with you.

13

We didn't print it out because it is very long, but

14

I just wanted to pick up one or two of the things that

15

are in it and it will appear on the screen in front of

16

you. It's WIT0030203.

17

If we go to the first page in, please, just to

18

confirm some details, which I'm sure you will have no

19

difficulty with. But we can see that you graduated

20

MBChB from Glasgow University in 1961 and that you did

21

an MD at Glasgow in 1972. What was your MD?

22

A. It was on blood coagulation and related areas of

23

coagulation.

24

Q. Your current appointment is shown as professor of

25

medicine at the University of Dundee and honorary

1 consultant physician, Tayside University Hospitals, as
2 the first. That is true as at today, is it?

3 A. No, I have now retired seven years ago from that but it
4 was true until then.

5 Q. Yes. The visiting professorship in the department of
6 bioengineering at Strathclyde University, I just
7 wondered, really for our interest, if you could explain
8 what aspects of bioengineering you were involved in?

9 A. This is a very basic department, which looks at the
10 engineering aspects of some medical problems, and I was
11 deeply involved with them and we looked at things like
12 bedsores and why bedsores happened. We looked at the
13 flow of blood and the stickiness of blood. So it was
14 all very relevant to the job I was doing at that time.

15 Q. Can we move to the next page, please? You have listed
16 for us your medical career. We can see your house
17 appointments in 1961 and 1962. I think we will come back
18 to this, but we notice particularly that between 1968
19 and 1970 you were a Fulbright fellow doing research
20 through the American Heart Association with
21 Dr Oscar Ratnoff, and we heard a bit about Dr Ratnoff
22 yesterday and his particular insights into the
23 developing problems of HIV in haemophilia.

24 Then, if we can move to the next page, we see that
25 you have held a number of different roles and

1 responsibilities in The Royal College of Physicians and
2 Surgeons of Glasgow. Perhaps we could just scroll down
3 and look. On the following page, The University of
4 Glasgow. You have obviously, throughout most of your
5 career, had quite a heavy teaching commitment. Is that
6 correct?

7 A. Yes, yes. Undergraduate and postgraduate.

8 Q. Yes. Then the Royal Infirmary of Glasgow, you were the
9 director, Regional Haemophilia Reference Centre, 1983 to
10 1987.

11 Just pausing there, Professor Forbes. The centre in
12 Glasgow, at least the centre at the Royal Infirmary in
13 Glasgow, appears to have had co-directors for quite
14 a lot of the period we have been looking at. I think
15 you were a co-director with Dr McDonald for a while?

16 A. Yes.

17 Q. And also a co-director with Dr Prentice. Is that right?

18 A. Yes.

19 Q. I have noted from other papers that it looks as though
20 Dr Lowe succeeded you. I think you went to Dundee in
21 1987 or 1988 and then Dr Lowe took over. Would that be
22 correct?

23 A. That is correct, yes.

24 Q. He succeeded you?

25 A. Yes. He had worked with me for many years before that

1 but he became director in 1987.

2 Q. Right. Perhaps from the other papers we have, we can
3 put in the dates when other people held various roles.
4 In general terms what was the reason for having
5 co-directors?

6 A. Well, it was a very large centre and very busy. All of
7 us did it as an addition to our normal duties, which
8 were first of all teaching undergraduates and
9 postgraduates, and also the clinical care; we took
10 a share of the acute medical receiving rota. So it was
11 a very busy job and it was better to have somebody else
12 there so that holidays were covered and so on.

13 Q. When Dr McDonald was there, what was his particular
14 role?

15 A. He was involved in the organisation of the department of
16 haematology. So he was in charge of the lab aspects of
17 the care of patients of all kinds of haematological
18 problems, in addition to haemostasis, clotting
19 disorders.

20 Q. I'm asking you that, Professor Forbes, because I don't
21 think Dr McDonald is going to be coming to give
22 evidence.

23 A. I believe that.

24 Q. I thought I would just ask you that while you were here.
25 We can see that you have also had an number of roles in

1 the Scottish Home and Health Department. Then if we
2 look to the next page, we can see your career at the
3 University of Dundee, where you moved in 1987. First of
4 all your university career and then also your roles and
5 responsibilities in Dundee Teaching Hospitals NHS Trust.

6 Moving to the next page, you have plainly had a lot
7 of experience as an examiner, and we can also see listed
8 on that page your particular responsibilities within the
9 area of haemophilia. That is as a member of particular
10 groups and organisations. We can see you are a member
11 of the reference centre directors' group between 1978
12 and 1987; a member of the committee on home therapy,
13 1976 to 1982; chairman of the AIDS subcommittee between
14 1985 and 1987 and the chairman of reference centre
15 directors at that time too.

16 On to the following page. Your editorial posts.
17 A number of different journals and then other
18 appointments. We can see, for example, the Advisory
19 Committee on Dangerous Pathogens, UK Expert Committee on
20 Vascular Disease, a founder member and secretary of the
21 Scottish Heart and Arterial Risk Prevention Group or
22 Society. Haemophilia Society of Great Britain and at
23 the bottom too, the Chest, Heart and Stroke Association.
24 Then if we look on to the following page, one that
25 caught my eye, Professor Forbes, was the Aesculapian

1 Club. Perhaps you could tell us a little bit about
2 that. Aesculapius was a physician, wasn't he?

3 A. Yes, a long time ago, but this is very much a social
4 club, associated with The Royal College of Physicians of
5 Edinburgh.

6 Q. I see:

7 A. So it is very much social?

8 THE CHAIRMAN: It's a dining club, isn't it?

9 A. It is a dining club.

10 MS DUNLOP: Now we know.

11 Then there is the American Heart Association.
12 I guess these are in alphabetical order because there
13 are a lot of them on this page. Then if we look on to
14 the following page.

15 A. The American Heart Association was to do with being in
16 America for two years.

17 Q. I see. And you have even found time, if we go right
18 down on to the following page, to be a governor of the
19 RNLI?

20 A. Yes, that's very much a honorary thing.

21 Q. Yes. Then a very -- if I may say so,
22 Professor Forbes -- impressive list of publications and
23 contributions, and we can only note a small proportion
24 of them as we look at them but it's intriguing to see
25 that in the 1960s, you seem to have done some work on

1 snake venom.

2 A. That was associated with being in East Africa, where we
3 were based very near the serpentarium, and we therefore
4 could get venom from various types of snake. Most of
5 these venoms actually affect blood coagulation or
6 thrombosis. So they were very relevant to what I was
7 interested in.

8 Q. We see too, perhaps slightly more directly connected to
9 what we have been looking at, number 11, an article in
10 the Scottish Medical Journal in 1969 on cryoprecipitate
11 therapy. Can you tell us a little bit about the
12 Scottish Medical Journal. When did that start?

13 A. Well, it's a very ancient journal. It is about
14 200 years old. I became editor and obviously some of my
15 contributions were with them. This one was an early
16 local use and preparation of the cryoprecipitate, which
17 was done in Glasgow with blood transfusion. As you
18 recognise, some of the names here are the senior members
19 at BTS.

20 Q. Yes. Is the Scottish Medical Journal still going?

21 A. Yes.

22 Q. Right. Sorry, maybe I shouldn't have asked that. But
23 just to check that it's still alive.

24 A. No, it is one of these journals that has survived. It
25 has changed a lot but it's still going.

1 Q. Right. Moving through, we see on the next page, another
2 really very wide-ranging succession of articles.
3 I noticed, if we go on to the following page at number
4 28, the publication in Italian for a symposium, an
5 international meeting on haemophilia in Rome. Did you
6 write it in Italian or did you have to have it
7 translated?

8 A. No, I did not write it in Italian; it was translated for
9 us.

10 Q. I see. I was offering you the chance to note that you
11 were able to write these papers in Italian as well as in
12 English.

13 A. No, difficult enough in English.

14 Q. Yes. Then just really scrolling through. If we move
15 on, the next one that caught my eye was actually number
16 66 because it's one of a number of papers. This one is
17 connected with pre-eclampsia. It is one of a number of
18 papers which seem to be connected with obstetrics. So
19 you have had an interest in, I suppose, particularly
20 thrombotic conditions in pregnancy, have you?

21 A. Absolutely. We had colleagues in the department of
22 obstetrics who were particularly interested in and
23 collaborated with us. So that was why it came about.

24 Q. And indeed, a number of articles in that area feature in
25 your list. 73 would be another one and so on?

1 A. Yes, Peter Howie became the professor of obstetrics in
2 Dundee in fact.

3 Q. Yes. Then number 89. You have written an article in
4 the Scottish Medical Journal on students and their
5 health. That must have been an interesting piece of
6 research?

7 A. Well, the problem is that the health problems of
8 students totally determined what becomes of them and how
9 well they do in their academic studies. So it was,
10 I thought, very relevant to the job I was doing.

11 Q. I notice too that number 95 was an article on renal
12 disorders in haemophilia. Going on through the list, we
13 can actually see a notice number 135. We have to go on
14 a few pages. One called "Self-perception of employed
15 and unemployed haemophiliacs".

16 A. Well, at this time I had become involved with a group of
17 psychologists at Stirling University, and Ivana Markova
18 there was the professor of psychology, and many of the
19 problems we saw in our patients had psychological
20 backgrounds which were very, very relevant and
21 potentially changeable. So we explored many of their
22 problems over many years with this group.

23 Q. Yes. I think, Professor Forbes, that it is really part
24 of a wider impression that I had as I looked through
25 this list -- for example, there is that article on the

1 self-perception of employed and unemployed
2 haemophiliacs, then there is another one on the next
3 page, "Integration of haemophilic boys into normal
4 schools", "Impact of haemophilia on child-rearing
5 practices and parental cooperation" -- that you have
6 taken an interest really in all aspects of haemophilia.
7 So a very holistic approach. Am I right about that?

8 A. Well, I think these things are so important because what
9 happens in early youth determines what happens in later
10 adult life, and we spent a lot of time looking at their
11 education. Catherine MacDonald in 146 there was
12 a teacher and she became a psychologist as well, and
13 that's the reason that some of these are in.

14 Q. Yes. Another one, I suppose we perhaps can note,
15 because we can see it there, you have also looked at the
16 effects of age and cigarette smoking on blood and plasma
17 viscosity in men; another, I suppose, thrombosis-related
18 interest, I would guess?

19 A. Yes. You will notice as the CV goes on, it becomes more
20 interested in thrombosis and the causation of
21 thrombosis, which is a much bigger problem in Glasgow
22 and Scotland.

23 Q. I did notice that, professor, it looked as though you
24 had moved really past or out of haemophilia more towards
25 the other end of the spectrum, if one can put it

1 crudely, to look at cardiovascular problems --

2 A. Absolutely.

3 Q. Just noting another few of your articles as we look at
4 the list. I notice 196, which I think is part of the
5 same subset as the one we looked at a moment ago, where
6 you told us about Ivana Markova, "The haemophilic
7 patient's self-perception of changes in health and
8 lifestyle arising from self-treatment."

9 I think we all already know enough to understand
10 that at that point the sorts of self-perception you must
11 have been encountering would have been very positive.

12 A. We were always very struck by the fact that many of
13 these young men had behavioural problems, taking part in
14 activities that were, to the normal person, very
15 dangerous and that was why we started looking in depth
16 at a cohort of young people with haemophilia.

17 Q. And predictably perhaps, towards the bottom of that
18 page, we start to see articles on a different theme.
19 "Immunological abnormalities in haemophilia: Are they
20 caused by American Factor VIII concentrate?" BMJ
21 (1983).

22 A. We were always very intrigued as to how all this
23 happened. I don't think we even, after all the
24 investigations and papers, clearly know what happened.
25 But it clearly, at that time, seemed to be associated

1 with American concentrate, although I would probably
2 have to say that maybe that's not totally true.

3 Q. Yes. The next page, 219, you looked at coronary artery
4 disease in severe haemophilia. What is the extent of
5 that as a problem?

6 A. This was the great paradox that here was a man -- it was
7 a single case report --

8 Q. I see, sorry?

9 A. -- in which he would bleed and bleed and bleed, as many
10 haemophiliacs did until they were treated, and yet when
11 he died, he died with coronary artery disease due to
12 atheroma and thrombosis. So it was a great paradox and
13 we wrote this up as an interest paper. It has been
14 reported elsewhere since then.

15 Q. So in fact a rare occurrence?

16 A. Rare.

17 Q. Then 268, an article that we refer to in the preliminary
18 report: "Acquired immune deficiency syndrome:
19 an overview," Scottish Medical Journal (1985). I think
20 it was January 1985?

21 A. Yes, that was just to bring everyone up-to-date with the
22 state of play of the problems in haemophilia.

23 Q. Yes. Jumping to 314, I noticed an article entitled
24 "Haemophilic arthritis". Is that a direct consequence
25 of the bleeding that we have heard people experience in

1 their joints?

2 A. This is the major clinical problem of all young
3 haemophiliacs, that they bleed into their joints and
4 after a time, a series of events continue in which they
5 rebleed and they continue to destroy their joints. So
6 that was part of our studies, looking at this particular
7 aspect. But it's a very common problem in haemophilia.

8 Q. Right. You have also looked -- 336 -- at liver
9 dysfunction in haemophilia?

10 A. Again, that's a reflection of the fact that it was such
11 a common problem. We were aware of it happening. We
12 didn't understand why it happened. We presumed it was
13 a virus or viruses of some kind and no doubt we will
14 come back to that.

15 Q. Yes. Moving on, one or two further articles I noticed
16 about themes we have mentioned. Arthritis in
17 haemophilia. Really very many more publications,
18 professor; one on thrombosis in airline passengers,
19 something that we have all heard of too. I'm not sure if
20 this is the next number in our database or if we can
21 just keep going. No doubt I'll find out.

22 There is another section at the end of the articles
23 headed, "Chapters and related educational publications".
24 457 publications. Then we see that you have also
25 written a large number of chapters and other

1 publications, many, obviously, on coagulation defects.
2 Then, after we have noticed 55 entries in that section,
3 you also have books and other publications, and
4 I noticed from the list of books that you have worked
5 with both Dr Evatt and Dr Aledort. Is that correct?
6 A. Yes.
7 Q. I think we are all very aware, particularly since
8 yesterday, that those individuals don't see eye to eye
9 nowadays. I'm not sure if they ever did.
10 A. No, I don't think they ever did but ...
11 Q. I don't think I need to ask you, professor, to say
12 anything particular on that. It is just in the context
13 of everything we looked at yesterday, it was quite
14 striking that you had worked with both these
15 individuals.
16 Thank you for expanding on some of those entries for
17 us, professor. With that exercise completed, I would
18 like you now to go to your statement, which is
19 [\[PEN0150254\]](#).
20 A. Yes.
21 Q. And you have, I think, a hard copy of that?
22 A. Yes.
23 Q. You tell us that your interests in haemophilia started
24 in 1961 and on qualification you started at the RHSC in
25 Glasgow. That would be a house job?

1 A. Yes.

2 Q. Yes. So six months?

3 A. Six months.

4 Q. Yes. And that was actually a surgical position and you
5 were looking after children with haemophilia, who had
6 surgical problems, especially joint disease, and
7 I suppose in those days really very young children had
8 joint problems?

9 A. Indeed, they did. Also abdominal problems like
10 appendicitis and so on. So all the routine of young
11 children was seen there, and obviously in those with
12 haemophilia the problems were compounded by their
13 bleeding tendency.

14 Q. Then you tell us that you were seconded to the
15 University of East Africa, the Kenyatta National
16 Hospital. I'm guessing from the name that that might
17 have been in Nairobi, was it?

18 A. It was. It used to be called the King George VI
19 Hospital but on Africanisation it became the Kenyatta
20 National, and still exists as their main medical
21 facility.

22 Q. You say this secondment was in association with
23 Professor Douglas. How did Professor Douglas end up
24 having a connection with the hospital in Nairobi?

25 A. Well, the British Government were wanting to provide

1 help to Kenya because when things were divvied up at
2 independence, Kenya didn't have a medical school, and it
3 was thought by the Government that it would be quite
4 easy to make a medical school there quickly and get it
5 up and running within a year. So a team from Glasgow
6 were selected to go out and that was led at that time by
7 Professor Douglas.

8 Q. Right.

9 A. He was appointed head of the team for the medical school
10 and I came along as a boy at that time.

11 Q. A very interesting opportunity, no doubt?

12 A. A wonderful opportunity. Because we saw things we had
13 never seen before; diseases we hadn't seen before or
14 even dreamt about. So good medical experience.

15 Q. Professor Douglas. We have seen his name on some
16 committees and working groups, particularly in the early
17 1970s. What was his chair?

18 A. His chair at that time was in the Royal Infirmary in
19 Glasgow and his interest was in blood coagulation and
20 thrombosis.

21 Q. Right.

22 A. He then was appointed to Aberdeen University, where he
23 became professor of medicine, and he continued and built
24 up a department in Aberdeen of the same kind as Glasgow
25 with a lot of interest in coagulation and thrombosis.

1 That continues to this day.

2 Q. I see. You tell us actually, in paragraph 3, that

3 Professor Douglas' work started in Oxford in the centre

4 run by Professor McFarlane.

5 A. They were friends and he went down to work there, and at

6 that time his main contribution was he divided the

7 disease of haemophilia into two totally separate

8 conditions. So that was his claim to fame.

9 Q. Right. Was that really the two of them together or was

10 it more Professor Douglas?

11 A. Well, he had worked on it and Professor McFarlane was in

12 charge of the unit at that time, in Oxford.

13 Q. You use the term "Christmas Disease". I suppose

14 nowadays people say Haemophilia B more often than they

15 say Christmas Disease?

16 A. Well, it depends on the age of the person you are

17 talking to. It is Haemophilia B and it is due to

18 a different defect, a different protein abnormality.

19 Therefore there are major differences in treatment.

20 Q. A witness in our first block, Dr Norfolk, corrected what

21 was certainly a misapprehension on my part. I thought

22 Christmas had something to do with the time of year but

23 he told us there was a Mr Christmas.

24 A. There was a Stephen Christmas who was the first patient

25 described with this other defect.

1 Q. I see. At the end of paragraph 3 you talk about the
2 set-up in Glasgow. You say -- and this is
3 Professor Douglas:

4 "... was involved in the general treatment of adult
5 patients. Children were treated separately At the Royal
6 Hospital for Sick Children by the then director,
7 Professor Michael Willoughby."

8 We know that Professor Willoughby is dead. In fact
9 he went to Australia.

10 A. He did. He went to Perth.

11 Q. I wonder, Professor Forbes, if you can help us a little
12 bit about the organisation at Yorkhill in the 1970s. I'm
13 fully aware that you were working in adult care at that
14 time but certainly in this block you are our only
15 witness who was in practice in haemophilia care in
16 Glasgow in the 1970s.

17 I can't put this up on the screen because it's only
18 a hard copy, but this book, which is called "The
19 Yorkhill Story" -- I don't know if you have ever seen
20 it?

21 A. No.

22 Q. Right. Well, it happens to be something that I possess.
23 It is published in 1972 and I think, sir, we will scan
24 in the relevant pages in due course, but really the most
25 significant thing about it is that there is nothing

1 about haemophilia in it.

2 So it's published in 1972 and I looked up
3 Dr Willoughby and there are two references. We learn
4 from this that Dr Willoughby was undertaking intensive
5 research into leukaemia. That's what's said about him.
6 That's page 168. He is listed at the end of the book --
7 this is page 195 -- as a consultant certainly. He is
8 listed as the only consultant in haematology and the
9 general heading actually is "Laboratories", and then
10 "Haematology, Dr M L N Willoughby".

11 I suppose there are a couple of points that arise
12 from that. The first is that at that time haematology
13 is listed under a heading "Laboratories". So in the
14 early 1970s was it perceived more as a laboratory-based
15 specialism than it might be today?

16 A. Yes. That was a time of change, in which people who
17 were working in laboratories in haematology became more
18 clinically orientated, and as the diseases became more
19 specialised, it became absolutely mandatory that people
20 who were looking after patients had the background of
21 the lab as well. So that's a point of change in which
22 the haematologists became very clinically-orientated.

23 Q. Yes.

24 A. Michael Willoughby was a great enthusiast and a very
25 efficient and effective haematologist, but he did look

1 after the patients in the wards. So he was starting to
2 become a clinician and certainly his interest was
3 leukaemia, but he also had an major interest in bleeding
4 disorders. So he looked after the patients very well.
5 Before that, I would say Professor Douglas and his staff
6 were often asked to go to Yorkhill, which happily they
7 did, and did what was necessary for bleeding disorders.
8 So the cover was there.

9 Q. Yes. You see, professor, we have had statistics
10 supplied -- really very extensive statistics -- by
11 UKHCDO, and in relation to Yorkhill the number of
12 patients shown in 1970 is only three. In 1975 it is
13 only eight. But in 1980 it is 69 for Yorkhill. So my
14 question to you is: is it really the case that the
15 centre at Yorkhill didn't get going until the second
16 half of the 1970s?

17 A. Well, as shown by the figures that is true, but it was
18 the fact that there were people there who were able to
19 do what was necessary and to treat the patients from
20 other centres. Up until then they had been scattered
21 all over the West of Scotland, and local paediatricians
22 would look after individual patients. But at this time,
23 as things became more specialised, it was apparent that
24 it was better that they all be looked after in one
25 knowledgeable centre.

1 Q. Right. You are perhaps aware, professor, that in our
2 first block we looked at statistics for the number of
3 patients with haemophilia in Scotland who looked to have
4 acquired HIV through their treatment and that the figure
5 for Yorkhill is 21?

6 A. Per cent?

7 Q. No, 21 boys. The chairman, I think, pointed out at the
8 time that that works out at around 35 per cent. It is
9 difficult to be precise because we only have numbers for
10 registered patients at five-year intervals, but it is
11 really, compared to the adult centres in Glasgow and
12 Edinburgh, very much higher.

13 We know from the UKHCDO statistics that a lot of
14 commercial product was used at Yorkhill towards the end
15 of the 1970s, around 1980, and we can also see from the
16 minutes of meetings that it was known that a lot of
17 commercial product was being used in Glasgow,
18 particularly in the children's hospital. Do you
19 remember Dr Willoughby having a preference for
20 commercial products?

21 A. Well, I'm not sure I remember much about his preference
22 but the fact is that the concentrate could be given in
23 a much smaller volume and, as some of these were babies
24 and very young children with a very low blood volume, it
25 seemed very reasonable to use concentrate for them.

1 Q. Yes.

2 A. The problem with the cryoprecipitate is that you were
3 having to deal with a big volume and many of these
4 little children couldn't tolerate that.

5 Q. Yes. I understand that, professor, but I suppose I'm
6 particularly interested in the choice to use commercial
7 products rather than NHS products, because I think at
8 the Royal Infirmary, and indeed at Edinburgh
9 Royal Infirmary, there was a lot of use of NHS product.
10 What was it that made the difference for Dr Willoughby?

11 A. He may have had money to buy it. Because all that would
12 be bought expensively.

13 Q. Are you in a position to tell us anything about why he
14 might have had money to buy that?

15 A. I have no idea.

16 Q. You have no idea. Was that different from -- sorry?

17 THE CHAIRMAN: Can you tell us anything about it,
18 Professor Forbes? I think we do have to explore what
19 may be seen to be an anomaly within Scotland in the
20 approach at Yorkhill. So any help you can give us would
21 be valuable.

22 A. I don't know anything about the purchase or anything of
23 concentrate at this time. I was not involved at all.

24 THE CHAIRMAN: I see.

25 A. But if you look nationally there were many other centres

1 in the UK who were using wholly and totally commercial
2 concentrates at vast expense, and the centres that were
3 doing that or able to do it were Newcastle and some of
4 the London centres. At the end of the day, their
5 incidence of HIV infection in their haemophilic patients
6 was enormous, 90 per cent.

7 MS DUNLOP: Yes. I appreciate that, professor, but we did
8 do a calculation as at 1980, and all of this is rather
9 approximate, but as at 1980 both in Edinburgh Royal and
10 Glasgow Royal, out of the total concentrates used, the
11 figure for NHS concentrate was around about 90 per cent
12 in both these centres, whereas at Yorkhill, NHS
13 concentrate only made up about 19 per cent of what was
14 being used. At least to us, it appears quite
15 a significant difference.

16 A. Yes, I don't know if I can instantly explain that. But
17 the perception was that the NHS concentrate was maybe
18 not as effective or as efficient as the commercial
19 concentrates.

20 Q. Your reference to a possibility that Dr Willoughby had
21 money to buy the material, would that have been in
22 contrast to you. Did you not have a budget for anything
23 like that?

24 A. We had no money whatsoever. So we used what was
25 available all the time.

1 Q. Can we move to paragraph 4 of your statement, please?
2 You say, at the end of the period of secondment -- of
3 course, I have taken you rather off your track. I think
4 that's the secondment in Nairobi. You were asked to go
5 to work at the Royal Infirmary?
6 A. Yes.
7 Q. I read across from your CV that we are talking here
8 about 1966 to 1968. Is that right?
9 A. Yes.
10 Q. Special job in the care of patients with haemophilia and
11 related bleeding disorders. Then in 1968 you went to
12 Cleveland with Professor Ratnoff?
13 A. That is correct.
14 Q. I expect that this was extremely valuable experience,
15 was it?
16 A. Wonderful opportunity, and I stayed two years with him.
17 Q. I think perhaps we will come back to Professor Ratnoff.
18 By paragraph 5, I think this period:
19 "1971 I returned to the Royal Infirmary in Glasgow."
20 You say, I think, by this point you are a senior
21 registrar. Is that right?
22 A. Yes.
23 Q. I noted too -- and this is again from your CV -- that
24 you became a senior lecturer and a honorary consultant
25 in 1974?

1 A. Yes.

2 Q. Paragraph 6, you tell us:

3 "The West of Scotland Haemophilia Centre became one
4 of the largest in the country with approximately 300
5 active patients."

6 It looks from what you go on to describe there as
7 though you had a sort of open-access policy. Is that
8 right?

9 A. We did.

10 Q. How exactly did that work? Was it a nine-to-five
11 service?

12 A. No, it was a 24-hour service but we did try to encourage
13 patients to come within reasonable working hours, but we
14 had an open-access service 24 hours a day. And many of
15 these emergency patients in fact did need to come in
16 very urgently for treatment.

17 Q. I suppose the benefit of that would be that a patient
18 who was having a bleed didn't need to go to ordinary
19 casualty; they could come straight to you?

20 A. We tried to dissuade that. It was very difficult. It
21 took a longtime to get the ambulance people and the
22 casualty people to agree that they could be bypassed.

23 Q. I see. And you say you had an on-call commitment every
24 weekend, no doubt because people have these bleeding
25 experiences at all times of the day and night?

1 A. Absolutely, any time.

2 Q. We asked you --

3 THE CHAIRMAN: Professor, when you took up these positions,
4 was Dr Willoughby still in position?

5 A. Yes.

6 THE CHAIRMAN: I don't think we know much about the people
7 who may have worked with him at this time. Do you have
8 any recollection of who his colleagues would have been
9 at Yorkhill? Directly relevant colleagues?

10 A. Yes. I think you are going to hear next week from one
11 of them, who also worked with us in the Royal and then
12 with him in Yorkhill, and that's Anna Pettigrew. So you
13 are going to hear from her.

14 THE CHAIRMAN: Were there others?

15 A. Indeed there were, but the names have gone.

16 THE CHAIRMAN: The other question: now that you are involved
17 in these roles yourself, the difference between your
18 ability to fund commercial purchases, as it were, and
19 Dr Willoughby's might have been more pointed in your own
20 mind. Were there any particular factors that might have
21 enabled Dr Willoughby to purchase commercial product?
22 He was, after all, dealing with very young children, for
23 example.

24 A. Well, it would be fair to say that dealing with young
25 children is very much more emotional than dealing with

1 older patients. I suspect there were funds available
2 within Yorkhill but I have no idea what and how much,
3 and when and who had them and so on.

4 THE CHAIRMAN: Yes. You simply wouldn't have contact with
5 that information?

6 A. No, but Dr Pettigrew might have when you see her next
7 week.

8 THE CHAIRMAN: Thank you.

9 MS DUNLOP: Thank you, sir.

10 Professor, can I just backtrack a moment. I wanted
11 to go back to an answer you gave when you said: it is
12 possible that the NHS concentrates weren't seen as being
13 as effective or efficient as the commercial
14 concentrates. Was that your own experience?

15 A. I think that was a view that we had.

16 Q. Based on direct experience of a comparison or based on
17 just a general understanding?

18 A. I think it was from experience that we thought that.

19 THE CHAIRMAN: Can you say in what respect? I can
20 understand that there could be a whole range of
21 differences, for example, efficiency of administration,
22 the rate of response to the product, the percentage of
23 active proteins as against the total protein content and
24 so on. What would be the measure that you had in mind?

25 A. I think it was efficacy; I think it was the effect they

1 had. Maybe also the ability of them to dissolve as
2 readily. So there were a whole range of things that we
3 maybe felt were not as good.

4 THE CHAIRMAN: We have heard the expression "purity" in this
5 context, which I rather took to mean that the commercial
6 products at certain periods, may have had a lower level
7 of proteins that were not actively engaged in the
8 therapy.

9 A. I think that would be fair to say on occasions.

10 THE CHAIRMAN: Yes. Again, if you can help, it would be of
11 great advantage because it's not easy for us immediately
12 to understand what the differences might be unless we
13 are helped.

14 MS DUNLOP: I suppose, professor, what you were saying about
15 being able to dissolve the concentrate, if we can take
16 that first, that's really a reason related to
17 convenience, I suppose, is it?

18 A. It sometimes took a long time for the material to
19 dissolve properly and sometimes there was always
20 a residuum of insoluable and therefore wasted material.

21 Q. Right. And this is your own recollection of working
22 with NHS product, is it?

23 A. Yes. On occasion.

24 Q. Right. The other word you used was "potency". So does
25 that -- well, what does that actually mean about an

1 individual vial of Factor VIII from NHS production? In
2 what sense would --

3 A. How much Factor VIII is there and is able to be given
4 per vial.

5 Q. So a sort of percentage proof notion?

6 A. Yes.

7 Q. Right. Okay. Your recollection is that that was lower
8 with NHS product, may have been lower?

9 A. Sometimes, sometimes.

10 Q. Right. Do you accept, Professor Forbes, that we will
11 have to put these points to people from the protein
12 fractionation centre and people who were directly
13 responsible for preparation of the material, and that
14 they may have other views?

15 A. Yes.

16 Q. Right.

17 A. I would expect them to have.

18 Q. You were talking about the open-access policy, or the
19 open-access clinic in the West of Scotland centre, and
20 you told us it was a 24-hour, seven days a week
21 facility. Is that right?

22 A. Yes.

23 Q. Yes. We asked you if you had seen the World in Action
24 programme in December 1975. We have all seen it because
25 we watched it yesterday, and I think you have recently

1 watched it too?

2 A. I have seen it twice.

3 Q. Yes. You say in your statement:

4 "I'm not aware of seeing the World in Action
5 programme in December 1975 and indeed did not watch much
6 television at that time."

7 I just wondered, professor, even if you didn't see
8 it, was it not the talk of the hospital?

9 A. It was the talk of the haemophilia part of the hospital.
10 Very much so.

11 Q. Right. So when you say "I was not aware," in your
12 statement, you do actually remember hearing about it, do
13 you?

14 A. Absolutely.

15 Q. Yes. What did you hear about it?

16 A. I think there was a gasp of disbelief when they showed
17 the types of donors that were being used to give plasma
18 in commercial centres, and I think that was the dominant
19 thing in the discussions at that time.

20 Q. Did you experience a sort of gasp of disbelief yourself
21 when you watched it recently?

22 A. I did. I was appalled. I think that's a reasonable
23 statement. There was no monitoring at all of these paid
24 donors; and even if they were asked questions, they
25 denied that they had any problems whatsoever but clearly

1 they did have, and to see them drinking alcohol
2 immediately before they go in for their blood donations
3 is incredible, but of course my view is now tempered by
4 the passage of time, that one would say that is awful.

5 THE CHAIRMAN: Could you help us about a little bit more?
6 It must have been the talk of the --

7 A. It undoubtedly was.

8 THE CHAIRMAN: Because part of the background would be that,
9 at least at Yorkhill by then, there must have been
10 a well established pattern of use of imported commercial
11 material.

12 A. Well, I'm not sure what commercial product they were
13 using. I think that most of the programme on television
14 was about Hemofil.

15 THE CHAIRMAN: Yes, it was.

16 A. And that would be one of the products only that might
17 have been purchased, but I don't know that so I can't
18 comment on that.

19 THE CHAIRMAN: But if one had by then information from
20 America that the incidence of transmission of hepatitis
21 was much higher anyway in connection with commercial
22 products generally, and if one then saw that programme,
23 would it not have caused quite a stir among
24 practitioners?

25 A. I think it probably did but I'm not aware of detail of

1 anything at that time, but I know that people felt that
2 this was not the way to go. And that commercial
3 concentrates of all kinds, probably not just the Hemofil
4 but the other ones, were all tarred with the same brush.

5 THE CHAIRMAN: That's the sort of impression I thought one
6 might have formed but... Ms Dunlop?

7 MS DUNLOP: I suppose, sir, going back to the figures in
8 1975, there are only the eight registered patients
9 shown, according to UKHCDO, and the tables that we have
10 showing usages of product for Yorkhill, only date from
11 1977. All the Scottish centres provide detail for the
12 use of products from much earlier than that, but for
13 Yorkhill the figures that they provide only start in
14 1977.

15 That may be because of some problem with data
16 collection or data transfer; equally, it may be that
17 it's around about 1977 that this sort of treatment on
18 a large scale begins in Yorkhill. But I suppose, given
19 what you have told us already, you are not really able
20 to recall what the explanation might be.

21 A. I can't help on that.

22 THE CHAIRMAN: Would it be a consolation to you,
23 Professor Forbes if Yorkhill took up significant usage
24 of commercial products after 1975 in the light of the
25 programme?

1 A. No comment.

2 THE CHAIRMAN: No comment.

3 MS DUNLOP: Well, perhaps we can leave your statement for
4 a little bit, professor, and go back slightly in time.
5 I wanted to ask you to look at a document from 1974.
6 It's the minutes of a joint meeting of the directors of
7 haemophilia centres and blood transfusion directors held
8 in Sheffield on 31 January 1974. It's [\[SNB0072190\]](#).

9 A. Yes.

10 Q. You should have that, I hope?

11 A. I have it, thank you, and I was there.

12 Q. That was going to be my next question but you have
13 answered that.

14 We asked Dr Winter about this yesterday but these
15 were really very large gatherings, weren't they?

16 A. It varied a bit but this one must have been quite
17 enormous.

18 Q. Yes. The first part I wanted to look at is on
19 page 2194. We can see that at that meeting:
20 "... there was a wide-ranging discussion about the
21 relative merits of cryoprecipitate and freeze-dried
22 concentrates with regard to ease of manufacture. Some
23 felt it was rather meaningless to ask doctors if they
24 would prefer freeze-dried concentrate to cryoprecipitate
25 when no freeze-dried concentrates were available to

1 them."

2 So I suppose when we see the question that was put
3 at the end of that discussion -- "What would you
4 prefer?" -- for some of those commenting it must have
5 been hypothetical, but it is pretty clear, if we read on
6 to page 6, which is 2195, that there was a unanimous
7 preference for freeze-dried concentrate over
8 cryoprecipitate. Do you remember that discussion at
9 all? I mean, I know it is an extremely long time ago
10 but I just wondered if you remembered.

11 A. I don't remember the discussion but I probably would
12 agree what the conclusion was. But I don't remember it.

13 Q. Right. If we look at 2197, so if we go on to page 8, we
14 see the sorts of comments with which we are quite
15 familiar now:

16 "Cryoprecipitate was not ideal. For home therapy
17 from many points of view some directors were buying
18 commercial AHG."

19 As it was still sometimes known, I suppose, for use
20 in home therapy.

21 I wanted to ask you about another document from
22 around that time, Professor Forbes. It is [\[DHF0023161\]](#).

23 A. Yes, I have it, thank you.

24 Q. Good.

25 It's quite a heavily redacted document but we can

1 see it is the minutes of the meeting of the Expert Group
2 On the Treatment of Haemophilia. We have seen this week
3 a bit of information about the establishment of that
4 group in 1973, but it's the minutes of their meeting on
5 11 October 1974.

6 If we can just go down, please, on to the following
7 page. Not particularly illuminating minutes. On this
8 page we can see that the list of reference centres was
9 to be revised, and we can see various reference centres
10 listed but there isn't anything about Scotland. So
11 I suppose my first deduction might be that there wasn't
12 actually anybody from Scotland at the meeting. That
13 might be possible. You don't recognise it, I take it?

14 A. I don't remember.

15 Q. No. This issue about whether Glasgow and Edinburgh were
16 or weren't reference centres, for example -- I'm not
17 going to go to this, but in the minutes of a meeting of
18 reference centre directors in October 1979, it says that
19 Glasgow and Edinburgh unofficially acted as reference
20 centres. Was that something that recurred over the
21 years, whether Glasgow and Edinburgh were or weren't
22 reference centres?

23 A. I think they were just accepted as being there and
24 functioning as reference centres. I don't remember when
25 they were first officially designated, but in general

1 terms we just accepted we were reference centres and
2 functioned as such.

3 Q. Yes. Certainly in your CV, you showed that you had been
4 a reference centre director. I can't remember the year
5 but possibly in the 1970s. So de facto, as you say, it
6 looks as though there was a kind of understanding that
7 Glasgow and Edinburgh were. But do you think it ever
8 affected the flow of information that the formal
9 designation was missing?

10 A. I don't think so for one minute. We were in the loop
11 for all the communications, and in fact, as often
12 happens, we were overwhelmed by the amount of stuff that
13 was coming in from all directions.

14 Q. Can we just look at the next page. As I say, the
15 minutes are not very revealing, but there was
16 a recommendation for spending on home therapy and then
17 there is still some use, if we go down the page a bit.
18 We can see paper 5. There has been some use of
19 cryoprecipitate for home treatment.

20 A. I don't think we ever felt that we were out of the loop
21 and were being neglected or ignored. So I don't think
22 that's particularly important.

23 Q. Thank you. I just notice a section at the end of the
24 page we are looking at just now, which is page 4, that:
25 "Members were of the opinion that many of the

1 advantages of home treatment could not be quantified,
2 for example the reduction in the number of children
3 crippled or the improvement in the quality of life for
4 patients on home treatment. A costing study would be of
5 little benefit at the present time."

6 Do you agree with the sentence that begins, "members
7 were of the opinion ..."?

8 A. I think that that would be out of date now. I think
9 that most people who were on home treatment programmes
10 eventually had better joints and less crippling. So I'm
11 in no doubt that home treatment was the way ahead at
12 that time. While that may have been a very early view,
13 I don't think that in the long-term that's acceptable.

14 Q. Right. I think the thrust of it, at least to me,
15 appears to be that this was so good that, you know, the
16 pounds, shillings and pence of it was maybe a secondary
17 consideration because of the unquantifiable benefits of
18 the treatment. That's, I think, how I would read it.
19 Would you agree with that?

20 A. Yes.

21 Q. Is that the view that was widely held at the time?

22 A. Yes, I would.

23 Q. I think you are saying you would agree with that?

24 A. Yes.

25 Q. Right. Can we look at another document from around this

1 time? I think we can deduce from the material in it
2 that it's around about 1974, probably about half way
3 through. It is [\[DHF0023406\]](#).

4 A. Yes, I have it.

5 Q. I can give you a minute to look at it. I just wondered
6 about what people really meant by the term "home
7 therapy" at that time. We can see from the first page,
8 again number 5, this preference for lyophilised
9 concentrate to cryoprecipitate, and then different
10 classes of requirements:

11 "Routine treatment of early bleeding, cover for
12 dental extraction, routine surgery, cover for heroic
13 surgery and major trauma, management of serious bleeding
14 and the growing requirement to provide home treatment."

15 If we can look on to the following page,
16 paragraph 11 sets out what seems to be envisaged as
17 a kind of holding position until there is enough NHS
18 material. This is for the whole of the UK. But there
19 is a plan or a suggestion that commercial material
20 should be used in three areas and it's the third one
21 I wanted to ask you about:

22 "... for the immediate provision of home treatment
23 in suitable cases who lived too far from
24 a haemophilia centre to be adequately treated there."

25 Was it the case in the 1970s, when home treatment

1 came in, that it was originally really envisaged only
2 for people who lived a long way from the centre?

3 A. No, it was literally what it says "for home treatment",
4 and the advantage of that was that patients who had
5 bled, let's say into at joint or abdomen, could in fact
6 give their treatment instantly, whereas in days gone by
7 they would have to have phone for an ambulance, wait,
8 get taken to an inappropriate casualty department, wait
9 again, be assessed and then many hours later they would
10 get their treatment.

11 Q. Right.

12 A. So the advantage of home treatment was it could be given
13 immediately by the person involved or their family.

14 Q. Right. So you certainly don't recall in the mid 1970s
15 some sort of principle or criterion that the only people
16 on home treatment should be people who lived a long way
17 away from a haemophilia centre?

18 A. No, I don't remember that and I don't think that would
19 be a good idea.

20 Q. Right. I wanted to ask you another question about this
21 period and the use and introduction of the commercial
22 concentrates in particular. We looked yesterday at an
23 article, which I think you may have in front of you --
24 or possibly not actually. But I can simply highlight
25 two facts from it. It's one we looked at from a journal

1 called "Transfusion" in 1993, and it's about the
2 evolution of clotting factor concentrates. I don't
3 think you do have it, professor, because I think I can
4 read out the only piece of information I want or need
5 from it. Its reference is [\[SGH0021947\]](#).

6 What interested me from this was that the first
7 concentrate described appears to have been a Hyland
8 product and it was licensed by the FDA in May 1966. I'm
9 taking this, sir, from page 429 of the article, which is
10 1954 in the signature reference.

11 So Hyland had a product licensed by the FDA in
12 America in May 1966 and then the first one called
13 "Hemofil" appears to have been in 1968. Do you remember
14 why it took until 1973 before they came to Britain?

15 A. I have no idea.

16 Q. Right. I just thought you might know. I didn't want to
17 miss a chance of asking you.

18 A. I presume all these would be commercial products.

19 Q. Yes.

20 A. And therefore would require money to be found but I have
21 no idea.

22 Q. They weren't licensed in Britain until 1973.

23 A. Oh, right.

24 Q. I suppose the possibilities would be that the companies
25 or the company didn't want to market its product in the

1 United Kingdom or that for some reason they didn't
2 acquire a licence to do so until 1973, but you don't
3 recall what the story was?

4 A. No, no.

5 Q. If we look at our preliminary report at page 568. The
6 signature reference for this is page 16 of [\[PEN0131433\]](#).

7 I just wanted to look at this, Professor Forbes,
8 because the first mention of commercial product that we
9 can see for Glasgow Royal Infirmary appears to be 1976.
10 There is a reference to Hemofil there. Does that accord
11 with your recollection, that that would be about the
12 time when American commercial products started to be
13 used at Glasgow Royal Infirmary?

14 A. Well, I have no memory that helps me in this but it must
15 have been.

16 Q. Right. And actually, over the next few years we don't
17 have any quantities but we can see products from other
18 manufacturers. We can see a product Koate, from Cutter;
19 Factorate, which was from Armour; Cryobulin, which
20 I think was actually from Immuno, the Austrian company.
21 So various commercial products as well as Factor VIII
22 from PFC?

23 A. I think that was only due to the system we had in
24 Glasgow that, when we wanted something to give, we had
25 to approach the people in blood transfusion, who then

1 Q. Can we look at a Scottish circular. This is
2 [\[SNB0057275\]](#). Do you see, this is dated December 1964.
3 It is Scottish hospital memorandum number 89 of 1964.
4 The subject matter is, "Hospital blood transfusion
5 arrangement and the supply of blood products in clinical
6 use".

7 Looking particularly at paragraph 11, which is on
8 page 7277:

9 "All blood for transfusion must be regarded as
10 potentially contaminated. The most important
11 transmissible disease in this country is homologous
12 serum jaundice, or serumhepatitis, the incidence of
13 which is five per 1000 recipients of blood or small pool
14 plasma. No transfusion should be undertaken unless the
15 benefits outweigh the risk of hepatitis."

16 Then, as far as blood products are concerned, 13:

17 "As with whole blood, these products should be used
18 only when there is a clear clinical necessity."

19 What's said is that:

20 "They may carry the risk of transmitting serum
21 hepatitis."

22 That's the first identified problem. Do you agree
23 with that as an analysis of the understanding of the
24 dangers of transfusion or the risks of transfusion and
25 the use of blood products in the 1960s and 1970s?

1 A. Yes, totally.

2 THE CHAIRMAN: Do we have the appendix available Ms Dunlop?

3 MS DUNLOP: Yes, it is the next page. It is a list of blood
4 products, that's all.

5 THE CHAIRMAN: Yes, that's what I would like to see just in
6 passing.

7 MS DUNLOP: Well, we do.

8 THE CHAIRMAN: Item number 3 is Factor I. It is fibrinogen.
9 So what does that imply as to what's happening in the
10 blood products world at that stage? This is the Cohn
11 fractionation that would be carried out at every blood
12 transfusion centre, is it, Professor Forbes?

13 A. Yes.

14 THE CHAIRMAN: It is just to get a starting point because we
15 know that there are some other references that don't
16 quite recognise it as early as that.

17 MS DUNLOP: Yes, number 7, which is on the next page, is
18 antihaemophilic fraction.

19 THE CHAIRMAN: Yes.

20 MS DUNLOP: I think we know from evidence that we heard in
21 the first week of the Inquiry, professor, that there
22 were early attempts to make products specifically for
23 patients with haemophilia, and I think Dr Foster when he
24 comes will be able to chart the history of how these
25 efforts progressed.

1 THE CHAIRMAN: But someone who had read all the evidence
2 would remember that Dr Colvin didn't acknowledge that
3 this could happen in Scotland as early as this, and that
4 it was only Oxford who could produce the material. It
5 is simply to fill a gap, Ms Dunlop. I'm not interested
6 in pursuing it further.

7 MS DUNLOP: We know that there was a symposium in Helsinki
8 in 1975, more particularly between 27 July 1975 and
9 1 August. That was Joint World Federation of
10 Haemophilia and International Society of Blood
11 Transfusions Symposium. Did you attend that?

12 A. I have no recollection of being there.

13 Q. Right.

14 A. But I have been in Helsinki so I may have been.

15 Q. Right. We have an article which, I think, looks to have
16 been the introduction to the published volume of papers
17 from the symposium. It is [\[LIT0010150\]](#). We have
18 already noted, I think, that this comes from the
19 Scandinavian Journal of Haematology, in which it was
20 published in June 1977 by Dr Mannucci. Who is, I think,
21 a very well-known name in this area. Is that correct?

22 A. It is correct, highly respected.

23 Q. Yes. We can see just from the summary that he is
24 recording that:

25 "Liver disease after thromboembolism are the most

1 frequent and severe side effects associated with the use
2 of clotting factor concentrates in haemophiliacs."

3 Is thromboembolism specific to a particular
4 treatment in haemophilia?

5 A. It is not a common complication with the treatments
6 available now. There were one or two products that did
7 stimulate the clotting process, causing thromboembolism
8 but from memory it wasn't a major problem.

9 Q. Was it nor a problem with Factor IX?

10 A. It was a problem with Factor IX, which could be
11 activated and might cause clotting within the veins and
12 then thromboembolism.

13 Q. Right. We can see, just staying with the summary, that
14 Dr Mannucci is saying that:

15 "Complications do not justify withdrawal or
16 limitation of the very effective and life-changing use
17 of concentrates."

18 But one has to be aware of their occurrence.

19 A. That was a view we held.

20 Q. So that would have been your view around the mid 1970s?

21 A. Absolutely.

22 Q. How then does the reaction to the television programme
23 fit with that?

24 A. In what way, sorry?

25 Q. Well, if the risk/benefit assessment, which seems to be

1 being described in this article, and which you say was
2 a widely held view, is that the complications of liver
3 disease didn't justify withdrawal or limitation of the
4 use of concentrates, would there be any sort of
5 qualification to that, based on what people were
6 starting to realise about the commercial products from
7 America?

8 A. Maybe slightly, but at the end of the day the risk of
9 dying of bleeding was always much greater and that was
10 what drove all of us to use these products despite the
11 possible downside.

12 Q. These international meetings -- I assume you have
13 attended some. You say you were not sure if you were at
14 the Helsinki one but you must have been at some over the
15 years -- were the drug companies usually there? Did
16 they have stands? Can you describe it for us?

17 A. Yes, I have been to many of them. They are sponsored
18 often by the companies who are involved in the
19 production of materials relevant to the theme of the
20 meeting. Certainly the Factor VIII and IX producers
21 would be at a meeting like that in Helsinki.

22 Q. Right.

23 A. And they would be giving hospitality to some of the
24 centres that they were friendly with and not to others.
25 So it was a mixture.

1 Q. Of course, if they were looking for customers in
2 Helsinki, it doesn't look as though they were successful
3 from what we know about the position in Finland. Do you
4 know that to be the case?

5 A. No, I don't know anything about Finnish treatment. We
6 did visit one or two of the haemophilia centres there
7 and were very impressed by the Finnish standards of
8 care.

9 Q. Right. Douglas Starr's book on blood, to which I have
10 already made quite a lot of reference; have you read it?

11 A. I don't think I know of it even.

12 Q. Right. Well --

13 A. Sorry.

14 Q. We have a lot of it, in fact, in our court book database
15 but he says on page 244, and I don't think we need to
16 have it in front of you:

17 "Most of the World Federation of haemophilia's
18 budget was paid for by the fractionation companies who
19 picked up the tab for its lavish annual meetings."

20 Did you know that?

21 A. I have never been at any meetings that were lavish. So
22 I must have missed out on that.

23 Q. Right. Just sticking with the theme of sponsorship, if
24 we look at [\[SNB0016951\]](#), this is a symposium of the
25 19 September 1975 in Glasgow, and if we look right at

1 the very bottom, in quite small print, we can see that:

2 "... the Council of the Royal College of Physicians
3 and Surgeons of Glasgow are thanking Travenol
4 Laboratories for their generous support towards the
5 sponsorship of this symposium."

6 What sort of form would that sponsorship take?

7 A. I don't remember any detail but I must have been there
8 and probably organised the symposium, but they would
9 support the travel of some of the speakers and they
10 might even have paid for some of the accommodation.
11 I suspect, looking at the timescales here, this would be
12 a day meeting. So one or two of the people would have
13 to come and stay the night before and the sponsorship
14 may have been for hotel or whatever.

15 Q. I see.

16 The other thing I noticed from the programme, like
17 many these days, and lawyers have them too, the
18 conference starts with registration at nine and then
19 there is a succession of talks. And there is one on
20 virus hepatitis. It is called, "Virus hepatitis:
21 complicating replacement therapy by Dr Craske". It is
22 not until 4 o'clock?

23 A. Yes, I see it.

24 Q. Does that reflect some sort of relative sense of where
25 this stood as a topic, that you discussed a lot of other

1 topics first and then viral hepatitis towards the end of
2 the day?

3 A. I think there was a lot to discuss in these meetings.
4 I don't think there is any reason to think this was
5 being dumped to the end of the symposium for any reason.
6 I would have thought that probably was the highlight of
7 the afternoon session. Certainly a very important area.

8 Q. Okay. We have already mentioned the television
9 programme and the effect it had, and you certainly,
10 I think, recall it being discussed among you and your
11 colleagues. I suppose a number of people would have
12 seen it and you hadn't seen it, so they would be
13 explaining to you what was in the programme. Is that
14 roughly what happened?

15 A. That's as I remember it.

16 Q. Right. Do you remember Dr Cash writing to the BMJ about
17 it in January 1976?

18 A. No, but no doubt I will be getting a bit of paper in
19 front of me in a minute.

20 Q. Yes, indeed. It is [\[LIT0010245\]](#). It's the British
21 Medical Journal of 24 January 1976. Here it is.

22 A. Yes.

23 Q. You see in the first paragraph Dr Cash is saying that
24 these sorts of programmes can be misleading, I suppose
25 because of editing. Then he says:

1 "There is no doubt that the import into the
2 United Kingdom of Factor VIII concentrates derived from
3 external sources, however well screened for hepatitis
4 viruses, represents an unequivocal pathway by which the
5 level of a potentially lethal virus into the whole
6 community is being deliberately increased."

7 What's your response to that?

8 A. Well, I'm not sure I agree with the wording
9 "deliberately increased", I can't agree with that. But
10 he is certainly very firmly making a statement about how
11 he views the content. I'm not sure I would agree with
12 the words.

13 Q. Perhaps if we tone it down slightly and said that
14 undoubtedly the import of concentrates is also bringing
15 with it a potentially lethal virus into the whole
16 community, would that be right?

17 A. I think one would have to say that might be true.

18 Q. Yes.

19 A. I'm not sure it was deliberate, though.

20 Q. No. Well, obviously we are going to get the opportunity
21 to ask Professor Cash about this as well. Actually he
22 goes on to say that:

23 "The absolute magnitude of the problem was
24 exaggerated."

25 A. That may have been his view at the time but I'm not sure

1 if he could look back and say that it's exaggerated or
2 not.

3 Q. That would be because of everything that has happened
4 with Hepatitis C?

5 A. Absolutely. It is with the wisdom of hindsight.

6 Q. Yes. You can put the letter aside, thank you.

7 I was going to say do you remember but actually this
8 is a meeting that you didn't attend. So it would be
9 very unlikely that you would remember it, but there was
10 a UKHCDO meeting on 13 January 1977 and the minutes of
11 that are [\[SNB0017117\]](#). We can see that there is a long
12 list of participants, and by now we are recognising more
13 and more of the names. Dr Craske is there. Obviously
14 Dr Bloom, as he then was, Dr Davies from Edinburgh.
15 Then on to the next page, please. Another continuing
16 list of those who were in attendance and down. We can
17 see Dr Peter Jones. Dr Peter Jones was a firm believer
18 in the advantages of home therapy, was he not?

19 A. He was, he was a great advocate. In fact we wrote
20 a paper on home therapy together.

21 Q. I suppose you will have had quite a lot of contact with
22 him over the years?

23 A. Over the years, not recently.

24 Q. No.

25 A. I think he has now retired.

1 Q. Professor, I think I need to ask you about this even
2 though you weren't there. If you look at page 10 of
3 these minutes, which is SNB0017130, if you look at the
4 bottom of the page, where the meeting is talking about
5 supplies of products for treatment, did you know that
6 Dr Jones at that time was a paid consultant to Hyland?

7 A. No, I have --

8 Q. Is that the first time --

9 A. I didn't know that and that's the first time I'm seeing
10 that.

11 Q. Right. But plainly if you had been at the meeting, you
12 would have known because he declared that as a potential
13 conflict of interest, when the meeting was going on to
14 discuss supply of products.

15 Also at this meeting a hepatitis working party was
16 formed. Do you remember around about that time the
17 feeling being that it was necessary for the UKHCDO to
18 have a hepatitis working party?

19 A. Yes. And that was set up and I think it was under
20 John Craske.

21 Q. Yes. It was suggested by Dr Winter, who gave evidence
22 yesterday that, that he wasn't actually the chairman but
23 I think actually looking at all the paperwork, it does
24 look as though he was the chairman of the hepatitis
25 working party. Is that your recollection?

1 A. I think from memory that he was the chairman.

2 Q. There is a lot of discussion at this meeting about the
3 consequences of the introduction of home treatment and
4 there are passages -- if we go to page 14 which is
5 SNB0017134 -- about the organisation of care and really
6 what was happening for people with haemophilia.

7 Perhaps if we just read on for ourselves from 14
8 about the organisation of haemophilia care, and then
9 a Mr Prothero is speaking on page 15, and I think he was
10 from the Haemophilia Society?

11 A. He was a very active member of the Haemophilia Society
12 committee.

13 Q. Yes.

14 A. He was also a haemophiliac.

15 Q. We can see from the middle of page 15 that the Society
16 felt that the treatment of many haemophiliacs had been
17 much improved. Looking on to the next page SNB0017136,
18 I think it's very useful perhaps to read the passage
19 from 16 onwards because of the snapshot it affords of
20 what life was like for people with haemophilia around
21 about that time.

22 A. I think these statements from John Prothero are actually
23 very relevant because they are the other side of the
24 coin, that we are looking at the problems but he was
25 saying what a wonderful change to his lifestyle all

1 these treatments have brought.

2 Q. Indeed, on to 17 and 18, perhaps it's best if we just
3 read this for ourselves but, as I say an interesting
4 synopsis of many of the changes that were taking place.

5 I referred to working parties. Can we look at
6 page 21. We can see item 10. This is SNB0017141.

7 Item 10 is:

8 "Working parties to study problems of interest to
9 haemophilia centre directors and patients."

10 It was Dr Rizza who felt that means should be found
11 to streamline proceedings and suggested, in the third
12 last line, that:

13 "A small number of working parties should be set up
14 ... and give only brief reports at the annual meetings."

15 If we look on 22, we can see that, exactly as you
16 recall, what was being proposed was that the chairman of
17 the hepatitis working party should be Dr Craske,
18 although there seems to have been a little bit of
19 dissent because it has been suggested the meeting should
20 have had prior warning of this proposal. The
21 recommendations had to be circulated for comments. But
22 certainly it looks, at least insofar as that specific
23 detail is concerned, as though the recommendation of
24 Dr Craske to chair the hepatitis working party did
25 become formalised.

1 A. That is my memory, that he was the chairman.

2 Q. Yes. The other topic that is discussed at this meeting
3 is the topic of prophylaxis. Do you remember that
4 coming along as a kind of natural development from home
5 therapy?

6 A. It was a natural development and one that we supported.

7 Q. Sorry, this is going backwards, but if we look at
8 page 6 -- and this is SNB0017126 -- it is in the context
9 of a trial of prophylactic treatment, that firstly
10 a Dr Kirk is emphasising that the patients selected for
11 prophylaxis were all very severely affected
12 haemophiliacs and there is a question about which regime
13 the boys preferred, on demand or prophylaxis:

14 "Dr Kirk replied that the two boys with the best
15 results, reduced number of bleeds, wanted to stop
16 prophylactic treatment. The others want to go on.
17 Possibly the two boys with good results had forgotten
18 what a bad bleed was like. Professor Stuart felt that
19 prophylactic treatment for haemophiliacs should not be
20 entered into on a large scale until there was sufficient
21 evidence that it was beneficial to the patients."

22 What were the reservations about it? I mean,
23 certainly reading here, professor, it seems as though
24 not everybody was convinced it was the way to go.

25 A. I think the concern was that it was the huge amount of

1 exposure to plasma products that it would entail.

2 I think the upside is that they would have less bleeds,

3 probably that would be the main thing. But the downside

4 was that the exposure would be so much greater to plasma

5 products.

6 Q. There was no mention in those minutes of the home

7 treatment working party, but you agreed earlier, and

8 I think we saw it in your CV, that you yourself were on

9 the home treatment working party?

10 A. Yes.

11 Q. There is another source of confirmation about that in an

12 article in the BMJ in 1978, if we look at [\[LIT0010258\]](#).

13 A. We wanted to document the enormous advantage to

14 individual patients in the long-term, who had been on

15 self-therapy, home therapy.

16 Q. Yes.

17 A. There is absolutely no doubt in my mind how advantageous

18 it was in terms of a reduction of complications and

19 bleeds.

20 Q. Just for the record, it's on the last page, which is

21 1450, LIT0010261. It's on that page that we see

22 recorded that:

23 "The authors are members of the working party on

24 home therapy of the UK haemophilia centre directors."

25 So I think Maureen Fearn was a haemophilia nurse?

1 A. She was in Newcastle. She was the Sister and organised
2 the patients on a day-to-day basis. A very effective
3 lady, I have to say.

4 Q. Who was John Stuart?

5 A. John Stuart was the director -- haemophilia director in
6 Birmingham, I think from memory.

7 Q. Just to look at the second page of the article, so
8 page 1448, which in our database is 0259, it's quite
9 interesting to see the results of your survey set out
10 there. Questionnaires, both in 1976 and 1977, say that
11 39 of the 48 centres had started home treatment by the
12 end of 1975, and 46 of the 71 centres by the end of
13 1976. Over that two-year period, the number of
14 haemophiliacs on home treatment or in training rose from
15 267 to 488. Two patients on prophylaxis in 1975 and 38
16 in 1976.

17 You say:

18 "At the end of 1976, there were 729 haemophiliacs
19 either on or awaiting home treatment in the
20 United Kingdom."

21 A. Yes, it was a very popular move and this, of course, is
22 before all the horrendous complications came on stream.
23 So this was the golden age, in which we actually seemed
24 to be doing something valuable for these patients.

25 Q. There is an interesting table showing all the various

1 products that were in use, and it's evident that if
2 Hemofil and Kryobulin were the first, that they have
3 fairly swiftly been joined by products from other
4 manufacturers, and there is also reference to the NHS
5 concentrates from Edinburgh, Elstree and Oxford.

6 A. Yes.

7 Q. At the end, on the following page, 0260, and this is the
8 right-hand side column at the bottom, you say:

9 "Both the need to carefully monitor the use of blood
10 products and the need for a continual surveillance of
11 patients, because of the possible long-term side
12 effects, demand adequate follow-up procedures. Perhaps
13 the most disturbing aspect of the 1976 inquiry was the
14 lack of adequate follow-up in some centres."

15 What sort of follow-up do you think you were really
16 meaning?

17 A. Well, obviously we were looking at follow-up of the
18 particular physical problems of the haemophiliacs, their
19 number of joint bleeds and the deterioration of joints
20 and so on, and so we are looking at that aspect but of
21 more concern was: could giving all these plasma products
22 have a downside, and clearly it did have and that's for
23 the future.

24 Q. Yes. Actually you refer on 1449 -- that's 0260 -- on
25 the left-hand side under a subheading "Follow-up", one

1 of the particular tests described as being carried out
2 in centres that were performing follow-up is liver
3 function tests. So at that time, in your opinion that
4 would have been a part of good follow-up, would it?

5 A. Absolutely. I'm pleased that we had put that in. We
6 had no idea what would happen. And that was major
7 concern for hepatitis and for perhaps other infections
8 that we didn't know about.

9 Q. Yes. Another piece of information that I noticed,
10 Professor Forbes, about this period, the golden age, the
11 golden moment, relates to the Lord Mayor Treloar School.
12 Do you remember it?

13 A. Yes, indeed, I went to visit it at one time.

14 Q. Was it actually called "college", rather than "school"?

15 A. "College", yes, I think it was a college.

16 Q. It's just I noticed that by October 1977 the number of
17 boys who had applied within the past year to go to the
18 college was only four. I was just asking you if the
19 school was called a college; I wasn't sure whether there
20 was a school and a college but on any view the numbers
21 were declining sharply and that, I think, was attributed
22 to the change in treatment that had come about. Is that
23 right?

24 A. Absolutely. And that was a very positive aspect of this
25 time.

1 Q. Did boys from Scotland go to the school?

2 A. Yes, they certainly did.

3 Q. Right. Do you remember some?

4 A. Yes.

5 Q. Now --

6 THE CHAIRMAN: Are you leaving the article?

7 MS DUNLOP: Yes.

8 THE CHAIRMAN: Can I ask one question, professor? At this

9 stage, as you recollect it, were there particular

10 indications for starting prophylactic treatment?

11 A. We felt that most patients would benefit from home

12 treatment and prophylaxis. So the answer is, yes, but

13 it had to be done with care. But this was against

14 a background where we were not aware of the potential

15 number of complications we have subsequently seen. So

16 it looked as though the products were relatively safe,

17 and that we could give them and give them in quite large

18 amounts for prophylaxis or home care.

19 THE CHAIRMAN: But you don't remember any particular

20 indication such as very severe haemophilia --

21 A. They were always included particularly, because they

22 were the ones who were going to get maximum benefit from

23 stopping bleeding.

24 THE CHAIRMAN: Yes. Thank you.

25 MS DUNLOP: Thanks.

1 Professor Forbes, could you just have another look
2 at the preliminary report, please? Particularly some
3 paragraphs in chapter 6, 6.69. Sorry, I'm missing the
4 first page of the chapter. I think it is 2431. 6.69,
5 which is on page 153 in the hard copy, is a discussion
6 of a paper in August 1978 from Dr Mannucci about chronic
7 active hepatitis in patients with haemophilia.

8 Over the page, 6.71, we see a reference to one of
9 the papers from Sheffield. This is 1978, "Chronic
10 percutaneous liver biopsy and chronic liver disease in
11 haemophiliacs". Then 6.72 Dr Craske publishing evidence
12 for existence of at least two types of Factor VIII,
13 associated non-B transfusion hepatitis. Then 6.79 on
14 the following page, 155, there is actually also a work
15 relating to Factor IX by a team including
16 Professor Zuckerman. Taking a particularly cautious
17 line on the use of concentrates.

18 6.79 says:

19 "Throughout this period a debate was taking place in
20 the medical community. On one side the view was held,
21 mainly by virologists and public health doctors, that
22 haemophilia patients should not be given concentrates
23 because it was not known what viruses were being
24 transmitted to them. The contrary view, mainly held by
25 the Haemophilia Society and haemophilia doctors, was

1 that concentrates should continue to be given because
2 they transformed the lives of haemophilia patients and
3 hepatitis appeared to be a relatively benign condition."

4 According to your recollection of the second half of
5 the 1970s, does that really summarise the differing
6 points of view?

7 A. All these papers were highlighting something that we did
8 know and understand, that hepatitis was a problem. How
9 much of a problem we didn't really grasp initially, and
10 it's only as these papers came out -- the first was
11 Eric Preston, and I think it was liver biopsy he used,
12 and we were appalled that so many of these patients
13 clearly had liver disease and that was then confirmed by
14 the Mannucci paper and so on. So we were gradually
15 becoming aware that the use of all these blood products
16 was not as benign as we thought it was.

17 Q. Yes.

18 A. That was a dawning realisation at this stage and this
19 precedes HIV disease.

20 Q. Well, indeed.

21 A. We started to feel anxious about the use of the products
22 that we gave, which were so wonderfully life-changing
23 for the patients, and that's why, of course, the
24 Haemophilia Society didn't want to change anything.
25 They wanted to go on and give as much product as

1 possible. Because it was thought that the hepatitis
2 that clearly was there was a pretty benign disease, not
3 so eventually, but there we are. That was the state of
4 play.

5 Q. So these are really just some of the pieces of evidence
6 that were starting to emerge --

7 A. Absolutely.

8 Q. -- about what the nature of the problem might be, yes.
9 Just to look into 1979, back to the UKHCDO. These
10 are actually only draft minutes but they appear to
11 record what happened at the meeting in November 1979,
12 which is [\[LOT0035015\]](#). Because I think we should note
13 this, Professor Forbes, that you appear to have gone for
14 the first day and not the second day; we can see that
15 from page 3.

16 A. The problem in life was that one was doing a full-time
17 other job and to get away for meetings was actually
18 quite difficult, but I'm glad I went for the second day.

19 Q. No, I think it was the first day.

20 A. Well, the first day.

21 Q. I think we can all understand the point you make,
22 professor.
23 Just to look some of what happened at the meeting
24 and some of what was discussed, if we could look firstly
25 at 5024, which is page 10, Dr Craske is bringing

1 everybody up-to-date about the hepatitis working party,
2 in particular a collection of data, and no doubt he was
3 always very interested in good quality information.

4 We can see this discussion about the collection of
5 data going through the succeeding pages and on to
6 page 5028, which is real page 14, and also if we look at
7 5032, which is page 18, we can see the reports of the
8 working party chairman, and perhaps just incidentally to
9 note that this seems to be further confirmation that
10 Dr Craske was the chairman of the working party.

11 A. Hm-mm.

12 Q. I suppose the unusual feature of it was that he was
13 chairing a working party of UKHCDO but isn't
14 a haemophilia centre director. Is that why it was
15 unusual?

16 A. No, but he was an acknowledged expert and a very
17 pleasant man; a great enthusiast for his topic as well.

18 Q. Just noting from that page that he is reporting the
19 working party's feeling that it was important for the
20 incidence of chronic hepatitis to be assessed, much
21 discussion. I suppose this was a subject which occupied
22 everybody's thinking around this time, was it?

23 A. It dominated everyone's lives.

24 Q. Right. Dr Craske is saying, at the bottom of the page,
25 that most patients thought to have developed chronic

1 liver disease had not previously had an overt attack of
2 hepatitis.

3 A. Well, it's sometimes very difficult to know. These
4 things are often minor and then with time they change.

5 Q. In other words, is this really saying that the disease
6 non-A non-B hepatitis was being recognised as having
7 rather an insidious onset?

8 A. A very benign onset it would seem and then, as we go
9 through time, it changed quite dramatically.

10 Q. Yes. Then on to the following page, page 19, 5033,
11 there is a statement that there were two types of non-A
12 and non-B hepatitis. I think --

13 A. I think that it was just a matter of time and we
14 realised that there were different types of hepatitis
15 that hadn't been discovered or explored.

16 Q. Yes. I think we know enough about hepatitis, professor,
17 to know that it was true that there was more than one
18 other type of hepatitis than A and B but, as far as what
19 was causing post-transfusion or post blood product
20 hepatitis was concerned, almost all of that was actually
21 just one. Is that not the case?

22 A. Well, there was a lot of debate about that, about the
23 incubation period of this different virus, and I think
24 no one quite knew what was going on but time would sort
25 that out.

1 Q. Yes. When time sorted it out, the culprit was
2 Hepatitis C. Is that correct?
3 A. Absolutely.
4 Q. Yes. Then we can see there is the home treatment
5 working party reporting. So your working party.
6 Interestingly on page 20 -- this is LOT0015034 -- some
7 discussion of prophylaxis again. Actually there has
8 been a trial at the Lord Mayor Treloar college?
9 A. That was carried out by Dr Erinstan(?), who was the
10 doctor in the college.
11 Q. Professor Stuart is the one who is quoted as raising the
12 problem of prophylaxis and then the question is posed:
13 "Had there been any move to find out if prophylactic
14 treatment really did any good?"
15 Was Professor Stuart really a bit of a sceptic?
16 A. I'm not sure what word would one apply to him but he was
17 very argumentive. He liked to be the devil's advocate.
18 Q. Well --
19 THE CHAIRMAN: Was he unique in that respect among your
20 colleagues?
21 A. No.
22 THE CHAIRMAN: No.
23 A. Plenty of them.
24 MS DUNLOP: I don't think for a minute, professor, that we
25 could pretend that the medical profession is unique in

1 that either. But we can see Dr Jones responding to the
2 question and saying that:

3 "For haemophilia A patients, limited prophylaxis was
4 very effective indeed but it must be for a very good
5 reason."

6 Perhaps that reflects the point that you made
7 yourself about the exposure that it brought. Then
8 a statement which is perhaps surprising to lay people
9 that:

10 "One could spend less on prophylactic treatment than
11 on on-demand treatment in some instances."

12 Do you remember that being thought?

13 A. This was a very interesting concept because people
14 thought it would be very expensive giving routine
15 treatment but in fact it reduced the amount of bleeding
16 so that over a period of time the number of units of
17 Factor VIII given reduced, and of course, the joint
18 damage and the other things reduced as well. So it
19 seemed to be a very efficient and effective way of
20 proceeding.

21 Q. Right.

22 THE CHAIRMAN: The point that's made there by Dr Jones, that
23 prophylactic treatment must be for a very good reason,
24 is part of what lay behind my question about particular
25 or specific indications for its use. Does this help

1 focus the point in any way, that there may have been
2 particular indications?

3 A. Well, I think people were still concerned about the
4 volume of blood products being given in prophylaxis and
5 home therapy. So all these things, there was a little
6 question mark in all of them.

7 THE CHAIRMAN: Yes. It did transpire, professor, that there
8 was a very high infection rate indeed with blood product
9 concentrates. Is that the case?

10 A. That's how it worked out.

11 MS DUNLOP: Just one of a number of publications. If we
12 could look at [\[LIT0010239\]](#).

13 This is an article in the BMJ actually, eventually
14 published on 10 December 1983, although it's evident
15 from the minutes of the UKHCDO meeting in September 1982
16 that the data was ready by then. We referred to this
17 briefly yesterday, but just looking at the abstract, we
18 can see that what Dr Craske and others had done at
19 Oxford was to look at 30 patients who had not previously
20 received treatment with Factor VIII concentrate or who
21 had been treated only infrequently, and to study them
22 after a transfusion of Factor VIII:

23 "Tests of liver function were performed frequently.
24 Four of them actually had evidence of chronic liver
25 disease before transfusion but of the remaining 26, 17

1 experienced raised liver enzymes and ten patients
2 developed jaundice."

3 Perhaps most interesting of all:

4 "All of the nine patients who had not previously
5 received Factor VIII transfusion developed non-A non-B
6 hepatitis."

7 A. Again, this was an early warning paper, which turned
8 out, I think, to be totally true and particular applied
9 to those who were infrequently treated and, of course,
10 they were likely to get, I think, a more severe disease.

11 Q. Yes, and we should look too at what's said in the
12 discussion on page 1756, which is LIT0010241. You see
13 the discussion in the third line that says:

14 "All of those who received commercial concentrates
15 developed hepatitis regardless of their transfusion
16 history. Those who received NHS Factor VIII were less
17 likely to develop hepatitis if they had been treated
18 before and all nine patients who received NHS
19 Factor VIII for the first time developed hepatitis."

20 This is quite a small study, professor, isn't it?

21 A. Well, it's a small study but it actually is quite
22 alarming and does show that even the NHS product is
23 likely to cause hepatitis.

24 Q. I suppose --

25 A. Despite the small numbers, I think that's very

1 significant.

2 Q. Yes. I mean, is there a reason why it would be a small

3 study?

4 A. It's just the problem of getting patients together and

5 doing these studies which are very time-consuming for

6 the people doing them.

7 Q. Yes.

8 A. And the follow-up and so on.

9 Q. They have to be previously untreated patients as well.

10 A. That was the problem. That always made the studies much

11 smaller.

12 Q. Yes. You did some work, I think, in this area yourself,

13 and perhaps we can just look at a letter, which is

14 [\[SNF0012890\]](#). I'll just let you read it. (Pause)

15 A. As you say, it's very difficult getting patients

16 together who are willing to take part in studies at this

17 time. So I'm not sure just how successful this project

18 was.

19 Q. Well, it does look as though you have run a study of

20 your own because Professor Cash is saying at the end of

21 the third paragraph:

22 "You will recall you advised the working party that

23 you had data which indicated that the results from the

24 Oxford study ..."

25 That's the one at which we have just looked at:

1 "... were identical to yours."

2 A. Yes. I don't remember the detail of the study but it
3 would be very small, with virgin patients.

4 Q. Right. So in light of the fact that we have searched
5 and not succeeded in finding a letter going back from
6 you to Professor Cash -- and I intend no criticism in
7 that, and it may exist somewhere but we haven't found
8 it -- you are not able --

9 A. I may not have written back to him.

10 Q. You are not able from your own recollection to give us
11 any details of your study --

12 A. I have no details in my mind at all about that, I'm
13 sorry.

14 Q. Right. But we can at least take from the letter that it
15 does look as though your research was along the same
16 lines as Dr Craske's?

17 A. Indeed, yes. I will certainly ask colleagues at the end
18 of the session.

19 Q. Right. Your research and your results, I think.

20 A. Yes.

21 Q. Yes. Thank you.

22 That was a very long digression, professor, but we
23 need to go back to your statement, [\[PEN0150254\]](#), and
24 look at 0256. In paragraph 7 you are answering
25 a question about sponsorship again. We should just look

1 at the document, [\[SNB0017296\]](#). This is actually not
2 a programme like the previous seminar, this is actually
3 the UKHCDO minutes. It looks as though what happened in
4 1980 was that the UKHCDO came to Glasgow.

5 A. That is correct.

6 Q. Then at the end there was --

7 A. We organised a day symposium on the current problems of
8 haemophilia and that was published.

9 Q. Yes. "Unresolved problems in haemophilia". We have
10 actually got the book, professor. All the papers were
11 published as a book with that title but I just wanted to
12 note that from the minutes -- that's [\[SNB0017296\]](#) at
13 7310 -- you had obviously had to organise the UKHCDO
14 meeting and then there is the one and a half day
15 symposium organised by you --

16 A. Yes.

17 Q. -- and the Royal College, and again sponsored by
18 Travenol. In your statement you really say, I think,
19 the same as you said in relation to the 1975 symposium,
20 that:

21 "There was no payment to individuals. Speakers no
22 doubt got travel expenses but as far as I am aware,
23 there was no direct payment of any kind, certainly not
24 to ourselves."

25 That's paragraph 7. Sorry, I need to go back to the

1 minutes because there were one or two other points of
2 interest in the minutes of that particular meeting.

3 THE CHAIRMAN: Before you do that, can I just have one
4 follow-up?

5 Professor, was sponsorship of this kind peculiar to
6 companies providing blood products or was it something
7 that happened generally in relationships between the
8 pharmaceutical industry and the medical profession? Do
9 you know?

10 A. This was the general way of organising and funding
11 symposia. So whether it was about peptic ulcers,
12 something like that, it would be money from the
13 pharmaceutical industry because these educational
14 symposia, there was no other way of funding them. So
15 this was normal.

16 MS DUNLOP: Thank you. Why did and do the drug companies
17 oblige?

18 A. Well, they are very dependent on the goodwill of the
19 profession. You must speculate on their own reasons for
20 funding but usually these are done for altruistic
21 reasons.

22 Q. Well, do you think that benefits do accrue to them from
23 this sort of activity?

24 A. I think they must. They wouldn't have done it
25 otherwise. But there is no hard sell in any of these

1 scientific symposia like this. There is no immediate
2 rushing off to prescribe drugs from the sponsoring
3 company. But I'm sure that in the long-term they must
4 feel there is a benefit. Certainly medical education
5 would not have occurred to nearly the extent it did and
6 had to without the help of the pharmaceutical industry.

7 THE CHAIRMAN: But some others might know that, for example,
8 in relation to a drug like the statins, Astro-Zeneca and
9 Pfizer are, and have been for a long time, in direct
10 competition. There surely would be some commercial
11 objective on the part of either of those companies in
12 sponsoring --

13 A. I'm sure there must be but, so long as it is not overt
14 in the forum of the symposium, that, I think, is
15 acceptable.

16 THE CHAIRMAN: So it would be unacceptable if there were
17 overt marketing --

18 A. Absolutely.

19 THE CHAIRMAN: -- techniques adopted.

20 A. Absolutely, and the pharmaceutical companies, to give
21 them their due -- I know that we love to hate them --
22 but in fact they were always very good and very sensible
23 about this kind of area.

24 MS DUNLOP: I suppose there might be different types of
25 benefits to them. There might be a general sense that

1 those attending would get the benefits of a type of
2 product. So if there is a new kind of drug that has
3 arrived, then this might be an opportunity to
4 disseminate information and then if we are not really in
5 that area, there is maybe an opportunity to promote your
6 own drug as distinct from a competitor's drug. Is that
7 a reasonable hypothesis?

8 A. I think that is possibly true. However, in this
9 particular area, with this new disease, or diseases, I'm
10 not sure there were any particular drugs that they were
11 proposing or sponsoring. So ...

12 Q. Yes. Certainly we have seen that, although initially in
13 1973 there were the two concentrates, two commercial
14 concentrates, they were reasonably quickly joined by
15 concentrates from other companies. So was there
16 a degree of jockeying for position?

17 A. Oh, certainly.

18 Q. Professor, we were looking at the minutes of the UKHCDO
19 meeting in Glasgow in 1980. Just to go back to those
20 minutes, [\[SNB0017296\]](#), and to look at page 6.

21 Professor, we are trying, for reasons I think you
22 understand, to find out a bit about Yorkhill and about
23 Dr Willoughby's practice, but do you see there is
24 a quote towards the bottom of that page from
25 Dr Willoughby. Does that ring any bells for you? Do

1 you remember him being particularly committed?

2 A. He was a very committed clinician and this I can accept
3 would be what he would believe, and I would also think
4 that that's a very reasonable statement to make, that
5 the commercial concentrates, if given often enough in
6 sufficient volume, might well have resulted in less
7 crippled adults.

8 Q. Yes.

9 A. So I'm endorsing that statement of his.

10 Q. It's actually interesting also to look -- reminding
11 ourselves that this is 1980 -- at where Dr Craske was in
12 his thinking at this time. If we look at page 9, we can
13 see, as usual, a report from Dr Craske as chairman of
14 the working party on hepatitis and reading on to
15 page 10. I did take you out of chronological order to
16 look at the article we looked at, that was published in
17 1983, but do you see there at line 4:

18 "Dr Craske felt that increased usage of small pool
19 concentrates would help to reduce the incidence of
20 hepatitis. First-time exposure resulted in many cases.
21 Professor Bloom [is] wondering about cryoprecipitate for
22 mild haemophiliacs ... he pointed out there was
23 a problem over the amount of Factor VIII in these
24 materials. [Then] Dr Craske agreed and said that the
25 NHS product was certainly better than the commercial

1 products because of the screening of the blood donors
2 and the regular donor panels which were used in the UK."

3 Firstly, what about Professor Bloom's question:

4 "Cryoprecipitate is a better product for mild
5 haemophiliacs."

6 As at 1980?

7 A. Yes, well, that was his view and indeed it was probably
8 our view because that's the product that we had readily
9 available and so we would endorse that view. The
10 problems of cryoprecipitate we have talked about before
11 and it still was a problem. It's the volume, the number
12 of donations needed, the method of making it up, the
13 time involved and so on. So that's why it fell out of
14 favour.

15 Q. Yes. How did you happen to have it readily available?

16 A. We had a very good relationship with our blood
17 transfusion people and if we asked for 20 or 30
18 donations, they would have it available within half an
19 hour or so. It was a good relationship thing.

20 Q. At that time, this view of Dr Craske's about the NHS
21 product being better than the commercial products,
22 I mean, is it your impression -- and I suppose I'm
23 alluding again to the material we just looked at from
24 1983 and 1984 -- that that was an accurate feeling?

25 A. I'm not sure it was right. Looking back, I'm not sure

1 that what he is saying is accurate.

2 Q. Yes. But maybe it was something that certainly a number
3 of people believed?

4 A. It certainly was.

5 Q. Yes.

6 THE CHAIRMAN: Professor, how could the Glasgow BTS produce
7 30 units in half an hour? It suggest a sort of captive
8 donor population.

9 A. These were not donations that were taken. They were
10 stored in deep freezes, and in fact the blood
11 transfusion in the West of Scotland had a very active
12 programme of their donation sessions, of asking people
13 if they were willing to give for this purpose. So we
14 had a huge deep freezes full of material in little bags
15 that could be frozen, defrosted and used. So it was
16 a big effort but they did it.

17 MS DUNLOP: And this would be something that was not coming
18 from the West of Scotland headquarters at Law Hospital.
19 It was more local than that, was it?

20 A. Yes, we had a section of blood transfusion within the
21 Royal Infirmary.

22 Q. I see. Can we look at the minutes of a Scottish meeting
23 now, rather than a UK one, [\[SNB0015055\]](#).

24 A. Yes, I have it.

25 Q. Good. This is one you were at?

1 A. Yes, I was at it.

2 Q. Yes. Firstly, perhaps we shall note before we look at
3 the minutes that Dr Pettigrew is at that in place of
4 Dr Willoughby.

5 A. Yes.

6 Q. But commercial purchases of Factor VIII are referred to
7 at the bottom of the first page. 1979 and 1980 figures
8 seem to have shown that a significant and apparently
9 increasing quantity of commercially produced Factor VIII
10 was being used. I'll just let you read on.

11 THE CHAIRMAN: Could we see the following page on the
12 screen?

13 MS DUNLOP: Of course, yes. (Pause)

14 This is a meeting, professor, where the haemophilia
15 directors are represented but also the Blood Transfusion
16 Service. What was the kind of tone of the discussion,
17 particularly as far as the BTS representatives were
18 concerned? The increasing commercial purchases are
19 being referred to. What's the sort of tone coming from
20 the Blood Transfusion Service?

21 A. We always had very good relationships with the blood
22 transfusion people. There were no overt hostilities,
23 and I think it's just a statement of the situation as of
24 this time, but I certainly don't remember any
25 antagonism.

1 Q. Were they disappointed?

2 A. I think they were working uphill all the time, trying to
3 keep ahead of the game, but a very difficult thing to
4 do. But we had, as I said, very amicable relations and
5 we usually got enough of some product to treat. So
6 there was never a shortage like that.

7 Q. Professor, I understand that for the haemophilia
8 clinicians, they are, of course, thinking of how best to
9 treat their patients, but what was the wider policy
10 context of these kind of discussions?

11 A. Well, there were obviously major financial implications
12 but also implications in terms of policy regarding the
13 taking of blood and getting enough donors to give the
14 blood for the product. But at the end of the day
15 I think we muddled through, and maybe I'll not say it
16 any higher than that. But there were times where there
17 was a great shortage of product.

18 Q. I just wondered, in referring to the policy background,
19 if there was a policy imperative in favour of
20 self-sufficiency?

21 A. Well, it was always in the background. I think we all
22 thought that unless a huge investment was made in the
23 plant for SNBTS that it wouldn't happen. I'm not sure
24 it ever did happen until much later on.

25 Q. Well, what, as far as you can remember, was the attitude

1 of the haemophilia clinicians towards these sort of
2 ideas about one's choice of product?

3 A. Well, the attitude is, "Give us enough of a good
4 product". That's always what we were at them about and
5 it was a constant theme. It wasn't just one meeting
6 that there was a conflict of interest. It was to get
7 enough effective product.

8 Q. Were you aware of any kind of policy being set from
9 outside or above?

10 A. I think nothing but help. The chairman of that meeting
11 was Dr Bell, who was an old friend of mine; in fact my
12 class mate. We had nothing but help. But there was
13 only so much they could do about it.

14 Q. Do you think they had a particular view as to what they
15 wanted to see or were they essentially neutral?

16 A. Oh, I think they were totally neutral and probably very
17 helpful. So not just neutral in sitting with their arms
18 folded but trying to get on with it.

19 Q. So you don't think that there was any kind of steer
20 coming from SHHD as to what ought to be happening in
21 this area?

22 A. Not at all.

23 Q. If we look down a little bit, we can see discussion of
24 home therapy, unsurprisingly, and then cryoprecipitate
25 yields and use. Dr Cash is saying, by reference to

1 a paper, that cryoprecipitate could be very important:

2 "The increase in home therapy would place such
3 a strain on resources that all options had to be
4 studied, including serious consideration of the use of
5 cryo for this form of treatment."

6 Well, could cryo be used for home therapy?

7 A. Well, the answer is, yes, it could be, but it was a much
8 more difficult thing to make up, to store so many bags,
9 to have a water bath to defrost them, to then pull them
10 all together into one pack and then to take the pack,
11 draw it up and give it. So it was possible but not the
12 ideal material.

13 Q. Right and people could do that at home?

14 A. They could do it, and did do it at home but with
15 difficulty.

16 Q. Right. Look on to the next page, so on to page 3; this
17 is SNB0015057. There is a reference to
18 a Council of Europe paper, a Council of Europe
19 recommendation concerning blood products for the
20 treatment of haemophiliacs. Does that paragraph,
21 paragraph 6, ring any bells?

22 A. Not at all. I wasn't aware of it. At the time.

23 Q. What about attitudes to recommendations of the
24 Council of Europe more generally?

25 A. I don't think we had any problem with the

1 Council of Europe. I didn't know anything about it, to
2 be quite honest, at this time.

3 Q. Did that change?

4 A. I don't think so. I'm not sure what part they were
5 playing in it. I have subsequently looked at the papers
6 which have been provided in retrospect and I'm sure that
7 they were saying the right things but I wasn't aware at
8 the time.

9 Q. Can we look on to the next page, please, paragraph 9.
10 This question of designation of the Edinburgh and
11 Glasgow as reference centres seems to be rumbling on,
12 doesn't it?

13 A. Yes, I'm surprised. I never at the time thought of it
14 as any problem or concern. We certainly didn't feel
15 slighted or anything like that. So we just accepted we
16 were reference centres, whether we were or not is
17 another question.

18 Q. It's interesting to note from the next page, the final
19 page, that there is a decision to have a smaller body,
20 a working group, chaired by Dr McDonald, and comprising
21 Dr Cash, Mr Watt, somebody else from SNBTS and directors
22 from Glasgow and Edinburgh.

23 Just to look, again around this time, at UKHCDO --
24 this is October 1981 -- [\[SNB0017354\]](#). If we look down
25 the first page, we can see quite a lot of names we

1 recognise and then on to the following page, please.

2 I think this is one, professor, where you weren't there

3 and I don't think your apologies are there either, but,

4 please, I don't want you to take that as a criticism.

5 No doubt if you did not manage to attend one of these

6 meetings, it was reported back to you what had happened?

7 A. Yes.

8 Q. Perhaps we can note without comment that the designation

9 of Edinburgh and Glasgow -- actually not perhaps so

10 obviously Glasgow -- certainly Edinburgh and Belfast is

11 cropping up at 7361 if we look at page 8. Yes. By this

12 time it seems to be under discussion at SHHD. What

13 would there be to discuss?

14 A. Well, I have no idea.

15 Q. No, right. Page 9, SNB0017362, there seems to have been

16 a bit of debate about arrangements for purchasing,

17 holding and distribution of blood products stocks. This

18 is something that has been raised by the Department of

19 Health. So obviously a primarily English initiative,

20 but it says that the reference centre directors were

21 very disturbed at this suggestion. Do you remember

22 controversy in this area?

23 A. No, no, no.

24 Q. Well, perhaps to prompt you slightly, there is the

25 comment that it has been agreed at the last meeting

1 that:

2 "Responsibility for the control of stocks of
3 coagulation factor concentrates should not be moved from
4 the haemophilia centre directors to the Blood
5 Transfusion Service."

6 Do you have any memory of what the fear was?

7 A. No, but I can guess what the problem was: that the
8 haemophilia centre directors were the people who were
9 responsible to individual patients to provide treatment
10 at the drop of a hat often, when they had a major bleed.
11 So they were the people who were liable to be approached
12 at short notice, and therefore if stocks were held
13 elsewhere, then it might take a long time for them to be
14 delivered. So I presume that's the background.

15 Q. Right. Hepatitis, of course, featuring again. This is
16 page 19, SNB0017372 --

17 THE CHAIRMAN: Do you have any comment on the note at the
18 last paragraph that:

19 "In accepting the decision, the Department of Health
20 had insisted on proper records being kept of purchases
21 and use."

22 A. Well, I think that had been a problem because people
23 would come into the centre and they would get treatment
24 and no one would document the batches and so on. So
25 there was little documentation of individual things.

1 That was tightened up greatly, and correctly tightened
2 up.

3 MS DUNLOP: Why else did there need to be records of what
4 the usage was?

5 A. Well, one had to know how much was being used and who
6 had got it and we were very aware of the problems that
7 there may be complications so that we could always refer
8 back to the individual batch numbers that had been given
9 to an individual patient, and if there was hepatitis or
10 something else, then we could follow it up back to the
11 donor.

12 Q. Right.

13 A. So good record-keeping was absolutely mandatory.

14 Q. But records of usage would be useful in a wider sense to
15 the Blood Transfusion Service, would they not?

16 A. Oh, of course.

17 Q. Would it not enable them to plan for the future? They
18 could get an idea of total usage?

19 A. They had to plan all the time.

20 Q. I think I had asked you to look at page 19, SNB0017372.

21 A. Yes.

22 Q. This is a multi-centre prospective study of hepatitis
23 and first-time treated or seldom treated patients was
24 planned:

25 "These patients seemed to be running a higher risk

1 of contracting non-A non-B hepatitis whatever type of
2 material was used."

3 And we have discussed that. And then on page 20,
4 7373, Dr Craske is again reminding the directors of the
5 importance of reporting?

6 A. Again, he is emphasising the importance of keeping good
7 records with the batch numbers of the material given.
8 So it is important.

9 Q. Just to look at the home treatment working party,
10 page 21, SNB0017374, mention of prophylaxis again, and
11 then interestingly on page 22, 7375, we can see Dr Jones
12 posing questions from the report on the 1980 annual
13 returns and the first is why some mildly affected
14 haemophiliacs were receiving home therapy. So why has
15 that struck Dr Jones?

16 A. Mild patients would not normally bleed frequently and it
17 would seem that that is not the right use of home
18 therapy. And I would endorse that. Mild patients
19 shouldn't need to have home therapy.

20 Q. Then the second question, whether all patients who
21 should be on home therapy were now receiving it.
22 I think we can understand the thinking there.

23 There is rather a change of tack, professor. If we
24 look back at your statement, and the number of that is
25 [\[PEN0150254\]](#). We are now looking at paragraphs 8 and 9.

1 I wanted to leave the first sentence of paragraph 8 for
2 the moment. Well, in fact leave most of it for the
3 moment and look at paragraph 9. One of the things you
4 say in paragraph 9 is that you were looking at immunity
5 in patients with haemophilia:

6 "It is quite apparent that there was an association
7 between the administration of large amounts of
8 Factor VIII concentrate and the immune process, which
9 was suppressed in many patients. A variety of other
10 investigators are finding the same kind of
11 abnormalities. What [did] this mean? Was there
12 something in the Factor VIII or IX concentrates that did
13 suppress these tests of immunity?"

14 This is an area in which Dr Ludlam in Edinburgh was
15 interested too, is it not?

16 A. Yes, it is.

17 Q. I'm certainly planning to ask Professor Ludlam about
18 this whole topic but I don't know if there is anything
19 that you would want to add on the question of
20 immunological abnormalities in haemophilia patients
21 generally?

22 A. We became interested because of the ability to measure
23 so many of the factors in blood. And we were kind of
24 thrown off the scent at this time by finding that a lot
25 of our patients who had been highly treated, a lot of

1 protein given to them, had abnormalities of various
2 kind, not all the same kind, and we thought that it must
3 be that their immune system was being suppressed by
4 something in the plasma that they were given, and that
5 was a view we took and explored for several years. And
6 I think it was probably accurate to say that there were
7 abnormalities but what they meant, we didn't know, and
8 of course, some of it probably was that they were
9 infected with the unknown virus, HIV. So we were
10 looking for something but we didn't know what we were
11 looking for at the time.

12 Q. Right.

13 THE CHAIRMAN: Could I follow this because I find this quite
14 a difficult and interesting area.

15 MS DUNLOP: Yes.

16 THE CHAIRMAN: I get the impression from some of the
17 literature that there was a developing thought that the
18 progressive deterioration of immune response, however
19 measured, might have been, as it were, part of
20 a progressive condition that could eventually result in
21 the sort of immuno-deficiency that was associated with
22 AIDS.

23 A. That was our thought. The problem was to try and prove
24 what this was all about, and that was why we followed it
25 up for many years. Whether it was HIV or not, I don't

1 know. I suspect some of it was. And it may well be
2 that the immunity of individuals was depressed and then
3 they got infected with HIV. And I'm not sure that
4 anyone has explained that fully yet.

5 THE CHAIRMAN: But the obvious point of interest is the
6 conflict that there was as to whether the aetiological
7 agent was a virus or whether it was simply the end
8 product, the end stage, of a progressive development
9 that was not related to an external virus.

10 A. I think we don't know the answer to that yet. Not all
11 the patients that we were studying became HIV-positive.

12 THE CHAIRMAN: No.

13 A. So it may be that there was something else going on
14 which was not yet fully defined.

15 THE CHAIRMAN: But you don't think that even now the issue
16 has been finally resolved?

17 A. I don't think. So I think there is lots to know about
18 this yet.

19 THE CHAIRMAN: I think Professor James is suggesting to me
20 it never will be. It is just something that will not be
21 resolved.

22 A. Maybe the time has slipped by and we will never be able
23 to revisit in the same state.

24 THE CHAIRMAN: The source material has gone and that's that.

25 A. Absolutely.

1 THE CHAIRMAN: That may be as far as I can take it.

2 MS DUNLOP: Yes, I was just going to ask, Professor Forbes,
3 and this is, I appreciate, going a little bit further
4 forward in time, but if it had been the explanation for
5 the sorts of illnesses that started to develop in
6 patients with haemophilia in the 1980s, when they began
7 to suffer from pneumocystis pneumonia and some of the
8 other diseases that were associated with AIDS, if that
9 had been caused by the concentrates, rather than caused
10 by a virus, it would still not be at all reassuring,
11 would it?

12 A. Not in terms of treatment and the need for treatment.

13 Q. Professor Forbes, you do say in paragraph 8 that you
14 received a phone call some time in 1980 from
15 Professor Ratnoff, and you say that he was asking if you
16 had seen any unusual types of haemophilia. I should
17 have given the reference. I'm sorry. We are back in
18 your statement at [\[PEN0150254\]](#) at page 3. So 0256:
19 "Oscar Ratnoff was asking if [you] had seen any
20 unusual types of haemophilia in which patients were
21 clearly ill with various opportunistic infections and
22 tumours."
23 We did ask you: do you think it could have been
24 later than 1980?

25 A. Well, I was doing this from memory but it was before the

1 whole AIDS story started to come into the public arena.
2 So 1980 probably was about the time that we spoke.

3 Q. When would you say the whole AIDS story started to come
4 into the public arena?

5 A. It was the first publications in Morbidity and Mortality
6 Weekly, and that's another two years or at least a year.

7 Q. Right. It seemed to us -- and obviously we are not
8 medically qualified -- that most accounts of the period
9 begin with the report in the MMWR in June 1981, of the
10 opportunistic infections in five homosexual men, and are
11 you saying that Oscar Ratnoff was in touch with you
12 before that?

13 A. Yes, he was in touch about a particular patient he had
14 been referred, who was a haemophiliac and it was clear
15 that there was some funny immune problem in this
16 patient's blood and he was obviously ill and eventually
17 died. So this was an early warning of what was to come.

18 Q. What did you think at the time?

19 A. I was astonished. I had never seen anything like it in
20 any of the patients I looked after.

21 Q. This is a phone call. So was there just the one
22 contact. He telephoned you and you had a discussion or
23 was there more than one contact?

24 A. No, there was one contact at that time but it rapidly
25 was followed by a publication in which he described all

1 the features of this man.

2 Q. Right. I think perhaps we need to try to find that.

3 I wasn't aware that he had published on it. He wrote up

4 the case, as doctors say, did he?

5 A. Yes.

6 Q. Right?

7 A. And it was a multi-author publication. It must have

8 been in 1981 or 1982 or something like that.

9 Q. Right.

10 THE CHAIRMAN: Can you remember where it appeared?

11 A. I think it was New England Journal of Medicine. I have

12 to say it should be easily identifiable.

13 MS DUNLOP: Yes. It is just that, professor, again, as

14 outsiders in all of this our impression has been that

15 the first reports of something like the new syndrome in

16 people with haemophilia were in the summer of 1982, but

17 if you are right, you think it might have been published

18 later.

19 A. I think it would be published by that time but I have to

20 say that we all accept that the first revelation was in

21 these Mortality and Morbidity Weekly. So 1981/1982.

22 But if you go back into the literature, you will find

23 several case reports of funny diseases which were well

24 described, which almost certainly were AIDS, long before

25 the official date of 1982.

1 Q. Quite. But would that be true of patients with
2 haemophilia? Would you find reports of funny diseases
3 in patients with haemophilia?
4 A. I think this may be the first one.
5 Q. Right.
6 THE CHAIRMAN: I think we know of a case in 1960.
7 MS DUNLOP: Yes, but I don't think in haemophilia.
8 THE CHAIRMAN: No, indeed.
9 MS DUNLOP: No.
10 THE CHAIRMAN: But the difficulty, I think I see at the
11 moment, is that if the case were fully written up in
12 that way in 1981, then the disclosure of AIDS syndrome
13 in haemophilia patients in 1982 and 1983 might have been
14 expected to, as it were, resurrect the earlier case and
15 I'm not sure we have seen anything that suggests that.
16 MS DUNLOP: No, we haven't but equipped with the name of
17 "Oscar Ratnoff", we can have another look.
18 THE CHAIRMAN: Indeed.
19 MS DUNLOP: That's certainly so and we will report back to
20 that.
21 A. I think the lead author of that Ratnoff paper was a man,
22 Manitove, and I'm sure it was the New England Journal of
23 Medicine.
24 Q. Thank you for that, Professor Forbes.
25 You go on to say in your statement -- and this is

1 looking at paragraph 10 -- about the growing awareness.
2 I think initially you had said that, subsequently it
3 became apparent that plasma concentrates of all types
4 could be contaminated with a virus which was generally
5 known as "HTLV-III" and later as "HIV". We asked you
6 what period you were really referring to here and you
7 have added a bit into the statement in answer. You have
8 said:

9 "This was meant to be a global statement of the next
10 few years, probably five years, from 1983."

11 In the preliminary report we referred to a report in
12 MMWR at the end of 1982 of AIDS in a 20-month old
13 infant, who had received platelets from a man who went
14 on to develop AIDS. That's one piece of evidence but
15 I think we have already heard other witnesses suggest
16 that that was an important piece of information. There
17 was more information in the succeeding months. So
18 I wanted to suggest to you that actually what you say in
19 paragraph 10 about the idea of an infective agent being
20 transmitted, was pretty clear by the first half of 1983.
21 Would you accept that?

22 A. There was still a lot of doubt about it and many people
23 didn't believe it was an infective agent. There was
24 a lot of argument: so it wasn't hard and fast at that
25 date. But it rapidly became so and most people in fact

1 did think it was an infective agent that was
2 transmitted.

3 Q. Professor Forbes, I'm asking you to think back 28 years,
4 and that's a challenge that would defeat many of us, so
5 please say if you don't want to answer this, but around
6 this time -- and I mean early 1983 -- what did you
7 think?

8 A. I was absolutely astonished by what was coming out and
9 it was clear that there was something happening. We
10 didn't know what. I personally, and most of my
11 colleagues, guessed it probably was some kind of virus
12 that we had never encountered before, which I think was
13 right, but it took a long time to get the proof of that
14 and therefore all this was speculation at the time. But
15 one had to do something to try and stop the spread of it
16 or find out more about the spread of it, and that was
17 very difficult.

18 Q. Thank you.

19 Perhaps, sir, we could carry on after lunch.

20 THE CHAIRMAN: Yes.

21 (1.00 pm)

22 (The short adjournment)

23 (2.00 pm)

24 MS DUNLOP: Professor Forbes, we have really looked at your
25 statement up to about paragraph 10. I think we can pick

1 up there. You say in paragraph 10:

2 "It was certainly not possible to stop the use of
3 concentrate as bleeding would have resulted in death,
4 and the general reaction of most haemophilia directors
5 at that time was to continue to treat the bleeding with
6 concentrate."

7 Then you return to the immunological abnormalities.
8 You say:

9 "It was speculated that something in the
10 concentrates suppressed the immune system."

11 I suppose, if, you know, at that time, in another
12 world, if concentrate treatment had not begun and all of
13 these other developments had been apparent from the
14 United States, would you have wanted to begin treatment
15 with concentrates in Glasgow?

16 A. It's a very difficult question. I think you have to
17 take into consideration the use at this moment of time
18 and not think about what has subsequently happened, and
19 I think that probably one would have wanted just to
20 continue to use concentrates.

21 Q. So really a factor in the decision was that one was
22 maintaining the status quo, carrying on what patients
23 had got used to?

24 A. Well, there is that but they certainly were used to
25 being treated, and I think the decision rightly was made

1 to continue treatment with concentrates.

2 Q. You say in paragraph 11:

3 "The subsequent history is well set out, chapter 8."

4 Then:

5 "In 1982 the first documented cases of patients with

6 haemophilia with AIDS were recorded. The progression of

7 the disease ... range of symptomatology ... typical of

8 other patients in other risk groups."

9 Then you say in paragraph 12, and you have already

10 mentioned this:

11 "It is worthwhile noting that in retrospect other

12 patients who probably had AIDS had been recorded

13 intermittently."

14 A. Yes.

15 Q. You say at the end of paragraph 12 that:

16 "The reported incidences in the third group, people

17 from Haiti, has never been satisfactorily resolved."

18 A. I think that's right, I think there is no very good

19 explanation as to why people coming from Haiti had an

20 high incidence, and one can speculate obviously about

21 lifestyle, but I don't think there is any proof even now

22 as to what went wrong there.

23 Q. Certainly we have seen a number of references from those

24 years of the groups all beginning with "H", and this is

25 certainly one of the "Hs" that one sees in a number of

1 the articles, in terms of the high risk groups.

2 Paragraph 13. You say:

3 "The report in MMWR ..."

4 You are meaning July 1982:

5 "... was the first report of transmission in blood
6 products."

7 I suppose it was a report of AIDS in haemophilia
8 rather than definitively a report of transmission in
9 blood products. That might be more accurate, would it?

10 A. Well, they kind of came together at that time but when
11 I wrote this, I was meaning haemophilia. I should have
12 said transmission in Factor VIII but they came at the
13 same time. Like a bolt from the blue, I have to say.

14 Q. Yes. Then you say:

15 "Over the month to come ..."

16 And this is paragraph 14:

17 "... it became clear that AIDS was not limited to
18 the United States but was now present in the UK with
19 small numbers of patients being diagnosed."

20 One thing I was going to ask you about was an event
21 in 1982, one of the other haemophilia clinicians drew
22 our attention to an international symposium that was
23 held in Stirling in June 1982. It is the second
24 international symposium on infections in the
25 immuno-compromised host.

1 And according to him Acquired Immuno-deficiency
2 Syndrome was the talk of the symposium. Were you at
3 that?

4 A. No, I have not heard of this at all. Stirling in
5 Scotland?

6 Q. Yes, our Stirling.

7 A. Our Stirling, okay. No, I don't know anything about it.

8 Q. You say at the end of paragraph 14:

9 "We in the West of Scotland continued to use
10 cryoprecipitate for both routine treatment in the centre
11 but also for distribution to people on home therapy."

12 So I suppose that really picks up something you said
13 this morning, that cryo was in some instances used for
14 home therapy?

15 A. Yes.

16 Q. What sort of patients with haemophilia would be having
17 cryo at this point for home therapy, rather than
18 concentrates?

19 A. Well, in reality, we had to give them what we could and
20 they had to accept that that was what was available.
21 They had to be pretty intelligent to use it correctly
22 and effectively and make it up themselves, and I think
23 that that was a limiting factor.

24 Q. Did you increase your use of cryo?

25 A. I'm not sure that I can answer that accurately, whether

1 it was increased or not. But the figures were there and
2 were collected annually at that time. So the
3 information must be available somewhere.

4 Q. Yes. On 22 March 1983 there was a meeting of the
5 haemophilia and blood transfusion working group at
6 St Andrew's House, and the minutes of that are
7 [\[SNB0015183\]](#).

8 A. Yes, and I was there, I see.

9 Q. You were there. I think this is the group we saw being
10 set up in 1981.

11 A. Absolutely.

12 Q. So a smaller number of people than met at the annual
13 meetings. I think it was to look at issues of interest
14 in between the annual meetings. Chaired by
15 Dr MacDonald. We see a number of issues were discussed
16 including heat-treated Factor VIII:

17 "The development of new heat-treated Factor VIII at
18 PFC."

19 Mr Watt was there and gave a progress report. On to
20 page 2. It was suggested that the new products should
21 now be given to a small number of patients for clinical
22 evaluation and you and Dr Ludlam expressed willingness
23 to take part in trials.

24 A. I think the clinical trials were the only way ahead at
25 this time. So we were happy to do that.

1 Q. And then AIDS was discussed. We can see that if we go
2 a little bit further down the page. Dr Ludlam reported
3 that in the UK a letter and questionnaire had been sent
4 to haemophilia directors:

5 "AIDS was an emotive issue in the USA and Canada and
6 was causing a move away from factor VIII to the use of
7 cryo with the resultant supply problems. There was
8 concern that AIDS might appear in the UK and the
9 Haemophilia Society was attempting to reassure its
10 members and put fears of infection from blood products
11 into perspective."

12 Do you have any memory of this meeting,
13 Professor Forbes?

14 A. Well, I have to say I don't remember the meeting but the
15 sentiments were quite clear, that there was a wave of
16 tremendous anxiety about HIV infection and its
17 transmission. And a lot of depression in the group of
18 patients who were being exposed to the chance of
19 infection.

20 Q. That particular recorded concern, as at March 1983, was
21 a concern that AIDS might appear in the UK; do you think
22 that was the extent of the concern?

23 A. I think most people thought that it undoubtedly would
24 appear in the course of time, and already we were
25 starting to look rather differently at our patients to

1 see if they had any of the features that might be an
2 early warning of AIDS.

3 Q. If we look on to the next page, we can see the
4 transfusion directors are considering how best to ensure
5 the safety of plasma supply, and you were conducting
6 a sample study of the immunological status of
7 haemophilia patients.

8 A. Yes.

9 Q. And it's that work that we saw, I think, mentioned in
10 your curriculum vitae, work with Dr Karen Froebel and
11 others, Dr Melbye, is it?

12 A. Melbye.

13 Q. Melbye, sorry. So that would be that work, would it?

14 A. Yes.

15 Q. Now, you were also asked --

16 THE CHAIRMAN: Could I ask a question?

17 MS DUNLOP: Yes.

18 THE CHAIRMAN: Professor, I get the impression from what you
19 have said so far that the use of cryoprecipitate in your
20 area was largely a response to what was available. Is
21 that right?

22 A. Yes.

23 THE CHAIRMAN: I have read some comments that suggested that
24 there was a more positive preference for cryoprecipitate
25 in the West of Scotland from time to time. Do you have

1 any recollection of that? That it was the product of
2 choice rather than simply what was available?

3 A. I think that often we had no choice but to take what was
4 available at that time, provided by SNBTS and that was
5 usually cryoprecipitate. There were concentrates coming
6 on stream, made locally in Scotland, and for all kinds
7 of reasons we worried about the efficacy and safety and
8 so on. So our preference was still for cryoprecipitate.

9 THE CHAIRMAN: Yes. I'm not sure if that helps resolve all
10 of the issues that there might be.

11 MS DUNLOP: No.

12 THE CHAIRMAN: But we may simply have to leave it at that.

13 MS DUNLOP: I think perhaps we can leave it at that for just
14 now.

15 I wanted, Professor Forbes, to look at a meeting
16 that was held in May 1983. The minutes of it are
17 [\[DHF0014384\]](#).

18 A. Thank you, I have them but I'm not sure I was actually
19 at it.

20 Q. Well, I have the advantage of you, Professor Forbes
21 because I actually have a copy in my hand which is
22 unredacted.

23 A. Oh, right, was I there? In body if not in spirit.

24 Q. You weren't there.

25 I think perhaps, professor, I should explain to you

1 that when we wrote the preliminary report, this is all
2 we had. So a piece of paper with a very large blank in
3 it, and we deduced, wrongly as it turned out, that there
4 wasn't any Scottish representation, which is partly why
5 the questions about the designation of Glasgow and
6 Edinburgh as reference centres arose.

7 However, having now had a further batch of
8 documents, or more recently had a further batch of
9 documents, which contained an unredacted copy of these
10 minutes, we now know that Dr Ludlam was there. But you
11 weren't there. No one was there from anywhere else in
12 Scotland. I suppose you wouldn't expect anybody from
13 Dundee or Inverness or Aberdeen perhaps if this is
14 reference centre directors?

15 A. I don't think they would be there. I have no
16 recollection of being asked to the meeting or refusing
17 to go.

18 Q. Or sending apologies?

19 A. Or sending apologies.

20 Q. It is slightly puzzling, wouldn't you agree,
21 Professor Forbes, that if a meeting is being held of
22 reference centre directors in May 1983, solely to
23 discuss the problem of AIDS, it is slightly puzzling
24 that there isn't any representation from Glasgow?

25 A. Well, I can't explain why that was but clearly it's how

1 it happened.

2 Q. Why or how, I suppose. But you don't know whether you
3 were invited. It is really just one of these questions
4 we may never be able to answer.

5 A. I have no recollection.

6 Q. Right. We do know that a letter was sent on
7 24 June 1983 by Professor Bloom, outlining the
8 recommendations from the meeting, and no doubt you will
9 have received that, but if we look firstly at the
10 recital of what has happened to date on the first page.
11 It is Professor Bloom who briefly outlined the
12 background to the meeting and its purpose:

13 "Recent publicity raised in the press, radio and
14 television about the problem of Acquired
15 Immunodeficiency Syndrome, AIDS, has caused considerable
16 anxiety to haemophiliacs and their medical attendants,
17 as well as to the Department of Health. There is
18 clearly a need for haemophilia centre directors to
19 discuss what should be done with regard to the
20 surveillance and reporting of suspected cases and the
21 management of patients. To date in the United Kingdom,
22 one haemophiliac is suspected of suffering from AIDS and
23 in London there are reported to be ten cases of
24 confirmed AIDS in homosexual males."

25 There has obviously been quite a bit of discussion

1 of events to date, and then on the second page issues
2 about reporting and then in a paragraph beginning:

3 "The steps to be taken ..."

4 Is discussed the scenario: should a patient with
5 haemophilia develop AIDS, what should happen about their
6 haemophilia treatment. Then:

7 "With regard to general policy ... it was noted that
8 many directors have, up until now, reserved a supply of
9 National Health Service concentrates for children and
10 mildly affected haemophiliacs. It is considered it
11 would be circumspect to continue with that policy."

12 You weren't looking after children at that point but
13 as far as mildly affected haemophiliacs were concerned,
14 what was the practice in Glasgow in May 1983?

15 A. Well, we did have for mild haemophiliacs an alternative
16 treatment which is a chemical called DDAVP, and that was
17 the agreement that we would use that in preference to
18 giving them blood products of any kind.

19 Q. Right.

20 A. But it wasn't as straightforward as that, as no doubt we
21 will come to.

22 Q. Yes. I'm certainly going to ask you about DDAVP in
23 a moment, but we do understand -- and please correct me
24 if this is wrong -- that DDAVP wouldn't be any good in
25 a patient with mild haemophilia who was suddenly

1 suffering a bleed; you need something more immediate
2 with which to treat that?

3 A. We tended to use it in elective situations, where we
4 were doing some minor -- and I emphasise minor
5 procedure -- like tooth extraction of one or two teeth.
6 We did use it occasionally for acute bleeds as well
7 because it did raise the level of Factor VIII in the
8 blood of the recipient and would stop minor joint
9 bleeding. So we did use it a bit but with some caution.

10 Q. It says:

11 "It was also agreed that there was as yet
12 insufficient evidence to warrant restriction of the use
13 of imported concentrates in other patients in view of
14 the immense benefits of therapy."

15 Did you have any memory of receiving a letter
16 telling you what the recommendations were? I suppose it
17 would be better if I let you see the letter as well. It
18 is a letter of 24 June 1983. I'm sorry, I don't think
19 we have a hard copy of it for you.

20 A. Okay, if you put it up on the screen.

21 Q. It is [\[SGH0022175\]](#). This is actually the copy addressed
22 to Dr Ludlam, but assuming that you in Glasgow would
23 have received the letter also --

24 A. I presume so.

25 Q. Yes.

1 A. The communications in haemophilia were very good. So we
2 must have.

3 Q. And we can see the recommendations set out there:
4 "Treatment with DDAVP ... children and mildly
5 affected patients or patients unexposed to imported
6 concentrates ..."
7 Using NHS concentrates instead.

8 A. Yes.

9 Q. I mean, will receipt of that letter have caused you in
10 Glasgow any difficulties or made you have to change
11 anything you were doing?

12 A. Well, there is another problem that we haven't touched
13 on, but in your previous statement of two or three
14 statements ago, you indicated that in the UK community
15 there had been found so many patients with HIV
16 positivity, and potentially they might be blood donors.
17 So we had no problem in saying that there was
18 a potential for contamination of blood products even
19 from local, home-grown sources. So that was always the
20 concern, that HIV would come into the donor population
21 of the UK. And that has already happened.

22 Q. Well, are you saying that that altered your practice in
23 Glasgow in 1983?

24 A. Well, it was a concern.

25 Q. Right. And recognition of that as a concern, what

1 effect did that have?

2 A. Well, we were scratching our heads and asking: what is
3 best to give patients? Many took the view that the
4 major problem was not something that would happen in the
5 future, like HIV disease or AIDS, but the concern was
6 would the patient bleed and die at that point. So the
7 tendency was to come down on the side of using whatever
8 concentrate we had available or cryoprecipitate. So
9 treatment was still the option of choice.

10 Q. Can we go back to your statement, please,
11 Professor Forbes? I wanted to look at paragraph 16,
12 [\[PEN0150254\]](#), paragraph 16. Thank you. You were asked,
13 if you remembered the meeting -- and this is the meeting
14 of the biological subcommittee of the Committee On the
15 Safety of Medicines -- in July 1983, the meeting where
16 Dr Galbraith is said to have recommended that blood
17 products from the USA not be used. So you don't have
18 any recollection --

19 A. I have no recollection of that at all or indeed of
20 Dr Galbraith, and it's just a total blank, I'm sorry.

21 Q. Right.

22 A. I think his advice was not positive, in that one could
23 not stop treatment of patients because of the dangers of
24 bleeding and the consequences of bleeding. So I'm not
25 sure that one would have been able to take his advice.

1 Q. Right. Well, I think specifically what Dr Galbraith was
2 very concerned about was American concentrates, and he
3 was suggesting that perhaps the time had come to stop
4 the import of blood products made from blood donated in
5 the United States of America after 1978. As far as
6 Scotland was concerned at that time, with the particular
7 supply available in Scotland, would it have been
8 possible practically to cease all use of American
9 products?

10 A. I'm not sure there was enough locally produced
11 Scottish -- if you wish to call it such -- Scottish
12 Factor VIII available to fulfil all the needs of the
13 haemophilic population, but I can agree with his
14 sentiment, and maybe having seen the two videos of
15 World in Action of the donor pools they were using, one
16 emotionally would say, "That's the right thing to do,
17 stop this stuff". But at the end of the day, it wasn't
18 true to say that all the material produced in the UK was
19 free of infection. So maybe at this moment of time that
20 was perfectly fine to say, but could one do it? I'm not
21 sure.

22 Q. Right. Just on that theme, I thought I might ask you to
23 look it up, a Government memo, [\[SGH0026764\]](#). Just that
24 heading "Imported Factor VIII":

25 "Scotland is virtually self-sufficient in

1 Factor VIII."

2 A. That was cloud cuckoo land. I don't think we were ever
3 self-sufficient in quality Factor VIII at all at that
4 time.

5 Q. So if witnesses were to testify from the Blood
6 Transfusion Service, particularly from protein
7 fractionation centre, that there was enough product for
8 the treatment of all patients with haemophilia in
9 Scotland at that time, you would think they were
10 mistaken, would you?

11 A. I would be surprised they would so testify.

12 Q. You referred to DDAVP. And in your statement you
13 actually drew our attention particularly to an article
14 on DDAVP. I'm referring here particularly to paragraphs
15 19 and 20 of your statement. There has been
16 a suggestion and various comments about DDAVP and you
17 say:

18 "It's not without its own problems."

19 Then the following paragraph you were, I think,
20 going to be given a reference from Professor Lowe but
21 I think the article is "DDAVP in haemophilia", and it is
22 from the Lancet of September 17, 1977?

23 A. Yes, that's correct.

24 Q. We have it as [\[PEN0150368\]](#). So that's it. That's the
25 article you were meaning?

1 A. Absolutely, and we wrote this up as a warning to other
2 groups that DDAVP did have potential other effects and
3 to be used with caution.

4 Q. What was the nature of the difficulty?

5 A. It was fluid retention after the use of DDAVP in which
6 blood pressure changed, and also the amount of fluid
7 retained in the body rose. So we were concerned about
8 that.

9 Q. Was that an actual contra-indication or was it just
10 something to be attentive to?

11 A. I don't think it would be a contra-indication because
12 you would only be aware of it after it had happened but
13 it was something that we flagged up to warn people to
14 look for, and quite straightforwardly to look for it.

15 Q. Right. And as long ago, as we see, as 1977.

16 Paragraph 21, you are responding to questions
17 about -- this is back to the WFH -- the WFH and ISTH
18 meeting in Stockholm at the Karolinska institute. ISTH,
19 International Society of Thrombosis and Haemostasis. Is
20 that correct?

21 A. Yes.

22 Q. Karolinska in June 1983. I just wanted to put to you
23 what we actually found out about this from papers of
24 someone else who was at the conference. You think you
25 were there?

1 A. I think I was.

2 Q. Right.

3 A. But I couldn't -- I have no documentation.

4 Q. I see. Can I ask you to look at paragraphs 8.37 and
5 8.38 of the preliminary report. This is page 197.
6 I actually have a reference for it too. It is page 12
7 of [\[LIT0012479\]](#). These paragraphs are written with
8 reference to some reports prepared by Dr Peter Foster.
9 Did you know Dr Foster?

10 A. Yes, I had met him many times.

11 Q. It's really his comments in 8.38 that I'm interested in
12 but just for context we can see at 8.37 that he was
13 there. I don't know quite how we managed to write that
14 ISTH stood for the International Society for the
15 Treatment of Haemophilia. I'm not sure where that came
16 from, but we do accept that that's wrong. The
17 Karolinska institute -- that Dr Foster prepared two
18 memoranda for Mr Watt of PFC on his return. I suppose
19 you knew Mr Watt very well too?

20 A. Yes, yes.

21 Q. Right. In 8.38, Dr Foster's impression -- and this
22 comes from these reports -- I'm not going to trouble you
23 by taking you to the actual reports but Dr Foster's
24 impression was that:
25 "There had been a concentrated attempt from the US

1 delegates to play down the situation and an attempt to
2 suppress the AIDS hysteria."

3 Do you have any memory of this?

4 A. There was no doubt that there was huge hysteria in the
5 whole field of haemophilia about AIDS and related
6 illnesses.

7 Q. But do you have any particular memories related to that
8 meeting in Karolinska?

9 A. I have to say I have little memory of it.

10 Q. Right. We then took you on through events in your
11 statement. If we can go back to that please,
12 [\[PEN0150254\]](#), looking at 22. That's the meeting of the
13 biological subcommittee. We have already covered that.
14 That's where they discussed Dr Galbraith's paper. And
15 there is a meeting in Aarhus, and then the UKHCDO in
16 Manchester.

17 You say you are not sure it is correct to say the
18 emphasis was on maintaining use of commercial
19 concentrates. You had made an effort to provide
20 cryoprecipitate from small pools for mildly affected
21 patients and even those on home therapy, and that's,
22 I take it, the position that Glasgow Royal Infirmary --

23 A. It was.

24 Q. You say:

25 "This may be the reason that when we eventually had

1 a test for HIV only 16 per cent of our treated patients
2 tested positive."

3 A. Yes. This was one of the very early studies of numbers
4 of patients infected, and we had been collecting samples
5 and storing them and eventually, with the help of
6 Dr Melbye, whose name is in one of the papers, we found
7 that only 16 per cent of our patients were positive with
8 HIV compared with the other big centres that
9 collaborated, and, like Newcastle, their incidence of
10 positive HIV in the patients was 90 per cent. And
11 applied to all the big centres who had large numbers of
12 patients who had been treated with concentrates.

13 Q. I think --

14 A. So we were very lucky.

15 Q. I think the particular writing-up of this material that
16 might be most useful to run past you is [\[DHF0026016\]](#).

17 I think that's the second reference you mention in
18 paragraph 23, I hope. Can we go to that? 6016. We
19 have to look at page 4 of this, which is obviously 6019.
20 So that's actually the first page. The first page is
21 actually I think the editorial. Does this look like the
22 article that set out your experience in Glasgow?

23 A. That is correct. With a variety of collaborators who
24 later had a major role in this but our contact was
25 Dr Melbye, who was a virologist from Denmark.

1 Q. Yes.

2 A. So we were very pleased at this in some ways, that fate
3 had determined that, because we weren't using the huge
4 amounts of concentrate that other people were using,
5 that so few of our patients had been exposed to the
6 virus.

7 Q. Just look a little bit further down the summary. We can
8 see that from these two groups, the Scottish patients
9 and the Danish patients, we can see 15.6 per cent of
10 Scottish and 59.1 per cent of the Danish patients were
11 antibody-positive. Two of 30 subjects treated with
12 locally produced concentrate only were antibody positive
13 compared with 23 of 58 subjects who had been treated
14 with commercial concentrate. I think if we read on,
15 these two patients are your patients -- well they were
16 Glasgow patients.

17 A. Hm-mm.

18 Q. Right, if we can perhaps go back to your statement, and
19 to understand your paragraph 26, we should look at the
20 schedule of questions you were sent. That's
21 [\[PEN0120225\]](#).

22 A. Yes.

23 Q. I think you have a copy of that?

24 A. I do, yes.

25 Q. Yes. You are commenting in paragraph 26 on 3(v), which

1 is on the last page of the schedule. It is actually on
2 a page headed "Page 8", but I think will probably be
3 page 6 of the court book reference, if that makes sense.
4 That might be 0230.

5 The question was:

6 "More generally was there an awareness of Scottish
7 patients with AIDS?"

8 Perhaps this links into what you have been saying,
9 professor, about feeling anxious about the Scottish
10 blood supply:

11 "We are aware of a comment from an unnamed
12 genito-urinary specialist to the effect that in 1983
13 patients were arriving in his/her clinic with symptoms
14 of AIDS."

15 Just so that we are all clear about the question,
16 I think I should show you the actual page from the
17 thesis concerned, which is [\[PEN0160457\]](#). There, right
18 in front of us on the screen, and I hope you have a hard
19 copy of it as well, Professor Forbes?

20 A. Thank you, I have.

21 Q. It is really that quotation we can see beginning:

22 "We were aware of it as physicians because of
23 medical literature but really we started seeing our
24 first patients with clinical evidence of HIV infection
25 in 1983. When I felt these glands and saw some of the

1 skin complaints, I realised what was going on and
2 related it to HIV."

3 Then just to let you see the results of our research
4 into that, can you also look at [\[PEN0140102\]](#)? This is
5 a statement from Dr Sandy Macmillan. Do you know
6 Dr Sandy Macmillan?

7 A. Yes, indeed, he worked in Edinburgh.

8 Q. Yes, in genito-urinary medicine?

9 A. Yes.

10 Q. And he is not sure whether those are his words or not.

11 He says:

12 "I can't recall when I first saw a patient with
13 presumed HIV infection."

14 But he thinks it was likely to have been early to
15 mid-1983. So with that amplification of what was in the
16 minds of the questioners, when we asked you that
17 question, you said in your answer:

18 "I don't know what evidence or where this came
19 from."

20 Well, that's where it came from. Did you, as
21 a haemophilia clinician in Glasgow, have any knowledge
22 perhaps from genito-urinary colleagues or from talk
23 amongst doctors that there were already patients in
24 Scotland with these kind of symptoms, lymph node
25 enlargement and so on?

1 A. Yes, they were starting to appear and we were aware of
2 them, and we did often consult with our local
3 genito-urinary specialist and indeed he became part of
4 our little team, looking after the haemophiliacs.

5 Q. Can we go back to the statement, paragraph 26. When you
6 said:

7 "I actually don't believe it either."
8 What was it that you didn't believe?

9 A. I was referring to the appearance at genito-urinary
10 clinics at that time. They certainly did appear later,
11 as I have agreed.

12 Q. Right. So you --

13 A. I was just quibbling about the suggestion that everyone
14 knew about it but us.

15 Q. I'm sorry if that appeared to be the implication of the
16 question. I think the question was really just
17 wondering if you were aware of any patients in Glasgow
18 reporting to genito-urinary physicians in 1983 with
19 symptoms that looked very like AIDS?

20 A. The answer is: I can't put the timeframe together here.

21 Q. Right. I quite understand. I think, given that it was
22 Glasgow, however, the other thing we wondered -- and can
23 you look at [\[LIT0010219\]](#) -- this is a report of an AIDS
24 case in Scotland. You see, this is the BMJ, I think, if
25 we go right up, we will see it is 11 February 1984:

1 "Pyrexia of undetermined origin, diarrhoea and
2 primary cerebral lymphoma associated with Acquired
3 Immuno-deficiency."

4 It is the story of a Scotsman who had been working
5 in East Africa who had returned and become ill, and in
6 fact had developed symptoms of AIDS. If we look at the
7 end of this article, if we could move on to the next
8 page, please, we can see it was accepted for publication
9 on 3 October 1983. In fact, from the article we can
10 see, if we go back to the page before, this is The
11 Western Infirmary, and if we go back to the page before,
12 once we have seen a slightly bigger print. Can we
13 scroll down, please, you see from the summary that he
14 died on 24 December. So drawing, I suppose, the obvious
15 inference is it was accepted for publication
16 in October 1983, 24 December must have
17 been December 1982. Do you have any recollection of
18 hearing about this case in Glasgow?

19 A. I don't think I ever heard about it but it does
20 underline the fact of the point I was making before,
21 that before morbidity and mortality reports, there were
22 individual cases like this and several others, where
23 clearly this looked like we could go back and say that
24 probably was AIDS, although we didn't have the proper
25 identification with the antibody tests and so on.

1 So there are a number of these people who were
2 diagnosed and that's one of them.

3 Q. Right. Can we go back to your statement, please, at
4 paragraph 27? I think we already know your position on
5 the proposition that Scotland was self-sufficient or
6 nearly self-sufficient. But I just wanted to ask you in
7 this paragraph when you are talking about
8 "self-sufficient", what would be your definition of
9 "self-sufficiency"?

10 A. I think the definition would be that at the drop of
11 a hat, at any moment of time, if a patient required
12 treatment, you could go to your people and say, "We need
13 to treat this patient, we need X, Y and Z," that it
14 would be available and I'm not sure that we ever were in
15 at that position.

16 Q. Right. I suppose that involves all sorts of issues
17 beyond simply production, does it?

18 A. Absolutely.

19 Q. Right. And, 28, I wanted to ask you just a little bit
20 about heat-treated concentrate. Your view was -- and
21 you think in common with quite a lot of others -- that
22 you were pretty sceptical about the notion of
23 heat-treated concentrate. Is that right?

24 A. Yes, we had worked with Factor VIII for many years and
25 the problem was that it was a very short half-life, and

1 even as you worked at the bench with it, it would
2 disappear in front of your eyes. So the fact that
3 someone would want to actually raise the temperature and
4 to kill a virus, I thought would never work and I was
5 very doubtful about it. And in fact, many of the
6 initial attempts did destroy most of the Factor VIII
7 potency in the concentrates but clearly I was wrong and
8 I accept that because now it is undoubtedly proven to be
9 of value.

10 Q. I suppose in modern parlance, Professor Forbes, it would
11 be described as counter-intuitive. Is that correct?

12 A. That would be a very good term. I'm not sure I could
13 say that.

14 Q. We know that some heat-treated concentrate started to
15 come through in 1983. Perhaps you could just have
16 a look at firstly [\[SNB0074604\]](#). This is back to
17 Hemofil. The quest for safety in the treatment of
18 Haemophilia A, and this is heat-treated from
19 Hyland Therapeutics, and there actually is a date on
20 this; the date of this material is March 1983. If we
21 look at the next page, please, I think the date is at
22 the very end in fact. Yes, a bit of narrative about
23 Hyland Therapeutics introducing the first commercially
24 AHF concentrate in 1966, and then acknowledging that the
25 chief source of risk in concentrate therapy stems from

1 the possible viral bioburden. I actually hadn't come
2 across the word "bioburden" until I saw that leaflet,
3 professor.

4 A. I'm not sure I have ever come across it since then.

5 Q. Right. I suppose it just means it's infectious?

6 A. Yes.

7 Q. Yes. Anyway:

8 "bioburden of the large pools of source plasma. One
9 of the most significant threats is that of viral
10 hepatitis. In fact, that haemophiliacs would eventually
11 contract one or more forms of hepatitis has long been
12 considered inevitable."

13 So it has been a longstanding Hyland Therapeutics
14 goal to find a solution to the problem, we see.

15 A. I think it would be pertinent just to make the point
16 that the heat treatment, we all hoped would work. It
17 raised the additional problem of changes in the other
18 proteins which were in the container, and certainly if
19 you looked at the vials that had been heat-treated,
20 often they had changed colour to little bit of brown
21 appearance, as clearly much of the protein or some of it
22 had been denatured, and the concern was that this might
23 be a new antigen that had been created by the burning of
24 the protein, the crisping up of it. And there was a lot
25 of anxiety and a lot of time went into trying to prove

1 that that was safe to use. So it wasn't all
2 straightforward, saying we will heat it to such and such
3 a temperature and that will be the viruses destroyed.
4 It was thought other problems might arise.

5 Q. Right. Do you remember in general terms these
6 commercial heat-treated products starting to come
7 through?

8 A. Yes.

9 Q. And how then in summary would you characterise the
10 reaction in your haemophilia centre to the news that
11 there were these heat-treated products, not, I take it
12 from what you have said, one of total enthusiasm?

13 A. No -- well, I think we were enthusiastic that things
14 were being done. Whether they were the right things, is
15 another question, and people were anxious that suddenly
16 we would be inducing a new disease due to new antigens
17 in this crispy brown material. So there was a lot of
18 anxiety still.

19 Q. There were, of course, moves going on at PFC at this
20 time as well, heat treatment projects at PFC. Do you
21 remember that?

22 A. Yes, indeed.

23 Q. Right. What was it that they were trying to do? Do you
24 remember?

25 A. Well, they were trying to do a pretty similar thing, to

1 look and see how best to heat treat, whether it should
2 be a dry product that was heated or whether it was a wet
3 product. What the loss of Factor VIII would be and what
4 the penalty would be with perhaps new antigens being
5 produced with the crispy brown material that was
6 available.

7 I would also add that there was a time where one of
8 the companies that had produced a heat-treated material,
9 their concentrate was shown to be still infected so it
10 hadn't been successful.

11 Q. You mean with hepatitis or with HIV --

12 A. No, with HIV. So there was concerns about the efficacy
13 and the heating process, the temperature, duration of
14 temperature and so on.

15 Q. Yes.

16 A. So all the anxieties didn't disappear overnight.

17 Q. Well, just to move sideways to look at what was
18 happening in the NHS fractionation world in Scotland at
19 the time, can we look firstly at [\[SNB0015242\]](#)? You see
20 this is a letter from Professor Cash to Dr McDonald.

21 I'll just give you a minute to look at it. (Pause)

22 So it looks, Professor Forbes, as though you were
23 helping with trials?

24 A. We were very keen to see trials carried out and with
25 a protocol that had been agreed between everyone. So we

1 got the most information from patients who were going to
2 receive this product.

3 Q. And the other letter is [\[SNB0074335\]](#).

4 A. And that's an agreement letter from myself.

5 Q. I think you are ahead of us, professor.

6 A. I have got a very good helper here who is producing it
7 all right in front of me.

8 So they started using whatever their technique was
9 at that time to produce the material and we were testing
10 it on our patients.

11 Q. Yes. This is obviously something that we can ask
12 Professor Ludlam about, but one of his patients,
13 I think, had a reaction to a product towards the end of
14 1983, but your trial seems to have run more smoothly?

15 A. Well, it did, for whatever reason.

16 Q. Yes. Of course, we do know that there were some very
17 significant developments in 1984 in relation to
18 infection with NHS product but the focus of that was in
19 Edinburgh and not in Glasgow. But I expect you remember
20 that?

21 A. Yes.

22 Q. Just in conclusion, professor, can we go back to your
23 statement and to paragraph 29? You express a view that:
24 "The attention, anxiety and distress associated with
25 HIV infection made us take our attention from the

1 equally important, and in retrospect, perhaps more
2 important aspect, of other infection, which is
3 Hepatitis C."

4 You say:

5 "It is apparent that Hepatitis C in the long-term
6 has become a lot more serious and sinister disease with
7 many fatalities."

8 I think you mean a lot more serious and sinister
9 than it was at first thought to be?

10 A. Absolutely. It was thought early on to be a benign,
11 almost irrelevant condition, which we could document by
12 liver function tests and so on, but clearly, looking
13 back, and I have to say that my opportunity of now
14 looking back at what we thought 20 years ago, it was
15 clearly a very sinister disease that was insidious and
16 fatal in many patients.

17 Q. Do you think it stopped you -- by "it", I mean the
18 attention paid to the HIV infection -- doing something
19 in relation to hepatitis that you otherwise would?

20 A. I'm not sure what else we would have been doing but it
21 certainly was a surprise going back after all these
22 years to see how much the population had been devastated
23 by hepatitis, as opposed to HIV.

24 Q. I see. Professor, I said in conclusion but I shouldn't
25 forget to put to you one final document, which is your

1 own. It is [\[PEN0150223\]](#). Just to record that you were
2 just one of a large number of people who were asked
3 about funding from pharmaceutical companies and this is
4 your response, I think prepared earlier this year. You
5 have no recollection of any financial inducements,
6 payments or incentives being given to your
7 haemophilia centre by any blood product manufacturer.

8 A. I'm not aware of it. Certainly there were no personal
9 fees ever given by any of the companies for whatever
10 reason but they certainly did support the symposia, the
11 scientific aspects of these symposia, and they were very
12 good. We couldn't have done that without them.

13 Q. Thank you for giving us your response on that and thank
14 you for your evidence today, Professor Forbes.

15 THE CHAIRMAN: Mr Di Rollo?

16 Questions by MR DI ROLLO

17 MR DI ROLLO: Professor, can I just ask you about the
18 situation as far as the decision-making in relation to
19 acquiring concentrates and prescribing them to patients.
20 Were you responsible for making the decision as to
21 whether to use concentrates? Was that one of your
22 responsibilities?

23 A. I don't think it ever was. The only time that we
24 insisted on a concentrate was where there was major
25 surgery. For all the other situations, which were not

1 as severe as that, we were happy to be told what was
2 available.

3 Q. Right. And as far as what concentrates to use were
4 concerned, was that your responsibility or --

5 A. No, never.

6 Q. Am I right in thinking that it was NHS concentrates that
7 were used in your hospital?

8 A. Mostly. Very little of the commercial material was ever
9 purchased, I'm told.

10 Q. And again, that's as a result of being told by others as
11 to what was being used or not being used?

12 A. Well, we were guided by SNBTS.

13 Q. Right.

14 A. We were told what they had in store and in stock.

15 Q. Right. When you were being asked about
16 self-sufficiency, I think you said in your evidence that
17 you don't think that there was ever self-sufficiency in
18 quality Factor VIII, or words to that effect. What do
19 you mean by that? In terms of quality? What do you
20 mean by that?

21 A. I mean stuff that you could rely on as to what it said
22 on the bottle was actually in the bottle. So potent,
23 effective therapy was the difficulty because there was
24 such variation. So every time we gave a material, we
25 measured it in the blood of the patient to ensure that

1 there was enough to make them safe for whatever the
2 procedure was. So if they were having major surgery, we
3 would work out the dose require, we would give it and
4 then we would check by a blood test after 20 minutes or
5 so that we had achieved a haemostatic level of the
6 Factor VIII or IX.

7 Q. And if you hadn't, what would happen then?

8 A. We would give another dose.

9 Q. Right, and that would still be NHS concentrate?

10 A. It would be.

11 Q. Again, would you have to give more than two doses?
12 Would you sometimes have to ...?

13 A. Well, we would then be on a plan of giving doses twice
14 a day. So there would be another dose. And by this
15 time, by the time you had floated about giving a second
16 dose in the morning, they would have the surgery and
17 then we would be into a scheme of twice-daily testing.

18 Q. It wasn't a case of saying, "The NHS Factor VIII isn't
19 working, we had better get some commercial stuff", or
20 something like that? You would just carry on with the
21 NHS?

22 A. No, we continued with what we had.

23 Q. Yes. So insofar as self-sufficiency is concerned, if we
24 look at the document [\[SGH0026764\]](#), Scotland is
25 virtually -- it says:

1 "Scotland is virtually self-sufficient in
2 Factor VIII."

3 If by that was meant that the hospitals are being
4 provided with Factor VIII and that is sufficient for
5 their needs; in other words, they don't require to use
6 commercial concentrate, that may not be as good as or it
7 may not be of the same quality but they don't require to
8 use other material; is that not a reasonable statement
9 to say that it is virtually self-sufficient in that
10 sense?

11 A. I think you would have to put a date when you say
12 self-sufficient. Clearly, at the beginning of the
13 period that we are all discussing, that was not true.
14 I'm not sure it was even true at the end of the period
15 we are discussing. I am rather sceptical that we were
16 ever self-sufficient in this time.

17 Q. I'm trying to tease out the senses of self-sufficiency
18 that we are talking about. The date on this document is
19 6 May 1983.

20 A. I would suggest that that -- I don't think -- is the way
21 I would see it.

22 Q. But just to understand how you would see it, what you
23 are saying is that you have to live with the material
24 you have been given, which is the NHS concentrate. Is
25 that right?

1 A. Yes.

2 Q. So it wasn't a case of you getting anything else; it was
3 the NHS concentrate that you were using?

4 A. That would be true. The problem is that you never knew
5 that you had enough.

6 Let us say that you are going along and you are
7 treating the routine patients as they come through and
8 you have got enough, of course, but all you needed was
9 some patient who had been in a major car accident or
10 some major trauma, or bled into his brain, and would you
11 have enough for that? That was always the anxiety. So
12 we were on a knife edge of having enough or not having
13 enough. And I think that my response would be we were
14 always worried about having enough.

15 Q. Right. My understanding is that it wasn't your
16 responsibility to acquire this material for your
17 hospital. That wasn't your job?

18 A. No, and -- We were lucky that we had embedded in the
19 Royal Infirmary in Glasgow a little section of blood
20 transfusion and that was their job.

21 Q. So who would make the decision as to whether to acquire
22 for the hospital any commercial material?

23 A. I think that would be at that time Dr John Davidson, who
24 was the doctor in charge of that area and has since died
25 I have to say.

1 Q. How would he make a decision as to whether or not to
2 acquire commercial material?

3 A. Well, he would look and see what they had available in
4 store, and he would be calling in every day in any case
5 from Law Hospital where the main store was; enough for
6 what he thought would be needed for that day.

7 Q. How would he decide which commercial material --

8 A. I have no idea what his decisions were. I'm not sure
9 that we ever used much commercial material.

10 Q. If we look at the preliminary report, there is some
11 material for Glasgow Royal Infirmary. If we go to
12 page 569 we will see that, I think, from 1980 onwards
13 a number of different manufacturers of commercial
14 products have been used in Glasgow, obviously much
15 smaller amounts, in relative terms than the PFC
16 concentrate. These are the figures that have been
17 produced by the Inquiry in the preliminary report. So
18 it does appear from that that a number of different
19 manufacturers were supplying commercial material at
20 Glasgow but, as you have indicated, in relative terms
21 it's mainly NHS product that is actually being supplied.

22 If we go to Yorkhill on the other hand, and go to
23 page 566, I think the point has already been made by my
24 learned friend that there was considerably -- in
25 proportionate terms, considerably more commercial

1 material used at Yorkhill in 1980 and 1981 and the
2 following years, but it does appear quite
3 significantly -- at least from this information -- that
4 it's just one commercial product that has been used
5 there, which is the Armour Factorate product, as opposed
6 to the different manufacturers that we saw in the
7 Glasgow Royal Infirmary.

8 Are you able to give us any information as to why
9 that might be, not the question of the different
10 proportions but the reason why you have got only one
11 manufacturer?

12 A. I have no idea. I was not at all involved in the
13 decisions about the Yorkhill situation.

14 Q. In terms of the responsibilities for acquiring and the
15 decision to use that particular --

16 A. I don't know how they did their ordering. I presume
17 they must have gone through the SNBTS but I have no
18 idea. I don't know.

19 Q. Are you saying that the commercial material was actually
20 supplied through SNBTS as well as the NHS material?

21 A. I think it may have been purchased. The commercial
22 material was often a bulk purchase to get the price
23 down, but I'm not at all and have never been involved in
24 that so I'm not sure that that's even accurate. But the
25 usual thing, certainly in the other centres, was that if

1 money was available, they would negotiate a separate
2 price.

3 Q. When you say "they", who is "they"?

4 A. The people involved, and it may be SNBTS.

5 Q. It sounds to me as though you are not going to be able
6 to help us with this.

7 A. No, I don't think I can.

8 Q. Right. When you were involved in actually giving
9 a product to a patient, did you actually know where it
10 had come from? Were you aware whether it was
11 a commercial one or NHS?

12 A. Only when it arrived on the ward and I was about to
13 administer it.

14 Q. Right. Thank you.

15 THE CHAIRMAN: Professor You have made it fairly clear you
16 weren't involved in the actual procurement processes.
17 I wonder whether I could draw your attention to one very
18 colourful comment that came from Glasgow. It is in the
19 preliminary report at paragraph 10.163. I don't know if
20 you would have your attention drawn to it before.

21 A. No.

22 THE CHAIRMAN: Page 374. It is written by a Dr Hopkins. Do
23 you remember him?

24 A. No.

25 THE CHAIRMAN: No. We see that he makes a comment about the

1 MR SHELDON: Sir, there is one matter I wanted to clarify
2 with the professor.

3 Professor, you were asked some questions by
4 Ms Dunlop about the policy background to discussions in
5 relation to the purchase and supply of commercial
6 concentrate. And in particular I think you were asked
7 whether any steer was given from above, particularly
8 from SHHD, about these matters.

9 I just wanted to take you briefly, if I can, please,
10 to a document, [\[SNB0015252\]](#). We will see this was
11 minutes of the meeting of the directors of the SNBTS and
12 the haemophilia directors, 2 February 1984. Do you see
13 that?

14 A. Yes.

15 Q. I think this was a meeting that you were not present at.
16 I certainly can't see your name there. Would that be
17 right?

18 A. No, I don't see it.

19 Q. Dr McDonald, I think is there from Glasgow but not
20 yourself.

21 A. Yes.

22 Q. If we look, please, at the second page of that document.

23 A. I see that I had apologised to the meeting so I wasn't
24 there.

25 Q. On page 2 there is an item at the very foot of that

1 page, (v):

2 "Dr Cash asked members to consider whether, given
3 the present SNBTS production level of Factor VIII
4 concentrates, it was necessary to purchase commercially
5 unless exceptionally a superior product was available."

6 Do you see all that?

7 A. Yes.

8 Q. Can we go over the page, please.

9 We can see that there are contributions from
10 Dr McDonald and Dr Ludlam, and there is then
11 a paragraph:

12 "Dr Bell emphasised that the aim of the SNBTS and of
13 national policy was for Scotland to be self-sufficient,
14 and although the department would not wish to intervene
15 in what clinicians prescribed, it was not sensible to
16 purchase imported material when suitable NHS product was
17 available."

18 Do you see all that?

19 A. Hm-mm.

20 Q. There is perhaps two aspects to that. The first is the
21 issue of self-sufficiency, and Dr Bell is emphasising
22 that that is an aim of SNBTS and national policy. Was
23 it your understanding that was an aim of SNBTS and
24 national policy?

25 A. Yes, it was the aim.

1 Q. Yes.

2 A. Whether it was ever achieved or not.

3 Q. That's perhaps a matter for other witnesses, but that
4 presumably was the whole idea behind efforts made by
5 SNBTS and PFC to produce domestic product. Is that
6 fair?

7 A. Hm-mm. Yes.

8 Q. The second aspect is the question of purchase of
9 imported material. Dr Bell prefaces that by saying:
10 "Although the department would not wish to intervene
11 in what clinicians prescribed ..."

12 Why do you think Dr Bell was emphasising that
13 matter?

14 A. I have no idea at this time.

15 Q. All right. He then goes on to say:
16 "It is not sensible to purchase imported material
17 when suitable NHS product was available."

18 That does seem to be a steer about the purchase of
19 particular sorts of material. Is that fair to say?

20 A. Yes, that's a fair comment.

21 Q. Just following on from this then, was that a suggestion
22 that had been made previously or made to you, that you
23 were aware of?

24 A. I think that was the general view. I'm not sure that we
25 ever believed that it actually had been achieved at this

1 time.

2 Q. I'm sorry, just to be clear: are we talking here about
3 the purchase of imported material?

4 A. No, about self-sufficiency.

5 Q. I'm sorry, I'm asking you about the purchase of imported
6 material now, whether the suggestion had previously been
7 made, ie before this meeting in 1984, that that would be
8 a sensible policy?

9 A. Yes, but it wasn't followed by all the centres.

10 Q. I understand. And just to be very clear: this was
11 a suggestion which had been made previously?

12 A. Yes, all right.

13 Q. Do you recall when?

14 A. No.

15 Q. Thank you, sir.

16 MS DUNLOP: I wonder, sir, if I may ask one supplementary
17 question.

18 THE CHAIRMAN: Of course.

19 MS DUNLOP: I don't know if I'm allowed a re-examination.

20 THE CHAIRMAN: Let's not use the phrase "re-examination".
21 Yes, you may ask a question.

22 Further questions by MS DUNLOP

23 MS DUNLOP: Thank you. Professor Forbes. I just wanted to
24 pick you up on something you said to Mr Di Rollo. You
25 were asked what you meant by quality of the product and

1 you said:

2 "Stuff you could rely on as to what it said on the
3 bottle was actually in the bottle."

4 I suppose I should ask you firstly: is that
5 something you want to say about the PFC product that
6 what was in the bottle wasn't necessarily what was on
7 the bottle?

8 A. I don't think I was attacking the PFC.

9 Q. Right.

10 A. It was important to know that what you had given the
11 patient was the amount of material which had entered
12 their blood stream at the right level? Was it high
13 enough, in other words, to make them free of bleeding?
14 The problem is that we were doing a lot of elective
15 surgery at this time, especially joints, and to bleed if
16 you have put a new hip in or a new knee is
17 a catastrophe. So we were very keen to ensure that we
18 had made them as haemostatic as possible and that their
19 blood value achieved was high enough to be happy that
20 they wouldn't bleed.

21 Q. I see. Thank you. I suppose the only other question
22 was, given that reference to quality, did you ever
23 complain to PFC about the quality of their product?

24 A. I think that would be a fair comment, that we did.

25 Q. You did?

1 A. Yes.

2 Q. All right. What would be the nature of those
3 complaints?

4 A. That maybe it wasn't accurately defined on the bottle or
5 so that the unitage that we were giving was in fact
6 maybe spurious. So we were concerned that we were doing
7 the right thing and the proper thing for our patients.

8 Q. And who did you complain to, can you remember?

9 A. Well, the usual people were the ones nearest by, and
10 that would be Dr Davidson and Dr McDonald and the people
11 at Law, at the blood transfusion at Law. But these were
12 passed on, I have to say, and Dr Cash knew of our
13 concerns about the amount of Factor VIII in the bottle.

14 Q. Right. Should we understand this to have been at
15 a particular point in the story of the use of
16 concentrates? Is there a particular time period you can
17 put on this?

18 A. It was always very early on.

19 Q. Very early on, right. So roughly when?

20 A. I would have thought in the early 1980s.

21 Q. All right. So not early in the production of PFC
22 material?

23 A. No.

24 Q. Thank you.

25 THE CHAIRMAN: Could I follow that just a little to make

1 sure I do understand. The word "quality" can have
2 a huge range of applications in a context like this,
3 professor. I think the only particular point you have
4 pointed to so far -- you may wish to change this -- is,
5 I suppose, the therapeutic value of the bottle, the
6 number of IUs of Factor VIII in a bottle that would
7 normally be presumed to have a certain content. Is that
8 the right --

9 A. Absolutely.

10 THE CHAIRMAN: I can't remember the precise figures but
11 I seem to remember something like 400 IUs per bottle
12 being an indication of what should be expected.

13 A. And the other concern was the amount of additional
14 protein that was there in a crispened form, in
15 a denatured form.

16 THE CHAIRMAN: I want to ask you separately about
17 "denatured" and what it means. So there are the two
18 factors. One is the relatively high concentration of
19 proteins other than Factor VIII, and the other was the
20 variable Factor VIII content.

21 A. Yes.

22 THE CHAIRMAN: I think I have seen both of those referred
23 to.

24 A. Yes.

25 THE CHAIRMAN: But is that the extent of the quality comment

1 that you make or is there something else that one should
2 understand?

3 A. Well, we would also be concerned about the solubility of
4 the preparation.

5 THE CHAIRMAN: Yes.

6 A. Has all of it dissolved, and the answer was often not.

7 THE CHAIRMAN: Is that different from the high
8 concentration, or allegedly high concentration of
9 fibrinogen and other material in it?

10 A. I think it probably is. It depends on the amount of
11 denatured other proteins that are there.

12 THE CHAIRMAN: That brings us back to denatured which
13 I think you will have to explain, and we haven't had an
14 explanation.

15 A. A protein is denatured when some chemical or physical
16 process happens to it. For example, you denature
17 a protein by heating, and the protein that was in our
18 little vials of Factor VIII was often quite brown and
19 crisp in colour and often that wouldn't dissolve when we
20 tried to dissolve it. So that was a concern.

21 THE CHAIRMAN: Because if it was denatured material other
22 than Factor VIII, you wouldn't want it in your syringe
23 anyway, would you?

24 A. I don't think so.

25 THE CHAIRMAN: So I'm not immediately sure that that's

1 a disadvantage. But the other expression that I think
2 comes up in this context, though you have not used it,
3 is "neoantigens". I have seen a reference to that in
4 this wider context. What's a neoantigen?

5 A. A new antigen.

6 THE CHAIRMAN: That's just what that means.

7 A. Literally, and it might mean that the heating process
8 had caused molecules of the particular thing in the
9 bloods to come together as a cluster. So that might
10 actually be a new antigen if it was injected into
11 a patient.

12 THE CHAIRMAN: Professor James is suggesting induce antibody
13 formation in the patient.

14 A. That was the concern.

15 THE CHAIRMAN: I have seen that discussed over time in
16 documents as a possibility. I don't think I have ever
17 seen it suggested that it actually was established as
18 a real risk.

19 A. I think at the end of the day I have not heard of anyone
20 who has identified it as a particular problem.

21 THE CHAIRMAN: It was something that was thought by those
22 involved --

23 A. It was a concern.

24 THE CHAIRMAN: A possibility?

25 A. Yes.

1 THE CHAIRMAN: I don't know if I have put further fibrinogen
2 into the bottle.

3 MS DUNLOP: The only thing, sir, just to be clear. This is
4 my understanding, and I hope it's right, that the
5 references to things being perhaps slightly brown or
6 denatured or something, all relates to heated product.
7 In other words, if it is heated PFC product, it must be
8 after December 1984.

9 A. Yes.

10 MS DUNLOP: Okay, just so long as we all understand that
11 too.

12 THE CHAIRMAN: I have no doubt you will remind me.
13 Professor, thank you very much indeed.
14 Ms Dunlop?

15 MS DUNLOP: We have no other witnesses today.

16 THE CHAIRMAN: I'm required not to sit tomorrow.

17 MS DUNLOP: So I'm told. I gather that Highland Council is
18 not taking a holiday tomorrow but I think every other
19 public body in Scotland is.

20 THE CHAIRMAN: Ladies and gentlemen, I hope the weather is
21 good for the garden but otherwise I'll see you on
22 Tuesday.

23 (3.38 pm)

24 (The Inquiry adjourned until Tuesday 3 May at 9.30 am)

25

1	PROFESSOR CHARLES FORBES (sworn)	1
2	Questions by MS DUNLOP	1
3	Questions by MR DI ROLLO	130
4	Questions by MR SHELDON	139
5	Further questions by MS DUNLOP	142
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

