

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Friday, 28 October 2011

(9.30 am)

(Proceedings delayed)

(9.48 am)

DR ROBERT PERRY (continued)

Questions by MR MACKENZIE

THE CHAIRMAN: Good morning.

Yes, Mr Mackenzie.

MR MACKENZIE: Thank you, sir.

Good morning, Dr Perry.

A. Good morning.

Q. We are considering topic C3 this morning, as you know, which is viral inactivation between 1985 and 1987 in particular, and, doctor, you have provided us with a statement which we can go to. It's [\[PEN0171219\]](#).

Of course, during this period you were the director of PFC and I think in fact you were director between 1984 and 2003. Is that correct?

A. That's correct, yes.

Q. Looking at your statement, we asked a number of standard questions to all of the witnesses and the first question concerns how and when did the SNBTS and PFC first become aware of the BPL/PFL product, that would become known as 8Y.

1           Could I ask, doctor, do you recall what was your  
2           first awareness of this work going on in England and  
3           this product?

4    A.   I actually have a fairly hazy -- and as I have said in  
5           my statement, I am really unable to precisely identify  
6           the period but it was some time around, I think, early  
7           1985 perhaps that I became aware of specific activities  
8           in this area, or information starting coming north of  
9           the border to tell us that something exciting was going  
10          on.

11   Q.   How would information come north of the border to you?  
12          Would there be a particular route, would there be  
13          a variety of routes or what?

14   A.   I think it would be primarily through our informal  
15          relationships that we had research scientists at PFL and  
16          BPL, particularly Jim Smith, who I think has been  
17          mentioned on a number of occasions, and Dr Foster had  
18          a very good relationship with Jim Smith and I think the  
19          information would have come through that route.  It  
20          wouldn't have been a formal communication.

21   Q.   Thank you.  Then the written reply you gave us, you say  
22          you were unable to precisely identify the date on which  
23          the SNBTS/PFC first became aware of the BPL/PFL 8Y  
24          development.  We can then see what you say also in your  
25          reply.

1           Moving on, please, to page 2, the second question we  
2           asked was:

3           "When did it seem likely from evidence of its  
4           clinical use that, the heating regime for 8Y ...  
5           resulted in a product which did not transmit NANBH?"

6           Again, before coming to your written response, could  
7           I ask, please, were you aware during 1985 of the results  
8           from the 8Y trial?

9           A. In late 1985?

10          Q. At any point in 1985.

11          A. At any point in 1985. I can't recall a point at which  
12          I started to become aware that the results were  
13          encouraging. I think having said that, it must have been  
14          at some time in late 1985 because I think, as we moved  
15          forward -- in 1986 I was drafting a paper for the SNBTS  
16          haemophilia directors meeting in early 1986, where  
17          I mention this development, and that was very  
18          early January that paper was being drafted. So it must  
19          have been late in 1985 that I was getting information,  
20          probably informally -- I don't think there was anything  
21          formal or there was no formal correspondence -- but  
22          through the various interactions we had with colleagues  
23          in BPL, we were beginning to understand that the trial  
24          was proceeding successfully.

25          Q. Presumably, looking at the phase 2 trial of 8Y or indeed

1 any Factor VIII concentrate undergoing phase 2 trials at  
2 this time for reduced infectivity for NANBH, one would  
3 have to wait a certain period after the first infusions  
4 of the product before one could really draw any initial  
5 conclusions. The point I think I'm seeking to get at is  
6 that one is looking after infusion of the product for  
7 elevated ALT levels?

8 A. That's right.

9 Q. So one would have to wait a certain period to be  
10 satisfied that a patient didn't appear to have elevated  
11 ALT levels as a result of infusions of the product. Can  
12 you give us an indication of the sort of period one  
13 would have to wait before one could say, "Well, initial  
14 results seem promising"?

15 A. Well, I'm really not an expert in this area. I'm not  
16 a medical doctor and I think Professor Ludlam, as  
17 others, have talked about the complexity of doing these  
18 studies because there was no direct test for whether the  
19 product was infective with regard to Hepatitis C.  
20 I would have thought, however, that -- and I can't  
21 recall what the window period for incubation of non-A  
22 non-B Hepatitis was, but I would have thought that, you  
23 know, in around about six months, you would start to get  
24 the first early indications that there was no  
25 transmission. But it would depend very much on very

1 rigorous follow-up of patients, fortnightly testing of  
2 ALT samples, because my understanding is that in non-A  
3 non-B Hepatitis these ALT spikes that you get can be  
4 transient and if you miss a particular point in the  
5 follow-up, that could have been the point at which the  
6 ALT spikes.

7 Q. So as director of the PFC in 1985, if you had been given  
8 the initial results from the phase 2 trial of 8Y, your  
9 view would have been if the results had been perhaps one  
10 month after infusion, you would have said, "We cannot  
11 place any weight at all on these results"?

12 A. I would have said, "so what?"

13 Q. So what? The longer the period after infusion,  
14 presumably the more weight can be placed on the results.  
15 I think you mentioned six months perhaps as a period one  
16 might then start to place some weight on the result. Is  
17 that generally --

18 A. That's my view but as I emphasise and underline this,  
19 I'm not an expert and I'm certainly not a clinician but  
20 I have a broad understanding of these time periods.

21 The other important element, of course, is that in  
22 order to get a high level of confidence or an increasing  
23 level of confidence that the process was delivering  
24 a safer product or a non-infective product, you would  
25 want it tested in a number of batches, because you might

1           have been lucky with one batch, that there was no  
2           hepatitis or non-A non-B in that particular pool. So it  
3           has to be multiple batches, multiple patients and over  
4           a reasonably long time period, as you have described.

5   Q.   That would have been your view as director as at the end  
6           of 1985?

7   A.   At the end of -- yes, that would have been my view,  
8           I think by that time we were already seeing what I would  
9           describe as "false dawns" in terms of safe products and  
10          products that had been purported to be safe but were not  
11          so. So I think, as PFC director, although it wasn't our  
12          study, I would be looking for some really fairly  
13          substantive results before I would conclude that this  
14          product was beginning to approach a point at which you  
15          could consider it to be a safe product.

16   Q.   And Dr Perry, presumably, as director of the PFC, the  
17          fact that BPL were able to manufacture a Factor VIII  
18          concentrate which could be heated at 80 degrees  
19          centigrade for 72 hours, presumably that was something  
20          of great interest and importance to you. Is that  
21          correct?

22   A.   Yes, it was, yes. This was novel technology, although  
23          it -- I think it arose as a result of discussions and  
24          collaborations between PFC and BPL but it was of  
25          enormous interest, absolutely.

1 Q. Did you take any active steps to be informed of the  
2 results of the phase 2 trial of 8Y?

3 A. I'm pausing just to -- but I don't think I did, no. But  
4 we were getting sufficient information informally,  
5 I think, but I can't recollect what the particular route  
6 was but, no, I don't think I went down the formal route  
7 of seeking formal reports from BPL of their 8Y clinical  
8 trial from either Dr Lane or Dr Smith or our other  
9 contacts at BPL. So I think the answer is no.

10 Q. In the middle of 1985, for example, once you knew BPL  
11 were manufacturing this 8Y product, did you take any  
12 active steps to be even kept informally advised of the  
13 results of the phase 2 trial?

14 A. Well, I wouldn't say "steps" because that implies that  
15 I took some premeditated action, but we already had  
16 a very effective dialogue between people like Jim Smith  
17 who was effectively the senior scientist at BPL and PFL  
18 who had designed the product. So as time went on, we  
19 knew that we would have been updated by Jim Smith. So  
20 we didn't have to put in place a specific process to  
21 extract the information from BPL.

22 Q. Given what we discussed earlier, it may be that one  
23 would have to wait perhaps up to six months before any  
24 results were worth taking much notice of?

25 A. That's my view this morning, about six months, yes.

1 I wouldn't expect there to be anything significant  
2 before that time, although I have seen written  
3 statements that -- if I can recollect the wording --  
4 which said, "We have now safely passed the point at  
5 which the first patients infused with products would be  
6 expected to have transient ALT."

7 And I think that would probably precede the  
8 six-month time period but it's a very, very soft  
9 indicator of product safety and I wouldn't have put much  
10 store by those sort of initial observations. I think  
11 I would have been interested and if it was my process  
12 and my product, I would have been very excited and  
13 optimistic but I wouldn't have drawn any further  
14 conclusions than that.

15 Q. In particular, it may, in terms of whether one changes  
16 one's course of action, depend whether one is  
17 a clinician prescribing a particular product to  
18 a particular patient or whether one is a director of  
19 a fractionation plant, which may have to completely  
20 change to a different manufacturing process?

21 A. Yes.

22 Q. But certainly we hear your position as director as to  
23 how much weight you would place on these sorts of  
24 results.

25 A. Certainly in mid 1985, probably well into late 1985,



1 I don't think I would have received any information that  
2 would have led me to change our course of direction.  
3 I think -- and actually there is a good practical reason  
4 for that. In an ideal world we would have been running  
5 parallel developments of pasteurisation and dry heat  
6 treatment and so on, but with the limited resources that  
7 we had, we had to choose one, and I think during that  
8 period our choice and the horse that we were backing was  
9 still pasteurisation as the most likely route to  
10 producing a product safe with respect to non-A non-B.

11 Q. Yes, and we will come back to look at when things  
12 changed shortly but if I could just go back to your  
13 written response at question 2, please, you told us  
14 that:

15 "The preliminary clinical trial of 8Y commenced  
16 around April 1985 in patients considered to be  
17 susceptible to hepatitis ..."

18 By "clinical trial" do you mean phase 1 or phase 2  
19 study?

20 A. Sorry, where were we reading from?

21 Q. Sorry, it's your answer at the top of page 2.

22 A. Okay. Well, if it was patients -- in patients  
23 considered to be susceptible to non-A non-B, that would  
24 have been previously untreated patients and seldom  
25 treated patients, so I think that would have been what

1 I would describe as a "phase 2 study".

2 Q. Yes. Have you got that information from the documents  
3 you have looked at in preparing for this --

4 A. It's certainly not a recollection. So it's from  
5 documents and reading references and so on.

6 Q. Yes. You go on to explain:

7 "In the absence of a specific test for NANBH, such  
8 trials relied on rigorous, regular and frequent  
9 monitoring for abnormal liver function tests in suitable  
10 susceptible patients [including children. Such patients  
11 were] rare and required a long period of surveillance to  
12 provide reliable and meaningful results."

13 Also the question of requiring exposure to multiple  
14 batches:

15 "To ensure the effect of heat treatment was  
16 consistent and reproducible."

17 You say:

18 "Although early results in a relatively small group  
19 of patients were reported by Dr Rizza ... as encouraging  
20 ... "

21 I think that's a reference to the seventh meeting of  
22 the CBLA central committee for R&D and blood transfusion  
23 on 19 December 1985?

24 A. Yes.

25 Q. We looked at that earlier. Doctor, did you receive

1 a copy of these minutes at the time?

2 A. These are the CBLA minutes?

3 Q. Yes.

4 A. I can't recall. I think it's unlikely that I received  
5 them. I think they were seen -- it was an internal CBLA  
6 meeting and report. But I think there was some useful  
7 information that came up and I think I became aware of  
8 that around about December.

9 Q. You go on:

10 "It was not until the interim review point in this  
11 study in March 1986, reported in October 1986 to the  
12 UKHCDO, that the freedom of NANBH, HB or HTLV-III would  
13 have been described as 'likely'."

14 That's a reference to the interim review to  
15 Dr Smith's interim report, dated 30 September 1986.

16 A. That's correct.

17 Q. You say:

18 "Even at that stage such a conclusion would have  
19 been regarded as cautionary and unconfirmed."

20 A. Yes.

21 Q. Then you go on to say:

22 "The final report ... was published in October 1988  
23 ..."

24 That's by Dr Colvin and others?

25 A. Yes.

1 Q. And you then say:

2 "Further studies complying with the internationally  
3 recognised ICTH guidelines were considered necessary and  
4 a new study was proposed in 1987 ... "

5 And the results published in 1993 -- that is the  
6 Rizza and others study we looked at earlier?

7 A. That's right.

8 Q. Thank you. The next question, question 3, we then go on  
9 to October 1985, when PFC discovered their existing  
10 intermediate NY Factor VIII product withstood heating at  
11 80 degrees centigrade, and we asked why such heating of  
12 the existing intermediate product was not introduced  
13 immediately, and you explained that:

14 "There are a number of reasons why this laboratory  
15 observation did not lead to the adoption of a strategy  
16 for the immediate introduction of NY Factor VIII heated  
17 at 80 degrees."

18 The top of page 3, please. You have a subheading  
19 "SNBTS/PFC strategy for Factor VIII supply."

20 You tell us a little about that.

21 A. Yes.

22 Q. When you state:

23 "When it became known in 1984 that coagulation  
24 factor concentrates were implicated in transmission of  
25 HIV ..."

1           Do you mean factor concentrates produced by PFC or  
2           is that just a more general statement?

3    A.   I think it's a more general statement about  
4           international references to transmission of AIDS by  
5           coagulation factor products, although, as is by now very  
6           clear, we did become aware in late 1984,  
7           in October 1984, that the PFC products themselves had  
8           transmitted HIV.

9    Q.   You go on:

10           "The SNBTS and haemophilia centre directors'  
11           strategy to protect patients from infection with HIV  
12           included ..."

13           A number of key elements.  Firstly a focus on  
14           self-sufficiency to avoid importing commercial US  
15           products.  And secondly:

16           "The rapid and progressive development of  
17           manufacturing processes capable of inactivating HIV ..."

18           You say:

19           "In the period from 1985 to 1987, the SNBTS  
20           developed and introduced three new products."

21           Is that reference, doctor, firstly to the NY product  
22           heated at 68 degrees for two hours, secondly the NY  
23           product 68 degrees for 24 hours and thirdly to Z8?

24    A.   Correct.

25    Q.   I understand.  The third key element, the question of

1 a batch dedication system to reduce the exposure of  
2 patients to multiple batches of products. You tell us:

3 "This system, introduced in early 1985, required the  
4 SNBTS to maintain high overall product stock levels to  
5 ensure that individual patients were treated with  
6 a single product batch for as long as possible. This  
7 had the important effect and goal of minimising the  
8 number of donors to whom patients would be exposed."

9 You go on to say:

10 "The key prerequisite to this strategy was the  
11 availability of high product and plasma stock levels  
12 (already achieved in 1984) and agreement that the  
13 successful development of new products would not  
14 necessarily require ... the immediate recall or change  
15 (and loss from the supply chain) of the superseded  
16 product."

17 Et cetera.

18 Over the page, please, doctor, at page 4. You  
19 return then to the initial discovery in a laboratory by  
20 Dr McIntosh, I think, in October 1985 that the existing  
21 Factor VIII concentrate could withstand heating at  
22 80 degrees centigrade and various other matters we have  
23 discussed with Dr Foster. About half way down the page  
24 you say:

25 "In the absence of evidence that a severely heated

1 product offered protection against NANBH, the PFC  
2 proposed an alternative development strategy which would  
3 continue to protect all patients from the HIV risks  
4 believed to be inherent in commercial products and  
5 deliver a product (Z8) comparable in its properties to  
6 8Y. This strategy was discussed and agreed with the  
7 SNBTS and haemophilia directors."

8 A. Yes.

9 Q. We have heard evidence about a meeting on  
10 23 December 1985 at PFC between yourself, Drs Foster,  
11 Cuthbertson and McIntosh. Do you remember that meeting?

12 A. I can't say that I remember the meeting but I am aware  
13 of the meeting taking place but I can't position myself  
14 at the meeting at the moment.

15 Q. Do you remember the meeting taking place?

16 A. Yes, yes.

17 Q. Albeit you can't -- do you have a visual --

18 A. No, I don't, I have no visual recollection of what  
19 I felt like and so on.

20 Q. Do you have a recollection of what was discussed at the  
21 meeting?

22 A. Yes, it was about really realigning our developments for  
23 Factor VIII products. The fact that it took place on  
24 23 December probably signifies that this was being given  
25 a fairly high priority, otherwise it would have waited

1 quite happily until the New Year. So it was about the  
2 possibility of moving away from our pasteurisation  
3 project and also the project that we had running with  
4 Johnson, with Professor Johnson, into a dry heat  
5 treatment process, and this really followed the  
6 observations by Dr McIntosh and Dr Foster that the  
7 demonstration in principle that with relatively modest  
8 changes to the product, we could produce a product that  
9 was comparable to 8Y.

10 Q. What was your view going into the meeting?

11 A. I can't remember.

12 Q. Do you remember the views of those attending the  
13 meeting, as discussed at the time?

14 A. I can't remember who was the proponent of the individual  
15 options. I guess there were two options: to carry on as  
16 we were or to recommend an alternative strategy, which  
17 was the development of an 80-degree, three-day heated  
18 product.

19 I think my concern -- and again this isn't from  
20 recollection, this is from reading various notes of  
21 meetings and so on -- is that I had some concerns over  
22 the 80 degrees three-day product. I think other  
23 witnesses have mentioned that around that time the  
24 efficacy of dry heat treatment, so-called dry heat  
25 treatment, was being called into doubt by some



1 organisations and my concern, as PFC director, was that  
2 although I thought there was very good science around  
3 heating a product at 80 degrees for 72 hours, I thought  
4 there might be a presentational issue, that other  
5 organisations and our competitors in commercial  
6 industry, might want to discredit the adoption of this  
7 particular process. So I had some concerns over that.

8 I think equally, I felt that this was likely to be  
9 a simpler route to a safe Factor VIII product, compared  
10 to the pasteurisation route, which, I think, as  
11 Dr Foster has described, was more complex. It required  
12 an in-process step, it required the addition of large  
13 amounts of carbohydrate stabilisers and then the  
14 subsequent removal of these and so on, compared with the  
15 heating of a product in its final container at  
16 80 degrees for three days.

17 I think my feeling was this was beginning to look  
18 very attractive from an operational perspective.

19 Q. As director of the PFC at the end of 1985, did you feel  
20 any pressure from the fact that the 8Y product was  
21 subject to this more severe heat treatment? It was  
22 being produced by BPL, it was being routinely issued,  
23 the preliminary clinical results appeared promising and  
24 yet at PFC the NYU, high purity project still had not  
25 been completed. Did that create any pressure or

1           tension?

2    A. Well, I think during this period, I guess -- well, ever  
3           since I took over as director, I think we were under  
4           constant pressure, without trying to exaggerate here --  
5           I think the world was beginning to move very, very  
6           quickly in terms of developing techniques and strategies  
7           for addressing the virus safety of coagulation factor  
8           products triggered by the HIV tragedy, and of course the  
9           emergence of a product which was showing good promise in  
10          England and Wales, I think, given the relationship,  
11          which was good, between England and Wales and Scotland  
12          in terms of scientific collaboration -- but there was an  
13          element of competition between the two organisations.  
14          So the notion of our colleagues and fellow scientists in  
15          England being slightly ahead of the game created an  
16          additional layer of pressure, of course.

17   Q. We have heard evidence that at the meeting, Dr Foster's  
18          preference was to continue to prioritise the NYU high  
19          purity project, whereas Dr McIntosh's preference was to  
20          prioritise a severe dry heat-treated Factor VIII?

21   A. Yes.

22   Q. Which camp were you in?

23   A. Well, I think you asked me earlier how I felt when  
24          I went into the meeting. I think I was genuinely  
25          open-minded, which was the reason for having the

1 meeting. I wanted to discuss it with colleagues around  
2 me and take their views. I'm not sure what particular  
3 camp I was in. I think I was very -- having listened to  
4 the discussions -- there was relatively new information  
5 from Dr McIntosh's experiments that he had been doing.  
6 I certainly remember coming out of the meeting  
7 reasonably confident that we had a strategy which had  
8 a very high probability of succeeding in perhaps  
9 a shorter timescale than the pasteurisation project.

10 Q. Yes. To what extent, if at all, did you feel you had to  
11 defer to the expertise of perhaps Dr Foster and also  
12 Dr McIntosh, as the R&D scientists working in this  
13 field?

14 A. In coming to my decision?

15 Q. Yes.

16 A. Well, I was going to say "totally" but that would be an  
17 exaggeration. These were the people in PFC whose job it  
18 was to organise -- develop the project and develop it on  
19 budget, on time, against the pressure that you have  
20 described and so on. So I had to take a lot of account  
21 of their particular views but it was a collegiate  
22 discussion, it was a collegiate view, but I think  
23 also -- I think you may be coming on to this -- it  
24 wasn't a decision in the gift of the PFC director to  
25 take an executive decision on this. So it was the first

1 part of a process towards proposing an alternative  
2 strategy.

3 Q. And could it be said that the fact that it may not have  
4 been an easy or clear choice to make is reflected in the  
5 fact that the two R&D scientists had different views?  
6 Dr Foster's preference was to continue with the NYU,  
7 whereas his colleague, Dr McIntosh's view was that there  
8 should be priority for the severe dry heat treatment?

9 A. Absolutely, but having a different view on what is the  
10 most appropriate development isn't unusual in the  
11 industry. I think if these decisions were simple, then  
12 everyone would be doing the same thing and they clearly  
13 weren't.

14 Q. Doctor, I'm about the to leave the questions on the  
15 meeting. I'm not sure if, sir, if there are further  
16 questions you wish to ask about the meeting?

17 THE CHAIRMAN: I'm quite content.

18 MR MACKENZIE: Yes. Could I ask one follow up question,  
19 please, doctor?

20 You said in your evidence that although you thought  
21 there was very good science around heating a product at  
22 80 degrees for 72 hours, you thought there might be  
23 a presentational issue.

24 A. Yes, I think --

25 Q. Hang on, sorry. You said:

1            "... other organisations and our competitors in  
2            commercial industry, might want to discredit the  
3            adoption of this particular process. I had some  
4            concerns over that."

5    A. Yes, I think this is the whole issue at that time, and  
6            I don't have a vivid recollection of this but there was  
7            a period around that time of organisations -- because  
8            dry heat treatment had already been introduced by  
9            organisations. It was one of the first techniques to be  
10            adopted by the commercial industry, albeit at very low  
11            temperatures for relatively modest periods of time. And  
12            there was evidence that these processes were not  
13            effective against non-A non-B Hepatitis. I think the  
14            presentation -- what I'm describing now as  
15            a "presentational issue" is that the whole generic issue  
16            of dry heat treatment could have been potentially  
17            discredited simply on the basis of these early forms of  
18            heated product, which had been shown to transmit both  
19            HIV and non-A non-B Hepatitis. And my concern was that  
20            for those that we had to discuss these options with,  
21            they might have taken the view that this was just  
22            another version of a dry heat-treated product and they  
23            have already been shown to transmit non-A non-B  
24            Hepatitis. So why is this one going to be different?

25    Q. Yes. I think Dr Cuthbertson yesterday told us that in

1 a way 8Y was an outlier because the commercial  
2 fractionators didn't go down this severe dry  
3 heat-treated route?

4 A. Yes, that's right.

5 Q. After the meeting, doctor, what happened next?

6 A. I believe what happened next was that I took that  
7 decision and no doubt thought about it over Christmas  
8 and came back in the New Year and discussed it with --  
9 my instinctive and natural course of action there would  
10 be to discuss it with Professor Cash with a view to him  
11 advising on what process we should then engage in to  
12 get, I guess, collegiate approval for our particular  
13 preference.

14 Our preference -- my preference at that time, my  
15 recommendation as PFC director, was clearly to go down  
16 the route of 80 degrees for 72 hours. So my next step  
17 was to discuss this proposition with Professor Cash.

18 Q. Do you have a recollection of discussing that with  
19 Professor Cash?

20 A. No, I don't.

21 Q. Do you think it's likely you may have gone to see him  
22 rather than written a letter, for example?

23 A. I think it's inevitable that I would have gone to see  
24 him about it.

25 Q. Professor Cash yesterday accepted that he was the

1 ultimate decision maker on an issue such as this and is  
2 that in accordance with your understanding?

3 A. I think, in a sense, yes. I certainly -- I wouldn't  
4 have wished or certainly gone into a process of changing  
5 a strategy for what was arguably one of the most  
6 important products and services that the SNBTS offered,  
7 without Professor Cash's support. So having his support  
8 and agreement was absolutely vital. Had Professor Cash  
9 said, "No, I don't like that idea," then that would have  
10 had an effect; we would have gone back and rethought our  
11 recommendations, but I think my understanding -- and  
12 again, it's not a recollection, I don't remember the  
13 conversation but I'm absolutely sure that it would have  
14 taken place. Professor Cash at the end of the day was  
15 supportive of our proposition.

16 Q. So in short, both yourself and Professor Cash were in  
17 agreement as to the best way forward on this?

18 A. Absolutely.

19 Q. Yes. Could I then, please, look at one or two  
20 documents? The first one is [\[SNB0015469\]](#). Can we go to  
21 the last page, please? We will see, Dr Perry, the  
22 document is dated 10 January 1986 and we see your name  
23 there. Can we go back to the front page, please? We  
24 can see this is a report you prepared for the SNBTS and  
25 haemophilia directors meeting in March 1986?

1 A. Yes.

2 Q. The date of the report slightly puzzles me, Dr Perry:  
3 10 January 1986. What was likely to have been the  
4 process for creating this report, ie at that time would  
5 you have sat at a computer and typed it up yourself,  
6 would you have dictated it to a secretary?

7 A. No, I would have written it out on sheets of paper with  
8 a pen and pencil and then given it to a secretary, who  
9 would have typed it up and made the necessary  
10 corrections and so on. We didn't have computers then.  
11 We might have had early forms of them but ...

12 Q. Given the time of year, can you make any informed  
13 guesses as to when you may have written the document and  
14 when it may have been typed up?

15 A. None at all other than my practice at the time -- this  
16 was an important annual event, the annual meeting of the  
17 SNBTS and haemophilia directors, and it was always  
18 necessary and required that PFC and SNBTS presented  
19 a report for the meeting, which was, I think, seen as  
20 very helpful. So it could well have been I started the  
21 process of writing this, or parts of it in terms of the  
22 quantitative supply -- what is described as the supply  
23 and demand section. That could well have been written  
24 in late 1985.

25 Q. Yes. Because the only slight puzzle I have, Dr Perry,



1 is that there doesn't appear to be any reference in this  
2 report to the important meeting on 23 December and the  
3 recommendation/decision to change the development focus?

4 A. No, if we could scan the document -- if I can see what  
5 the headings are, I think the simple explanation -- and  
6 I'm not sure I can offer a better one -- is that it  
7 could well have been that Professor Cash was away in  
8 early January and I hadn't had the opportunity to speak  
9 to him. So I can't place my meeting -- the meeting that  
10 I can't recall with Professor Cash, which I know will  
11 have happened -- I can't place that in a timescale  
12 compared to the writing of this particular report.

13 Q. Could we, please, go to page 4? I think it's worth just  
14 looking at what is said under paragraph 3, "Heat  
15 Treatment of Coagulation Factor Concentrates":

16 "3.1 Factor VIII."  
17 We see about half way down the paragraph:  
18 "Most recently unconfirmed reports have emerged  
19 which suggest that HTLV-III may be less susceptible to  
20 heat inactivation [than] was originally thought."  
21 I think that's a reference to the Prince  
22 publication --

23 A. That's right.

24 Q. -- paper:  
25 "In response to these reports, PFC has recently

1 recalled all residual stocks of 68-degree/two hour  
2 material. Directors will be aware that the Blood  
3 Products Laboratory are currently issuing a Factor VIII  
4 product, which has been heated at 80 degrees for  
5 72 hours, and preliminary clinical data indicates that  
6 this material is non-infective with respect to HTLV-III,  
7 NANB and Hepatitis B. While it is unlikely that the  
8 current PFC product could be successfully treated under  
9 these conditions ..."

10 To pause there, in October 1985 Dr McIntosh had  
11 found in the laboratory that the current product  
12 possibly could withstand these conditions. Is there any  
13 tension in what you have written and in what Dr McIntosh  
14 discovered or is this all happening about the same time  
15 or what?

16 A. I think it's all happening around the same time.  
17 Dr McIntosh's discovery was certainly around late 1985  
18 and this document was clearly being written on  
19 10 January. The meeting with the haemophilia directors  
20 was actually in March, and at that meeting we did put  
21 forward the proposal to change --

22 Q. We will come to that in a second.

23 A. So my explanation -- and again this is a reconstruction  
24 of the past, it's certainly not from memory -- is that  
25 this document was written -- it was still valid in the

1           sense that it was providing useful information but the  
2           proposal to change courses -- to change course towards  
3           the 80 degrees/72-hour material, I think was put in or  
4           submitted, although I don't have all the documents in  
5           front of me and I haven't looked at them recently --  
6           presumably that was done as a separate exercise to the  
7           main report which was still presumably done --

8    Q.    I suppose, to be fair to you, Dr McIntosh's observation  
9           in a laboratory in October 1985 was just that; it was  
10          a very initial --

11   A.    Absolutely, and Dr McIntosh used to make many  
12          observations on many occasions. He was a very  
13          hard-working and productive scientist. So -- but  
14          I think the observations, as I think I have said in my  
15          report, that he demonstrated the principle that  
16          a relatively impure product could be heated at  
17          80 degrees for 72 hours in a laboratory experiment,  
18          didn't actually set the world alight as far as I was  
19          concerned. It was interesting.

20   Q.    I'm also interested in the next passage, Dr Perry. You  
21          say:

22                 "A major development programme has been underway for  
23                 12 months with the view to the production of a high  
24                 purity Factor VIII product which can be formulated and  
25                 heat-treated under conditions which give comparable

1 levels of viral inactivation. Such treatment may not  
2 require such vigorous heating conditions."

3 This is a reference, I think, to the NYU product?

4 A. It is, yes.

5 Q. And it's really what you mean by saying:

6 "... under conditions which give comparable levels  
7 of viral inactivation and such treatment may not require  
8 such vigorous heating conditions."

9 What was the basis for these statements?

10 A. The description of "under conditions which give  
11 comparable levels of viral inactivation" would be  
12 a selection of a time and temperature profile, which  
13 I think -- in using model viruses, which the Inquiry has  
14 heard about previously, would give comparable levels of  
15 inactivation of a particular virus that you used as  
16 a model to test the process.

17 Q. Would "conditions" also refer to wet heating rather than  
18 dry?

19 A. Yes, absolutely. It would be time/temperature, in  
20 solution or as a lyophilised product or other methods as  
21 well, as subsequently became developed.

22 Q. So in the final sentence where you state:

23 "Such treatment may not require such vigorous  
24 heating conditions."

25 Is that again a reference to the model virus

1 studies?

2 A. It was a reference to a notion that I think existed at  
3 the time that if you were able to purify a product to  
4 a higher level of purity than the contemporaneous,  
5 intermediate products were, you could reduce the time  
6 and temperature and achieve a comparable level of virus  
7 inactivation. And I'm not saying this is a fact. There  
8 was a notion that that was possible. So our thought at  
9 that time was that if we succeed in producing  
10 a relatively high purity product, we may be able to  
11 achieve the same level of inactivation as other leading  
12 products, which at that time was 8Y but using lower time  
13 and temperature.

14 The benefit of that, of course, would be in yield.  
15 So it's not mentioned here but in terms of being able to  
16 lower the severity of the heat treatment, you stood the  
17 chance of actually improving the yield of the  
18 production, which for all of these developments was  
19 still vital.

20 We must remember that these virus inactivation  
21 procedures were all being undertaken against the  
22 background of: we must continue to supply a sufficient  
23 supply of products for patients in Scotland. So they  
24 are not being carried out in isolation; at least  
25 60 per cent of my interest was in making sure that the

1 process that we selected stood the highest chance of  
2 delivering a product yield that would continue to allow  
3 us to supply products in Scotland.

4 Q. We should remember that so we don't consider the  
5 question of heat inactivation too narrowly. There is  
6 a wider context to it all.

7 A. An absolutely vital context -- yes, that  
8 self-sufficiency was the goal. I think in many senses  
9 there were two key goals. One was to provide  
10 a product -- and you have mentioned the pressures to do  
11 that, and I think they were very real and they were very  
12 proper. Our job was to deliver a safe and effective  
13 product.

14 Q. Presumably, if the goal was self-sufficiency --

15 A. But also -- self-sufficiency, but delivering a product  
16 which would only deliver half the yield of its  
17 predecessor and result in only 50 per cent of the  
18 patients in Scotland being treated would not have been  
19 considered by me or anybody else as a good result,  
20 however safe the product was.

21 Q. I was going to say, presumably the ultimate goal was  
22 self-sufficiency in safe products?

23 A. Absolutely.

24 Q. The two go hand in hand in a way?

25 A. Yes.

1 Q. Over the page, please, at page 5. We will see, just in  
2 passing, paragraph 4, "Batch Dedication of Factor VIII"  
3 that:

4 "A system of batch dedication of Factor VIII has now  
5 been in operation since early 1985 and has operated  
6 successfully. This system of product issue will  
7 continue until a safe non-infective product is at  
8 routine issue."

9 Just for completeness in paragraph 5.1 under  
10 "Factor VIII":

11 "Directors will be aware that PFC has been pursuing  
12 the development of a new Factor VIII product which is  
13 high yielding, high purity and non-infective. This  
14 programme of work has been afforded the highest priority  
15 over the past 12 months. A pharmaceutical manufacturing  
16 process has now been developed which gives access to  
17 Factor VIII with a purity of greater than 50  
18 international units per milligramme of protein and in  
19 high yield. Work is now in hand to formulate this  
20 material into a form suitable for a viral inactivation  
21 process which gives comparable levels of viral kill to  
22 the current BPL product, which so far has proven to be  
23 non-infective. A programme of in vitro characterisation  
24 and animal studies has been initiated, and it is likely  
25 that the product will be ready for phase 1 clinical

1 trials in April 1986."

2 So just looking at that last paragraph in terms of  
3 the meeting in December 1985, how close were you to  
4 having NYU Factor VIII available? If the decision had  
5 not been taken at the meeting in December 1985 to  
6 prioritise severe dry heating and if you had stuck with  
7 NYU product, was the expectation at the meeting  
8 in December 1985 that the product would be ready for  
9 phase 1 clinical studies in April 1986?

10 A. Well, that's what this particular paragraph suggests.

11 Q. Yes.

12 A. And I'm not sure that that was -- and had that been the  
13 case, I think you are absolutely right. If the  
14 programme had been that advanced, that we were only four  
15 months away from delivering a safe, relatively high  
16 purity product, then I have to conclude that this was  
17 perhaps an over-optimistic statement concerning the NYU  
18 product.

19 Q. But also the reference to the product, which will be  
20 ready for phase 1 clinical studies, would that be  
21 a product produced in the research and development  
22 laboratory, in the pilot scale production in the main  
23 plant or full-scale production in the main plant?

24 A. That couldn't have been full-scale production, and given  
25 the timing of the drafting of this particular document



1           and the estimated date in which we might be able to do  
2           phase 1 studies, this would be a product manufactured at  
3           pilot scale.

4   Q.   So even if this course of action had been followed and  
5           even if it had been proved possible to have a pilot  
6           scale product ready for April 1986, one would still have  
7           had the further, not insignificant step of scaling up  
8           that process to full-scale manufacture?

9   A.   Absolutely. I think that's right. I think that's  
10          exactly right.

11 THE CHAIRMAN: Can I ask a question?

12           I find it difficult to envisage Dr Foster yielding  
13          in December 1985 to the alternative approach if work on  
14          the pasteurised product was as close to fulfillment as  
15          this suggests.

16 A.   Well, he didn't yield easily, I don't think. But he was  
17          very capable of listening to colleagues and being  
18          persuaded that an alternative strategy was likely to  
19          have a higher probability of a successful outcome, if  
20          I can put it like that.

21 THE CHAIRMAN: I think having listened to him, I can  
22          understand all those various elements but still wonder  
23          whether, had success been as imminent as this suggests,  
24          he might have resisted more vigorously.

25 A.   I think the judgment that we took -- and I can't

1 reconstruct all the various considerations that were  
2 discussed at that time -- but I think it was probably  
3 quite a closely run thing, and I think, as Mr Mackenzie  
4 has suggested, my balance of preference came down to  
5 a process which I perceived as being more likely to be  
6 successfully operated; it was a simpler process.

7 I personally liked the idea of what has been  
8 described as "terminal heat treatment", that is heating  
9 the vial in its final container because then there is no  
10 opportunity for contamination after that step has taken  
11 place. So pharmaceutically I had a strong preference  
12 for that particular option.

13 MR MACKENZIE: Thank you, sir.

14 We should then, I think, doctor, move on to the  
15 addendum to your report, which is [\[SNB0015484\]](#).

16 I assume you drafted this addendum, Dr Perry?

17 A. Yes.

18 Q. We don't know the date of it but I assume it must have  
19 been drafted some time between your previous report of  
20 10 January 1986 --

21 A. That's correct.

22 Q. -- and the meeting on 5 March 1986 with the directors?

23 A. Yes.

24 Q. When do you think it was drafted, January, February, or  
25 is it simply guesswork?

1 A. I have no idea.

2 Q. It's worth, I think, looking at what you say. It is  
3 headed "Factor VIII intermediate purity non-infective".  
4 You say:

5 "The heat treatment procedure now being applied to  
6 Factor IX concentrates and to Factor VIII (BPL) may well  
7 be effective in ensuring non-infectivity of products."

8 A reference to Smith, personal communication. So  
9 certainly by this stage you have received some  
10 communication from Dr Smith to that effect?

11 A. I think our degree of optimism, confidence, was  
12 beginning to rise. I think again we have to bear in  
13 mind at that time there was no -- there was no gold  
14 standard for this. There was no route that you could  
15 follow that would give you certainty of outcome.  
16 Everyone was engaged in trying to develop products which  
17 would result in non-infectivity. So one's strategies  
18 were based on informed opinion of -- and relatively soft  
19 evidence, which was beginning to emerge at that time.

20 Q. You go on:

21 "It is generally believed that heat treatment of  
22 this severity can only be achieved with high purity  
23 products (eg BPL Factor VIII is 5 iu/mg). However,  
24 recent research at PFC has shown that this is not the  
25 case and that severe heating can be tolerated even at

1 low purity if key process steps are carefully controlled  
2 prior to heat treatment."

3 I assume that's a reference to the work of  
4 Dr McIntosh?

5 A. It is.

6 Q. "This information will enable a non-infective product to  
7 be achieved, using intermediate purity material without  
8 compromising the development of the very high purity  
9 product noted in paragraph 5.1."

10 That will be a reference to NYU?

11 A. Hm-mm.

12 Q. Then you say:

13 "The advantages of this course of action are:

14 "1. Provides non-infective Factor VIII product more  
15 quickly than will be possible with the very high purity  
16 product."

17 What you mean by "non-infective"? As in  
18 non-infective in relation to which virus or viruses?

19 A. All viruses.

20 Q. All viruses?

21 A. Yes.

22 Q. So did you have a particular virus or viruses in mind?

23 A. Non-A non-B Hepatitis was the target and obviously HIV  
24 and Hepatitis B. I'm not saying it would definitely be.  
25 I was saying, on the basis of the evidence emerging from

1           the BPL, work on 8Y and the clinical trials there, this  
2           product was likely to be comparable.

3    Q.   We have heard of the concerns emerging at the end of  
4           1985 as to whether dry heat treatment was effective in  
5           producing or in killing HIV, and I think Dr Foster's  
6           position was that that was one of the main factors for  
7           the decision made at the meeting in December 1985, and  
8           really what I'm wondering or asking is: the decision to  
9           change the priority of the development work at the end  
10          of 1985, was that largely with a view to increasing the  
11          safety of the product in respect of HIV? Was it more to  
12          try and produce a safer product from the perspective of  
13          NANBH or was it a combination of both or what?

14   A.   I think it was probably a combination of both. There  
15          was certainly the beginning of concern that the dry heat  
16          treatment at the relatively low temperatures was not as  
17          effective as we thought against HIV. I'm not sure  
18          whether that was subsequently proven to be the case but  
19          nonetheless, it was sufficient to -- any information  
20          like that would have destabilised our position.

21                 So obviously I think HIV at the end of 1985 was  
22          still the driver, was still the driving force for  
23          everything we did. So we were trying to increase  
24          margins of safety. But also we have to remember that  
25          the original dry heat treatment -- that the original

1 virus inactivation processes being developed by all  
2 manufacturers in the world were driven by non-A non-B  
3 Hepatitis. That's where the process started. It wasn't  
4 ... so I think at the end of 1985, that prospect was  
5 also coming into sight and was coming to be recognised  
6 as a realistic possibility.

7 Q. And then (iii), other advantages of that course of  
8 action are set out, the second one being:

9 "That will allow the new, very high purity product  
10 to be properly assessed and phased in without undue  
11 haste."

12 And two other factors I won't go to at present. You  
13 finish by saying:

14 "It is likely that a product of this type ..."

15 And I think this is a reference to what became Z8?

16 A. Yes.

17 Q. ... will be available for evaluation in April 1986 ..."

18 When you say "a product of this type ... available  
19 for evaluation", is that a product produced in the  
20 laboratory at pilot scale production or at full-scale  
21 production?

22 A. I think this would be somewhere between a laboratory and  
23 a pilot scale manufacture, but I think it also may help  
24 us -- the question you asked earlier about when this was  
25 written. Clearly this was written relatively early in

1 1986. If I had been writing it in March, then I would  
2 have been wildly off course in terms of my estimates.  
3 This was written relatively early in the year and with  
4 what I would now recognise and concede is a slightly  
5 optimistic timescale for the actual development.

6 Q. Yes. We will come back to that last point shortly.

7 Thank you, Dr Perry. Just to complete this chain of  
8 documentation, if I may, can I quickly take you to this  
9 please, [\[SNB0015454\]](#)?

10 We can see the bottom left-hand corner the  
11 date February 1986 and then bottom right-hand corner,  
12 "JDC". I think these are Professor Cash's notes for  
13 the March meeting. Can we, please, go to page 6? Under  
14 (v), "high purity product". I'll let you read it for  
15 yourself, Dr Perry. Then you will come to the sentence:

16 "Accordingly, a decision has been taken to introduce  
17 an interim solution."

18 And I think this is a reference to a decision taken  
19 at the meeting in December 1985, which you then took to  
20 Professor Cash, who agreed with the recommendation?

21 A. Absolutely. That's correct.

22 Q. We can then put that to one side, thank you. Back to  
23 page 4 of the statement, please. The next question in  
24 the bold typeface, we asked:

25 "Why did it take until May 1987 before intermediate

1 Factor VIII manufactured by PFC and dry-heated at  
2 80 degrees for 72 hours was available for clinical use?"

3 You refer to the briefing paper Dr Foster produced  
4 and we have gone over that evidence with him.

5 You then say:

6 "The development of the Z8 product commenced at the  
7 beginning of 1986 as part of an agreed SNBTS plan to  
8 develop a reduced infectivity, NANBH product available  
9 to all patients in Scotland as the third phase."

10 Just to pause there, the reference to "an agreed  
11 SNBTS plan," what's that a reference to?

12 A. Well, certainly at the very least it indicates that this  
13 is something that PFC has obtained support of from its  
14 national medical director, but I think Professor Cash  
15 typically would have taken it or -- in some way --  
16 I can't remember whether there was a formal meeting or  
17 part of another meeting, but he would have had it  
18 discussed by SNBTS directors. He was, I think -- for  
19 something as important as this, I think he would have  
20 been -- I think he was very confident of his decision  
21 and his support for it but he would have typically taken  
22 a board --

23 Q. So that's a reference to events at the end of 1985 and  
24 beginning of 1986?

25 A. 1986.



1 Q. I understand. But also the reference to "develop  
2 a reduced infectivity, NANBH product", and again, as  
3 I say, I understood from Dr Foster that the main factor  
4 was to provide more protection against HIV. So I just  
5 wonder why you just say "NANBH" there?

6 A. I think everyone had a different perspective on this.  
7 I think Dr Foster is right. I think also -- I think at  
8 that stage in early 1986, I think we were beginning to  
9 become fairly confident. We had effective tests in  
10 place for HIV. So we could monitor patients or  
11 haemophilia doctors could monitor patients, and there  
12 was beginning to be a high level of confidence that the  
13 HIV problem had been effectively addressed. We also  
14 knew that HIV was easily inactivated, relatively so, so  
15 if -- I think the assumption in this is that reduced --  
16 if you achieve reduced infectivity or non-infectivity  
17 for non-A non-B Hepatitis, you are almost certainly  
18 going to achieve non-infectivity with respect to HIV.  
19 So non-A non-B Hepatitis was still the gold standard at  
20 the time, even though the urgent clinical and scientific  
21 target was HIV.

22 Q. Okay. Over the page at page 5, please, doctor, in the  
23 third line down, the sentence commences:

24 "In contrast to BPL, the SNBTS had adopted a phased  
25 development plan involving the progressive development

1 and introduction of heated products, without  
2 interruption of supply."

3 It's a reference to "in contrast to BPL"; what did  
4 you understand the position to be in England at this  
5 time?

6 A. I'm not sure. But they certainly didn't start at the  
7 point that we started at, and we started at the point of  
8 (a), the given assumption in all our planning was  
9 continuity of supply because even without heat  
10 treatment, the belief was that products made from  
11 volunteer donors in Scotland would be safer than  
12 anything you would get from the US from paid donors, and  
13 the reference to a phased development plan was (a), the  
14 68-degree material for two hours, with an expectation  
15 that would be followed by a 24-hour material. So we had  
16 a phased programme which provided continuity of supply  
17 and progressively safer products being delivered.

18 BPL, as I think we have heard from others, didn't  
19 have the benchmark of continuity of supply as part of  
20 their specification, and I think, as we have heard,  
21 there were periods where they simply stopped supplying.  
22 So they didn't have that additional pressure of  
23 maintaining a continuity of supply.

24 Q. And in terms of the SNBTS phased development plan,  
25 presumably -- let me know if I'm wrong -- when the first

1 NY heated product at 68 degrees for two hours was  
2 brought out, you said the plan was then to have an  
3 increased heating of that product?

4 A. Yes.

5 Q. But also, I think, at the same time, of course,  
6 Dr Foster was undertaking his research work in NYU, so  
7 that would have been the next phase?

8 A. Yes.

9 Q. And we have discussed that that part switched to  
10 a different phase?

11 A. I would simply make the small point that when we began  
12 this process in 1984, and we did have an expectation of  
13 there being a phased development programme but we  
14 weren't quite sure of the timing and the specific  
15 content of these phases, other than our strategy against  
16 the backdrop of having good product stocks would be that  
17 we had the opportunity of developing products which are  
18 progressively safer whilst at the same time maintaining  
19 supply.

20 Q. Yes, I suppose ideally one would want, firstly, a plan  
21 for the future but, secondly, flexibility, so one can  
22 change course and revise's one's plan according to  
23 circumstances?

24 A. Yes.

25 Q. And just returning to your statement, please. In the

1 last sentence of the first main paragraph commencing:

2 "This strategy required the PFC to continue to  
3 routinely manufacture NY Factor VIII at 68 degrees for  
4 24 hours until the Z8 product had been developed,  
5 validated at scale, transferred to routine production  
6 and safe working stocks established ..."

7 To pause there, I wonder if that sentence is  
8 strictly speaking correct, and as you then go on to tell  
9 us the manufacture of the 68-degree/24-hour product was  
10 stopped in July 1986 at a time, I think, when the Z8  
11 product had been developed to the stage of pilot scale  
12 production, but it certainly hadn't, at that stage,  
13 been:

14 "... validated at scale, transferred to routine  
15 production and safe working stocks established ..."

16 A. I think you are correct.

17 Q. Just a point of detail.

18 A. There is a slight disconnect between those two  
19 statements, although to an extent they were true. But  
20 you are absolutely right, we hadn't established at  
21 scale, we hadn't established safe working stocks of Z8,  
22 and the reasons for discontinuing were to release  
23 resources and capacity to do large-scale studies.

24 Q. But certainly you go on to say that:

25 "In July 1986, the routine manufacture of NY Factor

1 VIII at 68 for 24 hours was discontinued to allow the  
2 PFC to focus its development and manufacturing resources  
3 on the final development stages of Z8 and to  
4 subsequently build working stocks ... for distribution  
5 in the batch dedication system."

6 So certainly in July 1986, the initial pilot scale  
7 production of Z8 seemed to work and, because of that, I  
8 think, routine manufacture of the existing product  
9 stopped?

10 A. Yes, I think we had a high level of confidence that we  
11 were on the right track. We had a very high level of  
12 expectation that the development would be successful  
13 within the sort of timescales that we had established.

14 Q. Yes, and the problems which arose with Z8, they didn't  
15 arise between transfer from the laboratory to pilot  
16 scale production?

17 A. No, no.

18 Q. They arose between transfer from pilot scale production  
19 into large-scale, full production?

20 A. Exactly, yes.

21 Q. Thank you. Then you do say:

22 "At this point ... "

23 This is July 1986:

24 "... it was estimated that sufficient stocks of NY  
25 Factor VIII were available to meet planned requirements

1           until the spring of 1987, which was, therefore, the  
2           estimated date for the transition from NY Factor VIII to  
3           Z8."

4           I think the next two documents to look at are quite  
5           interesting in that regard. May I firstly, please, go  
6           to [\[SNB0075910\]](#). This is the letter we have seen before  
7           from Dr Boulton to yourself, Dr Perry, dated 4 July,  
8           asking:

9           "Is the enclosed a clear representation of our  
10          telephone conversation yesterday?"

11          If we can go on to the next page, please, I'm sorry,  
12          it's another page. I'll give the reference in a second.

13          (Pause)

14          I think the enclosure is a different number. It's  
15          [\[SNB0075911\]](#). Could we turn it round? Thank you.

16          I think this has been produced by Dr Boulton,  
17          Dr Perry, is that right?

18    A.    It looks as though -- it certainly has not been produced  
19          by myself.

20    Q.    Yes. I think what's quite interesting, if one can see  
21          phase 2 -- and that's a reference to the NY  
22          68-degree/24-hour product.

23    A.    Correct, yes.

24    Q.    And one can see under "September 1986" an entry:

25          "Production stops."

1 A. Yes.

2 Q. Although that may be July. It doesn't matter, I think,  
3 too much. But what's interesting, one then sees:  
4 "Phase 2 product being used up."

5 A. Yes.

6 Q. And that continues until perhaps the end of March 1987  
7 and it then states:  
8 "No more phase 2 available."  
9 So that was the prediction as at summer of 1986,  
10 that NY/68/24 product would continue to be used up until  
11 the end of March 1987, and if one goes down to the  
12 reference to the phase 3 product being produced -- and  
13 that's a reference to Z8 -- one can see that production  
14 is estimated to commence perhaps September 1986 and then  
15 to continue -- am I right in thinking, Dr Perry, that  
16 really between September 1986 and March 1987 the  
17 intention is essentially to stockpile Z8?

18 A. Yes, it was a period of building stocks and gaining  
19 operational experience of a new process.

20 Q. Yes.

21 A. And that was the strategy. I think these decisions to  
22 discontinue manufacture of one product and introduce  
23 another one are always -- always carry an element of  
24 risk but that indeed was the strategy, but also  
25 Dr Boulton points out that there was a requirement

1           within this plan to have the clinical evaluation of the  
2           Z8 product conducted some time between September  
3           and December 1986.

4    Q.   Yes.   During the period of stockpiling Z8,  
5           between September 1986 onwards, presumably after the  
6           phase 1 evaluation had been undertaken, I assume the  
7           intention would be that the Z8 product would be  
8           available to any previously untreated patients during  
9           the stockpiling.  Is that right?

10   A.   That was the expectation and the intention that, as far  
11          as the PFC equivalent of 8Y, ie the Z8 product, came  
12          into play, we would have a product which had  
13          a comparable level of virus safety to 8Y, and indeed  
14          that could then be used to treat even before the point  
15          at which it was going to be routinely introduced into  
16          practice because we had previously agreed with  
17          haemophilia directors, and certainly within the SNBTS  
18          that the new Z8 product would be introduced only after  
19          the existing stocks of 68-degree/24-hour material had  
20          been exhausted.  Yes, I think there is correspondence  
21          between myself and Dr Boulton that suggest that.

22   Q.   I suppose I'm just trying to be quite careful about what  
23          is meant by when Z8 would be introduced, in that my  
24          understanding is that after Z8 had undergone the phase 1  
25          clinical trial, I assume it would have been available to





1 Q. We heard about that from Dr Foster:

2 "The clinical evaluation of Z8 was not conducted  
3 until March/April 1987 until the SHHD reassurances  
4 concerning patient compensation had been received by the  
5 haemophilia directors."

6 I'll deal with the question of compensation with  
7 other witnesses. Then:

8 "The overall timescale from January 1986  
9 to April 1987 ..."

10 That's about 15 months:

11 "... for the design, development, scale-up, transfer  
12 to routine production and clinical evaluation of a new  
13 and innovative Factor VIII product, whilst concurrently  
14 maintaining uninterrupted supply of NY Factor VIII and  
15 avoiding exposure of patients to imported Factor VIII  
16 products was in my view neither excessive nor  
17 unexpected."

18 Over the page, please, question (c) about changes in  
19 the manufacturing process Dr Foster has dealt with. The  
20 next question, (d) asks:

21 "What was the original timescale for the production  
22 and introduction of Z8? If that timetable was not met,  
23 when and why did it slip?"

24 You respond that:

25 "From the preliminary laboratory studies in early

1 1986 it was considered feasible that the new Z8 product  
2 could have been available for clinical evaluation in  
3 April and routine issue three months later."

4 That's about July 1986 for routine issue:

5 "This assessment was presented to the meeting of the  
6 haemophilia and SNBTS directors in March 1986."

7 You say:

8 "This was a preliminary (and clearly  
9 over-optimistic) estimate and ... "

10 Just to pause there, Dr Perry. January to July,  
11 I think is what's being suggested, in early 1986 being  
12 the time period to reach full production of the product.

13 Is that correct?

14 A. Yes, I think that was the original -- the original plan  
15 and strategy, yes.

16 Q. Which was about seven months?

17 A. And that's what I'm describing as "over-optimistic".

18 Q. How does that compare with the previous page where, in  
19 the final paragraph, you stated:

20 "The overall timescale from January 1986  
21 to April 1987, 15 months, was not unexpected."

22 Is there a tension or inconsistency there?

23 A. I'm not sure that there is an inconsistency. I think  
24 the -- on the previous paragraph, I think that's with  
25 the benefit of hindsight and knowing what's now

1           involved. We were in new territory here, whereas the  
2           original timescale of January to July was, as I say --  
3           I think it was over-optimistic -- I can understand the  
4           point about there being an inconsistency but my  
5           retrospective analysis of 15 months or 12 months for the  
6           development, reduction to practice and introduction at  
7           large-scale for a manufacturing process as being 12  
8           months is, I think -- I think is a retrospective  
9           analysis. I think it was a very substantial  
10          achievement.

11        Q. Yes. At page 6 of your statement you say:

12                    "The preliminary (and clearly over-optimistic)  
13                    estimate ..."

14                    For Z8:

15                    "... was subsequently revised in the light of  
16                    experience (by June 1986) to September 1986 for clinical  
17                    evaluation and introduction into routine use in early  
18                    1987, following consumption of NY Factor VIII stocks as  
19                    agreed with haemophilia directors."

20                    Then you explain:

21                    "Unforeseen freeze-drying problems during scale-up  
22                    and the additional work required to solve these ...  
23                    delayed the availability of the product for clinical  
24                    evaluation until December 1986."

25                    We heard from Dr Foster about those problems and

1 their resolution. Then:

2 "The planned clinical evaluation of Z8  
3 in December 1986 was not carried out  
4 until March/April 1987, when the necessary assurances  
5 were received ... concerning indemnification of patient  
6 volunteers."

7 I think the interesting paragraph is at the end,  
8 that:

9 "However, given the accumulation of NY Factor VIII  
10 stocks by July 1986 (when it ceased to be manufactured)  
11 and the agreement to phase in the new Z8 product through  
12 the batch dedication system, the routine introduction of  
13 Z8 was determined primarily by residual NY Factor VIII  
14 stocks rather than the extended development and clinical  
15 evaluation timescales."

16 That perhaps brings us back to the document we  
17 looked at just before the break.

18 A. Yes.

19 Q. Which was, produced, I think, in June or July 1986?

20 A. Yes.

21 Q. You do come back to this point over the page a little  
22 bit as well. So we could go over to page 7, please.

23 Page 7, question 4. We asked whether:

24 "... PFC's work on the development of a high purity  
25 Factor VIII ... (NYU) ... resulted in any delay in the

1 introduction of Z8."

2 I think your answer in short is no, and we can take  
3 that as read.

4 A. Yes.

5 Q. One further question, doctor, and even answering this  
6 with the benefit of hindsight, if you want: could it be  
7 said that the decision taken in December 1985 to change  
8 priority to a Z8-type product should have been taken  
9 some time earlier?

10 A. I don't think that decision would have been able to have  
11 been taken that early. I think the key -- I think the  
12 key information that allowed us to take that decision  
13 was the experiments conducted by Dr McIntosh and the  
14 realisation that we understood how you could heat  
15 a relatively low purity product at 80 degrees for  
16 72 hours, and that information wasn't available to us  
17 prior to that.

18 Again, it is with hindsight. I think our belief  
19 prior to that was that pasteurisation remained the best  
20 option. And colleagues from BPL to an extent actually  
21 agreed with that because there was some experience from  
22 the Behringwerke product that pasteurisation was likely  
23 to deliver a safe product. So we still felt that was  
24 the best option.

25 So it was a fairly quick change and change of tack

1 in December but I think there were specific events --  
2 specific pieces of information, and a general sense of  
3 increased pressure to make -- bring this -- a safe  
4 product with respect to non-A non-B Hepatitis forward as  
5 quickly as possible.

6 Q. The next question, please, Dr Perry, is question 5. We  
7 asked:

8 "Did any difficulties in commencing clinical trials  
9 of Z8 ... result in any delay in the introduction of  
10 Z8."

11 You then say:

12 "As discussed above, there were delays in subjecting  
13 Z8 to clinical evaluation arising from the  
14 compensation/indemnity issue, but for the reasons  
15 described above, it is unlikely that this resulted in  
16 a delay in the phased introduction of the product for  
17 all patients in Scotland. Earlier completion of the  
18 clinical evaluation would have made the product  
19 available for specific patients identified by the  
20 haemophilia directors, eg those with little or no  
21 previous exposure to coagulation factor products."

22 I think we discussed this point before the break?

23 A. Yes. I think the point that I have made here and  
24 actually previously is that the date of routine  
25 introduction of Z8, ie for all patients in Scotland --

1 set aside the previously untreated patients for the  
2 moment -- was actually determined in July 1986 because  
3 that was the point at which we discontinued manufacture  
4 of the preceding product, we knew how many -- how much  
5 stock we had, we knew the rate of usage and at that  
6 point we knew that the introduction of the new Z8  
7 product in terms of superseding the NY product would  
8 occur around March time.

9 Q. And one would have had to have departed from the batch  
10 dedication system?

11 A. Yes.

12 Q. To have brought forward the use of Z8 for all patients?

13 A. Well, you would have had not only to depart from that  
14 but you would also have to destroy very substantial  
15 stocks of material to which patients had already been  
16 exposed, ie the NY product. And I think all of these  
17 progressive developments in terms of new generations of  
18 product, were possible because we had safe -- actually  
19 relative to many other organisations, certainly in  
20 Europe and probably the world, we had very good stocks  
21 of product and it allowed us this flexibility of moving  
22 from one product to another. But had we chosen to  
23 introduce Z8 as soon as it was available, that would  
24 have resulted in the destruction of very large stocks of  
25 the previous NY product and we would have lost any



1 opportunity -- and I think we would have probably failed  
2 to supply against that scenario.

3 Q. And if Z8 had been made available as soon as it was  
4 available and if existing stocks of the NY product had  
5 been destroyed, might that have threatened  
6 self-sufficiency, ie for a period might there have been  
7 a need to purchase commercial concentrates?

8 A. That's right. That's right. Absolutely. And that's  
9 why we had a previously -- a previous agreement between  
10 SNBTS and haemophilia directors that the subsequent --  
11 that the continuous introduction of progressively  
12 improved products would be introduced and -- via the  
13 batch dedication system, which meant that as a result of  
14 delays in patients moving over to the newer product, you  
15 didn't necessarily increase their risk as a result of  
16 doing that because the batch that they were receiving --  
17 they had received prior to the introduction of the new  
18 product. So it wasn't increasing the risk; they weren't  
19 being exposed to additional batches of product.

20 Q. Yes. Returning to your statement, doctor, you say that:

21 "However, PFC had, at the request of Dr Ludlam,  
22 obtained small stocks of 8Y from BPL/PFL in 1986, which  
23 were made available for the treatment of patients (eg  
24 newly diagnosed, previously untreated or allergic  
25 reactions to existing product) for whom 8Y would be

1 considered preferable until Z8 became routinely  
2 available."

3 I think you even provided a statement to the Inquiry  
4 in relation to topic C3A on that matter?

5 A. Yes.

6 Q. Then question 6. We moved on to another issue. I think  
7 we provided two documents to you which we have looked at  
8 previously and I don't have to go back to now. But we  
9 said:

10 "Did any wider management, organisational or other  
11 issues result in any delay in the introduction of Z8?"

12 The two documents we had referred you to were a memo  
13 from yourself to Dr Foster of 22 December 1988 and  
14 a letter by Dr Foster to Dr Prowse in 21 November 1990.  
15 I don't want to go back to them now. You were shown  
16 them earlier and your answer at the top of page 8, you  
17 say:

18 "Product developments such as Z8 were typically led  
19 by a senior manager of the PFC development department.  
20 The management of the Z8 project involved  
21 a multidisciplinary project team with a membership drawn  
22 from development, production, quality and engineering  
23 departments."

24 Your recollection is that:

25 "The Z8 project manager ... "

1           Is that Mr McIntosh?

2   A.   Yes, Dr McIntosh.

3   Q.   " ... was closely involved in all stages of the  
4       development, including its transfer into routine  
5       production."

6           Et cetera.

7   A.   Yes.

8   Q.   I should perhaps ask you, Dr Perry, the two documents we  
9       have provided to you as the basis for this question --  
10      firstly, your memo to Dr Foster of 22 December 1988 --  
11      would it be helpful for you to actually see that on the  
12      screen, doctor?

13   A.   It would actually, yes.

14   Q.   I'm sorry, it's [\[SNB0067120\]](#). Can I just take a minute  
15      to look at that, doctor. It's a memo from yourself to  
16      Dr Foster and others. The subject "Modification to Z8  
17      Freeze-drying Cycle". In the second paragraph you say:  
18           "Less reassuring is my personal observation (shared  
19           by others), that this particular process modification  
20           was proposed some considerable time ago and could have  
21           been introduced many months ago."

22   A.   Hm-mm.

23   Q.   Really on the basis of that we asked the question:  
24           "Did the sort of consideration set out in this memo  
25           apply to the development of Z8 in 1986?"

1 A. No, this post-dated the -- this particular incident,  
2 which I do remember, not vividly but with some clarity  
3 because, you know, I remember being fairly frustrated,  
4 but at the period at which the Z8 was being developed,  
5 I think, as I have described in my witness statement, it  
6 was under very effective management and it was probably  
7 the highest priority project within the PFC, and both  
8 myself, Dr Foster -- it was led by Dr McIntosh, but both  
9 Dr Foster and I were very closely involved in the  
10 management and the monitoring of that particular  
11 project, including the release of resources from various  
12 departments throughout the centre.

13 Q. And does this memo really relate to once Z8 is up and  
14 running, it is being routinely produced by PFC? There  
15 is then a question of fine-tuning and modification of  
16 the process as time goes on?

17 A. That's right.

18 Q. And if a modification is proposed, what's the system or  
19 process for that being considered and actioned?

20 A. Absolutely. What I'm expressing there is a frustration  
21 that things that could have been done sooner but for a  
22 variety of reasons weren't done -- I was (a), expressing  
23 my frustration and (b), suggesting that we needed to put  
24 in a better system for managing changes in individual  
25 processes but I don't think this particular issue here

1 had any impact on the Z8 development itself.

2 Q. Thank you. I don't have to take to you Dr Foster's  
3 letter in November 1990 because he has spoken to that  
4 and he is the author of it.

5 Then, please, question 7, returning to your  
6 statement. Question 7 concerns the contact and exchange  
7 of information between PFC and BPL and PFL. As  
8 background to this question, we had identified a letter  
9 from Dr Cash to Dr Lane in December 1982, I think in  
10 relation to cooperation in respect of heat-treating  
11 Factor VIII concentrate or perhaps coagulation factors  
12 more generally. But also in particular, doctor,  
13 Professor Cash had produced background notes  
14 in January 1984, which spoke of difficulties between the  
15 then directors of PFC and BPL. Do you remember those  
16 documents or would it help ...?

17 A. Is this the one in which Professor Cash describes the  
18 furtive management arrangements?

19 Q. Yes. I should perhaps just go to them so you have them,  
20 doctor. The first one is [\[SNB0043163\]](#). We see this is  
21 a letter dated 17 December 1982. It's from  
22 Professor Cash to Dr Lane.

23 A. Yes.

24 Q. It's to do with the hepatitis-reduced Factor VIII  
25 concentrates and the questions, I think, of clinical

1 evaluation in British, previously untreated patients and  
2 the commercial companies wanting to do that. But  
3 page 2, for our purposes --

4 A. Yes, okay.

5 Q. I think you will have seen this before?

6 A. Yes, indeed.

7 Q. It's the last sentence of that paragraph.

8 A. Hm-mm.

9 Q. "I do not regard the existing furtive arrangements as  
10 regards Factor VIII between Jim Smith and Peter Foster,  
11 however good they may be, as a sound basis upon which  
12 the NHS fractionators can combat the commercial people."

13 I should perhaps then also just briefly refresh your  
14 memory by going to [\[SNB0065138\]](#).

15 Dr Perry, we can see this document is headed:

16 "Background notes for the chairman (on the occasion  
17 of the meeting between [the Common Services] Agency and  
18 CBLA colleagues: 20 January 1984)."

19 The author of this document from the bottom  
20 right-hand page is Professor Cash, "JDC"; do you see  
21 that?

22 A. Yes.

23 Q. If we go on the next page, please. The next page again,  
24 please. Do you see the paragraph at the top beginning:

25 "It would be appropriate to conclude that the formal

1 relationships between BPL ... and SNBTS have not been  
2 satisfactory over the years."

3 Does this document start to ring a bell now?

4 I appreciate you probably didn't see it at the time.

5 A. I didn't see it at the time, no.

6 Q. I think your attention was drawn to it with the  
7 statement request?

8 A. Yes.

9 Q. Did you have a look at it then?

10 A. Yes.

11 Q. I'm grateful.

12 Then over the page, please, we can scroll down,  
13 please. Over the page again, please. The top of  
14 page 4, if we could blow that up a little, please?  
15 Thank you.

16 We can see "The rationalisation of research and  
17 development programmes". But in short, Dr Perry,  
18 Professor Cash alludes to difficulties between the then  
19 directors of PFC and the English counterpart, I think  
20 Mr Watt and Dr Lane?

21 A. Yes.

22 Q. And that really forms the basis of question 7. I should  
23 perhaps ask before I come to your answer, doctor: before  
24 you became director of PFC, were you aware of any  
25 difficulties between Mr Watt and Dr Lane?

1 A. Yes. I think the answer is yes. I think it was --  
2 I was going to say it was widely known but I think the  
3 nature of the relationship between the two organisations  
4 was fairly well understood. They were both -- Mr Watt  
5 was a fairly flamboyant sort of character and in some  
6 senses very exciting to work with. But I think it  
7 was -- I think it was recognised in PFC and probably in  
8 BPL that Dr Lane and Mr Watt, for all sorts of reasons,  
9 which I never took the trouble to find out what they  
10 were, but there were some issues. There were some  
11 conflicts. Maybe it was competition, I don't know.  
12 But, yes, they were not the best of friends.

13 Q. Yes. Putting personalities to one side, I think we have  
14 heard evidence that there were substantive differences  
15 between the directors, for example on issues such as  
16 whether Scotland should fractionate plasma from England.  
17 That's a real issue and one can see perhaps people may  
18 have different views on that.

19 A. I think there is a long and -- a long history on that  
20 particular issue and I think, yes, my understanding,  
21 when I joined, was that the PFC was established to  
22 fractionate, I think, for what was then described as  
23 "North Britain", which I think was for the population  
24 north of Manchester. And indeed funding -- I cannot  
25 provide any evidence of this but my understanding was



1           that DHSS then at that time provided funding for PFC, or  
2           part funding for it as well. I think subsequently it  
3           was decided that this wasn't the case and I think the  
4           view taken by Mr Watt and perhaps others, and maybe with  
5           some justification, I don't know, was that this had been  
6           the result of direct involvement and opposition by  
7           people like Dr Lane and his predecessor.

8   Q.   Okay.

9   A.   Who considered the PFC development to be unnecessary.

10   Q.   I'm about to come back to the topic C3 but one final  
11        question: when you became director in 1984 and from then  
12        on, how was your relationship as director of PFC with  
13        Dr Lane?

14   A.   I had no prior form with Dr Lane, so I could start from  
15        a clean sheet, as it were. It was absolutely fine. As  
16        was my relationship with Dr Smith and Dr Snape, and  
17        there was no historical baggage, as it were, in my  
18        position and indeed I used to meet Dr Lane on regular  
19        occasions and latterly he used to visit PFC. He would  
20        come up maybe a couple of times a year for informal  
21        discussions and so on. So it was fine. I wouldn't say  
22        we had a vigorous exchange of views on every topic and  
23        so on but we freely communicated.

24   Q.   But certainly, once we come to look at the period under  
25        consideration for topic C3, perhaps the second half of

1 1984, 1985, 1986, 1987, in this period you are the  
2 director of PFC and your relationship with Dr Lane, your  
3 counterpart, is fine?

4 A. It's absolutely fine. I don't think it was -- I don't  
5 think it was necessarily regular and so on. This was in  
6 the early days of me taking over as director, but there  
7 was absolutely no problem between myself --

8 Q. Coming back to question 7 and really the topic-related  
9 question, we recognised there was clearly informal  
10 contact and exchange of information between PFC and  
11 BPL/PFL, in particular Drs Foster and Smith, and we  
12 asked whether any difficulties hinted at or expressed in  
13 the document, for example from Professor Cash, between  
14 the then directors, inhibited in any way the exchange of  
15 information in respect of the development of 8Y  
16 including severe heating of the product. I think your  
17 answer in short was no?

18 A. Absolutely none.

19 Q. No. Then the next question, please, question 8,  
20 concerns the CBLA central committee on research and  
21 development in blood transfusion, which first met on  
22 21 June 1983. Could I pause, Dr Perry? Were you aware  
23 of the existence of that committee at the time?

24 A. In 1983?

25 Q. Yes.

1 A. Probably not.

2 Q. How about when you became director? Did you become  
3 aware of it?

4 A. It wasn't one of the first things that I discovered, no.

5 Q. Do you think that PFC should have been represented on  
6 this committee?

7 A. I think it was a -- I'm not sure. I wasn't aware of the  
8 political background to it. Even with hindsight, I'm  
9 not sure that I have got a clear answer on this.

10 I think it was -- my own view, informed by many years of  
11 experience, is that this particular committee -- I'm not  
12 sure how productive it was. It was very much -- sort of  
13 reflected what was happening rather than provided any  
14 forward looking strategy and so on.

15 Q. We will come on to your written response in that regard  
16 and I think you have had a chance to look at some of the  
17 minutes of the committee?

18 A. Absolutely.

19 Q. To get a feel for it?

20 A. Absolutely.

21 Q. Thank you.

22 A. It was a CBLA committee meeting. It was about research  
23 undertaken by the units and the organisations under the  
24 Central Blood Laboratories Authority. So there is no  
25 real reason that an organisation in Scotland under

1 completely separate, different, distinct administrative  
2 arrangement should have membership of a committee which  
3 is serving the needs of BPL and the reagent  
4 manufacturing units.

5 Q. I understand. If we go over to the top of page 9,  
6 I think that's essentially that is your answer to  
7 question (a), that essentially it was an English  
8 committee given the CBLA served England.

9 A. Yes, absolutely.

10 Q. Yes. Then I think perhaps you have an interesting  
11 observation in the second paragraph in your answer,  
12 where you say:

13 "I am unable to comment authoritatively on the value  
14 and importance of this committee from a Scottish,  
15 English or UK perspective. However, my impressions ..."

16 Are these your impressions of reading the minutes  
17 for the purpose of this Inquiry or were these  
18 impressions you formed at the time you were director?

19 A. Absolutely. Well -- no -- I think I became aware of  
20 this meeting and I knew it existed and we did have  
21 access, although the meetings were fairly confidential.  
22 I don't think they were strictly confidential in the  
23 sense that we didn't have means of obtaining these  
24 things or they came our way, but I certainly regarded it  
25 as -- if you read through the minutes -- and at the

1 time, from the discussions I had with colleagues at BPL,  
2 they saw it just as a means of Dr Lane informing board  
3 members of basically what he was doing, but the  
4 strategies, the plans, I think the key decisions were  
5 taken by the BPL director.

6 Q. I understand. You say in your statement:

7 "The committee exercised a primarily observational  
8 and reactive role in relation to policy, scientific or  
9 operational decisions taken elsewhere."

10 A. Absolutely. For example, if you look at the minutes of  
11 the meeting, you will see very little detail on the 8Y  
12 development and what the options are and what the  
13 strategy should be. It's simply Dr Lane reporting on  
14 progress.

15 Q. I think Dr Foster, when questioned on this point, said  
16 he would rather have received the information on 8Y  
17 first hand from Dr Smith than second or third hand  
18 through attendance at some committee.

19 A. Yes, with an inbuilt delay.

20 Q. One can understand the logic of that.

21 Then question (b), we can see your written answer.  
22 Thank you. We don't have to go over that. Page 10,  
23 please. I think question (c), we will again just take  
24 your written answer as read. We have really discussed  
25 these issues, I think.

1           Then page 11, question 9. I think we will just  
2           again, if I may, take your answer as read, answer 9.  
3           This is a slightly more general question, which I think  
4           departs a little from what is at the heart of topic C3  
5           and we can see your answer. On page 12, please,  
6           question 10 concerned why Factor IX was able to be  
7           severely heated before Factor VIII and we have  
8           Dr Foster's answer and you, I think, very concisely say  
9           that:

10           "As described in this paper and unlike Factor VIII,  
11           it was not necessary to establish a new manufacturing  
12           process to render the existing Factor IX product  
13           tolerant to heat treatment. It was only necessary to  
14           modify the product formulation and to conduct an animal  
15           safety study, which took place as a collaboration  
16           between PFC and BPL ..."

17           I don't think we need to say any more on that.

18           Then we had some additional questions. Question  
19           11(1) we have covered already. That took us back to the  
20           report we have looked at, your report of  
21           10 January 1986, the meeting of the SNBTS and  
22           haemophilia directors. We don't have to say any more on  
23           that, thank you.

24           Then question 2 at page 131, really a point of  
25           clarification. Dr Boulton has a letter of 20th, not

1 22nd, I think it's 20 August 1986 to Dr Perry concerning  
2 a particular batch. It wasn't clear to us from the  
3 batch number whether that was the NY intermediate  
4 product or Z8 or something else. And you have checked  
5 the records and the reference in that letter is to the  
6 intermediate purity NY Factor VIII with the result that  
7 we don't have to detain ourselves any further in respect  
8 of that letter.

9 Question 3. The 11th hour problem of freeze-drying  
10 when scaling up Z8. We have covered that at length with  
11 Dr Foster. So we can leave that. We have a new point  
12 at page 14, a new document anyway. Question 4 states:

13 "In his minute of 26 August 1988 to the chief  
14 medical officer, Mr J Hamill, SHHD, notes that from  
15 speaking with Dr Perry, Mr Hamill learned that  
16 collaboration between PFC and BPL/PFL 'was not all that  
17 it might be'."

18 We should go to that document, I think. It's  
19 [\[SGH0024677\]](#). One can see this is a minute or memo  
20 internally from Mr Hamill, addressed to the chief  
21 medical officer and copied to Dr Scott and Mr Macniven:

22 "Blood products.

23 "1. Finland/Holland/Scotland."

24 I think in short the SNBTS were liaising or  
25 discussing things with their Dutch and Finnish

1 counterparts and I think Mr Hamill, who I think had come  
2 into post quite recently, was querying these links, and  
3 in paragraph 2 he says:

4 "There may be a background to these links of which  
5 I am unaware, but coming new to the subject I don't for  
6 the life of me understand why our top priority should  
7 not be ensuring that there are adequate links between  
8 our service and its English counterpart and in  
9 particular between PFC and the English establishment at  
10 (I think) Elstree. Speaking to Dr Perry recently (and  
11 he seems very open with us) I learned that collaboration  
12 between the two establishments was not all that it might  
13 be: and I wonder whether there is a risk that these  
14 foreign contacts will lead us down a road towards  
15 greater 'independence' from England when what we should  
16 in fact be considering is ways in which we can maximise  
17 the return to Scotland from their research and  
18 product-testing efforts."

19 So Dr Perry, do you remember this discussion with  
20 Mr Hamill at the time?

21 A. No, I don't, I am afraid. I did not have many  
22 discussions with Mr Hamill. I think I met him on  
23 a couple of occasions. This wasn't a specific  
24 conversation; this was a cup of tea conversation,  
25 I think, after perhaps a CSA subcommittee meeting or



1 something of that --

2 Q. Which you probably didn't expect would reappear some 20  
3 plus years later at a public Inquiry.

4 A. No, there are lots of things that I hadn't expected but  
5 this is probably one of them.

6 THE CHAIRMAN: I'm sure Hamish Hamill didn't expect it  
7 either.

8 A. I'm sure Hamish, who is a very nice man, will not  
9 remember having this conversation either.

10 MR MACKENZIE: I think that's the gist of his statement to  
11 us to be fair.

12 A. I'm disappointed that he doesn't remember --

13 Q. He doesn't even remember the cup of tea.

14 There is perhaps, Dr Perry, potentially a serious  
15 point behind this, in that this seems to be a suggestion  
16 by you to Mr Hamill of 1988 that, certainly in  
17 Mr Hamill's words, links between PFC and BPL were  
18 perhaps not all that they might be.

19 If you had said something to that effect, can you  
20 tell us what you think you may have meant or been  
21 referring to and in particular whether it's relevant to  
22 the development and introduction of Z8?

23 A. Well, I don't, and this will have to be  
24 a reconstruction, but I think from the words I have  
25 used, "they were not all it could be", there were

1 a number of areas in which I felt at that time that  
2 a closer working relationship might have been helpful.

3 I think we were at a time where we were introducing  
4 an immunoglobulin product, for instance, and I think our  
5 colleagues at BPL either were about -- no, they had at  
6 that time failed to introduce a product or they had  
7 introduced it and sadly it transmitted non-A non-B  
8 Hepatitis to a number of patients at Northwick Park. So  
9 they abandoned their development.

10 My view at the time was we had a very good  
11 intravenous immunoglobulin process in place in Scotland  
12 and it would have been, I think, beneficial to the UK  
13 had there been a more productive dialogue about the  
14 probability of transferring that technology from  
15 Scotland to England. That's an example of saying the  
16 cooperation and collaboration wasn't all it could be.

17 I think in terms of the Factor VIII development, we  
18 were blessed with a colleague at BPL, in PFC, in the  
19 form of Jim Smith, and indeed people like Terry Snape,  
20 who were very, very good friends and close colleagues of  
21 ours. So I don't think these difficulties in any way  
22 affected, as I said before, the development of Z8, where  
23 we had excellent working relationships.

24 Q. Thank you, Dr Perry.

25 If we go back to your statement, please, at page 14,

1 we also have a full written reply from you as well,  
2 which we can take note of as well.

3 A. Yes.

4 Q. Dr Perry, that concludes this statement, but I think  
5 there are then two short supplementary statements we  
6 requested from you as well.

7 A. Yes.

8 Q. Could I, please, go to the first of those, which is  
9 [\[PEN0171864\]](#)? A one-page statement. In particular  
10 Professor Cash in his statement, which we looked at  
11 yesterday, had raised as a potential issue the question  
12 of whether any delay in carrying out in vitro virus  
13 inactivation validation studies at PFC, and particularly  
14 around 1986, may have contributed to any delay in the  
15 development and introduction of Z8, and we put that  
16 point to yourself and Dr Foster, together with  
17 Professor Cash's references, and I think your reply in  
18 short, Dr Perry, is that this issue raised by  
19 Professor Cash is a potential issue to be fair, but did  
20 not result in any delay in the development or  
21 introduction of Z8. Is that correct?

22 A. Yes, that's absolutely the case. This post-dated the  
23 development and introduction of Z8 as a routine --

24 Q. I wonder about that. If we could perhaps look at your  
25 written response, you say:

1            "I believe Professor Cash's comment refers  
2            specifically to the development of virus inactivation  
3            studies using live cultures of HIV. The planning of  
4            these studies commenced at the beginning of 1985 and  
5            these were subject to a number of delays, including the  
6            events referred to by Professor Cash concerning the  
7            intervention of SHHD".

8            We looked at one document with Professor Cash  
9            yesterday, which was dated early in 1986, where I think  
10           SHHD raised some concerns about that. So the time  
11           period does seem to be maybe late 1985/during 1986,  
12           about the time when Z8 is being developed but, if  
13           I may read on:

14           "However, the primary purpose of these HIV studies  
15           was to provide data in support of future Z8 product  
16           licence applications and the studies were not  
17           a prerequisite, either by SNBTS or the regulatory  
18           authorities, for its routine introduction into clinical  
19           use. At the time of its introduction, we were already  
20           confident that the severe heat treatment method would  
21           provide a high margin of safety with respect to HIV.  
22           Therefore, the availability of data from such studies  
23           was not on the critical path for introduction of Z8 and  
24           had no effect on the timing of its introduction,  
25           April 1987. The specific events to which I believe

1 Professor Cash refers, also post-date (August 1987  
2 onward) the earlier introduction of Z8 in April/May 1987  
3 ..."

4 I wonder if I have been confused Dr Perry. The  
5 issues arise in late 1985/1986 but studies are only  
6 required in relation to a future event, namely  
7 application for a product licence. Is that what you  
8 mean?

9 A. What I think I'm describing is although these were  
10 important studies, they were primarily required for the  
11 submission of a product licence to validate the process.

12 Q. So the studies were required for a future event?

13 A. A future event, yes, they were not -- as I have  
14 described it here -- they didn't have to be completed to  
15 permit us to introduce the product into routine use.

16 Q. I understand.

17 A. So although they were contemporaneous with the product  
18 development, they weren't on what I have described as  
19 the "critical path".

20 Q. Thank you.

21 The second supplementary statement, please, is  
22 [\[PEN0172201\]](#).

23 In short, this statement takes us to the clinical  
24 trial, the phase 1 clinical trial of Z8, including when  
25 the product actually became available for trial, and we

1 requested this supplementary statement from you because  
2 of certain points raised by Professor Ludlam in his  
3 statement, and this is all with an attempt really to try  
4 and clarify factually what happened at the time.

5 If I could, please, then go through your statement  
6 and refer to one or two documents which may help clarify  
7 things. So question 1. We looked at a memo from  
8 yourself yesterday, dated 22 December 1986 to  
9 Dr Cuthbertson, in which you ask that 200 vials of Z8 be  
10 sent to Dr Boulton, who will subsequently distribute it  
11 to participating centres. Professor Ludlam had noted  
12 that he could not find any evidence that the Z8 was  
13 dispatched from PFC or that any of it was forwarded to  
14 Glasgow or Belfast for assessment in patients. We asked  
15 you to look into that. And your response was you can:

16 "... confirm that 200 vials of Z8, batch 6-0110,  
17 were sent to Dr Boulton on 22 and 24 December 1986."

18 You say:

19 "This is recorded in the PFC batch issue sheet."

20 Which we looked at yesterday. I think that query  
21 has been resolved. The reference, without going to it,  
22 is [\[PEN0171437\]](#). You then say you have been:

23 "... unable to locate any evidence or information  
24 concerning its onward distribution to other centres."

25 Is that a reference to, for example, Glasgow or

1 Northern Ireland?

2 A. Yes.

3 Q. But your recollection is that this particular batch of  
4 product was used only for clinical trials in  
5 Edinburgh Haemophilia Centre. You do then say:

6 "However, there is evidence that Z8 for clinical  
7 trial had been sent to Dr Forbes in Glasgow earlier  
8 in December 1986, although I have been unable to  
9 determine whether this was sent via the Edinburgh  
10 Regional Transfusion Centre, ie Dr Boulton, or directly  
11 from PFC".

12 We should, I think, go to the letter you refer to  
13 in December 1986. I think it's [\[SNB0076298\]](#). It's  
14 a letter from Dr Crawford at Glasgow to yourself of  
15 12 December 1986. Do you have any recollection of this  
16 letter, doctor?

17 A. Only when I have been reviewing it recently, but, yes,  
18 I understand it actually. And this is why I think  
19 I have submitted it as evidence that material did go to  
20 Glasgow because --

21 Q. I think we have looked for the letter of 9 December  
22 referred to but I don't think we have it in our  
23 database. It may be that may provide the clue to what  
24 this relates to, in that while the letter is headed  
25 "Clinical trial of new Factor VIII product Z8", I think

1 Dr Cuthbertson's position yesterday is that one can't  
2 necessarily assume that the whole content of this letter  
3 relates to clinical trial of Z8. One can't assume from  
4 this letter in itself that Z8 had been sent to Glasgow  
5 for clinical evaluation.

6 A. I think it falls very far short of proof that that  
7 happened but I think what I was looking for was some  
8 evidence that -- or evidence whether or not the  
9 Factor VIII that was sent to Edinburgh found its way  
10 into Glasgow. I can't think what else this would refer  
11 to at that point in time. I think for me it clearly  
12 points to product having been supplied as I say, either  
13 from the 200 vials that we sent to Edinburgh for  
14 clinical trial or directly from PFC, because our  
15 colleagues in Glasgow were very sensitive about the  
16 route with which we communicated with haemophilia  
17 doctors over there, and it was quite important that all  
18 these transactions were carried out through the regional  
19 transfusion centres. So this was an occasion of me  
20 bypassing a system and Dr Crawford indicating his  
21 displeasure, albeit in a very polite way.

22 Q. Certainly your inference from this letter is that it  
23 appears likely that Z8 had been sent to Glasgow for  
24 phase 1 evaluation?

25 A. I think so because it talks about the clinical trial of



1 new Factor VIII product and this is Dr Crawford

2 indicating:

3 "I am well aware of the reasons why you found in  
4 necessary to issue the product directly and not via  
5 John Davidson's laboratory."

6 Which was the blood bank in Glasgow. So this to me  
7 was evidence, by one means or another, we had sent the  
8 product to Glasgow in anticipation of a phase 1 clinical  
9 trial being conducted there.

10 Q. In any event, I don't think we will resolve that today  
11 but we have asked Dr Cuthbertson to uses his best  
12 efforts to come back to us on that.

13 A. Sure.

14 Q. I think we will take a stage by stage approach in the  
15 first instance and wish him luck in that task.

16 Moving on to the next question and back to your  
17 supplementary statement, please. It's really the same  
18 point. The bullet point. We asked whether you could  
19 help us as to whether clinical trials of Z8 were in fact  
20 carried out in Belfast and Glasgow and if so, when, and  
21 if not, why not, and you say that your recollection is  
22 that clinical trials were conducted in Glasgow under the  
23 supervisions of Drs Lowe and Forbes. This recollection  
24 is supported by correspondence from yourself to Dr Lowe  
25 dated 30 March 1987.

1           We can perhaps just go to that, please. It's  
2           [\[PEN0172205\]](#). We can see a letter from yourself to  
3           Dr Lowe of 30 March, headed "Clinical trial of Z9":

4           "I understand that you have now infused this  
5           material into patients and that these infusions were  
6           uneventful."

7           And you request a summary of the trial and you also  
8           say:

9           "This is now a matter of some urgency since stocks  
10          of the existing product are now almost exhausted."

11          Really as perhaps predicted back in June 1986.

12   A. Yes.

13   Q. Yes. Putting that letter to one side, please, going  
14          back to your supplementary statement, please, at the top  
15          of page 2 you say:

16          "However, I have been unable to locate a reply to  
17          this request, the date or dates when the trial took  
18          place or the results of any trials which may have taken  
19          place. It seems likely, given the date of my letter,  
20          that these trials took place after the trials which were  
21          eventually conducted by Dr Ludlam on 3 March 1987.

22          However, I am unable to find evidence to confirm this.

23          I have no recollection of clinical trials of Z8 being  
24          conducted in Belfast and can find no evidence of Z8  
25          being supplied to Belfast for this purpose. I agree

1 with Professor Ludlam's interpretation of the available  
2 correspondence. Both Dr Forbes in Glasgow and Dr Mayne  
3 in Belfast had initially expressed a willingness to  
4 conduct trials of Z8, of which my recollection, and  
5 unfortunately no more than that, is that  
6 haemophilia centre directors in Scotland and  
7 Northern Ireland subsequently adopted a similar view to  
8 that of Dr Ludlam, concerning the requirement for  
9 indemnity assurances from SHHD prior to proceeding with  
10 clinical trials. In any event, it would appear that  
11 clinical trials in both Glasgow and Edinburgh were not  
12 conducted until early March 1987."

13 There is one further letter I would like to take you  
14 to, please, Dr Perry, simply while we have you here.  
15 It's an expression which has puzzled me from the outset.  
16 Can we go, please, to [\[SNB0076270\]](#)? It's a letter dated  
17 1 December 1986. Unfortunately you are the recipient  
18 rather than author, in terms of whether you can assist,  
19 but we will see the letter is to do with Z8. It's this  
20 phrase:

21 "I think it is best that I wait until the material  
22 is actually in our cold room before I tell Dr Ludlam."

23 What do you understand that to be a reference to?

24 A. That's a very simple reference. That's -- in the blood  
25 bank many of the products supplied by PFC were

1 temperature-sensitive. Their specified storage  
2 conditions were 4 degrees, so they would have held  
3 stocks of PFC Factor VIII, Factor IX, immunoglobulin  
4 products in their cold room, which was basically part of  
5 their blood bank stockholding arrangements. So that  
6 just specifies -- it's shorthand for "held in stock" by  
7 the Southeast Scotland Blood Transfusion Service. He is  
8 specifying the physical location in which he would  
9 expect to find them.

10 Q. It's not the reference to "cold room" which is puzzling,  
11 it's really the timing:

12 "I think it is best if I wait until the material is  
13 actually in the cold room before I tell Dr Ludlam."

14 A. Sorry, the date of this letter is ...?

15 Q. Yes, if we scroll down a little.

16 A. Yes, 1 December 1986.

17 Q. Yes. So Dr Boulton seems to be suggesting that he is  
18 going to hold off contacting Dr Ludlam until the  
19 material is actually in the cold room. I just wondered  
20 why. If that was the inference in the letter, why?

21 A. I think, again -- sorry, I went down the wrong path  
22 about the cold room. I think that's a reference to  
23 being absolutely sure, following the delays earlier in  
24 the year. He is simply saying, "I want to see the stuff  
25 before I start -- before I start getting haemophilia

1 directors excited by the prospect of doing clinical  
2 trials".

3 Q. Yes, thank you.

4 THE CHAIRMAN: A cynic might read the first two sentences  
5 together, Dr Perry and perhaps wonder whether there  
6 isn't more to it than that.

7 A. "I have also received a letter ... "

8 THE CHAIRMAN: No:

9 "I think it is best if I wait until the material is  
10 actually in our cold room before I tell Dr Ludlam."

11 And, "By the way, how on earth am I going to deal  
12 with Charles Forbes?"

13 The paragraph as a whole gives one the impression  
14 that there are factors below the surface that led to  
15 this letter being written. But that might just be an  
16 over-cynical view?

17 A. I don't know. I'm trying to provide some sort of  
18 interpretation of this -- of the third paragraph, which  
19 is: what is the best way of dealing with Dr Forbes.  
20 I think it is probably -- and it's no more than that --  
21 this is speculation. I think it's probably describing  
22 how he actually supplies -- how the product is supplied  
23 to Dr Forbes and should it be sent directly to the cold  
24 room. These were matters of some sensitivity with  
25 hindsight, not much gravity but they were matters of

1 sensitivity, and it could be that Dr Boulton is simply  
2 describing that. I don't know.

3 MR MACKENZIE: We would ultimately have to ask Dr Boulton,  
4 perhaps?

5 A. If it becomes a significant issue, I think that's right.  
6 He would be delighted to hear from you.

7 Q. If I could perhaps move on, and just complete this  
8 statement, please. Question 3, we asked, Dr Perry,  
9 whether you had any comments on paragraphs 11 and 12 of  
10 Professor Ludlam's statement. We should, I think, go to  
11 Professor Ludlam's statement, which is [\[PEN0171620\]](#).  
12 Could we, please, go to page 4 of the statement at 1623?

13 Paragraph 11 of the statement. Professor Ludlam  
14 states that, as well as undergoing the phase 1 clinical  
15 trials, it would also be necessary, before Z8 could be  
16 released for clinical use, for certain other things to  
17 have taken place: Batches would need to be finished,  
18 undergo standard quality control tests, which  
19 Dr Cuthbertson told us about yesterday, and labelling  
20 and packaging.

21 Then also in paragraph 12, while we are at this  
22 statement, Professor Ludlam states:

23 "In conclusion, his refusal to give test infusions  
24 delayed Z8's assessment in Edinburgh for about two  
25 months."

1           Then Professor Ludlam refers to the possibility of  
2           the phase 1 trial being conducted in Glasgow and  
3           Belfast. So that's the background to the question we  
4           asked you to comment on, Dr Perry.

5   A. Yes.

6   Q. Could we then go back to your statement, please?

7           I apologise for all this jumping about.

8   A. That's okay.

9   Q. Thank you. Then your response to paragraph 11 of  
10          Professor Ludlam's statement is that:

11                 "Professor Ludlam is correct in stating that  
12                 adequate stocks of Z8 would have been a prerequisite for  
13                 its introduction into routine use for all patients in  
14                 Scotland."

15                 To pause there, that wouldn't apply to previously  
16                 untreated patients who would, I assume, have access to  
17                 Z8 once it was available?

18   A. I think that would have been -- had that been requested  
19                 by haemophilia doctors or it had come up from detailed  
20                 discussion, that would certainly have been a mechanism  
21                 that was put into place.

22   Q. One would certainly hope that would be the case.

23   A. Yes.

24   Q. You tell us again about events we have already looked  
25          at, the question of the timetable for the phasing out of

1 the old product and the phasing in of the new, all with  
2 references to the batch dedication system. Then at the  
3 bottom of the page, you say:

4 "My primary concern at the end of 1986 was,  
5 therefore, that PFC was building stocks of Z8 without  
6 evidence of its clinical efficacy or safety from patient  
7 trials. This raised the possibility of a Factor VIII  
8 supply failure in the event that clinical trials  
9 produced concerns over Z8 safety or efficacy when there  
10 remained only three to four months' stock of NY  
11 68/24-hour product."

12 Professor Cash has told us how this was a concerning  
13 period for him and presumably for you as director of  
14 PFC, who was ultimately responsible for ensuring  
15 Factor VIII self-sufficiency, this must have been  
16 perhaps been a more concerning time?

17 A. I think the whole period was difficult. It was  
18 certainly stressful, as I think I have described here.  
19 I don't think we necessarily expected there to be  
20 clinical problems, we expected it to perform similarly  
21 to 8Y, but my concern as director was that you could go  
22 from a position of plentiful supply to a position of  
23 very, very strained supplies or failure to supply, if  
24 the clinical trial came up with evidence that the  
25 product was neither safe nor well tolerated. And that



1 is always a concern where you are moving from one  
2 product to other successive products; you always take  
3 the risk of that problem emerging.

4 And as I said -- I think I have said before, with  
5 three products being delivered over a period of two or  
6 three years, I think these risks were always present.  
7 I think at the end of the day we managed these risks  
8 fairly effectively but this was quite a close call, as  
9 it were, in terms of having the evidence that our Z8  
10 process was actually a viable prospect for future  
11 supply.

12 Q. I understand.

13 A. Which is not to diminish the importance, I think, of  
14 Professor Ludlam's position in terms of having the need  
15 for compensation but I think those two events came  
16 together and, yes, you are absolutely right, it was  
17 fairly stressful.

18 Q. Yes. Thank you.

19 Then finally, please, on the last page of your  
20 statement, if I may, I think this brings some of your  
21 evidence together. You say:

22 "I believe Professor Ludlam's estimate of  
23 a two-month delay in conducting trials of Z8 in  
24 Edinburgh is correct. PFC records indicate that initial  
25 test infusions were carried out on 3 March 1987.

1           However ..."

2           Back to the point before:

3           "... the timing of introduction of Z8 ..."

4           For all patients:

5           "... was determined primarily by residual stocks of  
6           NY/68/24 which, with the agreement of haemophilia  
7           directors, would continue to be used until stocks were  
8           exhausted. This point was reached in April 1987.  
9           Therefore, whilst the conduct of clinical trials at an  
10          earlier date (whether in Edinburgh, Glasgow or Belfast)  
11          would have relieved some of the PFC concerns and  
12          anxieties concerning continuity of supply, the timescale  
13          for introduction of Z8 would have been unchanged."

14          I think we can insert the caveat, presumably with  
15          the exception of previously untreated patients?

16    A.    Yes. Whenever I talk about "the introduction", I'm  
17          talking about Scotland-wide routine introduction. As  
18          I said before, I think the timescale for introduction of  
19          Z8 was determined by the point at which we discontinued  
20          manufacture of NY.

21    Q.    Dr Perry, I'm almost finished. I have two documents  
22          I would like to take you to very much for completeness,  
23          to finish this chronology. Firstly, please,  
24          [\[SNB0040529\]](#).

25          Dr Perry, this document, I think, is undated. We

1 can see in the top right-hand corner, "Item 5 of  
2 7/4/87". I assume it was a paper for a meeting on  
3 7 April 1987?

4 A. Yes.

5 Q. Also I think we don't know the identity of the author.  
6 We can see the title is "Supply and demand 1987/88".

7 A. I think I would be the author of this.

8 Q. I'm grateful.

9 A. But we will see.

10 Q. Yes. I'm not sure we will. But you may recognise it.  
11 Looking on, perhaps to the next page, do you know what  
12 the purpose of this document would have been? Did you  
13 routinely report to somebody or a committee on these  
14 matters?

15 A. In 1987 the SNBTS had what came to be described as  
16 a "supply and demand meeting" for plasma products, and  
17 this was a point at which all SNBTS directors came  
18 together and the main topic on the agenda was supply and  
19 demand, which basically was supply of plasma and demand  
20 for plasma products, and it was a forward look over  
21 a period of at least 12 months to -- really quite  
22 detailed consideration for each individual product that  
23 was available because -- I think it's stating the  
24 obvious, but the demand for particular products had  
25 a direct impact on the activities of the regional

1 transfusion centres who were out there collecting the  
2 various different plasma types --

3 Q. I understand, yes.

4 A. So it was written for the 1987/88 supply and demand  
5 meeting.

6 Q. Yes, thank you.

7 Then Factor VIII. At the top we see, as we know,  
8 that:

9 "PFC discontinued the manufacture of NY/68/24  
10 product in the summer of 1986 in order to reduce the  
11 national stockpile of NY material in preparation for the  
12 introduction of Z8 at 80 degrees for 72 hours. As an  
13 interim production development, Z8 at 75 degrees for  
14 72 hours was manufactured for a short period. The stock  
15 position is now as follows."

16 One can see the stock position of the respective  
17 products. The NY/68/24, Z8 at 75 degrees for 72 hours  
18 and the Z8 at 80 degrees for 72 hours, and then:

19 "Thus, there exists the need to phase out old  
20 product and phase in the new Z8. The following proposal  
21 is presented for consideration. (a) Batch dedication is  
22 maintained. (b) Residual NY and Z8 at 75 degrees for  
23 72 hours. Stocks are fed into the batch dedication  
24 system as normal. (c) An additional lane(s) is created  
25 at each RTC of Z8 at 80 degrees centigrade for 72 hours

1 to make available material for special patient cohorts  
2 (eg virgins, elective surgery, mild haemophiliacs) prior  
3 to consumption of existing stocks of old material."

4 I think that deals with the point that we have  
5 discussed.

6 A. Yes.

7 Q. "This will ensure equity of new product distribution  
8 whilst at the same time recognising the need to support  
9 special patient groups."

10 The final paragraph:

11 "Present stock levels (NY and Z8/75 degrees) are  
12 ..."

13 Set out, and:

14 "At present rates of demand, it is estimated that Z8  
15 will become available for all patients by July 1987."

16 I think we had seen from batch issue records we have  
17 looked at previously that on 22 May 1987 Factor VIII at  
18 80 degrees was distributed to haemophilia centres,  
19 I think, certainly Glasgow and possibly Edinburgh as  
20 well?

21 A. Yes.

22 Q. I'm just really trying to clarify when Z8, in particular  
23 heated at 80 degrees, was actually available for issue  
24 to all. Was it May 1987 or July 1987 or what?

25 A. Specifically the 80-degree material, I would really have

1 to do some detailed analysis of the issue. I suspect  
2 it's closer to July 1987 because there would have  
3 been -- although I think it would have begun  
4 around April/May time when some of these batch  
5 dedication lanes had been exhausted. The Z8 would have  
6 been put in place to replace them. I think the July  
7 date as an estimate is basically measuring the speed of  
8 the slowest ship in a convoy. This would have been the  
9 last remaining lanes of previous NY product to become  
10 exhausted. I think that's probably a best estimate of  
11 the point at which all product at issue would have been  
12 Z8.

13 Q. In the last paragraph, the reference to:

14 "It is estimated that Z8 will become available for  
15 all patients by July 1987."

16 Is the reference to Z8 a reference to Z8 heated at  
17 80 degrees or do you think it's a reference to Z8 heated  
18 at either 75 or 80 degrees?

19 A. I don't know. I suspect it's both. I think it's  
20 probably the 75-degree and the 80-degree material but I  
21 can't be sure.

22 Q. Is that reference to that product, Z8, becoming  
23 available for all patients by July 1987. Is that really  
24 a reference to that's the month by which stocks of the  
25 old product will be exhausted?

1 A. The last remaining stocks in various lanes throughout  
2 Scotland would have become exhausted but I think,  
3 certainly from my knowledge around the period and  
4 certainly from stocks, the new Z8 product, whether it's  
5 75-degree or 85-degree material, would have been  
6 introduced into some part for some patients prior to  
7 that date.

8 Q. Yes. Then finally, please, a letter [\[PEN0171267\]](#). This  
9 is really to complete the record. It is a letter dated  
10 10 April 1987 from Professor Cash to yourself, "Z8  
11 phase 1 studies":

12 "Dr Cuthbertson and I have reviewed the raw data  
13 from the Edinburgh patients and I am satisfied that PFC  
14 may now move to issue Z8 for routine clinical use."

15 A. Yes.

16 Q. Presumably that statement is self-explanatory?

17 A. I think that's the system that we had in place, that  
18 Professor Cash was basically our medical adviser,  
19 de facto our medical adviser, as well as being the  
20 national medical director, and we would have done the  
21 studies and I think Dr Boulton would have presented  
22 a report to Professor Cash and he would have looked at  
23 it, he knew about these things, and he would have  
24 approved it.

25 Q. So Professor Cash is satisfied with the phase 1 clinical

1 trial of Z8?

2 A. Yes.

3 Q. And is authorising its issue for routine clinical use?

4 A. Yes.

5 Q. I think that's perhaps a suitable point for me to stop  
6 my questioning, Dr Perry, thank you.

7 THE CHAIRMAN: Mr Di Rollo do you have questions for  
8 Dr Perry on topic C3?

9 MR DI ROLLO: I don't have many questions in relation to C3  
10 but what I would like to do is to ask some questions  
11 relating to C3A.

12 The situation is that there appears to be an overlap  
13 between the two, I think, because the material which  
14 I would like to refer to was actually in court book  
15 under C3 as opposed to C3A, and we can see from his C3  
16 statement that there is mention of the obtaining of  
17 material from England. I would like to ask some  
18 questions principally in relation to the matters covered  
19 in Dr Perry's statement, which he gave under  
20 [\[PEN0171244\]](#), which is the statement on topic C3A.

21 Sir, I would like to refer to the material, some of  
22 which we have already seen.

23 THE CHAIRMAN: I can understand that you would want to do  
24 that. My concern is whether you should do it now.

25 There are two aspects to that, Mr Di Rollo. One is the



1 time constraints on today, because we do have to hear  
2 from Dr Ludlam, and the other is whether Dr Perry has  
3 been advised that he is likely to be asked questions on  
4 that matter. I think that in fairness to him, he should  
5 be advised and consider whether he can do it fairly.  
6 But what about time? You know, we have a statement from  
7 Dr Ludlam that is not insignificant in its length and  
8 content. Are we going to get finished or is the  
9 introduction of C3A today going to frustrate the  
10 programme?

11 MR DI ROLLO: I reckon that I would be about 45 minutes to  
12 do --

13 THE CHAIRMAN: That worries me greatly. 45 minutes out of  
14 what's left of today with Dr Ludlam to come seems to me  
15 to raise a question. It might be better to do it some  
16 other time. I think what I should do is just rise  
17 briefly and let counsel have a chat about the  
18 feasibility of it.

19 MR DI ROLLO: Very well.

20 THE CHAIRMAN: And you have to include, of course,  
21 Mr Anderson and Mr Johnston for their interest in this  
22 too. I'm not anxious that we should split Dr Ludlam  
23 basically. So it's not a question of whether you should  
24 be allowed to do this at all; I can understand from  
25 questions you have already asked why you would want to

1 get into it, but I think we have to be very clear about  
2 the practicability of doing it today.

3 We will rise briefly.

4 (12.42 pm)

5 (Short adjournment)

6 (12.53 pm)

7 THE CHAIRMAN: I'm not quite sure whom I should ask first  
8 about developments that have taken place in the short  
9 interval. Do you have anything to help me with,  
10 Mr Mackenzie?

11 MR MACKENZIE: Yes, sir. I think the view here is that it's  
12 better to complete Dr Perry's evidence on this topic,  
13 C3, which will then allow us to start -- and I'm sure  
14 complete -- Professor Ludlam's evidence on this topic,  
15 and that Mr Di Rollo can perhaps address you on the  
16 question of his C3A questions.

17 THE CHAIRMAN: Yes.

18 Mr Di Rollo, C3A was to be dealt with on the basis  
19 of writing.

20 MR DI ROLLO: I'm not sure we actually had that conversation  
21 in fact, about whether it was to be dealt with in  
22 writing. I think what happened was at the end of the  
23 C3A section, Professor Colvin departed and I don't think  
24 my learned friend had the opportunity of going through  
25 the other statements that she normally would.

1 THE CHAIRMAN: That is correct.

2 MR DI ROLLO: I think if I had been given an opportunity to  
3 address the Inquiry at that stage, what I would have  
4 said is that I would like to ask these questions orally  
5 to Dr Perry at some stage.

6 THE CHAIRMAN: I can see that. I think that, given the  
7 constraints on time, I really don't want to get into  
8 this area today. I also think that it might be of  
9 advantage if you set out what it is you want to cover in  
10 a written application. Three quarters of an hour,  
11 I have to say, takes me a little bit aback on the basis  
12 of what I have read already.

13 MR DI ROLLO: Right.

14 THE CHAIRMAN: Knowing why it should take three quarters of  
15 a hour, rather than five minutes, for example, is  
16 sometimes a problem. So I think if you were to take the  
17 opportunity to give written intimation of what it is you  
18 want, that should cause us to bring Dr Perry back, we  
19 will find exactly how much time is required in  
20 discussion among the parties and fix a different time  
21 for it. But I really don't want to frustrate the  
22 programme for today and I very much suspect that that  
23 would happen. So if you could approach it that way,  
24 I would be obliged.

25 MR DI ROLLO: There is the one matter which is purely a C3

1 topic.

2 THE CHAIRMAN: I'm not asking you not to ask questions.

3 MR DI ROLLO: That's one question and I could do that now  
4 and let Dr Perry away, because I don't think anybody  
5 else will have any questions.

6 THE CHAIRMAN: That sounds fine.

7 Questions by MR DI ROLLO

8 MR DI ROLLO: The C3 question, Dr Perry, was in relation to  
9 clinical trials for Z8. We understand it to be the case  
10 that clinical trials were not carried out on pilot scale  
11 batches but it was dealt with by doing it after full  
12 production.

13 A. That's right, yes.

14 Q. I think previously it had been dealt with when previous  
15 products had come in, clinical trials had been done on  
16 pilot batches?

17 A. The pasteurisation product, the product that was  
18 pasteurised at 60 degrees for ten hours in process, that  
19 was indeed an initial clinical trial done on pilot  
20 scale. The reason why that was appropriate, that was  
21 not the definitive clinical trial, that was what I would  
22 describe as a proof of principle trial, ie, we developed  
23 quite a substantially different process and before we  
24 continued with that process, we wanted to establish  
25 whether or not the process that we had put together

1 would throw up any early clinical problems in use. So  
2 at that stage it would have been appropriate to do a  
3 clinical trial.

4 Had that project gone to completion, it would also  
5 have required a clinical trial at full-scale as well.

6 Q. Was there any reason why clinical trials were not  
7 carried out on pilot batches of Z8 then?

8 A. No, it was a simpler process. I think it was -- we had  
9 the benefit of 8Y and their experience, which was  
10 a closely similar product, to guide us. So there  
11 wouldn't have been any benefit in terms of timescale or  
12 introduction, had we carried out a clinical trial on  
13 a pilot scale batch because we would also have had to  
14 have done it on the full-scale batch as well, before we  
15 were to introduce a product into routine use. And my  
16 goodness, these trials are very, very small and very,  
17 very insubstantial compared with what's required  
18 nowadays, but to actually introduce a new product into  
19 routine use for the entire haemophilia population of  
20 Scotland without actually having tested one of the  
21 batches that has been manufactured in the routine  
22 production department would be completely unacceptable.

23 Q. Thank you for that.

24 MR ANDERSON: I have no questions.

25 THE CHAIRMAN: Are you content with that?

1 MR MACKENZIE: No further questions.

2 THE CHAIRMAN: Then we will rise with that.

3 (12.58 pm)

4 (The short adjournment)

5 (2.00 pm)

6 PROFESSOR CHRISTOPHER LUDLAM (continued)

7 Questions by MR MACKENZIE

8 THE CHAIRMAN: Yes, Mr Mackenzie?

9 MR MACKENZIE: Thank you, sir. The next witness is  
10 Professor Ludlam.

11 Professor Ludlam, good afternoon.

12 A. Good afternoon, Mr Mackenzie.

13 Q. Professor, we asked you to attend to give evidence on  
14 this topic C3 and you provided two documents for us,  
15 firstly an appendix, if we could go to that, please.  
16 It's [\[PEN0171625\]](#). This is a quite lengthy, 23-page,  
17 really, chronology, I think, of events relating to  
18 compensation for clinical trials and other surrounding  
19 events as well, and it starts November 1983 and  
20 continues until November 1989.

21 What I intend doing, professor, is having this  
22 document taken as read. So it will form part of the  
23 Inquiry record. But rather than spending time going  
24 through it in detail, I propose just taking you to  
25 particular passages which I think are of particular

1 importance to us.

2 This is also against the background that I did spend  
3 some time, I think it was yesterday, taking  
4 Professor Cash through the relevant compensation  
5 documents.

6 If I may start with your appendix, please, in  
7 paragraph 2, we can see that you first faced the  
8 question of compensation and clinical trials at the  
9 meeting of haemophilia and SNBTS directors on  
10 14 November 1983, and we have previously looked at the  
11 minute of that meeting. We can see you say here that:

12 "The catalyst to my raising this concern was the  
13 reaction that one of the patients experienced when given  
14 test doses of the heat-treated Factor VIII  
15 in September 1983."

16 Can you remember, professor, which product that was?

17 A. I think that was the pasteurised product that was under  
18 development and I gave it to one patient. I think  
19 I presented some of the details here in outline before,  
20 but the patient developed central chest pain and was  
21 quite unwell --

22 Q. We don't have to go back to that in detail but the  
23 product was from, I think, ZHT preparation?

24 A. Yes.

25 Q. And we can always refer back to your evidence on the

1 patient's symptoms, et cetera, if need be. It certainly  
2 is captured in the record from last time.

3 Just to pause here, what was the matter that  
4 concerned you?

5 A. The issue that concerned me was that we were asking  
6 individuals to volunteer to test new products that might  
7 have had adverse consequences, and it seemed only fair  
8 and appropriate and in keeping with what was becoming  
9 common policy in testing other pharmaceutical agents,  
10 that there should be a system in which the patient or  
11 the volunteer could be compensated without having to  
12 prove negligence.

13 Q. Thank you.

14 Next, please, if we could go to page 3. I do  
15 appreciate that the question of compensation was raised  
16 again in 1984 but I'm then going on, please, to page 3  
17 and paragraph 9. This is to try and clarify a point  
18 regarding ethical approval which arose in the  
19 questioning of Professor Cash, and in paragraph 9 of  
20 this appendix you say that:

21 "In response to a request from Dr Boulton of  
22 15 March 1985 to test the 68-degree/24-hour material,  
23 I replied on 19 March 1985, requesting details of the  
24 product. I sought compensation arrangements to be in  
25 place and indicated that the infusions would require



1 ethical approval (I might be prepared to forego if there  
2 were appropriate compensation proposals). The letter  
3 was copied to Dr Cash and Dr Perry."

4 Ethical approval from whom?

5 A. That would have been the Royal Infirmary of Edinburgh  
6 ethics committee.

7 Q. Why would ethical approval be required?

8 A. Because this was an experimental drug.

9 Q. And why might you have been prepared to forego such  
10 approval if there were appropriate compensation  
11 proposals?

12 A. I think I was wanting primarily to make sure that if  
13 anything did go wrong adversely for the patient, there  
14 would be reasonable arrangements by which they could be  
15 compensated.

16 Q. As I say, professor, I don't want to go into the whole  
17 question of ethics on this topic but it was simply to  
18 try and clarify a point which did arise yesterday.

19 Over the page, please, at page 4 and paragraph 11,  
20 you say:

21 "In my response to Dr Cash of 4 April 1985,  
22 I acknowledge his efforts to get compensation  
23 arrangements in place, point out that ethical approval  
24 has always previously been obtained."

25 And you insisted on having details of the product to

1 be infused. Et cetera. You point out that ethical  
2 approval had always previously been obtained; can you  
3 tell us a little about that? Did that just apply to  
4 Factor VIII clinical trials? Is that a wider point or  
5 what?

6 A. Any new blood product that I was being asked to test in  
7 volunteer patients I would have applied to the ethics  
8 committee of the Royal Infirmary, and to do that I would  
9 need to have some details of the product and anyway,  
10 I would require details for my own satisfaction to know  
11 exactly what it was that I was being asked to infuse.

12 Q. I understand. Could we then, please, go on to page 9,  
13 at paragraph 34. This then brings us into the Z8 period  
14 and paragraph 34 relates to a letter dated  
15 5 January 1987. You write to Professor Cash -- and we  
16 have seen this letter earlier -- that:

17 "With great regret I am unwilling to test further  
18 blood products on patients until I receive written  
19 assurance that appropriate compensation will be  
20 available (possibly in a manner similar to the ABPI  
21 arrangements)."

22 Et cetera. Over the page at page 10, please. You  
23 say in the italic text:

24 "This should not have come as a surprise to Dr Cash  
25 as I first raised the matter in 1983 and I had made my

1 view clear in March and April 1985. I wrote  
2 in April 1985 that as soon as I received details of the  
3 present Factor VIII product that requires testing,  
4 I shall be delighted to arrange this. So far as the  
5 future is concerned, I shall be looking for a concrete  
6 guarantee (about indemnity) for my patients."

7 Then you say:

8 "Additionally he had been forewarned by Dr Boulton  
9 at the beginning of December 1986."

10 We have looked at that letter previously.

11 One point, professor: when you state here that,  
12 "I shall be looking for a concrete guarantee (about an  
13 indemnity)", what was your concern at this stage  
14 in December 1986? Was your concern the need for  
15 compensation arrangements for patients or the need for  
16 indemnity provisions for clinicians, or both?

17 A. Primarily for the patients. This was a patient safety  
18 issue and this Z8 was an entirely new product and hadn't  
19 been tested in humans before and therefore I felt it  
20 only fair to the patients that these arrangements should  
21 be in place.

22 Q. You said "primarily a concern related to compensation  
23 for patients". So to what extent, if at all, did any  
24 concern about requiring indemnity for clinicians  
25 influence your position on the clinical trials of Z8?

1 A. I don't think at all.

2 Q. I understand. It's simply that the use of the word  
3 "indemnity" triggered the thought in my head but we  
4 really mean compensation for patients?

5 A. Compensation for the patients not indemnity for myself.

6 Q. I understand. Sticking with page 10, please, at  
7 paragraph 35, Dr Cash copied your letter of  
8 5 January 1987 to Dr McIntyre and wrote in a covering  
9 letter:

10 "You will wish to note that Dr Ludlam's letter is  
11 copied to Dr Rizza. It would seem clear to me that  
12 Dr Ludlam's actions are probably part of a carefully  
13 coordinated plan which was conceived at the October  
14 meeting of the UK haemophilia directors."

15 Out of fairness to you, I should read your response  
16 to that where you say:

17 "I can advise that there was no carefully  
18 coordinated plan which was conceived at the October  
19 meeting of the UK haemophilia centre directors. The  
20 minutes of the meeting are available."

21 Your letter was copied to Dr Rizza because he was  
22 the chairman of UKHCDO and you thought he should be  
23 aware of the difficulties in Scotland in connection with  
24 testing new blood products. Just to pause there,  
25 professor, I appreciate your position about there being

1 no carefully coordinated plan conceived at that meeting.  
2 Am I right in thinking that you did relay your concerns  
3 about the lack of compensation for clinical trials to  
4 the other Scottish haemophilia directors?

5 A. I think I did and I think -- yes, my letter that was  
6 copied to Dr Rizza, I think was also copied to all the  
7 other haemophilia directors in Scotland.

8 Q. Yes.

9 A. So that alerted them.

10 Q. And I think -- sorry, I interrupted you.

11 A. No, I have finished.

12 Q. Thank you.

13 I think Professor Cash then wrote a letter to you in  
14 early January, which he copied to the other Scottish  
15 haemophilia doctors, where he asked them to respond to  
16 him, setting out their position, and we have seen before  
17 that the directors from Aberdeen and Dundee and Yorkhill  
18 replied to Professor Cash saying in short, they agreed  
19 with you and wouldn't undertake phase 1 clinical trials  
20 without compensation arrangements, and in fact Dr Hann  
21 at Yorkhill wouldn't undertake such trials on children  
22 at all.

23 Do you know, professor, as at the beginning  
24 of January 1987, what the position was of Drs Forbes and  
25 Lowe at Glasgow Royal Infirmary on whether they regarded

1 compensation as a requirement before they would

2 undertake phase 1 trials of Z8?

3 A. I don't know.

4 Q. So you didn't discuss that matter with them at the time?

5 A. No.

6 Q. I understand.

7 Could I then, please, go on to page 12? At  
8 paragraph 41. I'm trying here to pick out the main  
9 events in the chronology. Paragraph 41:

10 "On 6 February 1987 Mr Murray, SHHD, wrote to  
11 Dr Cash in reply to his letter of 30 December about  
12 compensation arrangements."

13 Then further down there is the quote:

14 "I can confirm that the department agrees such  
15 compensation arrangements for the clinical trials of  
16 heat-treated Factor VIII and that such arrangements  
17 include application of the APBI guidelines."

18 The position of Professor Cash and the SHHD was that  
19 the agreement to compensation related to phase 1 of the  
20 clinical trial and I know there is a later dispute about  
21 your understanding of the position, but certainly as far  
22 as Professor Cash and SHHD are concerned, that's their  
23 understanding of the position as at that time. Is that  
24 correct?

25 A. That is correct, yes.

1 Q. And you do refer in 42 of your appendix to the meeting  
2 on 9 February 1987 between haemophilia and SNBTS  
3 directors and you go on to narrate your concern that the  
4 draft minutes of the meeting didn't reflect your memory  
5 of what was discussed and agreed. That's all set out in  
6 your appendix. I don't propose to go back over that to  
7 try and resolve that today. I don't think that would be  
8 possible, but if I may then, please, go on to page 14,  
9 in paragraph 46, you will see:

10 "Assessment of Z8 was undertaken on patients in  
11 Edinburgh in March 1987 and on 31 March 1987,  
12 Dr Susan Howe wrote to Dr Perry giving the initial ...  
13 results in three patients ..."

14 We looked at that letter yesterday, I think. Then  
15 paragraph 47:

16 "On 3 June 1987 Dr Boulton wrote to Dr Perry with  
17 the results of infusions of batch 60270 in March  
18 and April in Edinburgh to four men with haemophilia ..."

19 Again, we looked at that letter yesterday. Over the  
20 page at page 15, a point of detail. In paragraph 49,  
21 line 6 you have pointed out to me that, in the sentence  
22 commencing:

23 "Treasury approval has not been received ..."

24 The word "not" should be deleted. So that should  
25 read:

1 "Treasury approval has been received."

2 A. That's correct, and I apologise for the typographical  
3 error.

4 Q. No need to apologise, professor.

5 Also lastly, please, paragraph 22. Paragraph 70,  
6 completes this chronology, I think, of the main events.

7 Paragraph 70:

8 "On 9 November 1987 Mr Macniven wrote to  
9 Professor Cash in response to his letter of 8 July 1987  
10 indicating that the SHHD would extend ABPI cover to the  
11 use of heat-treated Factor VIII for therapeutic use."

12 So that would then cover any phase 2 trial, for  
13 example?

14 A. I think right up until issuing of a product licence.

15 Q. And that met your concern in that regard?

16 A. It did.

17 Q. Thank you, professor.

18 We can now put the appendix to one side and go  
19 through your accompanying statement, please, which, if  
20 we now turn to that, is [\[PEN0171620\]](#). Thank you. The  
21 single question, I think, we actually asked you is this:

22 "Does Professor Ludlam consider that the lack of  
23 appropriate compensation arrangements resulted in any  
24 delay in the introduction of Z8 and, if so, by how many  
25 weeks, months, et cetera, was the introduction of Z8



1 delayed because of the lack of such arrangements?"

2 In a way it's a simple question but there is perhaps  
3 a more complex answer, when one talks into account the  
4 batch dedication system, the needs of different patients  
5 and what have you but anyway, that was the question  
6 posed. You replied to this as follows:

7 "1. There was considerable uncertainty about when  
8 samples of Z8 would be available for clinical assessment  
9 in the second half of 1986."

10 And a:

11 "Although it was hoped to undertake test infusions  
12 in patients of Z8 in about September 1986, when it was  
13 anticipated that appropriate material might be  
14 available, difficulties were encountered with its  
15 freeze-drying. This led to a substantial delay and it  
16 appeared that the product might not be available  
17 until December 1986."

18 You then say in b:

19 "The initial Z8 product was heat-treated at  
20 72 degrees in September 1986 ..."

21 To pause there, where did you get that reference  
22 from, professor?

23 A. I'm sorry, I can't remember. It was reviewing some of  
24 the documents, when I was preparing this. I don't think  
25 it's an important point but I'm sorry, I can't tell you

1 where that came from.

2 Q. That's okay. We can perhaps check our own records, if  
3 it's important, but it does seem to be the case that the  
4 product which was eventually made available for the  
5 phase 1 clinical evaluation and for the therapeutic  
6 treatment of patients was either the 75-degree product  
7 or the 80-degree product. I don't think there is any  
8 suggestion that a 72-degree Z8 was administered in  
9 patients?

10 A. That's correct.

11 Q. Yes. Then paragraph c:

12 "Although Dr Cuthbertson wrote on 26 November 1986  
13 to Dr Boulton with a specification of the  
14 75-degree/72-hour product, there is no evidence that  
15 this product was ever dispatched or received by  
16 Dr Boulton."

17 Et cetera. I think as a result of you making the  
18 point, professor, we then were provided by the SNBTS  
19 with the batch issue sheet we have looked at previously.  
20 I can perhaps bring it up quickly. It's [\[PEN0171437\]](#),  
21 which does state that the Z8 product was placed at issue  
22 on 2 December 1986 and 20 units were issued to  
23 Dr Boulton at Edinburgh Royal Infirmary on  
24 22 December 1986 and then a further 180 units issued to  
25 Dr Boulton on 24 December 1986. I take it that now you

1           have seen this record, you are happy to accept that what  
2           is stated as having occurred in this record did in fact  
3           occur?

4   A.   Yes, perfectly happy, thank you.

5   Q.   I'm grateful.  You won't, of course, have seen this  
6           document when producing your statement.

7   A.   No.

8   Q.   Then to continue with your statement, please, at page 2,  
9           paragraph 2:

10                 "Dr Boulton had SNBTS responsibility for liaising  
11           with clinicians over arrangements for the test infusions  
12           of Z8 in patients."

13                 You refer to a letter of 1 December 1986 from  
14           Dr Boulton to Dr Perry, indicating that:

15                 "He had received a letter from Dr Mayne 'saying that  
16           she will be very pleased to enter into the trials as  
17           soon as the material is available.'  His letter  
18           continues by stating 'I think it would be best if I wait  
19           until the material is actually in our cold room before I  
20           tell Dr Ludlam'."

21                 Professor, what do you think was meant by that  
22           sentence, if you feel able to give an answer?

23   A.   I think I had been anticipating a trial batch of Z8 for  
24           several months, during the latter part of 1986, and the  
25           rumours had come that there would be a batch coming

1 perhaps the following week, and my expectations were  
2 raised only to be dashed when it didn't arrive. So  
3 I think Dr Boulton was perhaps making the point it might  
4 be best to wait until he actually had the material in  
5 stock, because once it is in stock, I would invite  
6 patients to come up to have test infusions -- would be  
7 the normal arrangements, and I wouldn't want to  
8 inconvenience patients by inviting them up and there not  
9 being a product to give to them.

10 Q. Then in the last sentence of paragraph 2 you refer to  
11 a letter:

12 "Subsequently, Dr Cash wrote to me on  
13 13 January 1987 reporting that Charles Forbes has agreed  
14 to look at the 75-degree/72-hour product."

15 We looked at that earlier and you say:

16 "It thus appears that both Dr Mayne and Dr Forbes  
17 were prepared to test the heat-treated Z8 by the  
18 beginning of January 1987."

19 I take it, professor, that is an inference you have  
20 drawn from these documents rather than a recollection  
21 you had at the time?

22 A. That is correct. There was no response from Dr Forbes  
23 or Dr Lowe or Dr Mayne that reached me to say that they  
24 had reservations about testing it.

25 Q. I understand. In paragraph 3 of your statement you

1 refer to a letter of 5 December 1986 from Dr Boulton to  
2 Professor Cash. We have looked at that. And the PS:

3 "I have heard from Dr Mayne that she is willing to  
4 participate in the trials of Z8."

5 Paragraph 4. This is a memorandum from Dr Perry,  
6 dated 22 December 1986, agreeing to the release of the  
7 80-degree/72-hour material to Edinburgh BTS for clinical  
8 trial. You go on to say that:

9 "It was an unsigned memorandum and [you] couldn't  
10 find any evidence that the Z8 was dispatched from PFC or  
11 received at the blood bank at the Edinburgh Royal  
12 Infirmary."

13 I take it that in the light of the batch issue sheet  
14 we have just looked at you are happy to accept that the  
15 records contained in the batch issue sheet are correct?

16 A. Yes, what is incorrect in my statement, in this  
17 paragraph 4, it should say "75-degree".

18 Q. I'm sorry, yes, thank you.

19 A. Which I didn't know at the time when I was writing this.

20 Q. So paragraph 4 of your statement should read:

21 "Documentation is available which indicates that  
22 Dr Perry agreed to the release of the 75-degree/72-hour  
23 material to Edinburgh BTS for clinical trial on  
24 2 December 1986."

25 A. Yes, correct.

1 Q. You also in your answer go on to say that you cannot  
2 find any evidence that this material was forwarded to  
3 Glasgow or Belfast for assessment in patients. I think  
4 you are in the same position as the PFC witnesses who  
5 I think equally can find no evidence of that. You then  
6 say:

7 "I don't have any recollection of any communication  
8 from Dr Boulton to me that the material had arrived in  
9 the cold room at the Royal Infirmary ..."

10 We can only perhaps hazard a guess for that. It's  
11 possible, I suppose, Dr Boulton told you at the time and  
12 you have forgotten; it's perhaps equally possible that  
13 he didn't tell you because of ongoing concerns over  
14 compensation. We simply don't know. I'm not sure that  
15 point is important.

16 So we are then on page 3 of your statement,  
17 paragraph 5. You refer to:

18 "Dr Cash, in his report for the haemophilia/SNBTS  
19 meeting, which he compiled in January 1987 wrote (ii)  
20 'We anticipate, having sufficient evidence, indicating  
21 acceptable recovery and t/2 within three weeks and that  
22 as a consequence it will be generally acceptable for  
23 routine use.'"

24 I should perhaps pause, professor, and ask the  
25 question. I'm not sure I'm 100 per cent sure what is

1           meant by the phase 1 half-life and tolerability studies.  
2           I think Dr Foster kindly simplified it for me by saying  
3           it just means the product works but as a haemophilia  
4           clinician can you perhaps explain to us what was  
5           involved in the phase 1 trial?

6    A.   A phase 1 study in this context is giving a known amount  
7           of the Factor VIII, the new Factor VIII product, to  
8           a patient and measuring the level of Factor VIII in  
9           their blood before and after the infusion, not just  
10          immediately after the infusion but also over the  
11          succeeding 24 hours, to see how long it lasted in the  
12          circulation.

13                 From those measurements of Factor VIII, you could  
14                 get an estimate of how much was what we call "recovered"  
15                 in the circulation; in other words, once you inject it,  
16                 did it all sort of appear in the circulation. That's  
17                 the immediate level following the infusion. And then  
18                 how long would it last in the circulation, what was what  
19                 we call its "half-life", the time for its concentration  
20                 to fall by 50 per cent.

21                 That's a -- what's called a pharmacokinetic study  
22                 and that's usually carried out at this time in just four  
23                 or five patients. Nowadays the European Medicines  
24                 Agency regulations are, I think, it has to be something  
25                 like 10 or 15 patients that you do this in. This time

1 it was just a small number.

2 Then phase 2 is looking at the clinical efficacy of  
3 the new Factor VIII; in other words, will it stop  
4 bleeding. It may give the right Factor VIII levels, as  
5 measured in the laboratory, but do the patients stop  
6 bleeding when they are treated with the product?

7 Coupled with that, part of the monitoring is to see  
8 whether they develop any other adverse reactions, for  
9 example either infections that might be transmitted or  
10 whether they developed antibodies to the new Factor VIII  
11 because the molecule might have been modified during the  
12 manufacturing process and the patients would recognise  
13 it as a foreign form of Factor VIII and develop  
14 antibodies, which would then neutralise it and make  
15 subsequent treatment ineffective.

16 Q. Just a small matter of terminology, I have continued to  
17 use the expression "phase 1" for meaning half-life and  
18 tolerability studies and to use the expresses "phase 2"  
19 for the wider, longer studies into freedom from  
20 infection, and adopting that terminology, I think  
21 everything you have just told us about would fall into  
22 what I have been calling "phase 1"?

23 A. No. The ability -- the assessment of the ability to  
24 stop bleeding and to not produce inhibitors and looking  
25 at its infective potential I think would all be



1           described as "phase 2".

2   Q.   I see, including its ability to stop bleeding?

3   A.   Yes.

4   THE CHAIRMAN:  I think I would like to be clear about it

5           too.  At phase 1 would one ever expose a bleeding

6           patient to the test?

7   A.   No.

8   THE CHAIRMAN:  No.

9   A.   For two reasons.  One, it's not an elective procedure

10          and the other is the kinetics; the way in which

11          Factor VIII is used up would probably be faster because

12          the patient was bleeding.

13   THE CHAIRMAN:  The other question I would like to ask in

14          connection with this particular passage is the use of

15          the expression "routine use".  What do you understand

16          Dr Cash to have meant by "routine use" in this

17          connection?

18   A.   I'm sorry, sir.

19   THE CHAIRMAN:  Paragraph 5, the end of the quote:

20                 "We anticipate having sufficient evidence ..."

21   A.   The assumption was made -- and in fact has been borne

22          out mostly -- that the level of Factor VIII that is

23          measured after giving the new product, measured in the

24          laboratory, in fact does equate with its haemostatic

25          efficacy.  But you can't make that assumption.  And

1           that's that has come out more recently with new modified  
2           forms of Factor VIII. But it's part of the, if you  
3           like, the folklore of treatment of haemophilia that the  
4           level of Factor VIII as you measure it in the laboratory  
5           corresponds with the haemostatic efficacy at that  
6           particular level in the patient.

7   THE CHAIRMAN: All right. Really it's the expression  
8           "routine use". Does one have routine use of a product  
9           before it's licensed or is it all on a named-patient  
10          basis? Is that routine use? It's that sort of issue.

11   A. It's a difficult area actually from the point of view of  
12          clinical trial, and clinical trial, if you like, on  
13          a national basis. At this time -- and I think I'm right  
14          in saying that this product was probably issued under  
15          Crown immunity and it was, I think, unclear as to what  
16          clinical -- full clinical assessment would be, except  
17          that there was the anticipation that it would work  
18          effectively.

19                Nowadays the rules are much more stringent. There  
20          was the phase 1 study that I have described and then in  
21          the phase 2 study there would be a defined protocol for  
22          assessing the haemostatic efficacy of the Factor VIII.  
23          For example, there would have to be 10 major surgical  
24          procedures undertaken with the product to show that it  
25          did stop bleeding. It would be given to patients as

1 prophylactic Factor VIII therapy and the patients would  
2 have to demonstrate that they didn't bleed when getting  
3 the product.

4 This degree of proof was not the norm in 1986/87.

5 PROFESSOR JAMES: Can I try and exemplify this?

6 As a matter of fact, in this instance no proper  
7 phase 2 clinical trial was undertaken for at least  
8 a matter of months after the introduction of the Z8. So  
9 can you tell us, as a matter of fact, whether during  
10 that initial time of introduction in mid 1987 each  
11 patient actually did have to be given the Z8 on  
12 a named-patient basis or was there some kind of blanket  
13 arrangement whereby "everybody is in a clinical trial"  
14 and therefore it was given under a CTX, because it  
15 certainly wasn't licensed, indeed it wasn't licensed for  
16 a number of years afterwards, as I understand it, and  
17 I think we are trying to get at the sort of -- you know,  
18 all the witnesses in the last two days have used this  
19 phrase "routine use", but as a matter of fact, it really  
20 wasn't very routine as compared to if you were trying,  
21 at that time, a proton pump inhibitor from Glaxo. So  
22 could you perhaps try and help us a little bit with  
23 that.

24 A. I'll try but it's difficult.

25 PROFESSOR JAMES: It is sort of shark-infected custard this

1 area, isn't it?

2 A. It is difficult and it became much more an issue when we  
3 were testing Liberate in fact, and the difficulty here  
4 is that the patients who are receiving the product are  
5 all patients in Scotland. So there isn't -- in most  
6 clinical trials there is a defined group of 10 or 20  
7 patients who are followed up in some detail but when you  
8 are introducing a product for treating all patients, we  
9 were left -- I was left with the difficulty, is this  
10 a clinical trial or is this SNBTS providing a new form  
11 of Factor VIII and we just get on and use it. That's  
12 why I was keen to issue a letter to the patients or an  
13 information sheet to let them know the situation,  
14 because I thought this was only fair because at one  
15 level there wasn't a choice; at another level you cannot  
16 force someone into a clinical trial. And you will have  
17 seen the correspondence about this and the advice that  
18 I took, including from the Medical Defence Union.

19 But I suppose, in specific answer to the question,  
20 it was probably given to the patients on a named-patient  
21 basis because there was no CTX. There was no clinical  
22 trial certificate.

23 PROFESSOR JAMES: Thank you.

24 MR MACKENZIE: Thank you very much, sir.

25 Professor, returning to your statement, please, at

1 page 3. I think we had got to paragraph 5 in Dr Cash's  
2 report of January 1987. I think, from looking at that  
3 document and perhaps the surrounding correspondence,  
4 your inference in writing this that Professor Cash was  
5 aware that you were not prepared to test the Z8 without  
6 indemnity and must have based his understanding on the  
7 fact this that it was being assessed in Belfast and  
8 Glasgow and no date for the introduction of material for  
9 therapeutic use is stated; from the last sentence and  
10 your comment, professor, does it follow that, at least  
11 when you wrote this statement, you understood when  
12 Professor Cash used the words "routine use", that  
13 referred to the phase 1 clinical trial rather than  
14 therapeutic use? Am I simply complicating matters  
15 again?

16 A. No, I think "routine use" would be for -- would be after  
17 phase 1.

18 Q. Yes.

19 A. Yes.

20 Q. Then paragraph 6. We have seen this indemnity by SHHD  
21 was offered in this letter from Mr Murray of  
22 6 February 1987 to Dr Cash. We have looked at that and  
23 also the question of the meeting on 9 February 1987 of  
24 the SNBTS and haemophilia directors and the subsequent  
25 difference of opinion and we can see all that. Then

1 paragraph 7:

2 "The 80-degree, 72-hour Z8 was tested in three  
3 patients at Edinburgh, probably in March 1987."

4 I would have to check this myself. Was it  
5 80 degrees or 75 degrees?

6 A. No, it was 80-degree. This was one of the slight  
7 advantages in fact of having delayed the testing because  
8 if we had tested the material delivered on  
9 22 December 1986, that was 75-degree material, and we  
10 would have then had to have tested the 80-degree  
11 material subsequently. This material, the 80-degree  
12 material, was delivered on 11 -- I think it was 11 or  
13 13 February 1987 to Edinburgh.

14 Q. I understand. In paragraph 8:

15 "My understanding is that it was proposed to phase  
16 in Z8 as the stocks of 68-degree/24-hour material NY ran  
17 down."

18 Over the page:

19 "My understanding of events is that manufacture of  
20 68/72 ceased in February 1987 and that there was only  
21 a small amount of stock."

22 I think that sentence is wrong, isn't it?

23 A. Subsequently I have looked at documents and it's clear  
24 that it was July 1986.

25 Q. And related to the 68 degrees/24 hours product?

1 A. Yes, that's correct, yes.

2 Q. Thank you. In paragraph 9 you say:

3 "If indemnity arrangements, for test infusions, had  
4 been in place by 1 January 1987, it seems likely that  
5 I would have been able to arrange such infusions  
6 in January 1987 ..."

7 Paragraph 10, the reference to Dr Mayne in Belfast  
8 and also Dr Forbes in Glasgow. I am afraid the position  
9 there remains a little unclear and we are trying to  
10 clarify it, to the extent we can.

11 Paragraph 11, you then say:

12 "As well as undergoing satisfactory test infusions  
13 prior to Z8 being released for clinical use, it would  
14 have been necessary for PFC to manufacture several  
15 batches to demonstrate that the production process could  
16 be replicated and was stable. These batches would need  
17 to be finished, ie undergo standard quality control  
18 tests ... [packaging]."

19 And then:

20 "Furthermore, before releasing any for clinical use,  
21 it would be necessary to have a stock of several  
22 batches, at least enough for 1 to 3 months' supply."

23 Paragraph 12:

24 "In conclusion, my refusal to give test infusions  
25 delayed Z8's assessment in Edinburgh for about two

1 months."

2 And your interpretation of the correspondence was  
3 that both Glasgow and Belfast were prepared to test Z8  
4 without indemnity arrangements being in place. Although  
5 we don't know as a matter of fact whether that is true  
6 or not:

7 "Furthermore, without knowing more about the  
8 production, schedules of batches and stock at PFC, it is  
9 not possible for me to draw a valid conclusion as to  
10 whether the lack of indemnity delayed introduction of Z8  
11 for clinical use."

12 Finally in your statement:

13 "If there was a delay of approximately three months  
14 (Z8 introduced for clinical use in May rather  
15 than February 1987), untransfused patients (PUPs), who  
16 would have been at risk of non-A non-B Hepatitis, could  
17 have had access to 8Y (a small stock of which had been  
18 acquired in August 1986). Thus patients, therefore,  
19 should not have been disadvantaged if there was any  
20 delay in the introduction of Z8."

21 I would like, professor, to look briefly at the  
22 question of batch dedication. I think you were present  
23 this morning when I went over this with Dr Perry. So  
24 I think you are up to speed on the points that were  
25 discussed. But could I perhaps look at Dr Perry's



1 statement again, please, which is [\[PEN0171219\]](#). We can  
2 go straight to page 7. In question 5 we asked  
3 Dr Perry -- and can I perhaps put this to you,  
4 professor, for your response. Dr Perry's position is  
5 that:

6 "For the reasons described above ... "

7 This is to do with, I think, stockpiling NY,  
8 stopping production of that and then producing and  
9 stockpiling Z8 but not releasing that for general use  
10 until the existing stock of the existing product had  
11 ceased, all in keeping with the batch dedication system,  
12 he says:

13 "It is unlikely that any delay in subjecting Z8 to  
14 clinical evaluation resulted in a delay in the phased  
15 introduction of the product for all patients in  
16 Scotland. Earlier completion of the clinical evaluation  
17 would have made the product available for specific  
18 patients, identified by haemophilia directors, eg those  
19 with little or no previous exposure to coagulation  
20 factor products."

21 Do you agree with what's said in that paragraph? Do  
22 you disagree? Do you wish to add to it?

23 A. No, I think that's probably reasonable. Yes.

24 Q. A reasonable summary of the position?

25 A. I think so, yes.

1 Q. Thank you.

2 I think I can then move away from batch dedication  
3 and refer to two final documents. Firstly, please, go  
4 to [\[LIT0010868\]](#). This is a paper published in  
5 Transfusion Medicine in 1993 by the haemophilia  
6 directors for Scotland and Northern Ireland, including  
7 yourself, professor:

8 "The study of viral safety of SNBTS Factor VIII/IX  
9 concentrate."

10 Before we look at the summary, am I right in  
11 thinking, professor, that at some stage a phase 2  
12 clinical trial of Z8 took place?

13 A. In previously untransfused patients, yes. I have made  
14 available to the Inquiry the protocol for that,  
15 including the patient information sheet and the consent  
16 form, and that was a national study to monitor patients  
17 who received Z8 for the first time under the protocol  
18 laid down by the ISTH, which was a very rigorous  
19 protocol -- fortnightly blood samples for, I think, the  
20 first 16 weeks and then monthly for two months, looking  
21 at ALT levels. That protocol was first devised,  
22 I think, in 1984, published in 1987.

23 Q. Yes.

24 A. With the Behringwerke product in the New England Journal  
25 and was subsequently revised by Professor Mannucci and

1 Dr Colombo in, I think, 1989. It was a little bit  
2 overtaken by events because in 1989 Hepatitis C was  
3 identified and there were then specific tests. So it  
4 was so much easier then to see whether patients  
5 developed infection as a result of blood products, just  
6 by measuring the antibody and later on the virus. So  
7 our study, which we set up in about 1987 or 1988, was to  
8 look prospectively, with fortnightly blood samples by  
9 the ISTH, the original ISTH protocol, and then  
10 subsequently these patients were tested for HIV and  
11 Hepatitis C and almost certainly Hepatitis B, if that  
12 was appropriate.

13 Q. There is then a report of this study and I simply  
14 propose reading the summary which states:

15 "To assess the viral safety of the  
16 Scottish National Blood Transfusion Service intermediate  
17 purity Factor VIII and IX concentrates, the liver  
18 function and viral status were assessed prospectively in  
19 13 recipients. None developed hepatitis or  
20 seroconverted to HIV or HCV. This study provides  
21 additional evidence for the efficacy of dry heat  
22 treatment at 80 degrees centigrade for 72 hours in  
23 preventing virus transmission by coagulation factor  
24 concentrates."

25 Then moving on, doctor, the final paper I would like

1 to put to you, please, is [\[SGF0011758\]](#). This is the  
2 Mannucci paper setting out the ICTH guidelines and  
3 talking about the rule of three, and I have been  
4 searching for a witness to put this paper to and I think  
5 you have kindly agreed to take us through it. I don't  
6 think we have to know it in too much detail but we  
7 should know a little about it.

8 It may actually be helpful, professor, to start at  
9 the end, particularly if we could go, please, to  
10 page 533 of the paper, just the second page actually.  
11 In the bottom right-hand column under  
12 "recommendations" -- actually I should pause and ask,  
13 the International Society on Thrombosis and Haemostasis,  
14 what is that organisation and what did it do in the  
15 1980s?

16 A. The International Society on Thrombosis and Haemostasis  
17 is the principal international organisation for blood  
18 coagulation and it has a number of subcommittees,  
19 scientific and standardisation subcommittees comprising  
20 international experts on the particular topic. And  
21 there was one in relation to Factor VIII and Factor IX,  
22 particularly Factor IX concentrates.

23 This committee meets in open session every year,  
24 either at the ISTH biennial meetings or they have  
25 meetings in the years between also. So there is

1 an annual meeting to discuss topics in relation to  
2 Factor VIII and Factor IX, particularly quantitation and  
3 quality aspects.

4 Q. Thank you. Returning to the paper, please, we can see  
5 that:

6 "The Factor VIII and IX Subcommittee of the  
7 Scientific and Standardisation Committee of the ISTH  
8 gives the following recommendations for conducting  
9 clinical studies of the safety from hepatitis of  
10 clotting factors concentrates:

11 "1. Inclusion criteria and the follow-up protocol  
12 recommended in 1984 are still valid. In particular, the  
13 need to enrol only patients previously untreated with  
14 any blood or blood product and to test them for  
15 aminotransferase values at 15-day intervals for at least  
16 four months is reinforced by the accumulating  
17 experience, at least until specific diagnostic markers  
18 for NANB hepatitis become largely available.

19 "2. Patients missing two consecutive  
20 aminotransferase values in the first four months and one  
21 value in the next two months should be excluded from  
22 final analysis.

23 "3. Studies should include at least 20 analysable  
24 patients treated with at least 10 batches of the  
25 concentrate, setting the residual hepatitis risk

1 arbitrarily at a compromise value of 15 per cent when no  
2 case of hepatitis occurs.

3 "4. Studies should be stopped when among 20  
4 patients, at least two cases of hepatitis are detected."

5 That's for safety reasons.

6 Professor, are you able to take us through the paper  
7 and perhaps briefly indicate to us how the  
8 recommendations changed between the original  
9 recommendations in 1984 and these revised  
10 recommendations, the main points of change. Is that  
11 possible? It may be I could perhaps try and help  
12 a little. Could we go back to page 1 of the paper,  
13 please?

14 We can see in the introduction that:

15 "In 1984 the ICTH, concerned about the lack of  
16 a uniform protocol for clinical studies of the safety  
17 from hepatitis of clotting factor concentrates treated  
18 with viricidal methods, appointed the subcommittees ...  
19 to jointly draw up and recommend uniform criteria for  
20 the design and conduction of such safety studies ..."

21 I think the difficulty, professor, we have is that  
22 nowhere in this paper, I think, does it state what the  
23 1984 recommendations were. It rather comments on them  
24 and comments that these recommendations should stay for  
25 these reasons. I think we have asked for a copy of the

1 1984 recommendations but I think that has proved  
2 difficult to get.

3 Under "inclusion criteria", the left-hand column on  
4 page 1 of this report, under the second paragraph:

5 "The criterion that has been the most controversial  
6 was that of including only patients who had received no  
7 previous transfusions of blood or any blood products."

8 Then if we go to the right-hand column, a little bit  
9 up, about ten lines roughly from the top. It says:

10 "Despite this, the subcommittee still maintains that  
11 the inclusion in the safety studies of previously  
12 treated patients should not be recommended, for at least  
13 four reasons."

14 So as far as one can tell, I think the inclusion  
15 criteria remained the same between the original  
16 recommendations in 1984 and the revised guidance.

17 The next matter at the bottom of the right-hand  
18 column, "follow-up protocol". Then over the page, in the  
19 left-hand column, about ten lines up from "exclusion  
20 criteria", again we see the words:

21 "That the stringent 1984 ICTH criteria for blood  
22 sampling should be retained is clearly indicated ..."

23 Et cetera. So again, it seems to be that the  
24 follow-up protocol in the original 1984 recommendations  
25 appear to have been retained.

1           Looking next at "exclusion criteria", it states:

2           "In 1984 the ICTH recommended to exclude from final  
3           analysis patients who during the follow-up period  
4           received transfusions with any blood product, other than  
5           the concentrate being studied. This basic  
6           recommendation is obviously still valid. A previously  
7           unaddressed point is that of how many aminotransferase  
8           values can be missed during follow-up without  
9           jeopardising the accuracy of the study."

10           If we go to the recommendations in 1989, is that a  
11           point that has then been addressed? Can we see? Yes,  
12           I think we can.

13   A. Yes, it has in the recommendations.

14   Q. Yes, recommendation 2. So after all that preamble,  
15           I think I have identified a change. There is a new  
16           recommendation, number 2. I think it perhaps involves  
17           a bit of detective work in just trying to see the  
18           changes.

19   A. Perhaps I can help you out.

20   Q. Yes, please.

21   A. I think there is very little change from the original  
22           1984 protocol, which is published in Klaus Schimpf's  
23           paper in the New England Journal in 1987. It's set out  
24           there in several paragraphs and it's almost identical to  
25           this. What is emphasised in this publication, the



1 Mannucci publication, is that these studies should only  
2 be done in patients who had never been transfused with  
3 any blood product or -- at all.

4 As you say, correctly, it defines how patients  
5 should be excluded if they miss follow-up blood samples  
6 because certainly in, for example, the 8Y study, the  
7 original one, published in 1988 by Colvin, that was  
8 considered here at the Inquiry a few weeks ago, there  
9 were a number of patients who had missed values, missed  
10 blood samples, and some of those patients would have  
11 been excluded from the analysis if they had been subject  
12 to this protocol.

13 Q. Thank you, professor.

14 Now, finally, I think we can't leave this paper --  
15 keeping the best until last -- without looking at the  
16 rule of three, which had arisen, I think, during  
17 Dr Foster's evidence. Scroll up the page again, please.  
18 We see "Size of the study". I'll just read this out, if  
19 I may:

20 "Even though the number of patients enrolled in  
21 a safety study is critical for the reliability of the  
22 estimation of the hepatitis risk after treated  
23 concentrates, no recommendation was given by the ICTH in  
24 1984 as to the number of patients who should be included  
25 and analysed before stopping the study. For this

1           problem, studies recognising cases of hepatitis differ  
2           from those with no recognised case of hepatitis.

3           "Even studies with no case of hepatitis obviously do  
4           not exclude that those concentrates might transmit  
5           hepatitis. The one-sided 95 per cent confidence  
6           intervals around the true risk of hepatitis can be  
7           calculated simply by the 'rule of three', dividing 3 by  
8           the number of analysable patients, ie those who  
9           completed the recommended protocol and follow-up. Hence  
10          in a study of 10 patients with no cases of hepatitis,  
11          the interval around the true risk of hepatitis would  
12          vary from 0 up to 30 per cent; for 15 patients, to  
13          20 per cent; for 20 patients, to 15 per cent, for  
14          25 patients, to 12 per cent; for 30 patients, to  
15          10 per cent and so on. Obviously, the 'acceptable'  
16          upper limit of the hepatitis risk can only be set  
17          arbitrarily. Since increasing the number of these rare  
18          patients from 20 to more than 20 (for instance, 25) only  
19          modestly decreases the hepatitis risk (from 15 to 12 per  
20          cent), the subcommittee proposes to set the risk at  
21          15 per cent as an acceptable compromise. Hence, studies  
22          should include 20 patients but need not include more for  
23          a concentrate to attain a verdict of 'low infectivity',  
24          the only reasonable goal to be pursued in safety studies  
25          in view of the futility of pursuing a policy of zero

1 risk."

2 Which in a way brings me back to the question  
3 I posed all those months ago on the accumulating data  
4 for the safety of 8Y. I used the word "likely" but this  
5 is another way, I think, of looking at it. Is there  
6 anything you want to add to that explanation of the rule  
7 of three or to explain how that worked in practice?

8 A. No, I think that's a very fair description of it and  
9 I know the paper on which it was based, "If nothing goes  
10 wrong, is everything all right?" intrigued us when it  
11 was first published in 1983 or 1984. What has changed,  
12 as I mentioned a moment ago, very markedly, immediately  
13 following the publication of this paper, is anti-HCV  
14 testing. That made it much easier to test, for example,  
15 small babies who were given Factor VIII for the  
16 first time. You didn't have to bring them back at  
17 fortnightly intervals for blood tests to be able to  
18 assess the infectivity of the Factor VIII that they were  
19 given.

20 So this outlines why a compromise had to be made of  
21 the 15 per cent and I think this is a fair assessment.  
22 It was accepted internationally as the way to proceed.

23 Q. Thank you, professor. Sir, I have no further questions.

24 THE CHAIRMAN: Mr Di Rollo?

25 Questions by MR DI ROLLO

1 MR DI ROLLO: Professor Ludlam, what I wondered in relation  
2 to the compensation issue which arose with Z8 -- I think  
3 it's fair to say that you and thereafter your  
4 colleagues -- I think I used the phrase yesterday with  
5 Professor Cash -- "dug their heels in" in relation to  
6 resolving that compensation issue before clinical trials  
7 took place.

8           You had perhaps raised the issue previously with  
9 previous products but perhaps not been so insistent.  
10 Can you explain why there was a contrast in relation to  
11 the Z8, as opposed to the NY, in terms of digging your  
12 heels in? Are you able to help me with that?

13 A. I think it's a very good question. In testing the  
14 NY/68 degrees/two hours material in December 1984, there  
15 was really a need to get on and test it because we had  
16 found HIV in the patients a month or two previously.  
17 The patients didn't react adversely to that. I was then  
18 invited to test the material that had been heat-treated  
19 at 68 degrees for 24 hours and I raised the issue at  
20 that time about compensation for the patients. Perhaps  
21 I should have insisted at that point and that would have  
22 brought things forward.

23           I think it was an evolving situation about  
24 compensation for patients. Even two years later my  
25 hospital's ethics committee was prepared to give

1 approval without compensation arrangements being in  
2 place, which rather surprised me.

3 This was only going to be infusions into four people  
4 in the spring of 1985. It wasn't at that stage going to  
5 be immediately rolled out to a lot of patients, so we  
6 had time to assess the response in the patients. It was  
7 a very similar product to the one that had been given  
8 in December. Perhaps I should have insisted; it would  
9 certainly have saved a lot of difficulties later on.

10 I dug my heels in, to use your phrase,  
11 in December 1986 because I thought I had given a lot of  
12 notice that this was an important issue and, frankly,  
13 I felt I wasn't being taken seriously by the people who  
14 were able to provide the compensation system.

15 So I had one of two options. One was to roll over  
16 and say, "There shouldn't be compensation arrangements,"  
17 and get on and test the product or I should say,  
18 "I won't test it".

19 I'm there as a patient's advocate in this instance  
20 and it seemed to me that if I didn't draw a line at this  
21 point, there might never be arrangements and there might  
22 be some terrible consequence of one of these test  
23 infusions and then one would be dependent on the CSA's  
24 goodwill. I felt it only fair to the patients that  
25 there was something a bit more explicitly available than

1 just the hope that there would be goodwill.

2 Q. Thank you for that. I have no further questions, sir.

3 MR ANDERSON: I have no questions, thank you, sir.

4 THE CHAIRMAN: Mr Johnston?

5 MR JOHNSTON: No, thank you, I have no questions.

6 MR MACKENZIE: I have no further questions, thank you.

7 THE CHAIRMAN: Thank you very much, professor.

8 MR MACKENZIE: Sir, we have no further witnesses today.

9 Dr Smith will attend on Tuesday to speak to topic B3 and

10 we will return on Wednesday to come back to C3.

11 THE CHAIRMAN: We look forward to seeing whether he lives up

12 to the expectations that the use of his name throughout

13 has generated.

14 (3.17 pm)

15 (The Inquiry adjourned until 9.30 am on Tuesday. 1 November

16 2011)

17

18 I N D E X

19

20 DR ROBERT PERRY (continued) .....1

21 Questions by MR MACKENZIE .....1

22 Questions by MR DI ROLLO .....100

23 PROFESSOR CHRISTOPHER LUDLAM .....102

24 (continued)

25 Questions by MR MACKENZIE .....102

Questions by MR DI ROLLO .....139

