

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Tuesday, 17 May 2011

(9.30 am)

THE CHAIRMAN: Good morning.

MS DUNLOP: Sir, we have Professor Andrew Lever with us this morning.

PROFESSOR ANDREW LEVER (sworn)

Questions by MS DUNLOP

MS DUNLOP: Professor Lever, we normally begin by looking at a witness' curriculum vitae and that's how I propose to start with you, if I may. We have your curriculum vitae in our database, it's PEN0120234.

You have listed for us, on the first page, your qualifications. We see that you took a BSc at the University of Wales, 1975, and then you were at Cambridge. Should that be 1978 or ...?

A. No, it's 1998.

Q. It is 1998. So that's where you go back and you convert it into an MA?

A. It's something that you get if you teach for a number of years at Cambridge.

Q. I see, thank you. And you took your main medical qualification in Wales as well, and then The Royal Colleges of Physicians of London and Edinburgh. We can see listed there. Your MD at Cambridge, 2001.

You have also listed for us your previous positions,

1 your house jobs, and then on to the next page, working
2 up, including a position in Boston at Harvard. On to
3 the following page we see your current position at
4 Cambridge, where you started off as a lecturer, and then
5 you became a reader in infectious diseases and then
6 professor in infectious diseases from 2000 onwards.
7 Grants and studentships, and then on the following page,
8 page 4, you show your current post under clinical duties
9 and you are still seeing patients.

10 A. Yes.

11 Q. And that's at Addenbrookes, is it?

12 A. Correct, yes.

13 Q. Do you mainly see patients with HIV or is it a wider
14 remit than that?

15 A. No, it is much wider than that. I see patients with
16 problems in general in internal medicine in infectious
17 diseases, amongst whom are some patients with HIV.

18 Q. We see research interests, structural and molecular
19 biology of HIV replication. Rotavirus RNA encapsidation
20 and replication. Is rotavirus another classification
21 like retrovirus and lentivirus or is it a particular
22 virus?

23 A. It's a particular virus which is very different from
24 HIV. It's the cause of diarrhoeal disease in children,
25 and it causes about half a million deaths in the

1 developing world every year, but everybody here has
2 already had rotavirus.

3 Q. If we scroll down to the bottom of that page, we can see
4 mentioned a number of journals. You have in the past
5 been editor in chief of the Journal of Infection and you
6 were founding editor of a journal called Retrovirology.
7 I take it that continues?

8 A. It does.

9 Q. Yes. And we can see also other journals relating to
10 genetics, International Journal of Infectious Diseases
11 and Travel Medicine. Then on to the next page, invited
12 reviews and book chapters. We can see even by looking
13 at the first page, that you have written on a number of
14 different viruses, Hepatitis B, non-A non-B. Hepatitis
15 delta virus. And if we look on to the next page, we
16 start to see, I think, your interest in genetics coming
17 through. Is it possible for you to tell us in a few
18 simple sentences how gene therapy for HIV infection
19 might work?

20 A. So, HIV, because it's a virus that inserts itself into
21 the DNA of the cell, effectively becomes like a gene
22 within that cell and the cell treats that virus as
23 though it's a gene and hence becomes a producer of the
24 genetic material, RNA, which then codes for the proteins
25 of the virus. There have been a number of different

1 suggested ways forward for gene therapy but the two most
2 popular would be that one delivers a gene to a precursor
3 of the cells that HIV infects, which would prevent HIV
4 getting in, or if it got in, would neutralise it. Or
5 you try and deliver a gene to cells which are already
6 infected, which would then inhibit the virus within that
7 cell.

8 Q. Right. We can certainly see that the genetics of HIV
9 and HIV infection feature in your research, although not
10 exclusively. We see, for example, if we scroll on,
11 articles about septicemia. Then if we carry on to
12 page 11, you have listed for us refereed papers. Again,
13 obviously across a wide spectrum of different interests.
14 And covering also drug treatment for various different
15 diseases, including interferon and post viral fatigue
16 syndrome.

17 Moving on through the articles, even a reference to
18 the use of thalidomide. I think one of our other
19 witnesses has mentioned that thalidomide still has use
20 in the medical profession. How is it used today?

21 A. Thalidomide is a very powerful inhibitor of a certain
22 part of the immune system, particularly a part which
23 relates to inflammation caused by a specific protein
24 called TNF Alpha.

25 In some conditions, initially leprosy, where the

1 immune system after many years of not really recognising
2 the leprosy bacteria, suddenly seems to wake up and
3 produce an extremely florid immune response against the
4 leprosy bacteria, which in itself is so dramatic, it can
5 be life-threatening, then it's sometimes necessary to
6 try and calm this reaction down so that the immune
7 system doesn't cause too much damage to the host as well
8 as clear the bacteria, and thalidomide was found to be
9 useful there.

10 The case in this particular instance concerned
11 a patient that we had who had tuberculous infection of
12 the brain, and the inflammation around the foci of
13 tuberculosis in the brain was so florid that the
14 inflammation was damaging the nerves that went to the
15 eye and she was progressively losing her sight, and as
16 a rather long shot, we treated her with thalidomide. It
17 was the first time it had ever been used, and the
18 inflammation settled down and her sight stopped
19 deteriorating and some three years later, she was left
20 with a cleared infection and no inflammation.

21 Q. I suppose, as an infectious diseases physician, you are
22 studying the pathogens themselves, you are studying the
23 human response, so our immune systems and how they cope
24 with these challenges, and also the different
25 treatments.

1 A. Yes, indeed.

2 Q. And that's a crude oversimplification obviously but all
3 these different aspects must feature in the job of an
4 infectious diseases physician?

5 A. It's a very good summary.

6 Q. Perhaps I could also take you on to page 19. I see an
7 article there, number 115, mentioning progressive
8 multifocal leukoencephalopathy, which is, I understand,
9 one of the many ways in which HIV can manifest itself or
10 one of the many difficulties that HIV can lead to in
11 a patient. Is that right?

12 A. Progressive multifocal leukoencephalopathy is one of the
13 conditions which affects the brain in people with
14 advanced HIV, with AIDS in fact, and it's caused by
15 a virus that just goes by the initials JC virus, and
16 this particular individual had a rather unusual
17 neurological condition associated with this, which
18 resembled Parkinson's disease. When the person was
19 treated for their HIV and the immune system was
20 restored, which is the best way to reverse the
21 progressive multifocal leukoencephalopathy, then the
22 Parkinson's also resolved.

23 Q. When a patient has AIDS and something else is wrong with
24 them, has the medical profession come to see almost
25 everything that develops in a patient with AIDS as

1 connected to their having the virus, or does it
2 sometimes happen that people get ill and there isn't
3 a connection?

4 A. I think that's something that has changed very
5 significantly over time in that, when HIV was recognised
6 as causing AIDS, the concept was that it was
7 a relatively limited effect just on the immune system
8 and would therefore predispose the individual to
9 infections, and as it turned out, infection-related
10 cancers. Then a number of additional medical conditions
11 became apparent in patients with HIV infection, such as
12 degeneration of the kidney, and HIV-associated brain
13 disease, and it was realised that by mechanisms which
14 weren't always completely obvious, HIV was affecting
15 other systems directly, and that when treatment for HIV
16 came along and the virus load was successfully
17 suppressed, these conditions would reverse.

18 That was a phase in which everything was potentially
19 put down as attributable to HIV infection. More
20 recently, I think, there is a more balanced feeling that
21 a lot of what goes wrong in someone who is HIV-infected
22 is HIV-related but that HIV-infected people get diabetes
23 and get other conditions, so there is, I think, a more
24 ready acceptance, particularly in the fact that the HIV
25 population is now becoming an aging population, that the

1 diseases which affect aging populations without HIV are
2 affecting people with HIV.

3 Q. For those who have HIV but in whom the virus is being
4 successfully controlled by drugs, that group of people,
5 is there still an excess mortality?

6 A. Yes, although the risk of an infection by an unusual
7 organism which wouldn't cause disease in people with
8 a normal immune system, the so-called opportunistic
9 infections, has gone down, almost effectively to zero,
10 perhaps not quite. Then there is still an increased
11 risk of some of the HIV-associated tumours, the
12 malignancies. They have not been quite as well
13 controlled. So HIV-associated lymphoma, for example, is
14 much less common in treated individuals but it has not
15 been eradicated down to the same level as have
16 opportunistic infections such as pneumocystis, for
17 example.

18 Q. Thank you, Professor Lever. With that introduction, can
19 we turn to the report which you have provided for the
20 Inquiry, please? That is [\[PEN0150517\]](#).

21 On the first page you fleshed out a little more
22 fully how you became interested in and became involved
23 in the world of infectious diseases. I think I simply
24 wanted to ask you about the second paragraph, roughly
25 what timeframe this is, when you describe the

1 immuno-globulin episode, patients who had been treated
2 with intra-muscular immunoglobulin and the discovery
3 that they were developing abnormal liver tests. Roughly
4 when was that?

5 A. My research period at the Clinical Research Centre in
6 Harrow was late 1982 or beginning of 1983, for a period
7 of approximately two years, 1983/1984, roughly.

8 Q. You say that following that experience, your interest in
9 infections was ignited and you went to the Royal Free
10 and then you went to the United States. Is that the
11 laboratory at Harvard, that we saw mentioned in your CV?

12 A. Yes, that's correct.

13 Q. When you were in Wales, when you were studying and doing
14 some of your earlier jobs, did you work with
15 Professor Bloom?

16 A. I knew Professor Bloom but I was a medical student and
17 a very junior doctor at the time, so our paths didn't
18 cross very much.

19 Q. Then we see from the last paragraph on that page what
20 happened when you returned from America. You have
21 already told us that you are clinically active.

22 Can we then move to the next page, please? You have
23 given us a very little bit of introduction about viruses
24 generally and HIV in particular. You mention
25 retroviruses in the very first line, and I think for our

1 general understanding it would be good if you could give
2 an explanation about what is specific about
3 a retrovirus?

4 A. So most living organisms have genetic material which is
5 made of a substance called DNA in humans and other
6 animals. This is the chemical substance that composes
7 the double helix which most people will be familiar
8 with. DNA is an extremely good storage of genetic
9 information. It's very easy to replicate very
10 accurately so we can pass on our genes very accurately
11 to our offspring.

12 In the normal cell, the DNA provides the hard disk,
13 if you like, from which the information is transcribed
14 into a substance called RNA or ribonucleic acid. This
15 is almost identical to DNA except there is a minor
16 difference on the sugar which is part of the chain. RNA
17 is a much less stable molecule than DNA, which is
18 probably why DNA evolved to become our genetic storage,
19 because it is so stable. But the RNA that is produced
20 from the DNA within the cell carries a code on it which,
21 when it is trafficked out of the nucleus of the cell
22 into the cytoplasm of the cell can be read by small
23 organelles in the cell called ribosomes, and that code
24 will tell the ribosome which amino acids to put together
25 in what order to produce proteins, and it's proteins

1 which make up most of the structural components of our
2 cells and which do various functional things like
3 enzymes; Factor VIII is a protein for example. So
4 a gene would code for something like Factor VIII. It
5 would be converted from a DNA into an RNA copy. That
6 RNA would be trafficked out into the cytoplasm and the
7 ribosome would make a protein called Factor VIII, which
8 would then be exported.

9 For many years it was believed that this direction
10 of information flow, as it was called, DNA to RNA to
11 protein, was the only one that existed. We know that
12 there are viruses which have a DNA form of the genetic
13 material, as we do -- herpes viruses, for example, have
14 DNA as their genetic material. But we also know that
15 there is quite a large number of viruses which don't
16 have DNA, which have a substance called RNA. So they
17 never use DNA. They are just a piece of RNA and that
18 directly goes on to the ribosomes and is translated to
19 make proteins. It's a slight short cut if you like.
20 These viruses comprise many of the common pathogens.
21 The fact that you have a RNA virus which is coding for
22 something which becomes a protein, still maintains the
23 same directionality of the DNA to RNA to protein,
24 although you have missed out the DNA step.

25 When retroviruses were first identified, it appeared

1 that within the virus particle the genetic material was
2 made of RNA. When the virus got into the cell, there
3 was a lot of evidence which eventually was believed --
4 and it took a long time to be believed -- that that RNA
5 was converted, if you like, backwards into a DNA
6 molecule and that DNA molecule was then inserted into
7 the DNA of the cell so it looked like one of the cell's
8 own genes.

9 Because of that apparent reversal of the flow of
10 genetic information from RNA back to DNA, this family of
11 viruses were called retroviruses because they had turned
12 the direction backwards. They are also sometimes known
13 as reversy(?) viruses, which is perhaps slightly more
14 graphical, but reversy viruses include Hepatitis B,
15 which also goes through an RNA intermediate.

16 The term "retro" comes from that original
17 observation that the flow of genetic information went
18 back. Of course, when the DNA is made, the flow of
19 genetic information goes in the normal direction again
20 because that DNA is made into an RNA copy and into
21 protein, which then produces the virus.

22 Q. Would it be correct to see that incorporation into the
23 host DNA as then leading to a malfunctioning?

24 A. No, the DNA is very small. It's about 10,000 of the
25 individual nucleotides, which make up DNA, which is very

1 tiny compared to the 30 million or so that we have. And
2 it almost always inserts in places which don't disrupt
3 the normal functioning of the DNA. So it's a very small
4 insertion, and although it does commonly insert for
5 reasons we don't quite understand in areas where there
6 are other cellular genes, there is only one documented
7 example in 30 years of that integration disrupting
8 a human gene.

9 Q. You say in the second paragraph that in 1977 the
10 Japanese had identified a retrovirus, which was later
11 called HTLV-I, as the causative agent of an unusual
12 leukaemia, and then the virus itself was later isolated
13 in the laboratory of Robert Gallo in 1981. If the virus
14 was isolated by Gallo, does that mean Gallo cultured it?

15 A. That's correct, yes.

16 Q. Right. So if he was the first person to culture it, how
17 had the Japanese identified it?

18 A. If my memory serves me correctly, they had seen it and
19 it had the morphological appearances of a retrovirus.

20 Q. Did the name HTLV then come from Gallo?

21 A. It came from Gallo, yes.

22 Q. Then you say in the third paragraph that:

23 "The concept of a pathogenic retrovirus as a
24 possible disease-causing agent in humans was very
25 prominent and topical."

1 And that's just because of the recent work that had
2 been done on HTLV-I?

3 A. Up until that time it was known that viruses from the
4 retrovirus family infected many species, including
5 a large number of mammalian species: cats, horses,
6 goats, sheep. And to some extent, I think, it had been
7 rather surprising to those people who studied viruses,
8 that there hadn't been a human equivalent found.

9 So when a human retrovirus was identified, it was
10 a slightly revelatory moment for those people who had
11 been expecting it, but it was very much a revelation
12 also for those people who hadn't known what retroviruses
13 were and realised that there was now a new class of
14 virus which was capable of infecting humans and causing
15 disease.

16 Q. So there wasn't a bright line between people studying
17 viruses in animals and people studying viruses in
18 humans? There was obviously a bit of cross-over, was
19 there?

20 A. Yes, there is. Not as much as perhaps there should be
21 but, yes, veterinary pathologists had known about
22 retroviruses for many years and there are a number of
23 people who would work in both fields, who would probably
24 be able to make the connection. But people who worked
25 exclusively on human disease, of which there are plenty

1 pathogens to study, would probably have not necessarily
2 kept up with the literature in the animal field.

3 Q. You also tell us that the discovery and usage of certain
4 cell lines for isolating viruses and the discovery of
5 growth factors for human cells were all essential
6 prerequisites for retrovirus isolation. Is that just
7 that it is much easier to study something if you can
8 make a supply of it in your laboratory? Is that the
9 point?

10 A. These viruses at the time proved very difficult to grow
11 and isolate, partly because of the state of advancement
12 of science and things like tissue culture at the time.

13 For example, if you were trying to isolate HIV, you
14 could only do that by triggering the cells you were
15 trying to grow the virus into multiplying very fast.
16 And the sort of cells that you needed which would do
17 that without dying -- because cells, if you stimulate
18 them too much, will die. The sort of cells which you
19 need to do that which would survive that sort of
20 stimulation had been developed in Gallo's lab, amongst
21 others, but Gallo's lab in particular. And the sort of
22 factors that you needed to trigger those cells to divide
23 for a long period and safely, were also developed.

24 When I say "developed", they were identified,
25 because these are naturally occurring substances which

1 we have in our own bodies, which trigger our own
2 lymphocytes to grow and divide in response to an immune
3 stimulation when we need to make an immune response.
4 But actually isolating significant quantities of these
5 proteins to do that had been a very important
6 breakthrough in being able to grow the virus in the
7 laboratory.

8 Q. From the fourth paragraph you seemed to be suggesting
9 that it was even possible for people, I suppose,
10 thinking laterally, to say in the early 1980s when AIDS
11 was emerging, that this might be another retrovirus.
12 The very far-seeing virologists of the time might have
13 been thinking to themselves this is a little bit like
14 HTLV-I, might they?

15 A. I think some people might have made that connection.
16 I think partly it relates to the perception at the time
17 that, having just identified one retrovirus and shown
18 that we were able to identify a retrovirus, people were
19 looking for the next retrovirus.

20 Since there was an association with blood, there was
21 possibly an association with sexual transmission, then
22 a retrovirus, in rather simple terms, might fit the
23 bill. Again, it's not something that every virologist
24 or everybody studying human infectious diseases would
25 have immediately alighted upon --

1 Q. I must ask you about HTLV-II: where does it fit into the
2 story?

3 A. HTLV-II was, as you might have guessed, was identified
4 soon after HTLV-I and has very similar characteristics
5 and a very similar structure, but as yet it appears to
6 be associated with almost no disease in humans. It's
7 relatively rare, rarer than HTLV-I. There is a hint
8 it's associated occasionally with a rather rare form of
9 leukaemia, but mostly it seems to be non-pathogenic, or
10 not harmful.

11 If I might just expand on that a little bit, we
12 assume that HTLV-I and HTLV-II have been in the human
13 race for many thousands or probably hundreds of
14 thousands of years, and again, in the same way as HIV,
15 we know there are relatives of HTLV-I and HTLV-II in the
16 primate populations -- in monkeys, in primates in
17 Africa, in orangutans and such like. And by looking at
18 those, one can look at the genetic sequence and
19 calculate roughly when the common ancestor of HTLV-I and
20 the monkey virus may have diverged, and this goes back
21 many thousands of years.

22 In general terms, if a mammalian species has been in
23 contact with a virus for a very long time, they both
24 become rather adapted to each other in that, the people
25 who are very susceptible to the virus causing them to

1 have severe disease or death, will actually die out
2 quite quickly and Darwinian natural selection will
3 promote the survival of those people who have a better
4 immune system or some sort of better form of defence
5 against it.

6 At the same time, if a virus kills its host -- and
7 viruses can only replicate inside hosts -- they can
8 survive but they can't replicate outside hosts in the
9 environment, unlike bacteria. Then for the virus' own
10 survival, it's not a good strategy to be highly lethal.
11 So over time the virus will become less pathogenic, less
12 able to cause disease, and the mammalian species will
13 become more resistant to it. One therefore assumes that
14 one reason why HTLV-I is such a benign disease is that
15 we have been associated with it for many, many thousands
16 of years, and hence it doesn't harm us very much and we
17 can tolerate it very well.

18 Q. If HTLV-III had been left to follow its own natural
19 course, that might have been a pattern that would have
20 developed with it too, or do you think it's different?

21 A. No, I think you are exactly right. It's speculative
22 because it's an experiment that will never be done, but
23 if one takes analogies from other infections where that
24 has been done -- I suppose the best example
25 is myxomatosis in rabbits.

1 When rabbits were accidentally introduced into
2 Australia and caused such a devastating problem there,
3 a virus called myxomatosis was introduced from
4 South America, which was highly lethal to rabbits, and
5 the idea was that the virus would help lower the rabbit
6 population and within around five years the virus had
7 clearly become less dangerous, less pathogenic. It had
8 mutated and the rabbits that had survived had become
9 more resistant to the virus so that the mortality rate
10 had dropped from about 95 per cent down to about
11 50 per cent. That occurred probably within about five
12 or six generations. So left to its own devices in the
13 human race over the course of a minimum of five to ten
14 generations, one might expect that humans who are
15 resistant to HIV would emerge at the cost of the loss of
16 a very large number of human lives.

17 There is already some circumstantial evidence that
18 this may be happening, in that we and other people are
19 seeing individuals from Africa who are in their early
20 teens, their early adolescence, so they will not have
21 had any sexual exposure, and yet they are HIV positive
22 and yet are well. And they undoubtedly, as far as we
23 can ascertain, once one has taken out factors like
24 possible abuse, but they almost certainly were infected
25 vertically from their mother and appear to have survived

1 infancy and childhood as infected with HIV and are still
2 relatively healthy some 12 or 13 years later, which
3 isn't what would have been predicted. So there may
4 already be people who are slightly genetically
5 protected. And, if I might go on some more.

6 Q. Please do.

7 A. We know, for example, that in the Caucasian population
8 in western Europe, around 1 per cent of the population
9 carry a mutation in one of the proteins on the surface
10 of their lymphocytes, a protein called CCR5. That's an
11 essential receptor for HIV to get into cells,
12 particularly monocytes and macrophages. So those
13 individuals, if they are exposed to the type of HIV
14 which infects the macrophage population, cannot get
15 infected. Sexually transmitted HIV is almost
16 exclusively, or probably exclusively performed by
17 viruses which do prefer to go into this cell population
18 called macrophages. So these individuals are
19 effectively protected against HIV infection by the
20 sexual route. And they are the explanation for some of
21 the people who are repeatedly exposed to HIV but don't
22 get infected. So that's 1 per cent of the Caucasian
23 population. This genetic -- it is not an abnormality,
24 it's a genetic variant -- does not exist in Africa and
25 that says that it hasn't arisen in response to HIV, it

1 is just part of the very broad variation that we find in
2 a stable population like the human race, where we are
3 all slightly genetically different.

4 Q. The 1 per cent of Caucasians who don't get AIDS, they
5 don't become infected with the virus, HIV, at all?

6 A. They don't become infected.

7 Q. What are they called? Do they have a name, that group
8 of people?

9 A. They don't have a generic name. The mutation in the
10 receptor is called the delta 32 mutation on CCR5, which
11 means that the protein on the surface of the cells has
12 a mutation which truncates, it makes it shorter. So
13 it's not long enough for the virus to latch on to.
14 These individuals appear to be otherwise quite healthy,
15 although there is some evidence they may be slightly
16 more prone to a rather rare form of virus meningitis.

17 But the fact that they are very healthy goes back to
18 something else earlier, which is that targeting this
19 particular protein has been one of the suggested
20 strategies for gene therapy, to see if one can lower
21 that on the surface of cells. One of the currently
22 available anti-retroviral drugs actually targets this
23 protein and if you like, coats it or stops it working so
24 that the virus can't get into the cell.

25 Q. Right. The reason I asked you about what they were

1 called is because I have heard the term long-term serial
2 non-convertors, but that's obviously a different group
3 of people. That's people who have the virus but don't
4 become ill, is it?

5 A. I'm not sure that there is one term which describes
6 individuals. I think if there is a term which says
7 there are long-term non-converters, those would be
8 people who aren't infected. There are also groups of
9 people who do get infected and appear to control the
10 virus extremely well, and they are called long-term
11 non-progressors or elite progressors. So they are
12 infected but for a variety of reasons, not all of which
13 we understand, they seem to maintain a normal immune
14 system and appear to suppress the virus for many years.

15 Q. These characteristics that you are describing, that,
16 albeit in a very small number of people, make them much
17 less vulnerable, are these passed on genetically to our
18 children?

19 A. Well, because you get a gene for each protein from each
20 of your parents, the people who have this have to have
21 inherited two abnormal genes, both of which have the
22 mutation in. So they will have received one from their
23 mother and one from their father. So they will only
24 pass on one copy to their children unless their partner
25 also happens to be passing on a copy.

1 There is evidence that if you inherit just one copy
2 of the gene so that you have a lower number of these
3 receptors on the surface of your cell, then you also,
4 although you get infected, have a slower progression of
5 disease to the point where you develop AIDS.

6 Q. Just to follow the train of thought about how virus and
7 host adapt to each other -- and you have covered this.
8 Can we go on to the next page, please. You have covered
9 this at the top of the next page, when you discuss
10 zoonoses.

11 A. Yes.

12 Q. So viruses spreading from animals into humans. You
13 refer to HIV being a zoonoses from chimpanzees. Has the
14 same thing happened in the chimp population? In other
15 words, is the virus less damaging to chimpanzees now
16 because it has been in chimps for longer?

17 A. Until relatively recently -- and chimps are not the only
18 primate or monkey species that is infected with a virus
19 similar to HIV. These are called SIVs, by the way,
20 simian immunodeficiency viruses. There are simian
21 immunodeficiency viruses infecting many, if not most
22 monkeys. So there is one that infects the
23 sooty mangabey, one that infect the rhesus macaque and
24 such like. And in those populations they appear to be
25 carrying the virus without sustaining any disease. It

1 was thought, until relatively recently, that the
2 chimpanzee population also were able to carry their SIV
3 without sustaining disease but more recently, some
4 detailed studies in equatorial Africa have shown that
5 SIV-infected chimpanzees actually do have a reduced
6 lifespan compared to non-SIV infected chimpanzees. It's
7 difficult to be absolutely certain what they die of but
8 the evidence is pretty compelling that SIV is not
9 completely benign in the chimpanzee population, although
10 it would appear to be more benign than HIV is in the
11 human population.

12 With wild populations, it's very difficult to
13 ascertain these things. For example, the cat equivalent
14 of this, feline immunodeficiency virus, which causes an
15 AIDS-like disease in cats, and affects some 20 per cent
16 of domestic cats in this country, infects almost
17 90 per cent or so of wild lions in Africa. And until
18 recently it was thought to be benign but now it's
19 apparent that FIV infected lions also die young, but if
20 you are an FIV-infected lion and you are less fit, you
21 are much more likely to die of something else, like
22 another lion, than FIV infection.

23 Q. We have skipped over the concept of lentiviruses, which
24 you tell us in this introductory section. Because HIV
25 is a lentivirus, this puts it in a different virus group

1 from HTLV-I. "Lentivirus" I understand to be
2 a descriptive term, because it's slow. You say that
3 they are organisms which cause disease after a long
4 incubation period. But is there also something
5 physically different about lentiviruses?

6 A. The two pathogenic groups of human retroviruses, the
7 HTLVs and the lentiviruses resemble each other
8 genetically but they are clearly different. They have
9 the same sorts of proteins but they are very different
10 in sequence and they also have proteins which are unique
11 to each of their families.

12 So HTLV-I falls into the family of retroviruses
13 called delta retroviruses, which are all recognisably
14 identical, like HTLV-I, HTLV-II and STLV. HIV falls
15 into the family of lentiviruses, which include feline
16 immunodeficiency virus, which I mentioned, Maedi-Visna,
17 which infects sheep, equine infectious anaemia, which
18 infects horses.

19 So it's a functional classification. In the case of
20 lentiviruses it's a historical descriptive
21 classification and in the case of HIV a rather
22 inaccurate one.

23 Q. Right. You have talked about nomenclature. Is it
24 correct to deduce from what you have just described that
25 HIV shouldn't actually have been put in the family of

1 HTLV in the first place? That was a misnaming? It
2 didn't --

3 A. It was --

4 Q. -- belong with HTLV-I and 2?

5 A. Yes, it was quite a serious mistake in nomenclature and
6 I think it was driven -- everyone thinks it was driven
7 by Robert Gallo, having discovered HTLV-I and HTLV-II
8 and finding something which was genetically similar but
9 not the same and, himself actually not being someone who
10 had a long history of being steeped in virology,
11 assuming that they were all very similar and from the
12 same family. And there may have been a certain
13 possessiveness about this as well.

14 Q. In this taxonomy of the viruses in the area I should
15 also ask about HIV-1 and HIV-2. What's the difference
16 between those two?

17 A. So HIV-1 is far and away the most predominant of the
18 HIVs. It causes probably more than 98 per cent of the
19 human infections and it's very closely related to the
20 virus that I mentioned before in chimpanzees. So it's
21 a cross species transmission from chimpanzees.

22 HIV-2, although, if you just looked at the map of
23 the virus, you would say was very, very similar to
24 HIV-1, is actually quite different, if you look at the
25 individual nucleotides in the sequences of amino acids

1 in its proteins, and that is very closely related to
2 a virus found in the monkey species called the sooty
3 mangabey. So the evidence is that HIV-2 crossed into
4 humans from the sooty mangabey, whereas HIV-1 crossed
5 into humans from the chimpanzee. Both of these, almost
6 certainly -- as I think it's well understood now -- came
7 into the human race, as far as we can tell, through the
8 bush meat trade, where wild monkeys are caught and
9 slaughtered and butchered and sold for food, and since
10 both viruses are blood-borne and in fact in the monkey
11 population they're transmitted predominantly by blood --
12 by fighting, by biting and scratching -- then it's
13 relatively easy to think of how a virus may have been
14 transmitted from fresh meat into someone who was
15 handling that.

16 Q. Right. You have given us on page 3 an interesting
17 table. It's a timeline, rather than a table. We can
18 blow it up a little bit. But it shows various emerging
19 infections since 1980, not all of them viruses. We can
20 see E. coli 157 featuring in there as well. Is this
21 a complete record of emerging infections or is it just
22 the most significant ones?

23 A. It's certainly the most significant ones. I don't think
24 it's absolutely complete.

25 Q. I think in fact you have it in colour in your report and

1 we, I am afraid, only have it in black and white, but we
2 can certainly see some other ones that we recognise from
3 our general knowledge: H5N1 featuring in there and BSE,
4 which I think we all understand is not really a virus at
5 all; toxic shock syndrome, which is a bacterial
6 infection?

7 A. It is.

8 Q. Right. Can we move on to the next page, please, and
9 begin looking at the history of matters as they are more
10 directly relevant to our Inquiry.

11 You have given us on page 4, if we can have that,
12 a heading, "The emergence of AIDS". I think we need to
13 go a little bit higher up, back on to the previous page,
14 please.

15 Thank you.

16 Under a heading, "The emergence of AIDS", you have
17 documented some of the early events and I think we are
18 all familiar with the publication of the MMWR
19 in June 1981. We have also heard that the attention of
20 Dr Evatt was drawn to this new phenomenon by requests
21 coming in for a particular drug, pentamidine and
22 I understand pentamidine to be an antibiotic. Is that
23 right?

24 A. Yes, it is. Yes.

25 Q. But for some reason it's a very tightly controlled

1 antibiotic. Is that correct?

2 A. It is. It's used for a very restricted range of
3 infections and it's given by injection, and it has
4 potentially some very unpleasant side effects.

5 Q. Right.

6 A. It can also be given by inhalation but for severe
7 disease it's given by injection.

8 Q. In America it was only available to physicians through
9 the CDC, the Centres for Disease Control, as we
10 understand it. Is it similarly controlled in this
11 country? Is it difficult to obtain?

12 A. No, not now. It's readily available in most hospital
13 pharmacies.

14 Q. But then it might have been?

15 A. For that sort of medication in this country, because it
16 would have been used so infrequently, and because all of
17 these medications have a shelf life, it would have been
18 uneconomical for everyone to be storing this. So its
19 availability was probably restricted largely on economic
20 grounds rather than because it was restricted in usage.

21 Q. The presenting problem, which led to this particular
22 antibiotic being requested, we understand to be
23 a particular form of pneumonia. You explain to us that
24 that form has been renamed and it's now called
25 pneumocystis jirovecii, as I understand it?

1 A. Jirovecii.

2 Q. Right. It is due to a fungal infection in the lungs.

3 Is that correct?

4 A. It was originally thought to be a protozoan infection.

5 Protozoans are single-cell organisms like amoebae. Most

6 people will, I hope, know what an amoeba is. In fact,

7 it is unusual because something like pentamidine would

8 be predicted to be very effective against an amoeba-like

9 organism, but advances in the molecular biology of

10 identifying organisms where one looks at, again, the

11 organelle I mentioned before, the ribosome. If you look

12 at the genetic sequence of that, you can reclassify

13 organisms by how closely they are related to each other,

14 and pneumocystis on its ribosomes is clearly in the

15 fungal family rather than in the protozoal family.

16 Q. The significance of the illness in these individuals we

17 have understood, I think, to be that this would be

18 a pathogen that a healthy immune system would be able to

19 deal with. Is that right?

20 A. Yes. Many people are exposed to pneumocystis, often in

21 childhood, and seem to suffer no ill effects whatsoever.

22 It has always been associated, certainly in adults, with

23 conditions where the immune system is impaired in some

24 form.

25 Q. Right. So it wasn't the pneumocystis in itself that was

1 unusual, it was the fact that it was making people very
2 ill that was worthy of note?

3 A. And the fact it was there at all, yes.

4 Q. Right. You say that at the time some people thought
5 cytomegalovirus or Hepatitis B might be responsible for
6 what was happening in these particular homosexual men.
7 By this point not just PCP but also Kaposi's sarcoma.
8 When we are talking about pneumocystis, is it correct to
9 continue to call it PCP, if you are talking about that
10 era? What does it get called now? Does it still get
11 called PCP or does it get called PJ for short?

12 A. The lingua franca is PCP and the justification is that
13 the "C" is the cystis part.

14 Q. Okay. So if we just continue to write "PCP", we will be
15 fine?

16 A. Everyone will understand what PCP is.

17 Q. Good. You chart developments between 1981 and 1982,
18 more specifically June 1981 to June 1982, and the number
19 of cases had gone from five really in June 1981 to 355
20 in June 1982, which, on any view, looks like a very
21 significant rise. Is an epidemiologist going to pay
22 particular attention to something like that?

23 A. I'm sorry, was that a question?

24 Q. I just wondered, it looks a remarkable rise. I mean,
25 355 in the population of the United States is not as an

1 absolute number very significant but I take it it's the
2 scale of the increase that would be drawing attention?

3 A. I think the fact that they have a very good reporting
4 system there actually brought it to prominence because
5 the cases, although they were locally clustered, were
6 geographically scattered on the two sides of the USA.
7 So it might have been less obvious unless the state
8 sponsored reporting system, the CDC, had not put them
9 all together.

10 If one doesn't have an obvious single focus, which
11 would be the case for something like SARS -- when SARS
12 broke out there was clearly a very good geographical
13 focus and reporting was very good -- then it may have
14 been less obvious that there was a single infectious
15 cause because something was appearing at very large
16 geographical distances.

17 Q. Yes. Can we, when we are thinking about all the
18 information that was coming out around about this time,
19 stick with an analogy of a jigsaw? It's rather a tired
20 analogy but I think it's one that we all understand. So
21 if we can think of it in terms of a jigsaw, you mention
22 in the paragraph where you have shown 8.8, 8.9, the fact
23 that intravenous drug users were being affected. Did
24 that represent a new piece of the jigsaw?

25 A. Yes, it did. Until that time then there were plausible

1 arguments that what was being seen, which was
2 effectively confined to the gay, homosexual population,
3 might have had a number of causes and, as mentioned
4 there, people initially started looking for things they
5 could find, which was why cytomegalovirus and
6 Hepatitis B came up, and the fact that these populations
7 were almost uniformly positive for these viruses,
8 whereas the general population has a much lower instance
9 overall, made them potential candidates. But there was
10 also an uncovering of information about the gay
11 lifestyle at the time, about sexual promiscuity and
12 about drug abuse, which also distinguished that
13 population to some extent, certainly in the level of it,
14 from most other populations. So there was room for
15 a lot of speculation as to what might be triggering the
16 immunodeficiency.

17 The intravenous drug users were another part of the
18 jigsaw, in that, for example, the speculation that
19 abnormal exposure of pathogens in the rectum, in the
20 gut, as opposed to by heterosexual transmission, somehow
21 made these things more pathogenic because the
22 intravenous drug users as a population were not
23 characterised by indulging in homosexual practices. So
24 that narrowed down, if you like, the potential causes
25 and pointed to the fact that there was something which

1 was probably in common with the two.

2 So, yes, it was an additional piece of the jigsaw.

3 Q. Right. Did it point away from things like amyl nitrate?

4 You mentioned drug abuse among the homosexual

5 population, and I take that to be not intravenous drug

6 abuse but tablets, I suppose. Is that correct?

7 A. Yes, I think amyl nitrate would have still probably been

8 the potential contributory cause while the intravenous

9 drug users were included because it would be difficult

10 to be certain that they were completely absolved from

11 usage of agents like that as well.

12 Q. Right. And also the fact -- and this is mentioned in

13 the same paragraph -- that people were coming through

14 who were heterosexual, I suppose might take you away

15 from the idea that this is something that's peculiar to

16 people of homosexual orientation?

17 A. Indeed, yes.

18 Q. Around about this time, June 1982, another phenomenon --

19 you haven't specifically recorded it and I don't imagine

20 it's a big piece of the jigsaw at all -- which seems to

21 have been discussed is diffuse undifferentiated

22 non-Hodgkin's lymphoma, that that was starting to come

23 through as well as a manifestation. Is that something

24 that we should see as analogous to the Kaposi's sarcoma,

25 by which I mean another odd malignancy?

1 A. The emergence of unusual malignancies I think are part
2 of the jigsaw. I suppose, if I can talk around that
3 a little bit, because if one is thinking that this is an
4 infection, one has to think: does it have the
5 characteristics of an infection? In terms of there
6 being clusters within certain populations, that is in
7 favour of it and obviously, as I'm sure you will come
8 onto, there is the common factor about blood products.
9 Other than that -- and this is not in any way meant to
10 be a defence -- HIV doesn't behave like what most people
11 think of as an infection.

12 Everyone recognises an infection like flu or measles
13 or whatever. It tends to be a relatively short-term
14 event with a high fever and people tend to get over it
15 and it's rather easily recognisable. We know that there
16 are chronic infections like hepatitis, which can cause
17 disease, but they are normally also associated with
18 target organ damage like liver disease and the immune
19 system being activated to do things to try and clear it.
20 I think one of the mysteries of this particular time was
21 that this appeared to be a degeneration of the immune
22 system. It was almost like a degenerative disease,
23 things were failing, and there was no obvious evidence
24 before testing came along that the body was doing
25 anything about it. So I can expand on that later, if

1 you like, but although there were pieces of jigsaw
2 hinting at infection, there are also pieces which are
3 saying this is very unusual as an infection.

4 Q. This may be a really crude nutshell but we have all
5 these different diseases emerging, some of them quite
6 unusual, it is quite an intellectual leap to see that
7 the cause of all of that may itself be a disease,
8 another disease.

9 A. Well, yes and no, but if one looks at analogies -- so,
10 for example, people who have been put on very powerful
11 drugs to suppress the immune system -- then that would
12 also be associated with acquiring a variety of different
13 infections because your immune system can no longer cope
14 with things which the normal immune system can cope
15 with. And the other analogy would be people who have
16 advanced cancer, where again the immune system is
17 suppressed for whatever reason and they also, certainly
18 when the malignancy is sufficiently advanced, would be
19 prone to infections they wouldn't otherwise be prone to.
20 So both those scenarios, where the immune system was
21 failing, would have been suitable analogies for this.

22 Q. So someone really thinking about this phenomenon,
23 particularly in the United States, in looking at the
24 different infections or malignancies that are being
25 suffered by particular groups, would be saying to

1 themselves, "Is there a common element causing the
2 suppression of the immune system?"

3 A. That would have been the logical thing to be looking
4 for: what's going wrong with the immune system?

5 Q. If we could go down, we can see it at the bottom of the
6 screen. You mention something that we refer to in our
7 preliminary report. That is the reporting of AIDS in
8 Denmark in gay men in the summer of 1982, and you say
9 that a case was also described in Italy. I don't think
10 we picked that up, that there was someone around about
11 that time in Italy who also had AIDS, was there?

12 A. Yes. I would have to go back to the original reference
13 for that but I remember reading it.

14 Q. That's fine. It's all something we can add in. Was
15 that also someone who was homosexual?

16 A. I can't remember.

17 Q. Right. Okay.

18 THE CHAIRMAN: Ms Dunlop, before you move on.

19 Professor, a few moments ago you were asked the
20 question:

21 "So someone really thinking about this phenomenon,
22 particularly in the United States, they would be saying
23 to themselves, 'Is there a common element?'"

24 And you say:

25 "That would have been the logical thing to be

1 looking for."

2 The answer is very general. Is there a particular
3 constituency of experts one should have in mind here or
4 would it be all medical people or what?

5 A. I would think everybody looking after patients who are
6 suffering these would be trying to work out what was
7 going on and particularly as they were clustered, they
8 would be looking for the common factor.

9 THE CHAIRMAN: Yes.

10 A. So individual physicians and also those people whose job
11 it was to study the epidemiology, such as those at the
12 CDC. So it should have been a general phenomenon, that
13 people were looking for common causation.

14 THE CHAIRMAN: There is always a concern that in some areas
15 there would be particular specialists who would be
16 likely to have a focus that would inform them that
17 wouldn't be general, but on this occasion you are
18 content that it should have included all those with an
19 interest in this area of work?

20 A. Mostly the people who saw the initial cases were seeing
21 a lot of the initial cases or at least several, and it
22 would have been an unusual phenomenon for anyone to have
23 seen one of these and certainly very unusual for them to
24 see two or three. So everybody should have been
25 alerted.

1 THE CHAIRMAN: Thank you.

2 MS DUNLOP: Yes. Just at this point, Professor Lever,
3 I wanted to ask you about people from Haiti. Some of
4 the reading that we do is rather out of date because we
5 are so steeped in the 1980s, but I have certainly seen
6 references to that never having been satisfactorily
7 explained. Is that still the case, or is there now an
8 understanding of why there appeared to be
9 a concentration in Haiti?

10 A. I don't think it has been documented -- it's rather
11 difficult to document it in retrospect anyway. I don't
12 think anyone has a very clear idea about how that
13 arrived but there are speculations about immigration
14 from Africa and contact with people of Afro-Caribbean
15 background, but I don't think there is anything
16 specifically unusual or any specific route that has been
17 documented for that particular phenomenon.

18 Q. I wonder if I could take you to an article that we have
19 looked at on a number of occasions by Dr Bruce Evatt.
20 It's [\[PEN0150265\]](#). I imagine this is something you have
21 seen before. It's entitled "The tragic history of AIDS
22 in the haemophilia population, 1982 to 1984."
23 We have been discussing those who in the early 1980s
24 were trying to work out what was going on and Dr Evatt
25 was certainly one of them. I don't know, was he the

1 leading detective around that time?

2 A. He is not somebody that I knew a great deal about in
3 fact but he clearly was very prominent in the CDC.

4 Q. Right. He published this article really quite recently.
5 I don't know, do you happen to know what led to this
6 being written and published in 2006?

7 A. I have no idea why it was published then.

8 Q. On the first page of the text he has a heading, "The
9 epidemic begins". And this is an example of a reference
10 to the idea that the original outbreak in homosexuals
11 might be something to do with sexual practice, because
12 at the end of that paragraph, towards the bottom of the
13 page, we can see the sentence:

14 "Leading scientists focused on non-infectious causes
15 such as antibodies to sperm or a reaction of the immune
16 system to chemicals such as inhaled amyl nitrates that
17 homosexuals use to maintain prolonged erections."

18 By what time do you think these had really faded
19 from the picture as theories? We have looked at some of
20 the other data that emerged about other groups of people
21 who were becoming ill with AIDS. Do you think these
22 theories began to fade quite rapidly?

23 A. I think theories like that will always have some degree
24 of credibility until you find the infectious agent, and
25 certainly once Montagnier and Barre Sinousi had

1 identified something, which I think most of us believed
2 at the time, even though there were a little bit
3 tentative and probably they had the publication slowed
4 down a little bit by competitors elsewhere, and
5 certainly by the time Gallo had published, there was
6 only a small fraction of individuals who still clung on
7 to a theory of anything other than infection.

8 Up until that time I think it's a gradation. There
9 was a gradual acceptance that it couldn't just be put
10 down to immunological-based theories and that the
11 epidemiology looked more and more like an infectious
12 agent. I'm not sure there was a clear defined cut-off
13 point between the initial thoughts that it didn't look
14 infectious and then the ultimate revelation that this
15 was infectious.

16 Q. He goes on to say that:

17 "The course the investigation began to change in
18 1982."

19 Then he mentions the pentamidine angle. Then on to
20 the next page he says that:

21 "In early 1982 [he] had a call reporting
22 a haemophilic patient who, treated with Factor VIII
23 concentrates, had died of PCP."

24 Indeed, it's quite interesting to note that the
25 doctor treating that patient had wondered if the

1 clotting factor itself had been contaminated with
2 pneumocystis carinii, but Dr Evatt looked to have been
3 slightly dismissive of that particular possibility.

4 Then he goes on to refer the reports of the immune
5 disorder in patients from Haiti and IV drug abusers, and
6 then really just the thinking I have been putting to
7 you, about anal intercourse or use of amyl nitrites not
8 being common practices for haemophilic patients or IV
9 drug abusers:

10 "The author reasoned that these four groups had very
11 little in common except for one thing, the risk for
12 blood-borne diseases."

13 I suppose it all comes to seem simple in retrospect?

14 A. It does.

15 Q. And perhaps there is a danger in reading something like
16 this, that it appears simpler than it really was. Do
17 you think that's a risk?

18 A. Yes. I don't think people dismissed the idea of there
19 being an infectious cause, and there were lots of people
20 who thought it was an infectious cause from the word go
21 and a lot of people who didn't. I think the issue about
22 it is that, as I mentioned before, it didn't really have
23 the physiological appearance of an infection. I think
24 things like infections cause rashes and high fevers and
25 things, which actually -- those are very powerful social

1 signals. The fact that you get a rash with measles is
2 probably only there to tell the rest of the population
3 that you are infectious and should be kept away from.
4 The fact you get a very high fever in some diseases
5 doesn't actually do you very much good but it tells
6 other people that you are ill. That's how mothers know
7 their babies are ill because they feel hot.

8 So we have a lot of inbuilt signals which we have
9 evolved to recognise as things which are infectious. If
10 it doesn't tick all those boxes then you have to find
11 other reasons why it's an infection, and there were
12 other reasons admittedly but it didn't quite look like
13 a normal infection.

14 Q. Certainly the geographical spread must have been
15 difficult to fit with the infectious picture, all these
16 different people all over the United States?

17 A. I think that contributed, yes. I guess it wouldn't be
18 unprecedented because some infections can spread very
19 rapidly, but the fact there was no continuity in the
20 explosion of a cluster in one particular area made it
21 slightly unusual as well.

22 Q. Yes. The rest of that page is concerned with
23 documenting what happened in 1982. Can we go back to
24 the previous page, 2296?

25 I'm sorry, I had forgotten. This is a missing page.

1 We should go to the other reference. It's [\[PEN0161183\]](#),
2 which has the full article in it.

3 Right. Can we go to the second page of text,
4 please? Thank you.

5 Dr Evatt is documenting what happened throughout
6 1982. He refers, on the right-hand side at the top, to
7 the MMWR reporting the three patients with haemophilia,
8 suggesting the probability of blood-borne infection as
9 a cause of AIDS. I think in fact the text refers to it
10 being "possible" rather than "probable", but we have
11 looked at that certainly. He says that:

12 "In July, we reasoned that the time had come to
13 shift US investigations towards a blood-borne and
14 sexually transmitted infection as a cause of AIDS."

15 In fact, from Douglas Starr's book on blood, we know
16 that Dr Evatt did a tour around the United States,
17 trying to spread the message, indeed at his own expense.
18 We can also see that a meeting took place on
19 27 July 1982. He says:

20 "To present the evidence of a possible transmission
21 by a blood-borne agent."

22 We can see that under the heading, "Confronting
23 existing wisdom". If we read on, it doesn't seem to
24 have been a particularly successful event. He says,
25 reading from the middle of the last paragraph:

1 "Rather than expressing alarm at a possible
2 blood-borne infection and suggesting ways to reduce a
3 blood-borne risk, the audience expressed an almost
4 universal reluctance to act."

5 Even to the extent of there being reservations about
6 taking steps to limit certain individuals as blood
7 donors.

8 If we read on, we can see a quote on the top of the
9 next page:

10 "Three haemophilia patients with the syndrome did
11 not mean that they ..."

12 That's the companies, the blood industry:

13 "... should spend millions of dollars changing
14 recruitment and screening practices."

15 All that really seems to have been achieved at that
16 particular meeting is summed up in the short paragraph
17 in the left-hand side column, firstly the use of the
18 name "AIDS" and then secondly an encouragement to
19 continue studies of haemophilic patients.

20 We can read the rest of that page for ourselves. We
21 see a reference to some of those who considered that
22 immediate action to reduce exposure to concentrates was
23 warranted, perhaps chief among them, to us, is
24 Dr Oscar Ratnoff because we have heard quite a bit of
25 him and his practice in Cleveland, Ohio. What I want to

1 ask you about particularly is that paragraph beginning
2 "finally", where Dr Evatt mentions the development of
3 AIDS in a 20-month old infant and he describes that as
4 an unequivocal transfusion case.

5 Again we are, I think, now familiar with this story.
6 This is a child who had had a number of platelet
7 transfusions, I think to do with rhesus sensitisation.
8 After the child became ill, the donors of the platelets
9 were investigated and it was discovered that one of them
10 had become ill with AIDS.

11 I would like to show you the particular MMWR which
12 reported this case, if I could. It's [\[SGH0085105\]](#). Can
13 we go to the top? It's December 10, 1982. Firstly what
14 happened in this edition is that there was an update on
15 the three people whose cases had been reported in
16 the July. We can see from the fourth line that all
17 three had died:

18 "In the intervening four months, four additional
19 heterosexual Haemophilia A patients have developed one
20 or more opportunistic infections accompanied by in vitro
21 evidence of cellular immune deficiency."

22 This piece goes on to write up the four additional
23 cases and one highly suspect further case.

24 What's interesting against the information you have
25 been giving us about how doctors investigate the

1 possibility of a new infection is to see how
2 all-encompassing the enquiries seemed to have been. So
3 questions had been asked about the patients' sexual
4 activities, drug usage, travel and residence. And they
5 seem to have drawn a blank with that particular line of
6 questioning because it didn't reveal that the
7 individuals had been in contact with each other, with
8 homosexuals, with illicit drug abusers or with Haitian
9 immigrants. But what they did have in common was that
10 they had all received Factor VIII concentrates.

11 Can we read on through this, please, having looked
12 at page 1, page 2 and 3, you go on to discuss the
13 individual cases. We can just see that, if we look
14 quickly, including a ten-year old child and a seven-year
15 old child who was the suspect case. Then on to page 4.
16 another insight into the thinking of those who were
17 investigating here. These individuals have had no known
18 common medications, occupations, habits, types of pets
19 or any uniform antecedent history of personal or family
20 illnesses with immunological relevance. It looks to
21 have been a pretty thorough investigation of all
22 possible common elements, doesn't it? Even thinking
23 could it be something to do with their pets?

24 Obviously --

25 A. Those would be standard questions in an infectious

1 disease history, asking about pets.

2 Q. Okay. So still very much thinking about the products
3 used in the treatment of haemophilia and then going on
4 to discuss the 20-month old infant. If we can scroll
5 down, we can see what had happened there.

6 This child, in the first month of life, had received
7 blood products, including whole blood, packed red blood
8 cells and platelets from 19 donors and then became ill.

9 Then can we go on to the next page, please? This is
10 charting the illness of the child. The discovery about
11 one of the 19 donors having had AIDS. Indeed he has
12 gone on to die in August 1982.

13 Then can we go down through the editorial note,
14 please? Particularly that passage at the bottom of the
15 page:

16 "If the platelet transfusion contained an
17 aetiological agent for AIDS, one must assume that the
18 agent can be present in the blood of a donor before
19 onset of symptomatic illness and that the incubation
20 period for such illness can be relatively long."

21 On to the next page, please. The concluding comment
22 is that:

23 "This report and continuing reports of AIDS among
24 persons with Haemophilia A (7) raised serious questions
25 about the possibly transmission of AIDS through blood

1 and blood products."

2 Professor, we have discussed this case with a number
3 of witnesses and I simply wanted to ascertain from you,
4 as a professor of infectious diseases, how important you
5 think this event was?

6 A. I think it's very compelling data for an infection.
7 That's my perspective as someone who is looking for an
8 infection in everything, admittedly, but I think it's
9 compelling. In the interests of complete balance,
10 I would have to say it's not conclusive. I perhaps
11 could give an example of when Hepatitis B was identified
12 as being transmitted sexually and particularly by
13 homosexuality, and up until that time it had been
14 extraordinarily unclear how so many males had been
15 getting Hepatitis B in certain countries, and then when
16 the revelation of homosexual transmission came out, it
17 was apparent that they had been concealing the fact that
18 they had been homosexual for many years.

19 So as I say, my perspective on this is that this
20 points very much to an infectious cause but one has to
21 think that there are alternative points of view there,
22 and that taking a history from somebody, classically
23 their smoking history, is notoriously inaccurate.

24 Q. Right. So having asked you to give us your own words,
25 I'm now going to suggest something to you: this case of

1 a child in whom AIDS could be linked with a donor, could
2 that be seen as a step change in the thinking?

3 A. Again, I think it's compelling but not absolutely
4 conclusive because this was a very young child and we
5 don't know anything else about the genetic background of
6 the child or its own particular susceptibility to
7 illness, and a percentage of apparently normal children
8 are born with a genetic abnormality which would make
9 them more prone to an infection. So there are
10 alternative explanations for this. Again, it's another
11 piece, as you say, of the jigsaw, which is more and more
12 suggestive of an infectious agent and a transmission by
13 blood products. But it doesn't close the door.

14 Q. Yes. I suppose, as lawyers, we are very familiar in
15 lots of different contexts with a phenomenon where
16 a number of different things have happened and any one
17 of them can be explained individually, but the totality
18 of the picture is more than the sum of the parts really
19 and might it be that we are within that kind of
20 situation?

21 A. I think that's a reasonable analogy, yes.

22 Q. Now --

23 THE CHAIRMAN: Ms Dunlop, time.

24 MS DUNLOP: I had my eye on the clock. I just wanted to go
25 back to the article and warn everyone. Can we just go

1 back to the article because I'm right in the middle of
2 asking about this particular case.

3 Can we just bring it up again -- thank you -- to see
4 what Dr Evatt said about that. Can we go on to the next
5 page, please? He said that:

6 "We were now convinced ..."

7 Just at the end of that section. So that was where
8 I wanted to get to, sir, before stopping for a break,
9 just to finish the case of the infant, if we could.

10 THE CHAIRMAN: Just before we do break, you have used two
11 expressions in recent answers that are quite important,
12 I think. You talk about the evidence not being
13 "absolutely conclusive" and the examples "not closing
14 the door" on the range of possibilities that have to be
15 considered. Ms Dunlop has drawn your attention to the
16 practice of lawyers in putting together various strands
17 of information to reach conclusions.

18 Lawyers would normally specify the standard of proof
19 that they were applying, normally a balance of
20 probabilities, professor. When you talk about absolute
21 certainty, what standard of proof are you applying?

22 A. I'm familiar with the concept of balance of probability
23 from previous exposure to the legal profession. The
24 absolute proof is the identification of the agent and
25 total association of that with the disease. Until that

1 moment there is, in my mind, a shadow of doubt but
2 I would be pushed in the direction of saying a balance
3 of probabilities exists before that.

4 THE CHAIRMAN: Yes. Is this some version of
5 Koch's Postulates that you have just applied or is that
6 your own?

7 MS DUNLOP: That's where we are going next.

8 THE CHAIRMAN: That's where you are going next?
9 It is time for a break then.

10 (11.09 am)

11 (Short break)

12 (11.33 am)

13 MS DUNLOP: Professor Lever, just before we stopped, we were
14 looking at Dr Evatt's article and I think, as a useful
15 way in to Koch's Postulates, we can look at what he
16 says. Can we go back to the article, please,
17 [\[PEN0161183\]](#)? It's page 2298, so over the page, please.

18 He describes the next big meeting that they held,
19 after the meeting in July 1982. We understand that
20 there was a big gathering on 4 January 1983 and we know
21 it was a difficult day, but if we go a little bit
22 further down, we can see that one of the things that was
23 said at that meeting seems to have been:

24 "Show us the agents ... Subject it to
25 Koch's Postulates."

1 We have thought about Koch's Postulates over the
2 past four weeks and I have warned you that this was
3 coming. So you presumably have been thinking about
4 Koch's Postulates as well. We have looked at
5 a particular line, which I'm going to come back to later
6 today. But a particular line:

7 "There is no conclusive evidence that AIDS is
8 transmitted by blood products."

9 What role do you think Koch's Postulates should have
10 had in all this investigation and theorising as to what
11 was going on?

12 A. You would hope a professor of infectious diseases would
13 know what Koch's Postulates were.

14 Q. That's why I'm asking you?

15 A. Perhaps just to put it in context, Koch's Postulates had
16 such a level of authority in terms of identifying
17 infectious diseases, largely because of Koch himself,
18 who identified both tuberculosis and anthrax, and again,
19 to put it in context, at the time tuberculosis was
20 responsible for a third of deaths in young people. So
21 discovering the agent that caused that was clearly
22 a fantastic leap forward. So he is held in some level
23 of awe by most people who deal with infection because he
24 did that and then set down some very basic rules for
25 identifying whether a particular infectious agent was

1 the cause of a disease, and I unashamedly have notes on
2 what those Koch's Postulates are.

3 The first was that it should be found in abundance
4 in every case of the disease and not in healthy
5 individuals. The second was that it must be isolated
6 from the diseased organism and grown in pure culture.
7 The third was -- initially "must" but then changed to
8 "should" -- cause disease when introduced into healthy
9 organisms, humans. And fourthly, it should be
10 re-isolated from those diseased organisms and be
11 identical to the original agent.

12 So Koch himself abandoned postulate number 1 very
13 early on because there were cases of healthy carriers of
14 things like cholera, who were excreting it but had no
15 disease, and yet it was clearly able to cause disease in
16 other individuals, and those postulates served people
17 very well when they were dealing with bacteria, which
18 can be grown in pure culture mostly. Some it's still
19 very difficult.

20 But they have major limitations when you move
21 outside of the veterinary field because experimentally
22 introducing an infection into an organism to prove it's
23 the cause of disease is not something that one can do
24 outside of the non-human field.

25 So they are valuable as a guide but they are not the

1 final definition of whether something is an infection.
2 And in fact, there is a relatively more recent and
3 slightly more lengthy and fractionally more woolly
4 version of a molecular form of Koch's Postulates which
5 look at the level of genetic material of a particular
6 infectious agent within somebody who has an infection.

7 In very basic terms, the level of the amount of
8 infectious agent should correlate with the amount of
9 infectious material and should be reduced by successful
10 treatment or eradication, and should then be found again
11 in another individual who has the infection.

12 So Koch's Postulates are bandied around rather
13 loosely and they apply well to things like bacteria, and
14 to some extent to parasitic organisms, but for viruses
15 they are much more difficult to apply because viruses
16 only grow within living cells and if one doesn't have
17 the appropriate cells in culture in which that virus can
18 grow, or one cannot keep the appropriate cells alive,
19 one cannot fulfil the second of Koch's original
20 postulates.

21 Q. Right. I think we have perhaps struggled to get a sense
22 of how significant they would be when a doctor was faced
23 with a new disease and this is thinking about the early
24 1980s. I mean, you wouldn't find them on the wall of
25 the laboratory. Or would it be something that every

1 infectious diseases physician in the early 1980s would
2 have had in his or her mind?

3 A. Every medical student would have been exposed to them as
4 part of the historical background to infection and for
5 their value within a certain range of infections, but
6 there were already infections in the human race,
7 including non-A non-B hepatitis, which certainly hadn't
8 fulfilled Koch's Postulates and yet were accepted to be
9 an infectious agent.

10 Q. Right. Can you just tell us a little bit about the
11 advent of viruses, we have heard it said that Koch
12 wasn't really applying his mind to viruses. Was there
13 a concept of the virus at that time, or is that a
14 20th Century concept?

15 A. It's more of a 20th Century concept and it originated in
16 the idea of a filterable agent. Viruses are much
17 smaller, ten to 100 times smaller than bacteria, and it
18 was known that you could sterilise certain infectious
19 inocula by putting them through a very fine filter
20 which would retain things like bacteria or fungi, and
21 what came through would no longer transmit the disease
22 but there was a category of agents, which were called
23 filterable agents, which were not retained by this
24 filter and were thought therefore to be smaller but
25 their nature was not understood.

1 Q. Right. When we met you in our preparation for the
2 Inquiry to give us an idea of how small a virus is, you
3 did suggest to us that if the virus was the size of
4 a cookie, the human body would be about the size of
5 Britain.

6 A. A tennis ball is quite a good analogy.

7 Q. Right, so the virus is the tennis ball and the human
8 being is Britain?

9 A. The United Kingdom.

10 Q. The United Kingdom. Right.

11 THE CHAIRMAN: Can I ask one question?

12 If we look at the 1980s and consider the emerging
13 information, would a person, a skilled person, looking
14 at the emerging data, have appreciated that
15 Koch's Postulates were perhaps already not directly
16 applicable to what was happening?

17 A. I think so. I don't think that anybody who was very
18 conversant with infectious diseases would have made the
19 request in this article.

20 THE CHAIRMAN: If we think more particularly about someone
21 who already accepted that had non-A non-B hepatitis was
22 transmitted by an infectious agent, could he think in
23 terms of Koch's Postulates or could he, with proper,
24 I suppose, values, think that Koch's Postulates provided
25 an appropriate set of criteria for application?

1 A. If Koch's Postulates are fulfilled, then there is no
2 question about it.

3 THE CHAIRMAN: Indeed.

4 A. But I think, my Lord, it comes back down to your own
5 phrase of the balance of probabilities, in that if most
6 of them were fulfilled, one would believe that it was
7 more likely than not an infectious agent.

8 THE CHAIRMAN: We know that some clinicians at that time
9 took that approach but others didn't.

10 A. That's correct.

11 THE CHAIRMAN: Yes. I think there are some areas in which
12 I'm going to have to take decisions rather than try to
13 get you to take them for me, professor, but it is quite
14 difficult.

15 If one thinks of Dr Aledort, for example, who is
16 well-known as an opponent of Dr Evatt's views in this,
17 he was clearly an extremely prominent, highly respected
18 clinician, very wide experience of the treatment of
19 haemophilia patients, and yet resisted, I think one can
20 say, the notion of an infectious agent longer than most.
21 Do you have any observations that you could make on his
22 position?

23 A. I think, if I was making observations, it would be
24 speculation. But it would include the possibility that
25 his understanding and knowledge of infections was not as

1 great as others, and also one would have to bear in mind
2 the implications of accepting that it was an infectious
3 agent.

4 THE CHAIRMAN: I think that second point is one that we have
5 not missed, yes.

6 MS DUNLOP: I think I need to come back to it, sir.

7 THE CHAIRMAN: Yes.

8 MS DUNLOP: Just on that page, Professor Lever, do you see
9 on the right-hand side and the right-hand column, there
10 is reference to recommendations from the National
11 Haemophilia Foundation. They find some echo in the
12 United Kingdom as well around about that time.

13 There is mention of the NHS issuing a number of
14 important recommendations:

15 "... including postponing elective surgery and using
16 cryoprecipitate in newborns and patients without
17 previous clotting factor exposure."

18 What's the thinking behind giving cryoprecipitate to
19 patients without previous clotting factor exposure?
20 That seems to be very similar to the sort of ideas that
21 were around about NANB hepatitis. Was that a legitimate
22 basis on which to issue recommendations?

23 A. The implications behind that are that an infectious
24 agent which is transmitted is a possibility.

25 Q. Right. But what would be the thinking behind continuing

1 to give similar amounts of concentrates to patients who
2 had already had concentrates? Is that some sort of
3 suspicion that, like NANB hepatitis, they will be
4 infected anyway, they will be infected already? I think
5 that's what that's designed to meet?

6 A. Yes. There are several issues about infections and
7 (inaudible) in particular, which possibly is not
8 immediately clear. One is that the history of exposure
9 to infections is that one more often than not clears the
10 infection and is then immune to the infection. I come
11 back to measles or mumps or rubella. If we get it once
12 and if we are exposed to it again 90 years later, our
13 immune system still remembers and doesn't allow us to
14 get infected a second time.

15 With some chronic infections which were known about
16 at the time, like Hepatitis B, it was also the case
17 that, although a proportion of people were known to be
18 rather poor at clearing the virus, the majority of
19 healthy individuals did appear to be able to clear it
20 and develop immunity so they couldn't be reinfected.
21 There are people who don't clear Hepatitis B and become
22 the chronic carriers.

23 But the concept in exposure to infectious agents is
24 still, in many cases, that exposure somehow gives you
25 some level of protection, even if it doesn't just

1 protect you from being infected a second time by
2 a completely new virus. It's clear in hepatitis, and
3 indeed to some extent in HIV, that if you have a good
4 immune response, then you do better because your immune
5 system is fighting the agent. So there would be
6 a perception that having been exposed to something, it
7 was not going to harm you to be exposed to it again
8 because either your immune system would have developed
9 sufficient immunity to protect you completely or you had
10 some immunity which would somehow help to suppress the
11 second exposure.

12 The difference -- and one of the unique issues about
13 HIV -- is that prior exposure to one HIV gives you no
14 protection against a second HIV or a third or a fourth.

15 That, in infectious diseases, is a new concept.

16 Q. Right. You see, it's just that, because this is a bit
17 of a recurrent theme, the idea of particular protection
18 for patients without previous exposure, you end up
19 wondering whether that turned out to be a misconception
20 because, if you look at the statistics for different
21 countries about people with haemophilia, it is always
22 the people with severe haemophilia who show the highest
23 infection rate.

24 So that to me, as a layperson, suggests a much more
25 straightforward relationship, that the more they have,

1 the higher the chance they were going to get HIV. Do
2 you think enough attention was paid to reducing across
3 the board the amount of exposure to concentrates?

4 A. There are two issues there. One is your chance of
5 getting infected at all. And the more often you are
6 exposed, the more likely you are to get infected and
7 that's very well documented from a number of studies
8 with HIV. So if you are a mother who breast feeds your
9 child, there is about a one in seven chance of passing
10 the virus on, for example. And so, where hygienic
11 bottle feeding is available, that's a preference.

12 So being exposed multiple times to something which
13 might be infectious is more likely to get you infected.

14 The other things about HIV is that it's a very
15 imperfect virus in terms of what's technically called
16 the particle to infectivity ratio, but what that means
17 is how many virus particles there are and how many of
18 them actually work.

19 HIV has a notoriously high particle to infectivity
20 ratio. Estimates being that certainly less than 1 in
21 1,000, possibly less than one in 10,000 and possibly
22 even less than one in 100,000 viruses are actually
23 functional and infectious.

24 So even though you might be exposed to a million
25 viruses, you might only be exposed to ten which could do

1 you any harm and that means, the more exposures you get,
2 the more likely you are to get exposed to one which
3 actually infects you successfully.

4 So that's the chance of infection.

5 The second issue relates to what I said previously,
6 in that HIV is not able, or our immune system is not
7 able to produce a sterilising or protective immunity to
8 stop a subsequent infection.

9 HIV has proven to be so far impossible to develop
10 a vaccine against because it is hugely variable. Every
11 time it replicates it mutates at least once and probably
12 five or ten times.

13 Without being too technical, the virus, as I said,
14 is made up of RNA and there are about 10,000 individual
15 nucleotides making up the RNA of the virus. We know
16 that the enzyme that copies it makes a mistake about
17 once every 10,000 bases, so it makes a mistake every
18 time it replicates. Within an infected individual, even
19 when they are well, they are producing around 10 to the
20 11th, which is 100 billion viruses every day, and they
21 are mutating at the rate I mentioned, which means that
22 in one infected person, every single one of the 10,000
23 nucleotides is being mutated at least once every day.
24 So the variability of that virus is enormous. It also
25 explains why so few of the viruses are infectious to

1 some extent because many of those mutations will be
2 lethal for the virus. They will interfere with some
3 important protein that the virus needs.

4 The second issue which makes HIV so variable is that
5 it can undergo a process of what's called recombination.
6 And again, I apologise for getting slightly technical
7 but within each virus particle the virus carries two
8 copies of its genes. When it's replicating its genes,
9 it can take pieces from either copy to make up the final
10 product. If they are both the same, that doesn't make
11 any difference because what comes out is a bit of each
12 which add together to make the same, but if you have
13 a cell infected with two different viruses, then --
14 I say possibility -- factually what happens sometimes is
15 that the virus picks one of each of those to go inside
16 a virus particle. Then, when the recombination occurs,
17 the resulting virus is a mixture of the genetic sequence
18 of the two apparent viruses it came from and this also
19 makes the virus extremely variable. It's probably more
20 important in variability than the fact that the enzyme
21 makes mistakes.

22 This means that if you are infected once with HIV,
23 you have a family of viruses which develop from that
24 infection and certainly by sexual transmission, you
25 probably only get infected by a small number, a handful

1 of viruses. But you get a family that derive from that
2 handful and rapidly become very large. If you are
3 repeatedly exposed, you are going to be exposed to
4 different variants, and because those variants can
5 recombine, then the resulting diversity of viruses that
6 you can get is going to be even larger.

7 So multiple exposures is a bad thing for increasing
8 the diversity of the virus that your immune system has
9 to encounter, and again this would be something which
10 would not have been obviously predictable from other
11 infections that we knew about.

12 Q. Just to pick up a couple of things to see if I have
13 understood you, professor. The enzyme making the
14 mistake, that leads to a mutation?

15 A. It does.

16 Q. Right. The person's body does manufacture antibodies,
17 it is just that they are antibodies to an old edition of
18 the virus and the virus has moved on?

19 A. Largely, yes.

20 Q. Yes. The phenomenon you have just described about
21 multiple exposures, and I suppose a sort of almost
22 infinite amount of mutation and combination and so on
23 which is going on, does that make the person more ill?

24 A. It means that the variety of viruses that the person
25 will harbour is going to be larger and therefore the

1 risk of the virus mutating to evade the immune defences,
2 and if the person is on treatment, evade therapeutic
3 drugs, is higher. So they will not be more ill, but
4 they would potentially get iller more quickly. So the
5 time period between infection and AIDS may be shorter.

6 Q. In retrospect, would it then have been a good thing to
7 try to reduce everyone's exposure to concentrates,
8 including those people who had the most severe
9 haemophilia and who were taking concentrates perhaps
10 three times a week?

11 A. In retrospect, that's absolutely correct.

12 Q. Yes. Just so that we can finish looking at Dr Evatt's
13 article because it is quite a useful chronology of what
14 happened, he goes on to describe at the bottom of that
15 page a development in March 1983, whereby Hyland
16 licensed a form of clotting Factor VIII, that had been
17 heated in lyophilised form, which we understand to be
18 freeze-dried, and marketed as a product with reduced
19 risk for Hepatitis B:

20 "Unfortunately, clinical studies soon demonstrated
21 that the Hepatitis risk was not eliminated and patients
22 and physicians considered the process ineffective."

23 Just to let you have a look at that paragraph,
24 Professor Lever, do you think that the sort of
25 reservations that physicians had, particularly in

1 relation to what had happened with the Hyland product,
2 were reasonable?

3 A. I think they were understandable; in that different
4 viruses have very different susceptibilities to
5 inactivation procedures. Hepatitis B is particularly
6 tough, difficult to inactivate. It turns out that HIV
7 is actually very easy to inactivate. It's very
8 susceptible. Smallpox is an another example. It
9 survives very comfortably outside the body in blankets
10 and things and it can survive drying outside the body.
11 So there is a complete spectrum of susceptibilities to
12 inactivation in the virus families.

13 Q. One of the theories that's evident from the Internet is
14 that AIDS, at least in some people, has a non-viral
15 pathogenesis and one point that's made is: how could
16 a virus survive freeze-drying? I asked another witness
17 about this and apparently there is no difficulty in the
18 concept of a virus surviving freeze-drying. So it
19 doesn't need, for example, a lot of moisture in order to
20 survive?

21 A. It turns out that HIV would be more susceptible but
22 a number of viruses are designed to survive. If you
23 imagine something like an enterovirus, which infects us
24 and gives us diarrhoea, gastroenteritis, that virus has
25 to survive in the environment, perhaps in fresh water or

1 salt water or on vegetables. So that when you eat it,
2 it is still intact. It hasn't replicated but it is
3 intact. It then has to go down into the stomach and
4 survive an extraordinarily acidic environment, which is
5 actually designed to try and protect us against
6 infections. It then has to go through the small bowel
7 and survive an extraordinarily alkaline environment with
8 lots of enzymes which are designed to break down
9 proteins of which it is made. So some of these things
10 are very tough indeed.

11 Q. Looking back on what's described here about the initial
12 experience with the heated product -- a Hemofil product,
13 I think it was called -- when it was discovered that in
14 fact the hepatitis had not been inactivated and that,
15 I suppose, turned people away from this as being
16 a possible answer to the problem. I mean that really
17 does seem in retrospect to have been very unfortunate
18 because as it turned out -- and there is a study from
19 the Netherlands -- albeit it did continue to transmit
20 hepatitis, it was actually HIV-safe, as I understand it.

21 Just to finish looking at Dr Evatt's article, he
22 goes on to talk about what happened in the
23 Institute Pasteur. You have mentioned this in your
24 report as well, about the isolation of the virus by
25 Barre-Sinoussi and Montagnier. In retrospect, it looks

1 as though not enough attention was paid to the French
2 discovery. You have alluded to this already this
3 morning and said that for some people -- I think
4 yourself included -- it seemed very significant at the
5 time but perhaps not to the mainstream. Would that be
6 correct or is that not the right way to see it?

7 A. I think the fact that they identified a virus in
8 somebody who was clearly a person who had all the
9 characteristics of AIDS, and it was the first plausible
10 one which looked like a category of virus which would be
11 a possible candidate, was very persuasive.

12 The scientific community -- more then than now but
13 certainly then -- was very US-dominated, and it's
14 difficult to say this without sounding as though either
15 one has a chip on one's shoulder or that one is
16 anti-American, and I'm neither of those, I hope, but
17 there was a sense that certainly amongst the American
18 community, unless it had been discovered in America, it
19 wasn't real. That, as a rather trivial example,
20 occurred with SARS, when the Canadians isolated the SARS
21 virus first and the Americans isolated and published it
22 about a week later and the comment in their article was
23 that they were pleased that the Canadian sequence agreed
24 with theirs.

25 So there is that sort of mentality, that unless it

1 had been done in the US, it wasn't real. There were
2 also, and are also, very high profile people like
3 Robert Gallo, who felt that they should be the person to
4 discover this and would have a vested interest in making
5 sure they were the first. Having discovered HTLV-I and
6 HTLV-II, and HHV-6 and HHV-7 by the way. So they felt
7 that they were the people who should do it. So there
8 was, it's thought, resistance to having the French data
9 published and so that was purportedly delayed by
10 reviewers, whom one suspects, were American, and then
11 there was a degree of scepticism about whether this was
12 a real virus.

13 If there is any mitigation about this, the
14 Montagnier-Barre-Sinoussi team were not a group with
15 a long track record of discovering viruses, unlike the
16 Gallo group, which had. So one might have been forgiven
17 a small degree of reasonable doubt, if you like, about
18 whether or not what they had found was real.

19 As we know subsequently, there have been lots of
20 false dawns about viruses as causes of diseases, most
21 recently the retrovirus XMRV apparently being associated
22 with prostate cancer and chronic fatigue syndrome, which
23 excited a lot of publications and turns out to be highly
24 unlikely. So these false dawn publications,
25 particularly perhaps from groups who didn't have a track

1 record, would naturally excite more scepticism than
2 a report from a laboratory with a well established
3 record, which had been proven by others.

4 So there was that sort of atmosphere about it.
5 However, I think objectively at the time, many people,
6 myself included, felt that this was a significant
7 finding.

8 Q. Right. I suppose if one is not going to fall into the
9 post hoc fallacy, there is still a bit missing because
10 it could just be that this new virus has been found in
11 someone who has AIDS and it is an incidental finding.
12 The first one wasn't in doubt -- that a new virus had
13 been found in a patient with AIDS?

14 A. They had found a virus, certainly.

15 Q. I suppose to be fair to Dr Gallo, he did contribute the
16 other part about a year later, where he demonstrated the
17 transmission. Is that right? Perhaps you should
18 explain to us what bit of the jigsaw he supplied.

19 A. It's quite a convoluted story. He also identified
20 a virus and also showed a lot of evidence that people
21 who had AIDS-like syndromes had antibodies against this
22 virus.

23 So that was more compelling circumstantial evidence
24 that the virus was associated with the disease, rather
25 than just finding the virus in somebody with the

1 illness, which, as you correctly say, it could have been
2 a passenger and it could have been a virus to which the
3 real AIDS virus had made this person more susceptible.

4 Q. Right.

5 A. So he contributed a lot from that point of view. Their
6 identification of the virus turned out to be, as I'm
7 sure people have said before, flawed in that it turned
8 out to be the same virus that the French had led them to
9 compare. So it's not clear that they actually did
10 identify the physical virus itself.

11 Q. Yes. As Dr Evatt goes on to say, the story after that
12 is a shorter one, talking about the year between the
13 middle of 1983 and the middle of 1984, and the
14 development both of testing and also of heat-treated
15 products.

16 Although even there we can see that that wasn't
17 entirely straightforward because if we look at the
18 bottom of the left-hand column, we can see that there
19 was a concern about inhibitor formation.

20 But he goes on to say, at the very end, that the
21 AIDS epidemic in the haemophilic patients thus suddenly
22 ceased. That's about ten lines up from the end:

23 "... and subsequent studies of birth cohorts
24 demonstrated that no haemophilic patients born in the
25 USA in 1985 and later were infected with LAV, later to

1 be renamed HIV."

2 But in that period, 1981 to 1984, more than
3 50 per cent of the population of haemophilic patients in
4 the USA had already become infected.

5 Can we put that article to one side, please, and
6 return to your report?

7 I wanted to go back to what was happening in the UK
8 and if we look at 817 onwards, you refer to the meeting,
9 which is actually a meeting at Heathrow Airport,
10 in January 1983. You go on to say that a figure then
11 described one or two cases of AIDS being documented in
12 the UK is probably an underestimate. You personally saw
13 two cases of what was, in retrospect, probably AIDS.
14 The first documented case in the UK of which we are
15 aware, is the one that was reported from the
16 Brompton Hospital, actually reported, I think,
17 in December 1981. Did you actually know of that case?

18 A. The first case I saw was a -- I'm not sure it was the
19 same one but actually it was a patient who was
20 transferred to us when I was working in Northwick Park,
21 from the Brompton Hospital. Because at the time, when
22 I was working on the immunoglobulin concentrates, I was
23 working with Dr David Webster, who was an expert in
24 what's called primary immune deficiency; in other words,
25 immune deficiency that you are born with or you acquire

1 and there is no obvious external cause. That
2 distinguishes it from secondary immune deficiency caused
3 by drugs or cancers or HIV.

4 Because David Webster was an expert in immune
5 deficiency and the treatment of people who had
6 infections related to their defective immune system,
7 this particular individual was transferred from the
8 Brompton Hospital because they had a lung infection,
9 which the people at Brompton couldn't understand and
10 were unable to get on top of, and it was felt that
11 Dr Webster's team might be able to provide some
12 additional expertise and as I say, this is in retrospect
13 almost certainly an AIDS case. It was a person who was
14 widely travelled, homosexual and had an history of
15 weight loss and an unexplained infection.

16 The other was somebody I saw transiently on
17 a paediatric ward who had come relatively recently from
18 either the Southern United States or the Caribbean, and
19 I can't remember exactly, and had been admitted soon
20 after arrival in Britain with an immune deficiency
21 syndrome, which again, in retrospect had the
22 characteristic of HIV. So it may have been that I was
23 just in a place which might have seen more than average
24 but I don't believe my experience was unique.

25 Q. So the second case will have been a child? Is that

1 likely to have been a vertical transmission then?

2 A. I think it probably was, yes.

3 Q. Right. I wanted to go on to ask you about

4 Kaposi's sarcoma, which you discuss in the ensuing

5 paragraph. You say:

6 "It was noted, inexplicably at the time, that the

7 haemophilia population were not presenting with

8 Kaposi's sarcoma, whereas this had been an early and

9 ongoing feature of AIDS in gay men."

10 You now know the answer to that conundrum, which is

11 that it was due to another virus. Is that correct?

12 A. Yes.

13 Q. You were explaining earlier about the nomenclature here,

14 that HHV, human herpes virus -- there is a sequence of

15 them. Is eight the final one at the moment or does it

16 go beyond eight?

17 A. To my knowledge it's eight.

18 Q. Right. So this one -- I think you say HHV6?

19 A. I'm sorry, that's a typographical error.

20 Q. It should be eight?

21 A. Yes.

22 Q. It's eight on the diagram certainly. HHV8 was

23 identified in 1994?

24 A. Yes.

25 Q. Where was that identified? Is that a Gallo discovery?

1 A. Gallo was involved in that as well, yes.

2 Q. You think that therefore the reason why people with
3 haemophilia were not presenting with Kaposi's sarcoma
4 was something to do with the technique for preparing the
5 blood products. Is that correct?

6 A. I think there are probably two or three possibilities.

7 Q. Right.

8 A. One is that that virus may be very poorly transmitted by
9 blood-borne routes, not totally zero but certainly less
10 than HIV. So the amount of virus present in the blood
11 may be far less than the many millions of copies of HIV
12 that one finds.

13 It may be far more easily transmitted by the sexual
14 route, and that would be also plausible because other
15 herpes viruses are transmitted by mucus membrane
16 contact. Classically, herpes simplex type 1, which
17 causes the cold sore, is transmitted mouth to mouth or
18 by saliva and Epstein Barr virus, glandular fever, is
19 known as the kissing disease.

20 So it is quite likely that sexual transmission of
21 KSHV is far more efficient than any other route. And
22 the third possibility is that a product preparation
23 technique may have been enough to inactivate what is
24 a large and also relatively fragile complex virus.

25 Q. Or a combination of the above, I suppose?

1 A. Or a combination of the above.

2 Q. Yes. So blood to blood is not always the best way of
3 transmitting a virus; for some viruses other ways are
4 better?

5 A. Yes. So one can divide viruses up into categories in
6 different ways. Simplistically one can call them --
7 I call them hit and run viruses: things like flu,
8 measles et cetera, which infect an individual commonly
9 by the air-borne route, cause a very florid infection
10 and then have to pass on to a new susceptible individual
11 quickly because that person becomes immune and clears
12 them. And those viruses classically cause very severe,
13 acute disease but once you have had it you are immune,
14 you don't get it again, at least not that variant. Just
15 out of anecdotal interest, those viruses probably didn't
16 come into the human race until relatively recently,
17 5,000 or 6,000 years ago.

18 Then there are viruses which have been with us for
19 a far longer period of time, including those of the
20 herpes virus family, which persist within us for many
21 years and then reactivate from time to time and take
22 what opportunities they can to transmit, either, as in
23 the cases of herpes simplex or glandular fever, by mouth
24 contact or sexual transmission, and those usually have
25 to hide away somewhere and usually cause much less

1 damage because they want to maintain their host alive
2 for as long as possible so they can take the
3 opportunities to transmit.

4 Those tend to be less robust viruses and are more
5 commonly transmitted by either things like sexual
6 contact or blood contact. The former group, the
7 air-borne ones, would not be transmitted by blood
8 contact.

9 Q. Right. Thank you.

10 You go on in your report, Professor Lever, to talk
11 about guidelines in early 1983 and then about
12 Dr Galbraith's recommendation.

13 I just wanted to ask you, Professor Lever, about
14 your comment in relation to Dr Galbraith, that:

15 "From an individual whose approach to the situation
16 is coloured by his infectious diseases background, this
17 is an understandable and rational suggestion."

18 Sorry, I think we need to go on to the next page for
19 that. How new to medicine is the specialism of
20 infectious diseases?

21 A. It's very old, it went through a period of decline after
22 many of the large infectious threats to society were
23 controlled better by antibiotics. So in the 1960s and
24 1970s it was felt that it was not so important. There
25 is a classic comment from the then Surgeon General of

1 the USA in the 1960s to say that infectious diseases is
2 now a closed book. My purpose in putting that small
3 figure into the report at the beginning was to point out
4 that it's not and we are exposed to new infections all
5 the time.

6 Every year since I have been a consultant, there has
7 been at least one new infection which hadn't been
8 predicted before. So they have come into prominence
9 again because of HIV, but actually in the 1960s, 1970s
10 and 1980s, they were less prominent, but historically
11 it's probably one of the oldest if you go back to
12 Hippocrates and his description of fever.

13 Q. Given that, I think what's interesting to us is what
14 happens when a physician treating a chronic condition --
15 and obviously for these purposes, we are talking about
16 haemophilia -- suddenly finds himself or herself
17 confronted with what may be an infectious disease, is
18 there a judgment call as to the period for which he or
19 she continues to look after the patient before involving
20 an infectious diseases physician?

21 A. The answer is there is a judgment call. I think there
22 has been a cultural change in the last 20 or 30 years in
23 medicine globally, certainly westernised medicine, in
24 that between the founding of the National Health and the
25 late 1960s, 1970s and 1980s, there was much more the

1 case of the general physician, the general surgeon, who
2 would treat everything that came their way and there
3 were fewer specialists, and the specialists were
4 specialised in their own area and knew what they were
5 doing and there was less of a proclivity to ask advice.
6 This has changed very dramatically and now
7 multidisciplinary teamworking is really the norm and one
8 would have experts from all disciplines which were
9 pertinent to one's own area. So in a haematology ward
10 round these days, it would be unusual not to find
11 someone who was an expert on infection, either from the
12 microbiology laboratory or from the infectious diseases
13 unit. But that's a relatively recent and obviously very
14 desirable phenomenon.

15 So I think people would in the past probably have
16 tried to manage, unless they really felt they were out
17 of their depth.

18 Q. Do you think pride ever came into it?

19 A. I'm sure pride came into it.

20 Q. A sort of, "I can handle this, I don't need to ask for
21 advice".

22 A. I couldn't possibly say that never happened. We are
23 probably all guilty of that to some extent but I don't
24 think in many cases it's a driving force. I think one
25 also is coloured very much by one's own experience in

1 the field and again, I may as well come to this point as
2 others: the experience that the doctors treating
3 patients with haemophilia will have had will have been
4 of non-A non-B hepatitis or Hepatitis C, with,
5 effectively, a 100 per cent infection rate but
6 a tolerable risk, in that the risk/benefit analysis of
7 giving the person the clotting concentrate versus not
8 giving the clotting concentrate versus what was the
9 outcome of being infected with another chronic virus, or
10 a chronic virus -- or Hepatitis B, come to that -- would
11 be that the balance was in favour of continuing the
12 clotting factor concentrate. So I think one is
13 inevitably coloured by one's own experience and again
14 HIV turns out to be tragically an extraordinarily unique
15 virus.

16 Q. Yes. One of the things that I think we have struggled
17 with actually, looking back to that time, the early
18 1980s -- and it's no doubt impossible even yet to be
19 prescriptive about what should have happened -- is the
20 extent to which there was enough interaction. I suppose
21 the people who had something to bring to the debate will
22 have been, as well as obviously the haemophilia
23 clinicians, infectious diseases specialists.
24 Virologists, would they have been a distinct group of
25 people then?

1 A. Yes, I think Richard Tedder appears in some of these
2 documents and he was a virologist.

3 Q. Epidemiologists?

4 A. Again, people from the Centre for Disease Control in the
5 US and the CDSC in the UK. Epidemiologists would have
6 been involved, yes.

7 Q. This is purely in retrospect but do you think, looking
8 back, that those who were directly responsible for the
9 patients, the haemophilia clinicians, were receptive
10 enough to the information coming from those other
11 disciplines?

12 A. That's a very difficult question because it's
13 a qualitative answer.

14 Q. Yes.

15 A. They clearly heard what was being said because they had
16 meetings which discussed what was being reported in
17 MMWR, at CDSC, at every meeting that I have read the
18 minutes of, then the issue of a blood-borne agent as
19 being responsible for AIDS is raised. So they are aware
20 of it.

21 Whether they were taking enough notice of it or
22 perceiving the severity of the threat, in retrospect
23 clearly they weren't. Should they have been taking it
24 more seriously? In retrospect, they should. It's
25 difficult to get into the mindset of the person at the

1 time in that meeting, when they had a lot of conflicting
2 priorities, which I realise means I have ducked the
3 question.

4 Q. No, it's quite all right, I understand, professor. It
5 might make it slightly easier for you by saying that one
6 haemophilia clinician has said of that time:

7 "We needed a bit less democracy and a bit more
8 guidance from experts."

9 How do you respond to that?

10 A. I think even the experts -- and this includes
11 Dr Galbraith, who, on the face of it, has given an
12 enormously prescient comment -- but even his comment was
13 based on flawed data because at the same time the
14 general consensus was the number of -- well, actually it
15 was soon after, when the antibody testing occurred. The
16 evidence was not there that HIV was 100 per cent fatal,
17 I say 100 per cent. People die of other things while
18 they have HIV, but left to its own devices.

19 So he actually underestimated the risk when he was
20 talking about this, whereas other people were
21 underestimating it more dramatically. Perhaps you could
22 rephrase the question again for me.

23 Q. It was, I suppose, quite a noteworthy comment from
24 a haemophilia clinician of the time that:

25 "We needed a bit less democracy and a bit more

1 guidance from experts."

2 A. I don't think there would have been an expert there who
3 could have justifiably said, "This is what's going to
4 happen," as it turned out. And that doesn't mean,
5 I don't think, that everything that happened was perfect
6 by any means, but I think it was understandable that,
7 never having been confronted by an infection which was
8 100 per cent fatal, infection by which gave you no
9 protection against a second infection and which no
10 individual who was infected ever cleared, all three of
11 those things are unique. So nobody really could have
12 confidently said, "This is what's going to happen with
13 HIV".

14 Q. Yes. Far less gone on to say, "And this is what you
15 must do".

16 A. Again, that would come down to what were the
17 consequences of doing that. That would have been
18 something rather simple such that there was an easy
19 alternative, and the example I would give you is my own
20 sad experience with the intravenous immunoglobulin,
21 where patients were infected with what turned out to be
22 Hepatitis C, but there was an alternative product
23 available and so other people who hadn't been exposed to
24 that were switched to the other product. If there had
25 been an easy option, which people knew had been tried

1 already and was safe, then it would have been easier to
2 do and then one could have said that more dictatorship
3 would have been very helpful.

4 Q. One doesn't get the impression reading a lot of material
5 from that time, or indeed reading more broadly, that
6 doctors take kindly to dictatorship. So one might
7 hypothesise that somebody who had come along and said,
8 "This is how it looks and this is what you must do,"
9 would have been a good thing, but actually in practice
10 would there not have been doctors who would have said,
11 "I reserve the right to make up my own mind and deal
12 with my own patients as I see fit"?

13 A. That has always been the case in medicine, until more
14 recently, when things like financial constraints have
15 been put on the medical profession, restricting what
16 they can do and what they can't do. There has always
17 been a sense, certainly up until recently, that medical
18 practitioners are individual practitioners who do what
19 they believe is the best for their patients.

20 Q. I suppose there is more guidance around nowadays, is
21 there? Is NICE the main type of guidance that doctors
22 have to assist them?

23 A. It's one of a raft of different forms of guidance from
24 specialist bodies like The Royal Colleges for example,
25 providing guidelines, specialist societies that provide

1 guidelines, and the British HIV Association, for
2 example, publishes extremely respected guidelines
3 worldwide on the diagnosis, management and treatment of
4 HIV.

5 Q. How far back does that phenomenon go then? Does it go
6 back into this era or not really?

7 A. They would have been relatively scarce at that time,
8 apart from some well established conditions like, for
9 example, treatment of tuberculosis, where it would have
10 been accepted that you started with at least three drugs
11 of a particular set of classes and everyone would have
12 agreed that that was a sensible thing to do. But there
13 was much less in the way of written guidelines, and, of
14 course, they proliferated with the access to electronic
15 information.

16 Q. Yes. Just to go back to Dr Galbraith and his
17 recommendations, we know, because we have seen the
18 documents, what happened to his suggestions. We know
19 there was a paper which he prepared and sent to the DHSS
20 in May, and then the meeting of the biological
21 subcommittee of the Committee on Safety of Medicines was
22 scheduled for 13 July 1983, and even in preparation for
23 that there was a suggested agenda and, I think,
24 actually, suggested decisions, suggested disposal, of
25 his recommendations.

1 It's difficult to avoid the impression that there is
2 a bit of a logical flaw in the thinking, however,
3 because much of the decision not to act on his
4 suggestions seems to relate to questions of supply and,
5 given that the task for the committee was to decide on
6 the safety of these products, at first sight it's
7 difficult to see that whether a product is safe depends
8 on whether there is an adequate supply of alternatives.
9 Surely it's either safe or it isn't.

10 A. It's a risk/benefit analysis, in that it's not safe to
11 run across the road blindfold but that depends on
12 whether it's midnight or it's the M1. So something can
13 be unsafe but not unsafe enough to warrant a drastic
14 change in policy, something can be terribly unsafe, in
15 which case it would warrant a drastic change in policy,
16 and I think the argument comes down to what was the
17 level of unsafeness, or the perceived level of
18 unsafeness.

19 Q. Right. But how is whether we have an adequate supply of
20 alternative treatments relevant to that?

21 A. I'm sure the haemophilia specialists, who know more
22 about it than I do, would be able to tell you about the
23 change in lifestyle and morbidity and mortality that the
24 factor concentrates had given to the patients with
25 haemophilia, and the extension of life expectancy over

1 a relative short period of time by their introduction is
2 very dramatic. So that relates directly to the
3 availability of the supply.

4 Q. Yes. So you would see the exercise before the committee
5 in July 1983 as entirely a relative one, looking at
6 relative safety and looking at a comparison between
7 maintaining the treatment or withdrawing the treatment
8 and leaving people to cope as best they could, going
9 back, I suppose, several decades?

10 A. I think Dr Galbraith, quite correctly, expected it to be
11 a discussion of safety from his point of view, which was
12 the infection risk, but, because he is not somebody who
13 is involved or was involved in the administration or
14 management of individuals were haemophilia, it would
15 come down to the relative safety of an infection of
16 completely unknown severity at that time. Although
17 people knew that those who got AIDS-like syndrome died,
18 nobody knew how many people who got HIV went on to get
19 AIDS. So it would have been a balance between the
20 safety of that which was unknown against a known risk of
21 committing the haemophilia population to having no
22 factor concentrates.

23 Q. There seems to be a sort of awareness that Dr Galbraith
24 personally was dismayed by the outcome of his letter and
25 the meeting in July. Do you have any knowledge of that

1 or is that purely anecdotal?

2 A. It's anecdotal. I have no personal knowledge.

3 Q. Right. In the early 1980s, when doctors were

4 considering what might be going to happen with AIDS,

5 particularly in patients with haemophilia, do you think

6 there was any sort of read-across from non-A non-B

7 hepatitis? By that I mean that it certainly seems to

8 have been established by the middle of 1982 that the

9 products, whether commercial or National Health Service,

10 all seemed to transmit non-A non-B hepatitis. Was that

11 in any sense a precedent for what might be going to

12 happen with AIDS?

13 A. I would be surprised if people had not looked on it that

14 way because that was the experience of what may have

15 been, or turned out to be, or probably was, in most

16 people's minds a chronic virus infection which had been

17 transmitted, and one is always heavily influenced by

18 one's most recent experience, for example, if you like,

19 the over reaction to influenza last year compared to the

20 under reaction the year before. So one is very much

21 influenced by the most recent event that occurred and

22 there may have been a sensation of it's just another

23 virus or it's possibly just another virus and the non-A

24 non-B is something we have been able to cope with.

25 Q. Yes, I suppose the mistake part -- and you have

1 mentioned this several times -- is that the virus may be
2 destined to have a very wide prevalence or to affect
3 a large number of people, but the missing part is how
4 many of those people are going to become very seriously
5 ill. I suppose at this time that wasn't really at all
6 clear. Is that correct?

7 A. That depends on being able to detect infection when
8 there are no symptoms and that depends on the
9 availability of a reliable test, either for an antibody
10 response in the individual or for a direct detection of
11 the virus itself. If you can do a survey of people, as
12 happened later, and find that everybody who develops an
13 immune response against a particular agent gets better,
14 or everybody doesn't get better, or 50 per cent of
15 people get better and 50 per cent don't, then you can
16 make much better predictions as to what's going to
17 happen.

18 Q. Right. You have referred to the sort of investigations
19 which might at the time have been thought to be helpful.
20 If someone at that time had imagined that they had
21 a group of patients who were perhaps at risk of
22 developing AIDS and decided to study the immunology in
23 those patients, would that have been something that
24 would have been understood as a helpful investigation?

25 A. To a large extent that was done, in that, with the

1 relatively limited sophistication of immunology at that
2 stage, people were able to look at the different types
3 of white cell, which are part of the body's defences,
4 and in particular the lymphocytes and in particular the
5 different classes of lymphocytes, and it was observed
6 that the lymphocytes carrying a protein on the outside,
7 called the CD4 molecule, which are normally present in
8 a higher abundance in the circulation than those which
9 carry a protein called the CD8 molecule, actually had
10 been depleted or declined and that that correlated
11 strongly with the development of infections related to
12 immunodeficiency, and this was to some extent already
13 recognised as being apparent in some cases of
14 drug-induced immunodeficiency. So people had been able
15 to identify that there was a phenomenon which would be
16 interpretable as an immunological defect, even though
17 they didn't have a specific test for the virus or for
18 the antibodies against the virus.

19 Q. It seems from what you say in your report -- there is
20 a paragraph numbered 8.25, although I think that
21 reference is actually to 8.25 in the preliminary report?

22 A. All of those are.

23 Q. -- that really the preponderance of opinion by the
24 first part of 1983 -- this is, I think, in truth
25 May 1983 we are talking about -- was that a virus was

1 the most likely culprit and you have spoken a bit about
2 a particular letter from the Haemophilia Society.
3 I don't think we need to look at that; we are quite
4 familiar with its terms. But this:

5 "AIDS has not been proven to result from
6 transmission of a specific agent in blood products."

7 Do you think even at the time, Professor Lever, this
8 was pitched in too reassuring a manner?

9 A. It's trying to put oneself back in time again. There
10 were competing hypotheses as to what was causing the
11 immunodeficiency, some of which had quite powerful
12 advocates. I think, as I said before, the balance of
13 opinion or the balance of evidence was in favour of an
14 infectious agent at that stage. However, as one knows,
15 the amount of distress and concern and worry, sometimes
16 unnecessarily, that you can induce in people by raising
17 the fear of an infectious agent in something like
18 a blood product would be undesirable unless it was
19 absolutely certainly the case, or as near certain as you
20 could be that that was the case.

21 I think people would not necessarily have been very
22 understanding had this turned out to be a false alarm
23 and individuals had either bled or died by withdrawal of
24 the clotting factors and then it having been found that
25 there was not the threat which had been assumed.

1 Q. Can we think a bit more about what we have been calling
2 the "antigen overload hypothesis" and that we understand
3 to have been a competing theory? I think you mention
4 this in the next section. You say:

5 "The theory about repeated infusion of foreign
6 protein is raised. Lancet paper from Edinburgh
7 published."

8 We have already talked about this. I think this had
9 been around since the first reports really, or very
10 shortly after the first reports. But would I be right
11 in thinking that the antigen overload hypothesis would
12 have had to explain what was going on in these very
13 different groups of people: in homosexual men, in the
14 child with the platelets transfusion and in people with
15 haemophilia, and so it would have to explain all these
16 events, and I suppose it might also be a bit puzzling
17 why it was all happening now or around much the same
18 time? Do you think these factors really pointed away
19 from the antigen overload hypothesis?

20 A. I think all those points are exactly right. One could
21 create a plausible argument. We know from immunology
22 that you can become tolerant to something which
23 otherwise would trigger an immune response and that also
24 depends on which route you are exposed to it. For
25 example, we eat proteins every day and we don't develop

1 antibodies to them. But if we injected those same
2 proteins into the blood, we would produce a very, very
3 florid immune response. So the route with which one
4 encounters the same molecule can make a very, very large
5 difference to how your immune system sees it because the
6 immune system is set up to recognise not only what is
7 you and what is not you, so it can fight the things
8 which are not you, but whether what is not you is
9 dangerous or whether it is not dangerous, and part of
10 that is which way did it get in.

11 THE CHAIRMAN: I wonder -- sorry, finish first. I would
12 like to come back to the question. Have you got more to
13 add that point?

14 A. I have some more to add to that, if that's ...

15 THE CHAIRMAN: Yes, please.

16 A. So in individual cases one could argue that excessive
17 exposure to proteins found in sperm, for example,
18 through a route which is known not to be particularly
19 robust, which is the gut, the lower gut, the anal canal,
20 might trigger some sort of aberrant immune response. We
21 can manipulate the immune system. We can desensitise
22 people to bee stings, for example, by giving them more
23 and more of a protein so that the immune system gets
24 fooled into thinking it's okay and it doesn't have to
25 make a response. So the idea that one could suppress

1 the immune system by delivering proteins by a route they
2 didn't normally go in was a plausible thought.

3 But all the examples of that sort of tolerance or
4 lack of immunity are very specific. When you tolerise
5 somebody to bee stings, they are not tolerant to wasp
6 stings, so giving a particular protein by a particular
7 route might be expected to suppress your immune response
8 to that protein but not to every protein. It would be
9 difficult to put that together with tolerising your
10 immune system to suddenly becoming unable to recognise
11 multiple different infections.

12 Although you could argue that this is a previously
13 unexperienced way of doing things, like putting a lot of
14 foreign protein into the blood or exposure to a lot of
15 foreign, at least non-self, protein by an abnormal
16 route, there wouldn't be a good precedent for that
17 causing a generalised reduction in your immune
18 competence.

19 The biggest exposure to foreign proteins that humans
20 ever get is pregnancy, where a mother has got a baby
21 inside who is half father's proteins. The immune system
22 does fantastic things to prevent the mother rejecting
23 the baby. There is a level of suppression of the immune
24 system there but even so the mother does not get AIDS.
25 The mother is able to respond to everything other than

1 baby proteins and can fight infections adequately.

2 So the protein overload hypothesis, although it's
3 plausible from the point of view of we won't know what
4 this might do because we haven't done it before, there
5 wasn't a good biological precedent for that.

6 THE CHAIRMAN: I wonder if I might just take up this point
7 a little by looking at the context. The use of
8 concentrates really only began to get into its stride in
9 the United Kingdom in the middle 1970s, and that's
10 possibly pushing it back a little for most people; it
11 would be the middle to second half of the 1970s anyway.
12 When the Edinburgh study was published, I think in 1983,
13 looking back a year or two to the data, one had, perhaps
14 for the first time, a history of exposure of haemophilia
15 patients to concentrates as a significant element in the
16 background facts and circumstances.

17 The other factor that I think one identifies in the
18 literature around about that time is this distinction
19 between AIDS-like conditions in haemophilia patients,
20 characterised by PCP, and the wider range of adverse
21 factors emerging in the homosexual population,
22 Kaposi's sarcoma in particular.

23 So people looking at the data might have had a very
24 particular focus in mind. Do you think that that could
25 help explain the approach that was adopted? Might have

1 persuaded them of one possible answer, until, of course,
2 the virus is eventually characterised?

3 A. Is the implication that the alternative hypothesis may
4 pertain to different populations in different ways?

5 THE CHAIRMAN: Yes.

6 A. I think again that's plausible because of the difference
7 in the phenotype, the appearance of the disease, because
8 of these different manifestations and exposures.

9 So I would agree.

10 I would just go back to what I was saying before, in
11 that within the proteins which were being administered,
12 it is likely that there were contaminating proteins --
13 because it's never a perfectly pure protein production
14 unless it is recombinant -- which had come off immune
15 cells. If my recollection is correct, there were
16 believed to be some distortions in the levels of the
17 different types of lymphocytes just from exposure to
18 lots of proteins, so again that would add a little bit
19 of weight to this idea that a protein exposure overload
20 was pertinent in the haemophilia population, together
21 with the phenotypic differences seen in the different
22 conditions.

23 THE CHAIRMAN: The context, I think, you are very well
24 aware, is that I have to be extremely careful not to use
25 hindsight to be critical of opinions expressed at the

1 time, and so I think it is important to explore the
2 rational basis, as it were, on which particular
3 hypotheses could have been advanced, especially when
4 very short periods of time are involved in the emergence
5 of new data that undermine the previous expressions. So
6 that's why I'm worried about it.

7 MS DUNLOP: I suppose it's very complex reasoning,
8 professor, because if the big picture is that different
9 groups of people or different individuals are suffering
10 collapse of their immune systems -- so gay men, this
11 infant who has had a platelets transfusion, people with
12 haemophilia, intravenous drug users, people from Haiti
13 and so on -- I suppose you are building in an assumption
14 right from the start if you think you are looking for
15 one explanation. But perhaps as a matter of logic, the
16 fact that the collapse of the immune system is happening
17 in all these disparate groups maybe does suggest that
18 there is one explanation rather than a different
19 explanation for everybody, does it?

20 A. I think you could argue either way, in that you can
21 become immune-suppressed in all sorts of different ways,
22 as I mentioned before, if you are given drugs that
23 suppress your immune system or you develop advanced
24 diseases likes cancer. So those individuals also would
25 potentially develop an AIDS-like syndrome.

1 We see the same susceptibilities today in people
2 treated with some of the newer agents which are designed
3 to knock the immune system down rather more
4 specifically, to treat things like arthritis; they
5 become susceptible to rather specific infections.

6 So I think one could argue it either way. There may
7 have been a common thing or there may have been multiple
8 ones. I suppose one of the more compelling things was
9 the timing, in that all this was happening at the same
10 time. So, to invoke multiple different causes as
11 coincidentally hitting different groups of the human
12 race within the space of a few years is more pointing in
13 the direction of a commonality of origin.

14 Q. Yes. Actually, Drs Tedder and Barbara, both
15 virologists, when they published on this, on viral
16 infections transmitted by blood products, they comment
17 that it's unlikely that there had been an illness, an
18 AIDS-like illness in people with haemophilia, caused
19 simply by antigen overload but unremarked in the years
20 leading up to 1982/1983. I suppose it couldn't be
21 impossible because it could be that it had taken the
22 period from the introduction of concentrates until 1982
23 for it to become apparent but it still would have been
24 quite a long time to have passed without noticing
25 anything.

1 A. Although the parallel is, of course, with HIV itself,
2 which can take 12 years from infection to causing
3 visible manifestations of disease, which is again
4 one reason why the iceberg was not apparent for many
5 years.

6 So I think you could again argue that either way,
7 that if it was a very slow attrition on the immune
8 system, caused by repeated exposure to protein, then you
9 might not expect to see it very soon after the early
10 administration. The immune system does, as in
11 desensitisation therapies, take quite a long while to
12 learn things.

13 THE CHAIRMAN: Professor James is encouraging me to back off
14 from one aspect of my hypothesis by pointing out that
15 one shouldn't look at the use of concentrates in the
16 United Kingdom as the test since it's quite clear they
17 were used earlier in America and it was there that the
18 phenomenon emerged. Perhaps that's the right focus
19 rather than Britain. The period is rather longer than
20 I think I was suggesting to you.

21 MS DUNLOP: I suppose, sticking with the idea that all of
22 these things are happening at once, we are really back
23 to the same exercise that we spoke about a short time
24 ago of whether you are looking at the totality or
25 whether you are saying can I explain away these

1 different phenomena in different ways.

2 So the child, the case in the infant, again you
3 would have to postulate that this child, what, has
4 either been born with an immune defect or has in some
5 way suffered some sort of immunological damage by being
6 transfused with platelets from 19 donors? Would that be
7 the possibilities there?

8 A. Yes. To some extent a very, very young child,
9 a new-born, months old, is not something to hang a whole
10 case on because some 2 per cent of children are born
11 with some oddity about them, some minor difference from
12 the average. There are well documented cases of immune
13 deficiency. One in 1 million boys is born with no
14 antibodies. The bubble babies; that's slightly rarer
15 but they do exist.

16 So one doesn't know the full background of that
17 individual, at least not as I'm aware of through the
18 literature.

19 Q. Right. The case was written up. We can perhaps check
20 this over lunchtime but perhaps at least the first of
21 the possibilities, that the child was born with some
22 sort of congenital immune defect, might have been
23 considered by those who wrote up the case. So perhaps
24 that's something worth checking.

25 When you talk about the foreign proteins which

1 people with haemophilia were essentially taking in with
2 the injections of concentrate -- I think we can perhaps
3 encapsulate it by quoting from one of the haemophilia
4 clinicians, who said in his evidence:

5 "We are not designed to accept proteins in that
6 magnitude intravenously."

7 He had calculated that, for a severe haemophiliac,
8 over a lifetime that person might take in a kilogramme
9 of foreign proteins intravenously with his doses of
10 concentrate. I think the question that strikes
11 a layperson is: was that treatment ever a good idea?

12 A. I suspect that the doctors treating the haemophilia and
13 the haemophilic patients would say it was because of the
14 documented increase in longevity and improvement in
15 quality of life, but one also has to say that, assuming
16 that every protein we make ourselves is perfect is not
17 true. So, for example, the cystic fibrosis protein that
18 we all make and we are supposed to make properly, only
19 about 2 per cent of it folds up properly. So we make
20 all sorts of junk protein ourselves. So we are exposed
21 to slightly more abnormal proteins of our own design, if
22 you like, and if you are administering that much protein
23 to prevent coagulation, the calculation must also be
24 made as to how much protein that individual themselves
25 would have made over that time. One suspects it would

1 be quite a large amount, perhaps not a kilogramme
2 because it would have worked slightly better but the
3 individual would have been exposed to something which
4 was biologically very similar, admittedly released in
5 smaller amounts. But Factor VIII is a naturally
6 occurring protein, which we all make, so it's not
7 something which is a foreign protein you would expect it
8 to make an immune response to.

9 THE CHAIRMAN: I think there is also the difficulty that the
10 kilogramme proceeds on the basis of a normal life
11 expectancy, whereas, without the therapeutic products,
12 life expectancy might have been very much shorter?

13 A. Yes.

14 THE CHAIRMAN: So there is the trade-off pretty well
15 inherent in the risk that, without the proteins, you do
16 not survive; with them you accumulate the dangerous
17 levels that are identified?

18 A. Yes.

19 THE CHAIRMAN: Should we stop at that?

20 MS DUNLOP: Yes, I think that's --

21 THE CHAIRMAN: If you have got some good reason --

22 MS DUNLOP: It was just the figures. I'm sure

23 Professor Lever is very aware of the figures but I think
24 in the Annals of Internal Medicine article it's perhaps
25 best expressed, [\[LIT0010047\]](#).

1 This is the calculation that's done at the bottom of
2 that editorial. Do you see the sentence beginning,
3 "Each lot ..."? If you took the upper end of that, each
4 lot containing material pooled from 22,500 individual
5 donations, the average patient needing five to ten
6 separate lots every year, the authors say that:

7 "A Person with severe haemophilia using clotting
8 factor concentrates is potentially exposed to tens of
9 thousands of donors per year."

10 Actually, without too much difficulty, you could get
11 hundreds of thousands of donors a year as a possibility.
12 I think that's really why I put it to you that,
13 expressed like that, I suppose one wonders as
14 a layperson whether that wasn't perhaps going to lead to
15 results which might not be favourable in a different
16 direction. You are solving one problem but perhaps
17 creating others?

18 A. I think, if you look at numbers, they are big numbers.
19 I don't know the exact figures but our kidneys filter
20 about a kilogramme of salt every day or something like
21 that, so we do deal with lots of things. But the issue
22 here is, what you are doing with this clotting factor is
23 restoring a requirement for clotting factor, which
24 presumably is the equivalent of what the person
25 themselves would have made had they not been a sufferer

1 of haemophilia. You are not overdosing them with
2 a protein; otherwise, they would clot far too much.

3 So the numbers look big but that must reflect
4 a physiological requirement for that amount of protein.

5 Q. I suppose I had understood, though, that there were
6 contaminant proteins, particularly in the low and
7 intermediate purity products, which one couldn't get rid
8 of and therefore had to take on board alongside the
9 required protein?

10 A. No, I agree with you entirely there that what else is in
11 there is obviously going to be multiplied equivalently
12 because of the number of donor and so that is
13 a reflection of what else might be in there is
14 significant. The amount of clotting factor per se is
15 presumably what the person requires.

16 Q. Yes. But I suppose, just to round this off then, we are
17 back to risk/benefit, and the ingestion of that amount
18 of additional material is perhaps best understood by us
19 as having been seen as a price worth paying.

20 A. Because one assumes the amount of clotting factor being
21 given was the minimum that was required to sustain
22 normal clotting.

23 Q. Yes. Thank you, sir.

24 THE CHAIRMAN: Thank you very much.

25 (1.06 pm)

1 (The short adjournment)

2 (2.00 pm)

3 THE CHAIRMAN: Yes, Ms Dunlop?

4 MS DUNLOP: Professor Lever, we need to go back to your
5 report, [\[PEN0150517\]](#) again, please. Could we go over on
6 to the next page? That section, professor. The
7 paragraph beginning:

8 "The period of May and June 1983 ..."

9 Just to flesh out what you say at the end, the fact
10 that AIDS has been diagnosed in a UK patient with
11 haemophilia, could we have [\[DHF0014349\]](#), please?

12 We have looked at this before in the hearings but
13 the particular section that's of interest is obviously
14 the middle one, the heading "Acquired Immune Deficiency
15 Syndrome, Cardiff." This is a bulletin for the week
16 ending 6 May 1983.

17 We have had some debate, Professor Lever, about how
18 this should have been seen but it certainly looks as
19 though, from the perspective of the Public Health
20 Laboratory Service, who are producing this bulletin,
21 this was seen as a case of AIDS in a patient with
22 haemophilia.

23 I think it might be possible, looking at this now,
24 to split hairs and say, "Well, should it have been?"
25 But I think firstly, at the time it was seen as a report

1 of AIDS in a patient with haemophilia and indeed from
2 subsequent notes, it looks as though this person
3 actually did die.

4 I imagine that this is the episode that you had in
5 mind when you referred to AIDS being diagnosed in a UK
6 patient with haemophilia, this report from Wales?

7 A. That was the one.

8 Q. Yes. It's perhaps interesting that this is around the
9 time when Dr Galbraith penned his letter. The date of
10 it is actually 9 May. So although it's speculation, it
11 would seem to be reasonable to imagine that it was in
12 his mind when he wrote his letter?

13 A. Yes, it may very well have been.

14 Q. Yes. Can we go back to Professor Lever's report,
15 please, that paragraph that begins:

16 "By July of 1983 ..."

17 You refer to there being no motivation in the UK or
18 the US to withdraw concentrates. Then you go on to say
19 that:

20 "There was informed discussion amongst the medical
21 fraternity but mixed messages being presented to the
22 public, with some comments designed to reassure
23 appearing rather overly optimistic."

24 I just wondered, from where comes the desire to
25 reassure? Is that something that at the time will have

1 been pretty fundamental to doctors?

2 A. I think it goes back to the issue I mentioned previously
3 of not wishing to panic people unnecessarily. And until
4 there is an absolute consensus there may have been
5 a feeling that it was wiser not to be seen to be
6 spreading alarm and despondency without solid data. And
7 at that stage, although I say that the weight of
8 evidence is in favour of a transmissible agent, we are
9 still in the state where we don't know what proportion
10 of people carrying that agent get the disease and we
11 still have the precedent of the non-A non-B hepatitis to
12 go on. So that may have been in people's minds as well.

13 Q. I think one of the things that we have wondered is
14 whether there wasn't perhaps a middle way of
15 communicating that doctors didn't know, or would that
16 have been seen as unsatisfactory in that era as well?

17 A. I guess, like many professions, there is a slight
18 reluctance, when you have a body of individuals who put
19 a great deal of trust and faith in you to just say you
20 haven't a clue. It may have been more of a prevalent
21 culture at that stage that the medical fraternity felt
22 they ought to know or to appear to know more universally
23 than perhaps now, although I can think of individuals
24 who are the same now.

25 Q. You can think of individuals who are the same now?

1 A. Yes.

2 Q. All right. In the sense of being very unwilling to
3 confess ignorance?

4 A. Yes.

5 Q. Right. Just reading down through your comments there,
6 you say there was a disparity in the message being given
7 by the UK health departments and the Scottish Office.
8 I'm not sure if that's a disparity between the two
9 departments. Maybe it would be better if we looked at
10 the preliminary report to get the context of that.

11 If we go to 8.47, please, that's in book page 201.
12 I think this is this whole section about the autumn of
13 1983. Are you pointing up the fact that there was
14 a slightly more focused message coming from those
15 responsible for blood transfusion?

16 A. I think I'm just pointing out that there was clearly
17 still a level of uncertainty but this translated into
18 a mixed message coming out, which had people who were at
19 the point of receiving the blood products getting both
20 minutes. It would have been clear that people didn't
21 know the answer and that there was confusion amongst the
22 authorities. And I think it was an unfortunate
23 correlation that those two messages came out at about
24 the same time. I don't think it would have helped
25 people's understanding of the sort of problems that were

1 being looked at at the time. I think the modern-day
2 phrase is "joined-up thinking", but it was not very
3 good.

4 Q. We did put to someone, one of the consultants in the
5 Blood Transfusion Service, the proposition that, as you
6 say, it doesn't really look like joined-up thinking to
7 have people responsible for the treatment of patients
8 with haemophilia saying reassuring things at the same
9 time as the blood transfusionists were saying, "Can AIDS
10 be transmitted by transfusion of blood and blood
11 products? Almost certainly, yes."

12 That really is slightly paradoxical?

13 A. There was a previous comment, I think, in my report
14 where the issue of the risk to the people working in the
15 Protein Fractionation Centre had been raised as well at
16 the same time as there being a hypothesis that it wasn't
17 an infectious agent, it was stated that possible
18 carriers were being screened as though the implicit
19 assumption was that there was an infectious agent.
20 I think the same applies there.

21 Q. Then you take us through what is this section of the
22 report, about what happened in the autumn of 1983, and
23 then you go on to comment -- and I think we need to go
24 back to your report, please -- that this period gives
25 the appearance of some lack of coherence and

1 organisation and there was also delay in providing
2 information to potential blood donors in the form of
3 leaflets. So is the lack of coherence and organisation
4 just what we have been saying about there not being
5 joined-up thinking between, say, those who are
6 responsible for the collection of blood and those who
7 are responsible for treatment with blood and blood
8 products?

9 A. That was relating to the persistence of different
10 theories as to the causation.

11 Q. Yes. It is interesting, though, Professor Lever, to
12 find that the proposition that the explanation is
13 something other than an infectious agent appears to be
14 being believed most strongly by those in the group of
15 haemophilia clinicians, whereas people who are thinking
16 this is an infectious agent tend to be more infectious
17 diseases specialists or people responsible for
18 collecting donated blood, for example. Is there
19 a degree of emotional input in what people want to
20 believe, do you think?

21 A. I know there must be. It is very difficult not to have
22 your opinion about what might be the consequence of
23 a particular theory influencing your belief in what the
24 causation was. So I think it would be very human to
25 want to be as persuaded as possible that what would be

1 a very radical course of action for you was as solidly
2 proven as possible.

3 Q. Yes. You refer in that second sentence to there being
4 delay in providing information to potential blood donors
5 in the form of leaflets. I wonder, looking back, when
6 do you think moves should have made to provide
7 information to potential blood donors, taking, as we
8 know, that it was really the summer of 1983 when
9 leaflets began to be published and distributed, although
10 somewhat patchy, I think, across Scotland?

11 A. I think that was the issue, that there was an
12 inconsistency in distribution as far as I can tell, in
13 that some areas were getting leaflets and some weren't,
14 and that reflected again, as far as I can tell,
15 different individuals, different perceptions of what the
16 real risk was.

17 That was not just the perception of the risk but
18 also the perception of the effect the information might
19 have on potential donors. The issue of suggesting that
20 people who might be at risk of HIV because of their
21 lifestyle withdrawing from donor status would
22 potentially have led to difficult situations in the
23 actual blood donation centre, where somebody would read
24 the advice then get up and walk out, or would read the
25 advice and decide they didn't want to be observed as

1 standing up and getting out and go ahead and give their
2 blood anyway. And in the absence of a screening test,
3 then that would be almost counter-productive.

4 So I can see there are well-worked arguments as to
5 how information, when the information available was
6 incomplete, was not actually better than some
7 information. But I still think there should have been
8 a uniformity about the distribution of information.

9 Q. Yes.

10 A. With the caveats as to what was known and what wasn't
11 known.

12 Q. Right. You go on to describe some serious viral
13 infections of the 1960s and 1970s but you say that high
14 mortality tended to be associated with what were,
15 I suppose, highly visible viruses. You know, people
16 were ill almost immediately and you could almost see the
17 outbreak with your eyes, but this was very different,
18 I think.

19 A. It goes back to the concept I mentioned of the hit and
20 run virus that kills people and then goes on to somebody
21 else, whereas viruses which survive a long time inside
22 you tend not to; the exception being viruses which have
23 recently crossed species and moved into a new species,
24 as had this one, where the mortality tends to be higher,
25 whether or not it's an acute hit and run or whether

1 it's a chronic infection but once again, HIV presented
2 a uniquely terrible phenotype.

3 Q. Can we go back to getting a little bit more information
4 about the effect that the virus has on different
5 individuals. You have told us about long-term
6 non-progressors or elite non-progressors, if that's
7 correct. If we move on to people who do become ill,
8 what now would be regarded as really the maximum length
9 of time between seroconversion and someone becoming ill?

10 A. If we put aside the elite and the long-term
11 non-progressors, it's difficult to actually say what
12 that data is now because of the widespread access to
13 anti-retroviral therapy but at that stage, the overall
14 average was five to ten years, I suppose, for an adult,
15 and shorter for a vertically transmitted infection.

16 But that distribution covers an enormous range of
17 different factors.

18 Q. I don't want to get drawn into discussing this in any
19 detail, not least, professor, because we didn't ask you
20 to address it in your report, but it did strike us, when
21 we got the statistics from the different hospitals, that
22 there is a very much better survival from the children's
23 hospital. So the children with haemophilia who acquired
24 HIV, the majority of them are still alive, which is very
25 far from so with the adult centres. Do younger people

1 tend to do better?

2 A. The virus is something that kills cells of the immune
3 system, in particular the lymphocytes, which
4 I mentioned, the CD4+ lymphocytes, and in fact it was
5 the data from the patients with haemophilia that showed
6 us that young people do do better because the disease
7 effectively arises when your lymphocyte population is
8 exhausted. Put in a rather prosaic way. Younger people
9 have a much larger reserve of lymphocytes and bone
10 marrow to keep them going longer. So the older you are
11 when you acquire HIV, untreated, the shorter would be
12 your time from seroconversion to developing
13 immunodeficiency.

14 Q. Do younger people have a greater capacity to regenerate
15 lymphocytes as well?

16 A. Yes.

17 Q. Can I ask you something else which has, I think, led to
18 a difference of view and we need you, I think, to settle
19 the debate. It's paragraph 8.207 in the preliminary
20 report, which is page 246 and is I think page 61
21 [\[LIT0012479\]](#) in court book.

22 Both in paragraph 207 and paragraph 211 there is
23 mention of the amount of product which patients
24 individually had. 8.207, there is a quote from an
25 article that the authors of a particular piece had

1 tentatively suggested that there was a relationship
2 between the amount of Factor VIII transfused and time to
3 seroconversion:

4 "Were that so, it would emphasise the association
5 found previously with the amount of the contaminated
6 batch used by these 18 which was larger than that used
7 by the other 14 patients who remain seronegative."

8 That's the first reference. Then could we go on to
9 the following page, to 8.211. There is an extract,
10 a quote, from another article that says:

11 "In relation to the 14 patients who were transfused
12 with a particular contaminated batch of product, they
13 received significantly lower doses of this batch of
14 Factor VIII and therefore may have received no virus or
15 only very low doses, which were unable to establish
16 infection."

17 I think this links back to something you were saying
18 this morning about the mechanism of infection. In very
19 broad terms, is the explanation for the fact that there
20 were 32 patients who were given the contaminated batch
21 and 18 of them acquired the virus and 14 didn't, likely
22 to be dose-related, is it?

23 A. The ones who were infected had batches with live virus
24 in, or enough live viruses to cause infection and the
25 ones who didn't get infected were fortunate enough to

1 get batches in which there was virus but it was
2 non-infectious.

3 Q. Could this all have been attributable to one donation?

4 A. Yes.

5 Q. And what about the proposition that the implicated viral
6 strain appeared to be particularly virulent. That's
7 obviously a comment of its time but looking at that now,
8 is that a phenomenon that you would recognise?

9 A. In experiments in primates there have been particular
10 viral strains which have induced an AIDS-like disease
11 more rapidly than others. So there does appear to be
12 a variation in the virulence of viruses in experimental
13 conditions.

14 There are certainly viruses which are with less
15 virulent. There is a very well documented series of
16 individuals in Australia who are infected by blood
17 transfusion, almost certainly from a single donor, who
18 stayed well for many years and that virus was shown to
19 have a mutation in one of its essential proteins and
20 didn't replicate very well. So that was a much less
21 virulent virus, although that's a rather unusual
22 circumstance and it is not one that has been seen,
23 although the same thing has been produced experimentally
24 in the primate model. Because the virus mutates so
25 much, the concept of a very, very virulent virus versus

1 a very, very non-virulent virus is not quite as relevant
2 because the virus can change so rapidly, and so if being
3 virulent was something that benefited the virus, it
4 would do it in everybody.

5 So I don't think that there is good evidence in
6 humans that very rapid progression is to do with
7 particularly virulent viruses. If it is, I think it's
8 a factor and not necessarily the major factor. I would
9 suspect what was as relevant, if not more, was the
10 immunological competence of the host. Certainly your
11 point about somebody being older getting illness more
12 rapidly: people who have had multiple exposures to other
13 agents, such as non-A non-B hepatitis, may also have
14 additional risk factors and there may have been other
15 things we don't know about in these individuals' genetic
16 make-up.

17 Q. Yes. We have seen one of the particularly challenging
18 articles refers to, I think, HLA haplotype as being
19 associated with a particular progression of disease.
20 That's a particular genetic make-up, is it?

21 A. Yes. So in brief, the HLA proteins are proteins which
22 we have on the surface of our cells and they display in
23 them in a little groove, samples of the proteins we have
24 inside our cells. So that our immune system can see
25 whether there are virus proteins inside our cells

1 because there will be a little bit of virus protein
2 stuck on the outside of our cells, and because we are
3 all very, very genetically different, some of us are
4 more able to resist infections because we have a group
5 of proteins which are better able to present some of
6 these virus peptides than other people do. But we are
7 all variable. So some of us are good at some things and
8 some of us are better at others. There is the odd
9 person who gets chicken pox twice, for example, most of
10 us only get it once. It's that sort of difference in
11 our immune capable.

12 So there are probably not two individuals who would
13 have exactly the same response to any infection, unless
14 they are identical twins. So there will be groups of
15 people -- and the HLA type is the most significant
16 variable -- who are more likely to get infection moving
17 to disease more rapidly and others who are less likely.

18 That probably accounts, in part at least, for these
19 so-called long-term non-progressors and elite
20 suppressors.

21 Q. Right. We know that with Hepatitis C there are now some
22 people -- they are in a minority -- whose bodies
23 naturally clear the virus. That isn't so with HIV but
24 do you think that is just a phenomenon of recency,
25 because it has so recently crossed over? If HIV had

1 been left unchecked, there might eventually be people
2 whose immune systems could defeat the virus?

3 A. Once the virus gets in, I think it's in because it
4 integrates its DNA into the genes of the cell which
5 non-A non-B hepatitis doesn't. It remains free, so you
6 can always eliminate an infected cell. What HIV gets
7 into a cell and gets into the DNA, it may go to sleep
8 and go latent. So there is no evidence that that cell
9 is infected at all because there is no proteins being
10 produced.

11 However, whenever that cell divides, just like every
12 daughter cell gets a copy of every gene, both daughter
13 cells will get a copy of HIV. It is the latent
14 population of cells which makes HIV, at the moment,
15 impossible to eradicate, because once it's in, it's in,
16 and the latency means the immune system can't see
17 infected cells and drugs can't attack the infected
18 cells. So it's a biological difference between HIV and
19 Hepatitis C.

20 Q. Right. For those people who can clear Hepatitis C, that
21 is a successful antibody response, I take it?

22 A. It's a mixture of antibodies and also what we call the
23 cytotoxic lymphocytes, which are the cells which kill
24 the cells which have virus in. So you need antibody to
25 mop up free virus which is floating arrangement to stop

1 it infecting new cells, but you have to kill the
2 factories that are producing the virus which are the
3 infected cells. So it is the two arms of the immune
4 system.

5 Q. Right, and one of the additional difficulties with HIV
6 would be this phenomenon that you described this
7 morning, about its capacity almost infinity to mutate?

8 A. Indeed, and that means that we are always one step
9 behind with our antibodies and our cytotoxic T cells.
10 And of course, the other difference is that Hepatitis C
11 infects liver cells, so that your lymphocytes can kill
12 off every infected liver cell and your liver will
13 generate new ones for you. But if your immune system is
14 killing off the cells that have HIV in, those are also
15 cells which make your immune system work. So your
16 immune system is actually killing off itself to
17 a certain extent, and that's the origin of the
18 immunodeficiency.

19 Q. Right. Going back, Professor Lever, to what information
20 should have been given to patients. Can we return,
21 please, to Professor Lever's report and look at
22 a section where this is considered. There is
23 a paragraph, 8.51 to 8.54.

24 You refer to the UKHCDO meeting in October 1983, at
25 which, I think certainly a Dr Chisholm is described and

1 maybe one or two others, saying that patients were
2 starting to refuse to take up commercial Factor VIII
3 because of the AIDS scare.

4 We are, Professor Lever, as you know, in this block
5 setting the scene for a more detailed examination of
6 doctor/patient communication, which we are going to look
7 at in the next block. But obviously these individual
8 doctor/patient communications took place against
9 a backdrop of what was being said more generally. So
10 given that you have gone on to comment on patients in
11 this part of your report, I just wanted to ask you:
12 around about now, what would you have been saying to
13 patients about this? And particularly, obviously,
14 patients who were receiving treatment with blood product
15 concentrates? Would you have waited to see if they
16 asked you anything about it or would you have initiated
17 a conversation?

18 A. I know what I would do today.

19 Q. Tell us what you would do today for a start.

20 A. Today it's a much more healthy, two-way partnership
21 between doctors and patients, in that I hope that
22 I listen very hard to what they want to ask and try and
23 respond to the questions they have, and make sure that
24 I have explained things well enough to them.

25 In fact, very commonly patients will bring a lot of

1 information into the discussion, which is great.
2 I think that wasn't the norm in the 1980s. I think
3 there was still very much a residuum of the
4 paternalistic approach to medicine, which is still
5 prevalent in people today in some individuals, who will
6 say to you, "I don't really want to know, doctor, just
7 do what you think is best". But I think that's much
8 less common than it was then. People were much more
9 accepting of the opinions of the medical profession in
10 a rather unquestioning way, and in these circumstances,
11 as well, these individuals and their families will have
12 been very acutely aware of what a miraculous change the
13 medical profession had apparently made in the lives of
14 the individuals with the onset of the clotting factor
15 concentrates.

16 So there probably was as much faith, if you like, or
17 confidence, at least, in the opinions of the doctors in
18 this as there would have been in any discipline. Had it
19 been the same today, we could say that treatment of HIV
20 has advanced so much that people should appreciate that
21 life expectancy has gone up enormously but, as I say,
22 fortunately, the doctor/patient relationship is much
23 more of a two-way dialogue, which I think is highly
24 desirable, but I think at the time I can't pretend
25 I would necessarily have been an outlier in behaviour.

1 Q. So as at today doctors have changed and patients have
2 changed too?

3 A. Yes.

4 Q. Right. In the early 1980s, are you saying that the sort
5 of doctor who said, "Mr So-and-so, there is something
6 I need to discuss with you," would have been an outlier,
7 this would have been the exception?

8 A. No, I don't think they would necessarily have been the
9 exception. It sounds like a rather closed community in
10 that case, but I think there was still a serious body of
11 opinion as exemplified in some of the literature here,
12 as to whether or not the patient should know about the
13 diagnosis. And that today is clearly unacceptable,
14 whereas it was accepted then, whether it was right or
15 wrong.

16 Q. Yes. Still on this theme, one document that I wanted to
17 show you is a Council of Europe recommendation,
18 [\[DHF0022149\]](#). This dates from June 1983. And this is
19 a recital with various propositions on the first page
20 but if we look at the second page, we can see for
21 a start that this is a recommendation drafted to the
22 governments of member states but the second bullet there
23 is:

24 "To inform attending physicians and selected
25 recipients, such as haemophiliacs, of the potential

1 health hazards of haemotherapy and the possibilities of
2 minimising these risks."

3 So certainly the Council of Europe seem to have been
4 saying in June 1983 that people should be told, patients
5 should be told. First question I need to ask you,
6 however, is where the Council of Europe sat in the
7 firmament. We have had slightly differing answers on
8 that. If you can think back -- and I know it's a long
9 time -- was this something that people, doctors treating
10 patients were aware of what the Council of Europe were
11 saying, or was it much more remote than that?

12 A. I don't have any personal recollection of anyone
13 discussing anything that the Council of Europe had said
14 at the time. That's not necessarily representative and
15 I was relatively junior at the time myself. I wouldn't
16 have gone to seek out the opinion of the
17 Council of Europe as a routine. So I suspect that this
18 was relatively remote --

19 Q. Right.

20 A. -- from my practice.

21 Q. You have mentioned in your report that WHO at the
22 conference in November 1983 appear to have recommended
23 that patients with haemophilia and their doctors should
24 be informed of the potential hazards of Factor VIII and
25 IX products, including the risks related to AIDS. Would

1 the same be true of WHO, that a doctor seeing patients
2 in a haemophilia clinic wouldn't have the recent
3 recommendations of WHO at the forefront of his or her
4 mind?

5 A. I think marginally more than the Council of Europe but
6 again, not something that they would be thinking about
7 consulting in their day-to-day practice.

8 Q. Right. Does this sort of material tend to come down
9 through government channels rather than directly to
10 individual doctors? Is that the way it works?

11 A. Well, if I'm truthful, I don't remember any
12 Council of Europe pronouncements on this or other
13 illnesses which have come down and influenced my
14 practice. I would accept I might be an exception but we
15 have these days so many different sources of guidelines
16 anyway, this would probably not differ from what's said
17 in those. I don't believe anyway that these were very
18 influential bodies in terms of current practice, despite
19 the fact that actually what they are saying makes very
20 good sense.

21 Q. Right. Looking now at what our government was saying.
22 I think you have seen a handwritten exchange of comments
23 before but just to bring it up to the screen,
24 [\[DHF0015006\]](#). You can see from the top of the page that
25 this is a newspaper cutting, where somebody in the

1 Department of Health and Social Security has marked with
2 a X a quote about a patient with haemophilia developing
3 AIDS and the doctors, the blood specialists, at Bristol
4 Royal Infirmary, who have written this individual's
5 story in the Lancet, are commenting that his case was
6 providing further evidence for a link between blood
7 products and AIDS. Then the person who has written the
8 "X", if we go down the page, has then gone on to pass
9 this over to somebody with the questions:

10 "Have you seen? On X is it okay for me to continue
11 to say that there is no conclusive proof that the
12 disease has been transmitted by American blood products?
13 PS, congratulations on your promotion."

14 This seems to be 23 November 1983, doing the best we
15 can for dates. Then the response is:

16 "Thanks. Yes, it is okay."

17 Do you want to comment on this, Professor Lever?
18 This appears to be internal DHSS thinking on the line to
19 be taken.

20 A. The juxtaposition of the wording of those two statements
21 is not good. It appears to reflect a relative lack of
22 taking things very seriously, certainly the evidence
23 that was coming out. So I don't think it's a very
24 impressive document in terms of what the medical
25 profession or the individuals in this exchange should be

1 remembered for.

2 Q. Can we go back to your report, please? You refer
3 again -- and we can see the comment just at the bottom
4 of the screen -- to a comment, this time by the
5 Haemophilia Society, saying haemophiliacs have no reason
6 to be worried about using commercial concentrates.
7 Again you think that was perhaps over optimistic and
8 presumably represents a strong desire to reassure. So
9 again we have the motivation of wanting to reassure
10 people. But there is a comment in the Douglas Starr
11 book about blood that certainly in America around this
12 time no one was actually telling people with haemophilia
13 the truth: not the government, not the mother
14 organisation. That sounds like a fair comment. Do you
15 think it's a fair comment?

16 A. I think people can only make comments on the information
17 they are given. When one is faced with an inquiry like
18 this, which has diligently sought out every source of
19 data that one can possibly get, you are rather spoiled,
20 by having access to many documents which wouldn't have
21 been that easily available at the time. So I think it's
22 a very reasonable comment that the Haemophilia Society
23 would not have had as much information on which to make
24 a balanced recommendation.

25 The comment I made there was not designed to imply

1 that the Haemophilia Society was doing a disservice to
2 its constituency but more to raise the issue as to where
3 the Haemophilia Society was getting its information
4 from, and I perhaps should have made that more clear in
5 my report.

6 Q. Yes, I think we all have an understanding that the
7 Haemophilia Society will have turned to haemophilia
8 clinicians and asked them for input in this very
9 difficult time.

10 A. Exactly.

11 Q. Just to move on through your report, I think we have
12 covered a lot of what is discussed in the ensuing
13 paragraphs about Dr Gallo and then ongoing suggestions
14 that the virus was not the cause of AIDS. In fact
15 another doctor who has given evidence has said that
16 until 1996 reputable journals continued to publish
17 articles suggesting a non-viral pathogenesis for AIDS,
18 but was that very much a minority view.

19 A. There were a series of things which have gone up until
20 relatively recently, where, on the basis of diminishing
21 credibility of evidence down to zero, various groups
22 have sustained a position that HIV has got nothing to do
23 an AIDS. At around this time there were a group of
24 individuals, led by a well-known scientist called
25 Peter Duessberg, who was an extremely distinguished

1 molecular biologist, who discovered some genes involved
2 in cancer but who took up the cause that HIV was not
3 related to AIDS because of the difficulties that there
4 had been in finding the virus or finding enough virus in
5 the circulation to prove that it was causing disease.

6 There were lots of plausible arguments about it and
7 this was also supported, as, I have to say, was the
8 antigen overload hypothesis, by constituencies within
9 the gay population who had hypotheses that HIV had been
10 a virus created by various United States government
11 agencies and introduced into the gay population in order
12 to eliminate them. That level of conspiracy moved on to
13 the point where, when anti-HIV drugs started to be used
14 and they were new and rather toxic, the argument was
15 made that in fact not only was HIV created to damage the
16 gay population but the drugs were deliberately toxic to
17 try and hasten the demise of the gay population.

18 So there was that series of opinions, and Duisberg
19 used to attend serious scientific meetings and clinical
20 meetings that I attended and make fairly outrageous
21 comments as to the plausibility of what was being
22 presented by well meaning and sincere scientists.

23 There then followed, as I'm sure some people recall,
24 a campaign in the Sunday Times arguing that HIV didn't
25 cause AIDS, and when an influential newspaper like that

1 starts peddling opinion like that, it is very easy to
2 persuade people who may have doubts reflected in the
3 uncertainties from what they are hearing from more
4 authoritative sources, and I suspect a number of people
5 believed that as well.

6 I would hate to imagine how many people took it
7 seriously and then ended up infected because they didn't
8 believe it. The whole thing continued right the way
9 through until very recently in South Africa of all
10 places, where the government actually supported the
11 concept that HIV didn't cause AIDS on the back of some
12 bad science but also political concerns that Africa,
13 Africans, were being blamed specifically for the
14 outbreak of AIDS.

15 So there have been a series of denialist groups of
16 varying levels of respect over the years. So it still
17 hasn't disappeared until today in fact, but no one who
18 looks at the evidence would really believe, much after
19 1984, and certainly after 1985, when virus testing was
20 available and it became correlated exactly with disease
21 manifestation, that the virus had nothing to do with
22 AIDS.

23 Q. Can we look in more detail at the position at the end of
24 1984. You mention a letter from Dr Craske
25 in October 1984. Actually, I think around this time

1 Professor Lever, there were two letters from Dr Craske,
2 one in relation to what had happened to patients in
3 England and the other one relates to patients in
4 Scotland. So we should look at the Scottish version,
5 [\[PEN0150250\]](#). Much of the text of this seems to be the
6 same as the English letter.

7 It's dated 30 November 1984 and I think we can see
8 that Dr Craske is writing to Dr Ludlam, who has told him
9 over the phone that there appear to be some patients in
10 Edinburgh who have been infected with HTLV-III by
11 Scottish NHS Factor VIII.

12 Can we just move through this letter, please. I'm
13 not sure if we are at the bottom of the page. He says he
14 is going to set out the following facts. Can we then go
15 on to the next page, please?

16 We have looked at these facts before,
17 Professor Lever, but, as you look at them now, they are
18 not all accurate, are they?

19 A. They are not.

20 Q. Could you give us your specific comments on the list of
21 one to six, please?

22 A. Well, number 1 says:

23 "Only a proportion of the patients transfused with
24 an infected batch of blood are likely to contract
25 HTLV-III infection."

1 If, by an infected batch, it means a batch which has
2 infectious virus in, then the proportion must be near or
3 at 100 per cent. The proportion is not stated.

4 If, as in the case of the recipients of concentrate
5 where, because of the poverty of virulence of many HIV
6 viruses, there may be a lot of dead virus in some
7 batches, then those wouldn't necessarily be infectious,
8 but the first statement actually says nothing.

9 The second one is true, in that people may already
10 have contracted infection from other infected batches,
11 which, as we know is not any sort of good reason not to
12 protect them from further infections.

13 Number 3:

14 "34 per cent of symptomless haemophiliacs are
15 positive for HTLV-III antibody."

16 This is an interesting comment on the perception of
17 infection and the protective nature of antibody because
18 in many infections, if you have evidence of antibody, it
19 means you have actually cleared the virus or cleared the
20 infection. If we checked everyone in this room to see
21 if they had evidence of antibody against chicken pox,
22 most of them would, and they have had it and cleared it.

23 HIV is different in that the presence of antibody is
24 simply a reflection of the fact that the person is
25 infected or alternatively, has been passively transfused

1 with antibody from somebody who is infected, in which
2 case that antibody may disappear and that may have been
3 a reason why some people apparently cleared antibody and
4 were mistakenly believed to have cleared the virus. So
5 the statement:

6 "It is likely a significant proportion of patients
7 will remain in good health."

8 Has no basis because there is not a long enough
9 follow-up of these individuals to say that. A partial
10 defence is that again, there was no precedent for
11 a disease being 100 per cent fatal and taking so long to
12 cause its ultimate effect.

13 The last one of section 3:

14 "It's likely that the proportion of patients who
15 contract HTLV-III infection who develop AIDS will be in
16 the order of 1/100 to 1/500."

17 As far as I'm aware has no factual basis. The item
18 4:

19 "The incubation period ..."

20 This covers a little bit what we have already
21 referred to, in that incubation period depends very
22 largely on the host and the virus and potentially the
23 dose of virus, and a mean of four years is not really
24 accurately supported at that stage.

25 Number 5, this is true, that sexual partners of

1 recipients of Factor VIII may be at risk. In fact it
2 was data from the haemophilia population that gave quite
3 a good risk estimate of what the risk of sexual contact
4 was in transmitting HIV.

5 Number 6 is correct.

6 Q. Can we read on through the letter, please, "Methods of
7 investigation", which I suppose is fair enough as
8 a survey of the patients. On to the next page, please.
9 Number of forms and a structured plan for review. Can
10 we carry on and look at what was said in relation to
11 telling patients. Do you see it says that:

12 "The follow-up may be carried out using an
13 alternative of two different strategies."

14 So firstly:

15 "If the patient has been informed of the risk ...
16 testing could be carried out on each specimen as it's
17 obtained at each four-monthly review ... it would be
18 wise to warn the ... patient that his spouse may be at
19 risk ..."

20 Then on to the next page, please, for the other
21 option:

22 "An alternative strategy would be not to tell the
23 patient ... but to observe him."

24 He says there are ethical problems which he is
25 discussing in an appendix. Then investigation of

1 spouses, and then:

2 "Should the patient be told? ... Ideally I think he
3 should."

4 Do you have any comment on this section of the
5 letter, Professor Lever, about what communication, if
6 any, should be made with the patient?

7 A. So the interpretation of the previous page -- a generous
8 interpretation -- is that Dr Craske a saying
9 theoretically there are two alternatives, as opposed to
10 saying, "You may do one or you may do the other", and
11 both are permissible. I think that would be an
12 ambiguity which you could take from the use of the word
13 "may".

14 This looks, in 2011, unbelievably paternalistic and
15 almost arrogant to not involve the patient in this.
16 I think even at that stage it would be perceived to be
17 unusual but I think, as I mention in my report, there
18 was at the time in Birmingham, over the following years,
19 a move from parents of children with haemophilia, that
20 they would like their children tested but the result not
21 to be communicated with the parent or the child.

22 That reflects a number of issues at the time. One
23 is stigma, which is really not to be underestimated.
24 There is a well-known case of an American child who was
25 banned from their school because of being HIV positive

1 and that was supported by the state. The amount of
2 stigma for a young person being known to their friends
3 as having something which is a disease caught by members
4 of the population who would excite scorn or disparaging
5 comment would also not be good for that child's
6 upbringing. So there is that.

7 There is also the issue at the time about things
8 like insurance, and certainly this was discussed very
9 extensively by the homosexual population, in that they
10 felt that they should not necessarily have to find out
11 their result because otherwise when they were applying
12 for insurance they would have to admit what had become
13 a specific question on the insurance forms as to whether
14 or not they were HIV positive or at risk of this. The
15 insurance companies have since, I gather, just assumed
16 there is going to be HIV positive people in the
17 population and stopped making that an absolute question,
18 but at the time there was the feeling that they would be
19 discriminated against very much in things like
20 insurance, as well as the social stigma.

21 So there was some level of opinion from the patient
22 population that being kept out of the information loop
23 wasn't totally wrong.

24 However, I think that is a decision which should be
25 taken with the doctor putting to the patient that a test

1 can be done and does the patient want to know or not.
2 So the patient is involved in the decision, rather than
3 making the assumption that the patient should not be
4 told. I think that's a different attitude.

5 It also reflects to some extent the fact that for
6 many years -- and still to some extent today -- many
7 blood tests are done and were done without fully
8 explaining in detail what they were and the implications
9 of all of them to people for things very much less
10 severe than this. Antenatal tests for syphilis, for
11 example, have been done without explicit consent for
12 many years.

13 So not telling the patient today would be
14 unacceptable; then, in these circumstances, I think was
15 very undesirable. But there was a body of opinion to
16 whom it would not have been too unusual to be discussing
17 whether or not a patient should be told about whether
18 a test was being done and the implications of the test.

19 Q. We should look at the appendix as well. I hope we have
20 the appendix on this copy. No? Right.

21 I think the appendix features on the other copy of
22 the letter. I don't know why we don't have it on this
23 one. If you will allow me a minute, I will find the
24 appendix.

25 If we call up [\[SNF0014020\]](#). I think the appendix

1 for some reason is decoupled from the letter but this
2 seems to be the appendix.

3 The appendix is here. Perhaps if we go to the end.
4 The appendix is page 5. I think that's the English
5 version of the letter and it has the appendix in it. He
6 says it details a protocol. Then there is a bit of
7 a repetition of the two options but he does go on to say
8 at the bottom:

9 "In my view, option 1 is the only one tenable on
10 moral and ethical grounds."

11 Do you see that?

12 So he seems to be saying in the appendix that the
13 only option tenable and moral on ethical grounds is to
14 tell the patient and his family.

15 A. Presumably that means giving the patient the choice of
16 what they want to know.

17 Q. Yes. Can we look then at the minutes of the UKHCDO
18 meeting in December 1984? [\[SNF0013850\]](#). This is the
19 reference centre directors who met on 10 December 1984.

20 There is discussion here too about these dilemmas.
21 Can we move through the minutes and on to the next page.

22 This is the background to why the meeting is taking
23 place, the availability of tests, and then Dr Craske is
24 recorded as saying -- well, I think it's Dr Craske:

25 "It was considered that to know the antibody status

1 of every haemophiliac would be advantageous in
2 determining the regime for treatment."

3 Then on to the next page, please. Discussion of
4 testing and the introduction of testing of donations.
5 Some input from Dr Tedder. Then on to the following
6 page.

7 Just in passing, Professor Lever, that comment at
8 the top:

9 "Dr Ludlam confirmed that in Scotland some patients
10 who were previously antibody positive are now negative.
11 Does this suggest passive transfer of antibody?"

12 Can you explain that to us, please? What's the
13 thinking?

14 A. So in the protein concentrates which are being delivered
15 or in blood transfusions, there will be passenger
16 proteins, including antibodies, from the person who
17 donated and they may include antibodies. We know this,
18 of course, because when we treat people with antibody
19 concentrates, we can detect antibodies against all sorts
20 of agents, which the donors had themselves experienced.
21 And so looking at an individual's antibody levels to
22 particular pathogens when they have received an infusion
23 of immunoglobulin doesn't give any useful information,
24 and those antibodies will turn over at the normal rate
25 of protein turnover in the blood.

1 So in those cases, it must be the case that antibody
2 positives turning antibody negative, who remain well,
3 had antibody from another source. That's also the issue
4 at the time of birth, when, in the last few weeks of
5 pregnancy, a large amount of antibody passes across the
6 placenta into the foetus and the baby is born with a lot
7 of antibodies circulating from his or her mother, which
8 is a very important protective mechanism before the
9 baby's own immune system works. But testing a baby at
10 birth or soon after birth to see whether or not they
11 have been infected with something can be misleading
12 because you may be measuring maternal antibody as
13 opposed to newly-made antibody by the baby.

14 Q. Right. Can we read on, please, into that section,
15 "Advice to patients and donors£". We see that there was
16 a long discussion on whether persons found to be
17 positive were to be informed. It does seem to be
18 implicit in that, Professor Lever, that the people
19 concerned are not being told before they are being
20 tested.

21 A. I think that comes up in several of the witness
22 statements as well.

23 Q. Yes.

24 A. That's an historical issue, which actually has been
25 redefined effectively by HIV itself because we still, of

1 course, get consent for HIV testing as a routine and it
2 was the arrival of HIV which actually started people
3 thinking and discussing seriously about getting informed
4 consent for a test which had implications for a person's
5 future. So this is, if you like, the pre-AIDS
6 mindset -- the pre-HIV mindset, where it may not be
7 necessary to actually tell people what they are being
8 treated for; today seeming quite unacceptable.

9 Q. Then on to page 5. I think we can draw the same
10 inference from the comment of the chairman:

11 "The chairman summarised by saying that testing
12 should be instituted as soon as possible and that
13 information on the test results should not be given
14 automatically but if asked for."

15 Can we put that document to one side, please, and go
16 back to Professor Lever's report. You have already
17 covered that paragraph about antibodies --

18 THE CHAIRMAN: Ms Dunlop, the stenographer needs a short
19 break.

20 MS DUNLOP: Yes, sure.

21 (3.14 pm)

22 (Short break)

23 (3.30 pm)

24 MS DUNLOP: Can we move on to the next page of
25 Professor Lever's report, please?

1 We have covered, I think, the topic of antibodies.

2 You go on to say, Professor Lever, that:

3 "The time between the acceptance that the virus,
4 HTLV-III/HIV, was the causative agent of AIDS and the
5 institution of donor testing and heat treatment of
6 concentrates seems prolonged."

7 Donor testing is a separate topic for us and we will
8 be looking at that in the autumn, but if you bear in
9 mind that donor testing was instituted
10 in September 1985, you think that that's a long time
11 after the acceptance that the virus was the causative
12 agent?

13 Are you counting from the spring of 1983 or the
14 spring of 1984, really?

15 A. It's a qualitative comment, made with a degree of
16 ignorance of the technical issues there. So I would
17 prefer not to make too much of that.

18 Q. Right.

19 I'm sorry, testing actually was introduced on
20 14 October 1985. So it wasn't September.

21 Coming next on the screen, you have set out some
22 information about drugs. So the very first drug that
23 could be used was AZT; what, with limited efficacy?

24 A. The clinical trials effectively showed it didn't improve
25 the long-term outlook at all, despite the very early

1 stages showing that it did inhibit the virus. Single
2 agent therapy against this virus has proven to be of no
3 use, as is the case against a number of other pathogens,
4 but it was there and therefore it was used.

5 Q. Is that also true of the two drugs that we see in 1991
6 and 1992? Is that DDI and DDC?

7 A. Yes, and at that stage, partly because there weren't
8 many drugs to choose from and partly because the
9 paradigm still wasn't clear to the medical profession,
10 they tended to be used as monotherapy, single drug, one
11 at a time.

12 If you look at the history of people treating
13 infections, partly because drugs become available one by
14 one but partly because of a lack of perception of the
15 fact that infectious agents can mutate to get round
16 therapeutic agents, there does tend to be a history of
17 using one at a time and then gradually coming round to
18 using multiple agents.

19 That was the case for tuberculosis, where initially
20 streptomycin was used by itself. But, although it was
21 efficacious, resistance appeared. Isoniazid was used by
22 itself. And going right the way through to Hepatitis B,
23 where initially again a single agent was used, and now
24 it's much more accepted to use more than one because it
25 provides additional hurdles for the virus or the

1 pathogen to jump through. If the virus can mutate,
2 a single mutation can invoke resistance to a single
3 drug. If you give it three drugs that it has to evade,
4 then that one virus would have to make three
5 simultaneous mutations to evade three different drugs,
6 and that statistically is much less likely.

7 Q. When we look at this table for the years where more than
8 one drug is shown, are these all combinations or are
9 some of them alternative forms of monotherapy?

10 A. They are all individual drugs, except for the one in
11 2000, that's lopinavir boosted by ritonavir, which is
12 a combination drug, where the ritonavir enhances the
13 pharmacodynamics of lopinavir so it persists for longer
14 in the circulation and is more effective; but the others
15 are all individual drugs.

16 Q. Right. When do we see drugs that are correctly
17 described as antiretrovirals?

18 A. Well, they are all antiretrovirals.

19 Q. Right.

20 A. But the period of HAART, highly active antiretroviral
21 therapy comes in the mid 1990s where one could
22 confidently put together a cocktail, if you like, of
23 three different agents to administer at the same time,
24 so that the ability of the virus to develop resistance
25 was severely restrained.

- 1 Q. Professor Lever, just to look back to the very start of
2 your evidence where you were talking about the different
3 conditions that affect somebody who has AIDS, we spoke
4 a bit about malignancies and some malignancies are
5 explicable by another underlying virus, and
6 Kaposi's sarcoma was an example of that, but does having
7 AIDS predispose you to certain malignancies generally,
8 even malignancies that are not anything to do with
9 a particular virus?
- 10 A. There is a general background increase in the incidence
11 of almost all malignancies in patients with HIV because
12 your immune system not only fights infections but it has
13 a role in eliminating malignant cells. So that if you
14 have an advanced immunodeficiency and you lack the sort
15 of lymphocytes which can recognise that a cell has
16 become cancerous, then that cell has a greater chance of
17 developing into a full-blown malignant tumour. But that
18 level of increase is much lower than the increased risk
19 of getting virus-induced cancers, like Kaposi's sarcoma
20 or cancer of the cervix, or these days there is a rising
21 epidemic of anal cancers. There is also an increase in
22 mouth cancers, tongue and mouth, all of those latter
23 ones from papillomaviruses, which are relatives of the
24 viruses that cause the common wart.
- 25 Q. Did you say anal cancer?

1 A. I did.

2 Q. That's caused by a papilloma virus?

3 A. I did.

4 Q. Right. What about colorectal cancer?

5 A. Not as far as we know.

6 Q. Not as far as you know caused by a virus?

7 A. Correct.

8 Q. But is it found in increased incidence among people with
9 AIDS?

10 A. I couldn't give you figures but I think it probably
11 falls into the categories of all tumours being slightly
12 more common.

13 Q. Just to conclude looking at your report because I think
14 we have actually covered pretty much all of it, you go
15 on to comment on chapter 4, which includes extracts from
16 witness statements. I think much of what you say here
17 you have really addressed orally today as well.

18 We have understood from several witnesses that AIDS
19 itself effected a huge shift in the attitude of the
20 medical profession to information and dialogue with
21 patients. You say patient empowerment has moved on
22 hugely.

23 I think the very last thing I wanted to ask you
24 about actually is the news last week that there have
25 been recent developments in the search for a vaccine,

1 have there?

2 A. Yes.

3 Q. But only so far effective in monkeys?

4 A. It has only been tried in monkeys so far.

5 Q. Yes. I think envisaging what the next step might be is
6 something that's rather difficult for us anyway.

7 A. Yes. The problem with trying to develop a vaccine for
8 HIV is that successful vaccines for other infections
9 have always been premised on the fact that a proportion
10 of the population who encounter that particular
11 infection successfully clear it. So a proportion of
12 people who encounter Hepatitis B successfully clear it.
13 Most people clear measles. So you can imagine a vaccine
14 would be able to be made which would trigger the same
15 sort of immune response which was protective.

16 The issue with HIV, as I referred to earlier, is
17 that nobody who has been infected has ever developed an
18 immune response which has cleared the virus from them
19 completely. That's unique. And nobody has ever
20 developed an immune response which completely protects
21 them against a second infection. Both of those things
22 relate, in part at least, to the fact that it is a very,
23 very variable virus. It is not only that because
24 Hepatitis C is probably even more variable, but some
25 people clear that.

1 It's also the fact that HIV integrates, as we talked
2 about earlier on, so it is difficult to find and
3 eradicate. So the outlook for a protective vaccine
4 against HIV is, in my opinion, not good because you
5 can't do to the immune system what 40 million infections
6 in real people has failed to do. The immune system has
7 been tested out against HIV rather thoroughly over the
8 last 30 years and found to be wanting.

9 That picture changed slightly, but not radically,
10 with the recent publication of a vaccine based on
11 another virus, in fact cytomegalovirus, which is alluded
12 to in this report. Cytomegalovirus is a herpes virus
13 which infects a large proportion of the human race. The
14 incidence goes up by about 10 per cent per decade in the
15 West, so about 10 per cent of 10-year olds, 20 per cent
16 of 20-year olds, et cetera. So many people, by the time
17 they are in their 50s and 60s, are infected with
18 cytomegalovirus. Most commonly it causes no detectable
19 illness at all. In some people it causes a glandular
20 fever-like illness, but in most nothing.

21 That's also related to what I said earlier, that
22 this is a virus that has been with us for thousands of
23 years and we are both rather well accustomed to each
24 other. It doesn't kill us and we don't eradicate it.

25 What it does do, rather exceptionally, is

1 continually trigger the immune system. It continually
2 shows off some of its own proteins to the immune system.
3 So you have got ongoing, throughout your life, once
4 you've been infected, a detectable immune response,
5 an active immune response to cytomegalovirus.

6 So the clever trick which was done by the specific
7 researchers in question was to put some of the proteins
8 of HIV inside cytomegalovirus and then infect the
9 monkeys with the cytomegalovirus, which was making HIV
10 proteins -- or SIV proteins in this case -- and that
11 meant that the monkeys were continually showing their
12 immune system SIV proteins and there was a very active
13 immune response all the time.

14 Normally, with a killed vaccine you inject
15 something, it is there for a little while and then it
16 disappears, so the immune stimulation goes away. But
17 this approach gives prolonged immune stimulation and
18 I forget the exact numbers, but about half the monkeys
19 who were then infected with the SIV didn't clear the
20 virus but they suppressed it to undetectable for a very
21 long period of time, which was unexpected and unusual.
22 Normally the virus would have replicated very robustly.

23 So it suggests that if you present parts of HIV to
24 the immune system continuously, you may be able to keep
25 a level of immune response going which would suppress

1 a real HIV that came into you. It doesn't say that you
2 would prevent yourself getting infected. That is still
3 a problem.

4 We don't know for certain, but this may be, at least
5 in part, the basis of the observation some years ago,
6 which was very puzzling at the time, that there were
7 a group of prostitutes in West Africa who were clearly,
8 through their work, being regularly exposed to HIV but
9 were not becoming infected. It was thought at the time
10 that they must have some rather special immune
11 possibility, HLA proteins, which were very good, or
12 something like that. But, although the follow-up on
13 them hasn't been perfect, a number of them gave up being
14 prostitutes and then returned to being prostitutes and
15 became infected. So it showed that they didn't have any
16 sort of memory which protected them against a subsequent
17 infection.

18 One hypothesis is that, because they were being very
19 regularly exposed to virus because of their profession,
20 that was analogous to this cytomegalovirus presenting
21 the proteins. Bearing in mind what I said before, that
22 the vast majority of HIVs are not infectious, it means
23 that these people were being exposed to a very large
24 number of, if you like, dead viruses, and that was just
25 triggering enough immunity to protect the real ones from

1 coming through. The difficulty, obviously, is one could
2 never design an experiment to prove that in humans, but
3 it's a plausible hypothesis.

4 Q. Yes. So for these reasons you are not really optimistic
5 that vaccination is going to prove to be a reasonable
6 part of the human defence against HIV?

7 A. I think it's not going to be a conventional vaccine.
8 The conventional vaccines that have been tried have not
9 worked and I think we are dealing with a virus which is
10 rather different from the ones we have encountered
11 before. I don't think it's impossible that one will
12 develop a vaccine but it may be something that has to be
13 given rather regularly, rather than just a one-off MMR
14 equivalent, something like that, and I think it will
15 have to do different things to the immune system than
16 current vaccines do.

17 In the immediately foreseeable future -- I have to
18 say this is not necessarily a majority view; many people
19 are working very hard on developing a conventional
20 vaccine and believe that they can do this. I'm slightly
21 more sceptical, based on the fact that the virus so far
22 has managed to beat the immune system rather
23 comprehensively.

24 Q. Certainly from the reading we have done, really from the
25 mid 1980s onwards people start talking about a vaccine,

1 and perhaps the passage of time since then tells its own
2 story.

3 A. I think the equivalent of the secretary for health in
4 the UK was noted, after Gallo's announcement that they
5 had identified HIV, as saying there would be a vaccine
6 within a year or two years. That was 1985.

7 THE CHAIRMAN: Ms Dunlop, Professor James is going to ask a
8 question but I would rather he ask than I try.

9 MS DUNLOP: Well, I've asked all my questions, sir, so what
10 I was going to suggest was that -- I'm sure that others
11 will have questions -- would it be appropriate just to
12 stop for today? I don't mean before Professor James'
13 question, obviously.

14 THE CHAIRMAN: It is. I have another commitment tonight,
15 which will mean that I was going to have to rise
16 promptly anyway, but Professor James' question might
17 just round it off.

18 PROFESSOR JAMES: Yes. It just occurred to me that, by
19 analogy with your hypothesis about the prostitutes in
20 Africa being exposed so frequently, through their
21 profession, they actually mounted a continuous, albeit
22 temporary, immune response to possible infection, do you
23 think conceivably that could have occurred in some
24 patients with haemophilia who were treated consistently
25 and repeatedly with commercial, in particular,

1 concentrate because of maintenance therapy and so on?

2 By analogy? Or is that a fanciful idea?

3 A. Are you suggesting that they may be the ones who didn't
4 get infected?

5 PROFESSOR JAMES: I'm just suggesting it's conceivable.

6 A. I don't think longer that is the case, for two reasons.
7 One is that delivering an immunological stimulus via the
8 blood is extraordinarily effective at getting an immune
9 response and also infecting, and I think that would have
10 been so effective at infecting they just didn't get
11 infected. I'm sorry about the alliterations.

12 The second thing is that I think a major aspect of
13 the repeated exposure and the protection -- and this
14 gets a little bit technical but I'm sure you will
15 understand this -- is that much of the stimulation was
16 to what's called the innate immune system, which is the
17 non-specific inflammatory system, which has no memory
18 but protects us very briefly against things like cuts
19 and burns and things like that. So I think there was
20 a lot of general inflammation, which prevented
21 infection.

22 PROFESSOR JAMES: Thank you.

23 THE CHAIRMAN: Very well. Tomorrow morning.

24 (3.50 pm)

25 (The Inquiry adjourned until 9.30 am the following day)

1	
2	PROFESSOR ANDREW LEVER (sworn)1
3	Questions by MS DUNLOP1
4	
5	
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

