

1 Tuesday, 21 June 2011

2 (9.30 am)

3 PROFESSOR CHRISTOPHER LUDLAM (continued)

4 Questions by MR GARDINER (continued)

5 THE CHAIRMAN: Yes, Mr Gardiner?

6 MR GARDINER: Thank you, sir.

7 Good morning, Professor Ludlam.

8 A. Good morning, Mr Gardiner.

9 Q. I would just like to start off by clarifying a couple of  
10 points from Friday. Could we have a look at the  
11 transcript at the bottom of page 50. The context here,  
12 Professor Ludlam, is that we are talking about the AIDS  
13 study forms and whether the patients could have seen  
14 them. The question is about the exact procedure and  
15 your answer is:

16 "The patient would require a full blood count. As  
17 part of their monitoring procedure, they would have a  
18 full blood count. The chemistry and so on. The request  
19 would be sent on the usual request form for the  
20 haematology.

21 "Question: Who would send this request?

22 "Answer: The person who took the blood.

23 "Question: Yes?

24 "Answer: Yes.

25 "Question: Do please carry on."

1           And it is this bit I want to ask you about. You  
2 say:

3           "The person who took the blood would wrap ..."

4           And then you pause:

5           "... and then put the tube in a polythene bag along  
6 with the request form and put it out for the portering  
7 system to collect and take it down to the laboratory."

8           I take it that you are referring there to the  
9 practice of a doctor wrapping or rolling a request form  
10 around the outside of a sample. Is that right?

11 A. I think, technically, not being quite correct there.

12 The system, I think, did change over the years and  
13 I think probably at this time there were polythene bags  
14 with two compartments to them. In one small compartment  
15 the blood sample was put and in the other, the larger  
16 sample, the request form was sort of slotted in and then  
17 sealed up.

18 Q. Yes. But it could be wrapped round the sample. Is that  
19 right?

20 A. Well, specifically it wasn't wrapped round the sample in  
21 case the sample leaked and the tube got covered in  
22 blood.

23 Q. Okay. I suppose the point I'm trying to make is that if  
24 it was wrapped round the sample and if it was wrapped  
25 round with the text on the other side, if you like, then

1 the patient wouldn't be able to see the text. He  
2 wouldn't be able to see the words "AIDS study"?

3 A. I think the point I was trying to make, if I perhaps  
4 say, is that the patient would have been -- might well  
5 have seen -- and there would be an opportunity to  
6 discuss -- what investigations were being done as the  
7 doctor was talking to the patient.

8 Q. Yes.

9 A. Talking to the patient and you fill out the form with  
10 the patient's name and particulars, and they would write  
11 on those that were applicable, "AIDS study", sitting  
12 next to the patient. And might well have explained, or  
13 would have explained, why we were doing this, would then  
14 have handed the form, possibly with one or two other  
15 forms as well for the monitoring, the chemistry form, to  
16 the patient, who would have then gone to sit in a queue  
17 of patients waiting to actually physically have the  
18 blood taken. It's after that point that the blood tube  
19 is filled and the form and the tube are put into the  
20 polythene bag.

21 Q. Or perhaps a blank form could be wrapped round an empty  
22 tube before the patient goes to the nurse to have his  
23 blood taken?

24 A. I'm sorry, a blank ...?

25 Q. Well, a form that has been prepared beforehand.

1 A. Oh. One that might have been filled out the previous  
2 day?

3 Q. Yes.

4 A. It would still be probably given to the patient. The  
5 forms made out the previous day would usually be for  
6 inpatients because the ward doctor had a lot of patients  
7 to go round and take blood from, and it was quicker if  
8 the forms were all made out in advance. If it's of any  
9 help, there is a letter that Dr Tucker wrote in about  
10 2005 or possibly 2006 to describe his memory of how  
11 blood was taken from patients and how -- what they were  
12 told. That has been made available to the Inquiry.

13 Q. Yes. I think, Professor Ludlam, on Friday you described  
14 a situation where the form might be completed in front  
15 of the patient and then perhaps wrapped around the empty  
16 bottle and then the patient would take the bottle and  
17 have blood taken from the nurse. That's right, isn't  
18 it?

19 A. If I did, I have been misunderstood or I had spelt it  
20 out wrong.

21 Q. Okay. But if that was right -- let's proceed on that  
22 hypothesis -- you say it's not right but if that is what  
23 happened on occasion, if the doctor did not want the  
24 patient to see what was written on the form, he could  
25 simply reverse the request form and wrap it round the

1 sample. Is that not right?

2 A. Usually, the patients are given the filled-out forms to  
3 go to the nurse and it is the nurse who has the little  
4 bottles of blood and she asks the patient their name and  
5 date of birth and writes that on the tube. So the  
6 patient -- the doctor doesn't usually give the patient  
7 the tubes as well as the form. The doctor usually gives  
8 the form to the patient.

9 Q. Yes.

10 THE CHAIRMAN: Professor Ludlam, I'm sure that those of us  
11 who keep the medical science service going by providing  
12 ample supplies of blood today have our own knowledge of  
13 what happens, but looking back to this time, was there  
14 any fixed protocol that was applied generally within the  
15 hospital service for having blood samples taken? Was it  
16 all written down somewhere or was it more casual than  
17 that?

18 A. I don't recall a written protocol. I think it was  
19 custom and practice.

20 THE CHAIRMAN: And if one thinks of the practical operation  
21 of taking blood in this way, would there be a working  
22 position, where the nurse taking the blood would have  
23 a full supply of vials and needles and all the rest of  
24 it, or would they be spread all over the hospital?

25 A. Each ward and each clinic would have usually a tray with

1 the tubes -- or possibly a trolley with the different  
2 sorts of tubes on for the different investigations, with  
3 the needles and syringes or butterflies, if those were  
4 going to be used, and the antiseptic swabs, the cuff to  
5 go round the upper arm as I was describing yesterday --  
6 they would all be on a small trolley in each ward or in  
7 each clinic.

8 THE CHAIRMAN: So sometimes the doctor would have immediate  
9 access to a supply of tubes when he was filling out  
10 a form and sometimes he might not.

11 A. Tubes and forms were readily available. I think it  
12 would be fair to say that samples would have been taken  
13 by doctors as well as nurses, and in fact haemophilia  
14 was one of the first, if you like, clinics in which  
15 nurses were able to take blood. It was always deemed to  
16 be a doctor's responsibility to take blood in those  
17 days.

18 THE CHAIRMAN: Yes, perhaps to the advantage of all of us  
19 that nurses now do it more readily.

20 A. I entirely agree.

21 THE CHAIRMAN: But my concern over this, Professor Ludlam,  
22 is that at some stage I'm going to have to decide what  
23 inferences I can draw and your suggestion is that  
24 because the forms are in use, and are at some stages in  
25 the possession of the patient, the patient would be

1           likely, as it were, to see for himself the words "AIDS  
2           study".

3           If there is no system, I'm not sure that I'm going  
4           to be able to arrive at a view that that is an  
5           acceptable proposition. So I think I really do need  
6           quite a lot of help to understand how there could be an  
7           inference that the patient would know for himself, if  
8           his attention wasn't drawn to the matter by the  
9           clinician.

10        A. I think -- maybe further light is shed on this by  
11        Dr Tucker's letter but one would be sitting at a desk --  
12        at an outpatient clinic with the patient next to one or  
13        across the table and talking to them as one was filling  
14        out the form, the request form. And on those that we  
15        wrote "AIDS study", we would have said to many of the  
16        patients, "Look, we are keen to do some immune tests  
17        because of the association of a few patients getting  
18        AIDS in North America and we want to assess immune  
19        function in people in this haemophilia centre, who we  
20        don't think will have been affected by whatever the AIDS  
21        agent is."

22        THE CHAIRMAN: You see, Professor Ludlam, that depends upon  
23        the clinician communicating with the patient, not upon  
24        the patient reading the form for himself, which perhaps  
25        is a different approach -- or perhaps I should leave

1 Mr Gardiner to get on with it.

2 MR GARDINER: Yes, thank you.

3 Can I move on now to something that we talked about  
4 on Friday, which was your view of the number of initial  
5 samples that tested positive by Dr Tedder. I would like  
6 to ask you to have a look at [\[SNB0065996\]](#).

7 You remember that I suggested to you that  
8 Dr McClelland's recollection was that it was six  
9 patients who had tested positive initially and you  
10 thought that that wasn't correct but you weren't  
11 absolutely sure. Could you have a look at this  
12 memorandum here, which is dated 20 November 1984 from  
13 Dr McClelland to Dr Perrie and Dr Cash. Have you seen  
14 this before?

15 A. I don't think so, no.

16 Q. No. So 20 November 1984:

17 "Dear Bob, events leading up to the recall of  
18 Factor VIII batch 023110090."

19 Which is the implicated batch?

20 A. That is correct.

21 Q. Thank you. We see paragraph 1:

22 "On the evening of Friday 26 October 1984  
23 Dr Christopher Ludlam telephoned me at home to let me  
24 know that six haemophiliac patients of his had developed  
25 antibody to HTLV-III. He thought that threat of these



1 seroconversions could be attributable to the use of PFC  
2 products. He stressed his desire to have confirmatory  
3 tests carried out and undertook to give me the results  
4 of these as soon as possible."

5 So this is a document which appears to have been  
6 prepared at that time and is recording six patients. If  
7 we just read on, paragraph 2:

8 "On Saturday 27 ... I called Dr Cash and discussed  
9 this information with him. We were both agreed that the  
10 information was insufficient to require any recall of  
11 PFC products.

12 "On 29 and 30 October I was off sick. Dr Ludlam  
13 contacted Dr Boulton to let him know that three of the  
14 haemophiliacs who had developed antibody had all  
15 received the above batch of Factor VIII. However,  
16 a number of other batches were involved. Dr Boulton  
17 telephoned this information to Dr Cash ..."

18 Then paragraph 4:

19 "On Friday November 2, Dr Ludlam telephoned me at  
20 home. He had, that afternoon, received further data  
21 from Dr Richard Tedder relating to a total of 16 of his  
22 haemophilia patients. An initial look at these data  
23 indicated that either 15 or 16 of these patients had  
24 received the above batch."

25 Now, first of all, would that accord with your

1 memory of the time between the two batches of results  
2 from Dr Tedder, 26 October and then 2 November?

3 A. I would have thought it would have taken me longer to  
4 get further results from Dr Tedder but this clearly says  
5 that it happened fairly quickly.

6 Q. Yes. I'm just wondering if that memorandum causes you  
7 to reconsider your recollection of the initial results.  
8 I think you told us on Friday that you had deliberately  
9 chosen patients who had only had SNBTS factor  
10 concentrates and that was why you were confident that it  
11 was only three and there weren't any patients who had  
12 had commercial concentrate. Could you perhaps just talk  
13 us through that, Professor Ludlam?

14 A. I'll try. It may be. The figure of three sticks in my  
15 mind because these were people who had all received  
16 SNBTS-only material and there may have been another  
17 three who had had commercial material and who were  
18 positive. And I would have made the quick assumption  
19 that maybe they got it from the commercial material.  
20 This would be before we had looked at the transfusion  
21 records. So that is a possible explanation. It was  
22 a long time ago -- I just remember the -- there were  
23 three that got one batch. That's what impressed me.

24 Q. Yes.

25 A. And it may be that there were three others who had got

1 commercial and because -- as I say, I assumed that they,  
2 in the first instance, without inspecting the  
3 transfusion records -- assumed that they might have got  
4 it from the commercial.

5 Q. Yes. But having looked at the transfusion records, you  
6 later discounted that. So that would mean that you had  
7 six positives initially. Is that right?

8 A. That's right, yes.

9 Q. Would that not be consistent with Dr Tedder's  
10 recollection of a litany, as he describes it, of  
11 positives on the phone, when he is describing "positive,  
12 positive, positive"? A litany. Does that suggest more  
13 than three?

14 A. I can't -- I have no evidence, written evidence, that  
15 there were three -- only three. I think that this  
16 document -- and it is written at the time -- suggests  
17 there were six and I think probably the explanation is,  
18 as I have just described, that the other three, if I can  
19 put it that way, had had commercial concentrate, and so  
20 in the first examination of these I had assumed that  
21 that might have -- those other three might have been  
22 infected from commercial concentrate.

23 Q. Yes. Can we have a quick look at [\[SNF0010255\]](#)? This is  
24 the note of the meeting of haemophilia doctors on  
25 29 November 1984. If we go to paragraph 3, you see:

1           "Dr Ludlam explained the circumstances in which it  
2           had been discovered that 16 haemophilia patients treated  
3           exclusively with SNBTS Factor VIII had developed  
4           antibodies to HTLV-III ..."

5           So certainly by that stage you had decided that all  
6           of the positives were attributable to SNBTS concentrate?

7   A. Yes. I can explain -- I think I now can see the  
8           situation. There were -- and I made this information  
9           available to the Inquiry some time ago and I think we  
10          may have gone through it in the previous session,  
11          discussing B2, or the statistics.

12          There were two patients who received commercial  
13          concentrate in the early 1980s -- 1981/1982 -- but,  
14          because we stored serum samples on them, I was able to  
15          go back and test these, and in fact these two  
16          individuals did not get HIV from the commercial  
17          concentrates. We need to go forward a bit in time and  
18          I was able to show in fact that they got HTLV-III from  
19          the SNBTS batch.

20   Q. Yes. So perhaps your initial assessment was that some  
21          patients had had commercial concentrate. You later  
22          discover that that's not the case but that still leaves  
23          us with an initial report of six patients testing  
24          positive for the antibody. Is that right?

25   A. It would appear so, yes.

1 Q. Yes. So have you changed your assessment then of how  
2 many you were initially told by Dr Tedder had tested  
3 positive?

4 A. Sorry, I thought I had made that clear a moment ago.  
5 This is a document written within a few weeks of --  
6 within a month, and it is likely to be more accurate  
7 than my memory.

8 Q. Yes. I think just to finish off the picture, I should  
9 also show you an email that we have had from Dr Tedder,  
10 which is [\[PEN0120856\]](#). We will see that this is dated  
11 11 May this year and it's a response to a question from  
12 one of the Inquiry team members, Gemma Lovell, and (i):

13 "We understand that Dr Ludlam sent you 10 samples  
14 initially and that three of these samples were found to  
15 be HTLV-III positive. When did you receive the initial  
16 samples? When did you inform Dr Ludlam of the results."

17 Dr Tedder:

18 "I simply am unable to give you the actual dates.  
19 I remember quite certainly that the results would have  
20 been generated in the early days of us using any  
21 radioimmunoassay rather than the more conventional and  
22 later EIA. I graphically recall my first discussion  
23 with Dr Ludlam as we went through a list of something  
24 like 10 to 15 samples where I gave him our results as  
25 positive or negative. This would have been around some

1 time in August 1984, when life was extremely taxing.  
2 I would have been likely to return results within a week  
3 or so of having received the samples."

4 He says August 1984 but you think that is not right  
5 for the reasons you gave us on Friday. You are nodding?

6 A. Yes.

7 Q. What about the 10 to 15 samples that were given  
8 initially?

9 A. Well, my recollection is we sent ten but if -- we might  
10 have sent 15 but -- yes.

11 Q. Of which six were initially reported as positive?

12 A. Yes.

13 Q. Thank you.

14 I would like to move on to the December 1984  
15 meeting, which we started talking about on Friday, and  
16 I don't think that you gave us your assessment of how  
17 many people you thought were at the meeting?

18 A. I thought there were probably 30/40/50 people at the  
19 meeting. They were a little bit spread out in the  
20 lecture theatre. There were pairs -- or little groups  
21 of people who knew each other sitting together, and  
22 there were other groups of people and some people  
23 sitting by themselves. That sort of number is my  
24 recollection.

25 Q. Yes. How many people could the lecture hall hold?

1 A. It holds about 200 people.

2 Q. Okay. You told us that you remembered that  
3 Professor Forbes spoke first. Do you remember the  
4 audience reaction to what he had to say?

5 A. I don't. I think -- my recollection is people listened  
6 carefully to what was being said. I think there was  
7 surprise that patients had been found to be anti  
8 HTLV-III positive, particularly, it appeared, from  
9 Scottish blood transfusion Factor VIII concentrate.

10 Q. Yes. Were patients invited to ask questions after each  
11 speaker or was it questions at the end of the doctors  
12 speaking?

13 A. My recollection is that we each spoke in turn and then  
14 we had an open session for questions about anything that  
15 had been said or anything else that anyone wished to ask  
16 about.

17 Q. Yes. You told us that your recollection is that you  
18 spoke after Professor Forbes. Do you remember if you  
19 spoke from a prepared script or notes?

20 A. I don't think so, no. I spoke without either.

21 Q. Do you remember how long you spoke for approximately?

22 A. I would think about ten minutes.

23 Q. Ten minutes. Okay. I would like to return to what you  
24 told us just at the end of Friday. So could we look at  
25 page 133 of the transcript, please? You see at line 5.

1           "Question: Who spoke next ...

2           "Answer: I suspect probably me."

3           I think you are now starting to give us  
4           a description of what you remember you said at the  
5           meeting. That's right, isn't it?

6    A. Yes.

7    Q. You say:

8           "To explain what had been happening in Edinburgh,  
9           what I had been doing, what the results of the tests  
10          were."

11          And you explain that what you had been doing was  
12          sending samples to Dr Tedder and you also explain that:

13          "... it appeared that there had been this single  
14          batch of Factor VIII but also that there were other  
15          people who were or might be infected or might be  
16          antibody positive."

17          Then you talk about it being a time of great  
18          uncertainty. You talk about:

19          "Everyone with haemophilia might be infectious."

20          And:

21          "The safety advice applied not only to the  
22          possibility of sexual transmission but if there was  
23          spillage of blood."

24          What I wasn't sure of was were you telling us there  
25          that that was something you told the meeting as well?



1 A. Yes.

2 Q. Yes, thank you. Then if we just read on to page 134, at  
3 line 8:

4 "The very clear message given out was that we hoped  
5 that patients would come and see us and ask about their  
6 situation."

7 Then you say:

8 "We would have encouraged them to come and ask about  
9 the results."

10 I think you mean there. Then over the page to 135,  
11 the question is:

12 "What did you say about testing, if anything?"

13 "Answer: If they came to see me, if I had the test  
14 result from Dr Tedder, and if they wished to know it,  
15 I would let them have it. But I would also want to  
16 suggest that they give another blood sample to, if you  
17 like, confirm the preliminary result from Dr Tedder,  
18 both because of the possibility of samples being  
19 misidentified or false positives and false negatives in  
20 Dr Tedder's test."

21 Are you suggesting that you remember saying that at  
22 the meeting as well?

23 A. Yes.

24 Q. Thank you. Then you say:

25 "And I would have talked round the importance of the

1 possibility they might be infected even if they were  
2 antibody negative."

3 Then:

4 "I would give them the result, if they wanted to  
5 know it."

6 Again, were you telling us there that that is  
7 something else that you said at the meeting, that  
8 patients, if they wanted the result, they could get it  
9 from you?

10 A. Yes, I was keen for people to make appointments to come  
11 and see me to discuss whether or not we had a result on  
12 them and if they would like to know it. And we could  
13 discuss that and I could give them the result. But it's  
14 a very important result and I think, to depend upon  
15 a single sample, particularly of a newly developed test  
16 that one had some hesitation about its sensitivity and  
17 specificity, I think was only prudent and perhaps  
18 essential.

19 Q. You say you were "keen". I know it's a long time ago  
20 but I'm asking you to specifically try to remember what  
21 you said about that.

22 A. Well, I would ask, "Please could we have another blood  
23 sample".

24 Q. I'm talking about at the meeting?

25 A. I'm sorry.

1 Q. Do the best you can to give us the words that you used  
2 to express what we are talking about here, getting  
3 results?

4 A. I think I would have said, "We are keen to see you. We  
5 can let you know the preliminary result if we have it,  
6 but we would also want to take blood from you to check  
7 it, if you are agreeable."

8 Q. Yes. I mean, if we have it, just to clarify, what  
9 percentage of your patients had been tested at this  
10 point?

11 A. I would have thought we had probably tested 40 or 50.  
12 Somewhere between -- as we have agreed earlier -- 10 or  
13 15 in the first batch. Professor Tedder was very helpful  
14 in wanting to help test more but not too many. So we  
15 had to be a bit discriminating. And so I think we chose  
16 samples from individuals we thought were perhaps more  
17 likely to be positive and those would be the big users  
18 or the people who had received this implicated batch,  
19 because we had a -- we thought this might have been the  
20 implicated batch from the initial few samples and we  
21 might well have looked out the samples from other people  
22 who got that batch.

23 Q. Yes.

24 A. But we must have -- we tested quite a range of patients  
25 because we then had the task of trying to pin down, as

1 best we could, which the implicated batch was, and that  
2 was quite a lot of work for Dr McClelland and myself:  
3 drawing up a large spreadsheet and counting up numbers  
4 of patients.

5 Q. We are going to come on to that, Professor Ludlam, but  
6 just to bring you back to the question: is that  
7 40 per cent of your patients or 40 of your patients?

8 A. I would have thought 40 or 50, perhaps in the second  
9 tranche.

10 Q. 40 to 50 of about 200?

11 A. Well, I think there were 170.

12 Q. Yes.

13 A. Roughly.

14 Q. Yes. So was that explained to the meeting, that there  
15 was a category of patients who hadn't been tested?  
16 There was a category that had been tested and there are  
17 results available and some of them are positive but  
18 there is another category of patients. Was that  
19 explained?

20 A. Yes, surely, because we hadn't tested everybody and we  
21 would have explained that not everyone has been tested  
22 and we might have -- I'm sure we would have said, "We  
23 are sending -- we will be sending more samples to  
24 Dr Tedder or to the local virology lab when they have  
25 set up the test".

1 Q. Just to remind you that I'm asking about what you  
2 remember you said at this point. Right, well we have  
3 had a review of what you have told us about your  
4 recollection of the meeting about what you said, and we  
5 have clarified that a bit. Is there anything else that  
6 you remember that you told the audience at the meeting,  
7 when you spoke?

8 A. I think we have been over it most -- I think we have  
9 been over all this morning and on Friday -- the other  
10 obvious message I was very keen to get across was that  
11 everyone, irrespective of whether or not they had been  
12 tested or whether or not their test was positive or  
13 negative, should for the time being consider themselves  
14 potentially infected and use the safety precautions for  
15 the spilled blood and for sexual activity.

16 Q. Yes.

17 A. That was very important.

18 Q. Thank you. Do you remember what the reaction was to  
19 what you said?

20 THE CHAIRMAN: At the meeting at this stage?

21 MR GARDINER: Thank you, sir, sorry. At the meeting, yes.

22 A. There was surprise and I think some dismay that  
23 individuals who had been treated exclusively with SNBTS  
24 product had -- or appeared to have been exposed to the  
25 virus.

1 Q. Yes. You say that because of how you remember the  
2 audience reacting? I'm specifically asking about after  
3 you had spoken.

4 A. That's my recollection. There were people who were --  
5 I think the best word is "dismayed". Surprised and  
6 disappointed and taken aback.

7 Q. Yes. What I'm not quite clear about, professor, is  
8 whether you remember whether you told the meeting how  
9 many of your patients had tested positive for the  
10 antibody.

11 A. I think it likely -- I'm sure I would have done because  
12 we were there to give out any information we had and it  
13 was a number and we would have said -- I would have  
14 said, you know, "So far it looks like there were 15 or  
15 16 people," to put it in context.

16 Q. Yes, and that they had been treated exclusively with --

17 A. Yes.

18 Q. Scottish product?

19 A. Yes.

20 Q. Yes, thank you.

21 A. Well, that it had arisen -- the apparent infection had  
22 resulted from the SNBTS product.

23 Q. Yes.

24 A. Rather than they were treated exclusively with SNBTS  
25 product for the reasons we discussed earlier.

1 Q. We heard from Geraldine Brown, who was also there --  
2 that's correct, isn't it?

3 A. That's correct, yes.

4 Q. -- that the lecture theatre was very cold due to some  
5 malfunctioning air conditioning or something. Does that  
6 ring a bell with you?

7 A. I had forgotten it until I heard Geraldine Brown --  
8 because I was in the gallery at the time. I had  
9 forgotten that but I do remember that, and I do remember  
10 asking her to stand on the door, about the press, but  
11 I remember specifically at the beginning of the meeting  
12 asking if there was anyone from the press there. I have  
13 a very clear memory of doing that.

14 Q. Did anybody else speak at the meeting?

15 A. Dr McClelland.

16 Q. Yes.

17 A. Yes.

18 Q. And what did he say?

19 A. I think he discussed the -- what appeared to be the  
20 batch of contaminated material and how and I had looked  
21 at the records and tried to see if we could pin it down  
22 to a single batch. And then he went on to talk about  
23 what blood transfusion was doing to reduce the chances  
24 of another person -- or a donor giving a donation  
25 because they were in a high risk group and were

1 infected.

2 Q. Yes.

3 A. And he would have gone on -- I'm sorry, perhaps I should  
4 have -- because this was clearly an important item that  
5 Dr McClelland, and I suspect I and Dr Forbes would have  
6 mentioned it -- about the heat treatment. We would have  
7 explained that there was some evidence that HTLV-III was  
8 heat sensitive and that from then on, the middle  
9 of December, not only was the blood transfusion going to  
10 only issue heat-treated Factor VIII but we asked the  
11 patients to bring back their non-heated Factor VIII that  
12 they might have at home and exchange it for heat-treated  
13 material.

14 So we were asking people to bring back their bottles  
15 and we would give them out some heat-treated material  
16 instead. That was a strong message and I think we  
17 probably also -- the haemophilia sister afterwards would  
18 have been in touch with individual patients and said,  
19 "Please bring your material back", because not everyone  
20 was at the meeting.

21 Q. So you mentioned the strong message about exchanging  
22 non-heat-treated products. Is that right?

23 A. Yes.

24 Q. In addition to what you told us?

25 A. Yes.



1 Q. And your recollection is that Dr McClelland mentioned  
2 that as well?

3 A. I'm sure he would have done, I'm sure he did, yes,  
4 because that was very much a blood transfusion issue.

5 Q. Yes. How long did Dr McClelland speak for?

6 A. I would have thought 10 or 15 minutes at the most.

7 Q. Is it your recollection that he mentioned the specific  
8 numbers of patients that had tested positive as well?

9 A. Well, there was an agreed -- there was a number, 15 or  
10 16, that was the figure we both used and worked on  
11 because that's the number that we had.

12 Q. Yes, and do you remember if he mentioned that to the  
13 audience?

14 A. I think he would have -- would well have mentioned it  
15 because he explained that we had been through the  
16 records and we had looked at the number of people who  
17 had received -- who were positive, who had received  
18 different batches, and that this particular batch, the  
19 0090, was the one that most patients had received.

20 Q. Yes, thank you. Can you remember anything else that  
21 Dr McClelland told the meeting?

22 A. He may well have imparted discussion about asking donors  
23 to defer if they were in a high risk group. I think he  
24 would have discussed that he had had discussions with  
25 the gay groups in Edinburgh, because I know he had

1 worked quite closely with -- I think it was Derek Ogg  
2 and others to address this issue, which was a difficult  
3 issue.

4 Q. Yes. To defer from donating blood?

5 A. Yes.

6 Q. Yes, thank you. Perhaps we could have a look at  
7 [\[PEN0161294\]](#). This is an article from the evening news  
8 from two days after the meeting. Have you seen this  
9 before?

10 A. I have.

11 Q. Yes. There are quotes from Dr McClelland there. If we  
12 look at the second column under the heading  
13 "Vulnerable":

14 "Dr McClelland said: 'The 15 people were discovered  
15 as the result of routine testing of those most  
16 vulnerable because of their reliance on frequent  
17 transfusions'.

18 The situation was explained to haemophiliacs at a  
19 meeting with medical experts in Edinburgh this week.  
20 All of them will be carefully monitored and hopefully  
21 none of the 15 exposed cases will develop the disease."

22 Is that broadly consistent what you remember  
23 Dr McClelland telling the meeting?

24 A. Yes, I could add that he would have made it -- he would  
25 have asked, which -- this being customary for a long

1 time -- for patients with haemophilia and now their  
2 families, not to be blood donors, to refrain for the  
3 time being from being blood donors.

4 Q. Yes, thank you.

5 A. That was a slightly sensitive issue.

6 Q. I understand. We can put that away now, thanks. So  
7 what happened next in the meeting?

8 A. There were question and answers. The floor was opened  
9 up to questions and I think -- my recollection is  
10 Charles Forbes, as chairman, invited questions and he,  
11 I or Dr McClelland answered them, depending on what the  
12 questions were.

13 Q. Yes. How long did that go on for, do you remember?

14 A. I can't exactly. It might have been half an hour/three  
15 quarters of a hour. We went on until the questions were  
16 exhausted.

17 Q. Yes. Do you remember what the questions were about?

18 A. I don't have a strong memory or really very much memory  
19 at all about the questions. I think there was -- as  
20 I say -- some anger and perplexity about the Scottish  
21 product having infected people, when we had hoped, for  
22 many reasons that have been rehearsed here already, we  
23 were going to not see this misfortune.

24 Q. Yes. Do you remember any discussion of the relative  
25 safety of commercial concentrates as opposed to Scottish

1 blood products?

2 A. There might well have been. I'm sorry, I can't remember  
3 but Dr Forbes will have told the meeting about the  
4 results that he had at that stage, and some of those  
5 were individuals who had become apparently infected from  
6 commercial products, and I can't remember at that  
7 stage -- as you see, some of my patients had received  
8 commercial concentrates and were anti HTLV-III positive,  
9 and almost certainly at that stage I wouldn't have known  
10 where -- whether it was the commercial or the NHS that  
11 had caused the infection.

12 So I might well have said there were some patients  
13 in Edinburgh who may have become infected from  
14 commercial. So I'm sure there must have been some  
15 discussion about NHS versus commercial.

16 Q. What about questions about the implications of these  
17 results? Do you remember any questions on that topic?

18 A. Well, there were implications -- we had spelt out some  
19 of the implications. I can't remember, but I suspect it  
20 very likely, someone would have asked me, "If someone is  
21 anti HTLV-III positive, what's their chance of getting  
22 AIDS?"

23 Q. Yes.

24 A. I think it highly likely someone would have asked that.  
25 I mean, they are a well-informed, bright group of

1 patients and it's the obvious question to ask.

2 Q. And what was the answer given?

3 A. I think the answer -- certainly the answer I was giving  
4 patients early in 1985 -- I would talk about the  
5 limitations of a positive test when I was seeing people  
6 but your specific question, I would have said, "At the  
7 moment the chances it appears of someone like you, who  
8 is anti-HTLV-III positive -- the chances of you getting  
9 AIDS appears to be very small." And I would give them  
10 the statistics, which was about one in 500. I well  
11 remember doing that.

12 Q. Yes. Thank you.

13 I think you told us that when the question and  
14 answer session finished, the meeting just broke up. Is  
15 that right? There wasn't any individual discussion with  
16 doctors. Is that right?

17 A. About individual patient results?

18 Q. Well, perhaps I can just ask you: what happened after  
19 the question and answer session?

20 A. Dr Forbes drew the meeting to a close and people chatted  
21 for a little while. They got up and went off home.

22 Q. Yes. Was there any individual discussions between  
23 patients and doctors, private discussions, if you like?

24 A. I don't recall any.

25 Q. No. Thank you. So just looking back at the meeting,

1           what do you consider was the message that you had given  
2           to patients about what they should do next about  
3           testing?

4    A.   Oh, that they should come -- I was very keen they should  
5           come and see us.

6    Q.   Yes.

7    A.   If they wanted to.

8    Q.   For a patient who had haemophilia and was one of your  
9           patients and had been receiving a Scottish factor  
10           concentrate, what was the message to them about whether  
11           they might have tested positive?

12   A.   Well, the majority, we thought -- and now is the case  
13           with full examination -- the majority unfortunately of  
14           people who became anti HTLV-III positive in Edinburgh  
15           did so from this single infected batch.

16   Q.   Yes. I'm really trying to focus on what a patient would  
17           think at the end of the meeting about their own personal  
18           situation, if they were one of your patients that had  
19           been receiving Scottish factor concentrate?

20   A.   I think -- because the message I wanted to convey, which  
21           is, "You might be positive," the other side, of course,  
22           of this is that the majority of patients were actually  
23           negative. And I think from Dr Forbes' study, I think --  
24           if I remember rightly -- something like 10 or  
25           15 per cent of patients that he had studied had been

1 positive, if they have had Scottish material, and  
2 a higher percentage if they had received commercial.

3 So there were a lot of people who were negative and  
4 more people actually who were negative than positive.  
5 So a patient might have gone away with the message, "Oh,  
6 well, I'm likely -- because there were more people  
7 negative than positive, I'm likely to be one of the  
8 lucky ones". It's how one accepts bad news. We always  
9 like to think, to begin with, that we are on the winning  
10 side, if I can put it that way.

11 Q. Yes. But you are clear that the message that had been  
12 given was: "You might be positive"?

13 A. Yes.

14 Q. Okay. Can we just have a quick look at the transcript  
15 for 8 June. This is the evidence of  
16 Dr Alison Richardson, who I think you worked with?

17 A. Yes.

18 Q. Is that right?

19 A. She came to work with us in -- 1987 I was first  
20 approached. I think she actually started in about early  
21 1988.

22 Q. Yes. At line 11, Dr Richardson told us that she saw  
23 some of your patients who had tested positive  
24 subsequently. You are nodding?

25 A. Yes.

1 Q. That's right, isn't it?

2 A. Yes.

3 Q. So if we just read from line 10:

4 "Question: In respect of their diagnosis with HIV,  
5 and you were made aware from that, from seeing these  
6 patients, there had been an urgent meeting with  
7 Dr Ludlam in about 1985, you say."

8 I think that should be "1984".

9 "Answer: I can't be sure of the date but certainly  
10 two or three of the haemophiliacs discussed it possibly,  
11 I think, within the group.

12 "Question: Right, but you obviously weren't in post  
13 at that time?

14 "Answer: No.

15 "Question: Were you at the meeting?

16 "Answer: No.

17 "Question: No. You say, further down that  
18 paragraph:

19 "'From what I have heard from the patients I spoke  
20 to subsequently, Dr Ludlam told them that some people  
21 with haemophilia in Scotland were Infected with HIV.'"

22 Just reading at page 8:

23 "That's right.

24 "Question: Yes. And you mention specifically what  
25 two of your patients had taken away from that meeting.



1           "Answer: Yes.

2           "Question: This was that they were told at the  
3 meeting to use condoms when having sexual intercourse  
4 with their wives."

5           It's the next bit I would like your comment on,  
6 professor:

7           "The general feeling, you say, of those two patients  
8 leaving that meeting was', Well, thank goodness I don't  
9 have it because if I had, he would see have told me'.

10          "Answer: That's correct."

11          These are two patients who did test positive.

12          Would you accept, Professor Ludlam, from that  
13 account that it seems that your message, "You might be  
14 positive," doesn't seem to have been picked up by at  
15 least some of the patients at the meeting?

16 A. Well, that substantiates what I was saying about two  
17 minutes ago, that we all like to think we are in the  
18 better prognosis group. This does not surprise me.

19 Q. I suppose there are two parts to the assessment. The  
20 first assessment, where the patient will be, "I am at  
21 risk", then the next assessment will be, "Am I in the  
22 group of people who have tested positive or have tested  
23 negative?" But the first part, "I am at risk", doesn't  
24 seem to have been communicated to these patients:

25          "Well, thank goodness I don't have it because if

1 I had, he would have told me."

2 A. I would see it differently. They went away appreciating  
3 the need to use condoms. So they must have picked up  
4 that there was a possibility that they had got HIV or  
5 HTLV-III. That was why we were saying, "you have to use  
6 condoms".

7 Q. Yes.

8 A. I appreciate that they may not have seen it that way.

9 Q. I think that you were at that point advising patients  
10 who had tested negative to practise safe sex as well.  
11 Is that not right?

12 A. Yes, because we weren't certain that they weren't  
13 infected. We were saying to everybody, "For the time  
14 being, you have to assume that everyone with haemophilia  
15 who has been treated over the last few years may well be  
16 infected with HTLV-III."

17 Q. Yes. Perhaps you would accept, professor, that these  
18 two patients that Dr Richardson refers to do not have  
19 appeared to have received your message, "You might be  
20 positive."

21 Would you accept that?

22 A. They have not synthesised the information that was  
23 available to them, in that they had taken away half the  
24 message and they would like to believe that they were in  
25 the larger group, who were anti HTLV-III negative.

1 Q. Just bear with me. (Pause)

2 All right. I would like to move to after the

3 meeting now. Could you tell us what steps were taken

4 after the meeting to communicate further with patients

5 on this topic?

6 A. I think the next thing was to prepare the circular that

7 we sent out to patients. This I prepared in conjunction

8 with Dr Forbes in Glasgow, and the intention was to send

9 it out to everyone with haemophilia in Scotland because

10 not everyone had been at the -- at this meeting on

11 19 December.

12 Q. Yes. So do I take it that the intention was to

13 communicate similar messages in the advice sheet to the

14 messages that had been communicated at the meeting?

15 A. Yes.

16 Q. Thank you. Was that done?

17 A. Well, we sent out the information sheet. A copy has

18 been shown here.

19 Q. Yes.

20 A. So, yes, that was done to everybody.

21 Q. How many patients was it sent to by your centre?

22 A. We would have sent it to everyone on our register.

23 Q. Yes. So about 175?

24 A. 170, something like that.

25 Q. 170. I think I'm right in saying that you have not

1 managed to recover a copy of the letter that sent the  
2 advice sheet out. Is that right?

3 A. That's correct, yes.

4 Q. Are you able to say when it was sent?

5 A. Probably 31 January.

6 Q. Why do you say that?

7 A. That's the day we wrote to the general practitioners and  
8 I suspect -- I have a sort of recollection of it all  
9 being done together.

10 Q. Right.

11 A. But -- I don't think we would have sent out the circular  
12 to the patients before we wrote to the general  
13 practitioners because the patients might have gone the  
14 following day, after receiving our circular, to the  
15 general practitioners. It was only fair to let the  
16 general practitioner know.

17 Q. Yes. Could we have a quick look at the letter, the  
18 letter to the GPs. [\[LOT0022489\]](#). Is that an example of  
19 one of those letters?

20 A. It is.

21 Q. We see that's dated 31 January 1985?

22 A. Yes.

23 Q. I think you provided this copy letter to the Inquiry,  
24 professor. Where did it come from? I don't want you to  
25 say the name of the patient but did it come from

1 a patient's file?

2 A. I'm not absolutely certain. We did file these in the  
3 patients' notes. If I could see the -- if this was from  
4 a patient's notes, we would have whited out, so on  
5 the original you will see whiting out. We had copies  
6 of this -- this may have been one of the copies that  
7 wasn't sent. There were a small pile of copies that  
8 aren't sent. So, I'm sorry, I can't -- it looks such  
9 a clean copy, I suspect this hasn't come from  
10 a patient's notes.

11 Q. But are you clear that this is the text that was sent  
12 out at the end of January 1985?

13 A. I am.

14 Q. Thank you. Well, I want to come back to that but can we  
15 have a look at the advice sheet, please, [\[PEN0120495\]](#)?  
16 Is that the advice sheet that was sent out with the  
17 letter?

18 A. No, this advice sheet was not sent to the general  
19 practitioners. This advice sheet was sent to the  
20 patients.

21 Q. Yes. Thank you.

22 A. The general practitioners received the letter that was  
23 on the screen a moment ago.

24 Q. Yes. But not the advice sheet?

25 A. Not the advice sheet.

1 Q. Thank you.

2 A. We perhaps should have done so but we didn't.

3 Q. But this was the one that you told us was sent at the  
4 end of January 1985?

5 A. To the patients.

6 Q. To the patients. Thank you.

7 A. Yes.

8 Q. Thank you. Who drafted this advice sheet?

9 A. It was a combined effort between myself and Dr Forbes.

10 Q. Thank you. So do you know what he did with this advice  
11 sheet?

12 A. I think he actually did the first draft of it because he  
13 set it out with these questions. That's my feeling and  
14 he sent it across to me for -- for me to put in my  
15 suggestions.

16 Q. Yes.

17 A. I'm not absolutely certain about that. It's possible  
18 I started it but my recollection was it was probably  
19 him.

20 Q. But it was a combined effort?

21 A. That was a combined effort, certainly.

22 Q. Do you know if he sent it to his patients?

23 A. I don't because I have seen a further letter, dated  
24 8 January 1985, which appears to be one that he sent to  
25 his patients.

1 Q. Yes. Thank you.

2 The thing that I have noticed, Professor Ludlam, is

3 that this advice sheet does not appear to contain the

4 important information, that some Scottish patients with

5 haemophilia have tested positive for HTLV-III. That's

6 right, isn't it?

7 A. I'm sorry, I can only see a small segment on the screen.

8 Q. Sorry.

9 A. If I have got a copy --

10 Q. Just take your time. If it's easier to work from a hard

11 copy. (Pause)

12 A. Yes. Your question was again?

13 Q. The question was that this advice sheet does not appear

14 to contain the important information that some Scottish

15 patients with haemophilia have tested positive for

16 HTLV-III.

17 A. No, but it mentions that individuals --

18 THE CHAIRMAN: Paragraph 6, professor.

19 A. Yes.

20 MR GARDINER: I think the closest it comes is perhaps

21 paragraph 6.

22 A. And somewhere else I saw listing the risk groups.

23 I thought I saw. (Pause)

24 In paragraph 3, I'm sorry, it says:

25 "Intravenous drug abusers, haemophiliacs and some

1 blood transfusion patients are probably infected by  
2 blood-borne transmission."

3 Q. So it's paragraph 3 you are referring to?

4 A. Yes, the penultimate -- it doesn't say the Scottish  
5 patients but it says that people with haemophilia --

6 Q. Yes.

7 A. -- are at risk.

8 Q. Yes.

9 A. Yes.

10 Q. Well, at risk?

11 A. Well, are probably infected.

12 Q. Just looking at paragraph 6, the third line:

13 "Exposure to the virus results in the body making an  
14 antibody (HTLV-III Ab) to the virus protein and this is  
15 now used as a marker of exposure to the virus. These  
16 tests are now available and will be carried out on your  
17 routine visits to your centre. About half the patients  
18 in England and about 10 per cent in Scotland have had  
19 exposure and are HTLV-III Ab positive."

20 I wonder if you think, Professor Ludlam, that that  
21 conveys the message to patients that, "You might be  
22 positive"?

23 A. As I was saying earlier, people would like to believe  
24 they are in the 90 per cent, rather than the  
25 10 per cent. This would have been sent out with



1 a covering letter, encouraging -- saying that there were  
2 people who were positive and asking them to make  
3 appointments if they wished to know.

4 Q. But if we just stick on that paragraph there, can we  
5 really say that a patient reading that would clearly get  
6 the message there have been tests done, the results are  
7 that some people with haemophilia are positive and that  
8 they themselves might be positive?

9 A. They might have thought that they were going to be  
10 tested when they came up next to the clinic or they  
11 might have asked about it when they were coming up to  
12 the clinic. Are they going to be tested.

13 Q. I'm just wondering whether you think that that  
14 communicates the message that you were trying to get  
15 across at the meeting to a patient that, "You might be  
16 positive. Because of this new information that we have,  
17 you might be positive." Do you think it does?

18 A. I think if you get a leaflet of three pages closely  
19 typed saying "Acquired Immune Deficiency Syndrome", and  
20 this is known to be something of great concern in  
21 haemophilia circles -- you get this through the post  
22 with a covering letter, particularly in a situation  
23 where, you know, we had hoped this virus wouldn't come  
24 at that particular time. I would have thought it would  
25 make the majority of people sit up and -- and indeed it

1 did make people sit up and come and see us. That's what  
2 happened.

3 Q. Yes. Is it by putting together what's in paragraph 6  
4 with what's in the covering letter that allows the  
5 patient to come to that conclusion?

6 A. Well, and also all the other things that were going on  
7 at the time, the reports in the press, the exchange of  
8 material for heat-treated, giving out condoms in the  
9 haemophilia centre, Geraldine Brown talking to the  
10 patients about their situation, the network of patients,  
11 which in those days was a much closer network because  
12 they knew each other better because they often attended  
13 for their treatments before home treatment became  
14 available. So the whole range of things that were  
15 happening, rather acutely, end of December/early into  
16 1985, that would have alerted everyone, I would have  
17 thought.

18 Q. Yes. I am trying to focus just on this advice sheet at  
19 the moment. Is it what's in paragraph 6, taken with  
20 what's in the covering letter, that allows a patient to  
21 come to the conclusion that they might be positive? Is  
22 that what you are saying?

23 A. And all the other things that were going on that I have  
24 mentioned, at the time.

25 Q. Right. So the advice sheet and the covering letter on

1           their own are not enough to get the message across to  
2           the patient?

3    A.   I would have thought they were enough to get the message  
4           across.

5    Q.   Yes.  Can we be clear about your recollection of exactly  
6           what was in the covering letter?

7    A.   I would have said that, "Probably there has been  
8           a meeting that you may not have been able to come to"  
9           and that this was -- there was some important  
10           information to convey, "Some patients had tested  
11           positive in Scotland".  I might well have said, "from  
12           Scottish Factor VIII".  I might well not have done, I'm  
13           not sure.  But, "Here is a leaflet explaining the  
14           current knowledge, as we understand it, and if you would  
15           like to know your results of the test, it may or may not  
16           be available but we could certainly -- if you would like  
17           to be tested, make an appointment to come and see us or  
18           come and discuss your situation with Geraldine Brown".

19   Q.   Because the letter is sent to some patients that haven't  
20           been tested?

21   A.   Yes.

22   Q.   So how did you draw the distinction between patients who  
23           had been tested and whose results were available and  
24           patients who hadn't been tested but who could have  
25           a test?

1 A. They would all have got the same letter.

2 Q. But in the letter was there a distinction drawn between  
3 patients who had already had a test and patients who  
4 could ask for a test?

5 A. I would have said, "Some patients have been tested and  
6 found to be positive but we haven't tested everybody".

7 Q. Professor Ludlam, you would have realised at the time  
8 what you are saying now, that people won't want to  
9 believe that bad news applies to them, so did that not  
10 make it necessary to be explicit?

11 A. Well, I would have an obligation to inform patients of  
12 their antibody result if it was going to make  
13 a difference to either the way they lived or treatment  
14 that might be available for them. And at that time  
15 there was unfortunately no treatment available and there  
16 were some patients who clearly didn't want to know, and  
17 so, as there was no, in a sense, material gain from  
18 knowing, then it was a patient's prerogative not to  
19 know.

20 Q. Surely at this stage, at the end of January 1985, you  
21 didn't know whether patients wanted to know or didn't  
22 want to know?

23 A. I didn't know. That's why I was writing to them.

24 Q. What I was suggesting to you, Professor Ludlam, was that  
25 because everybody wants to believe that bad news doesn't

1           apply to them, did that not make it necessary to be  
2           explicit in this communication about what the situation  
3           was?

4   A.   Well, it depends how much you want to encourage people,  
5           substantially encourage people, to be tested and to know  
6           the result.

7   Q.   Yes.

8   A.   And at this stage there was -- and I don't know if we  
9           are going to go on to discuss the ins and outs of the  
10          test later on, but at one level there was not a lot to  
11          be gained by knowing the result, and there was a school  
12          of thought amongst a few physicians that actually you  
13          should just assume that everyone is anti HTLV-III  
14          positive and they shouldn't be told the results.  And  
15          there is not a great deal to be gained by testing.

16  Q.   Yes.  Were you part of that school of thought?

17  A.   No.  But I had to take cognisance of it.  I was of the  
18          school of thought that it was not essential for medical  
19          reasons or for social reasons for a patient to know and,  
20          as I think is -- as it rolled out.  There were some  
21          patients who have said they were very pleased that they  
22          didn't know at the time.  That is -- all these patients  
23          are very different and have very different reactions and  
24          very different memories, I suppose, but very different  
25          reactions to where they find themselves in life and

1           whether they want to know this sort of information.

2   Q.   Yes.  At this stage, Professor Ludlam, the stage that

3           you are sending out the advice sheet, were you

4           encouraging your patients to find out the results of

5           their tests?

6   A.   I think I was encouraging them because it sort of -- it

7           was, if you like, one -- removed one aspect of

8           uncertainty.  Uncertainty is -- can be very difficult to

9           live with, very stressful, and when pre-AIDS --

10          pre-HTLV-III counselling came along, that added, in

11          a sense, another tier to the uncertainty and

12          difficulties, but it was -- it was a situation at that

13          time in which there was a great deal of uncertainty and,

14          as I say, I don't know whether we are going to go on to

15          talk about how you might interpret an antibody positive

16          or negative result, but that was added to the

17          uncertainty and so by not knowing the results, you were

18          taking away one uncertainty and substituting another.

19   Q.   Yes.  Are you telling us that part of the reason that

20          this advice sheet wasn't explicit is because you were

21          allowing for the school of thought which said that

22          patients shouldn't be told about their results?

23   A.   No, I was more of the view that patients -- perhaps just

24          I would feel happier if the patients knew but I was not

25          going to insist that they should know unless I could see

1           some positive gain for them.

2   Q.   Yes.

3   THE CHAIRMAN:  Mr Gardiner?

4   MR GARDINER:  Yes.

5   THE CHAIRMAN:  Is that an appropriate moment?

6   MR GARDINER:  I think that is good time for a break, sir.

7   THE CHAIRMAN:  We will have a break at that stage.

8       (11.11 am)

9                                   (Short break)

10       (11.37 am)

11   THE CHAIRMAN:  Yes, Mr Gardiner?

12   MR GARDINER:  Thank you, sir.

13               Professor Ludlam, just going back to the letter that  
14               sent out the advice sheet, could you tell us again, what  
15               did it say about appointments, if anything?

16   A.  I think I would have invited -- I would have said, "If  
17               you would like to know more, phone up and make an  
18               appointment to come and see me."

19   Q.  That's consistent with what you were telling us before  
20               the break, which was your intention not to insist that  
21               your patients found out the results of their tests.  Is  
22               that right?

23   A.  That's correct, yes.

24   Q.  Thank you.  Before we moving on, is it right that there  
25               was another advice sheet sent out, which was to do with

1 children?

2 A. I think there might have been, yes.

3 Q. Do you remember how that differed from the advice sheet  
4 that we looked at?

5 A. I think it didn't make mention of sexual activity.

6 Q. Yes. Thank you. Could we have a look at [\[LOT0034244\]](#).  
7 This is a letter dated 8 January 1985. Have you seen  
8 this before, Professor Ludlam?

9 A. I saw it on Friday. It was given to me. I think I have  
10 seen it before. I saw it probably in about February  
11 or March 1985 because I think this was brought with  
12 a bundle of documents by Dr Forbes to a meeting of the  
13 UKHCDO AIDS group. I think it had its first meeting  
14 in February or March in London in 1985. This appears to  
15 have come from my files because I'll claim the writing  
16 at the top, "AIDS haemophilia directors working party."

17 Q. Yes. If we go to page 3 of [\[LOT0034244\]](#), the last page of the  
18 letter, we see there that that's signed by Dr Lowe and  
19 Professor Forbes?

20 A. Yes, that's right.

21 Q. Thank you. If we just go back to the first page, we see  
22 that the letter starts off by referring to:  
23 "... recent publicity in the newspapers and  
24 television concerning an increasing risk of the disease  
25 known as 'Acquired Immune Deficiency Syndrome' in



1 haemophiliacs who have received treatment with clotting  
2 factor concentrates."

3 And goes on to talk about what has been recognised  
4 in recent months. Then the third paragraph:

5 "The risk of the disease, AIDS, in haemophiliacs  
6 appears to be very small and less than the risks of  
7 bleeding. We therefore recommend that you should  
8 continue treatment with clotting factor concentrates.  
9 Several steps have been taken to reduce the risk of  
10 viruses in the clotting factor concentrates. All blood  
11 donors discovered to be at risk of AIDS are being  
12 excluded from blood donation. All Scottish Factor VIII  
13 concentrate is now heat-treated to destroy the virus."

14 In the next paragraph there is a discussion:

15 "... we do not yet have a blood test for the virus  
16 particle but hope to have this within the next few  
17 months."

18 Then it goes on to discuss studies in England. In  
19 the middle of that paragraph:

20 "Recent studies in England have found that about  
21 half of regularly treated haemophiliacs have positive  
22 antibody tests. We have recently tested stored blood  
23 samples from many of our patients, of whom about  
24 10 per cent have positive antibody tests."

25 So would you agree, Professor Ludlam, that that's

1 different from what is in your advice sheet in as much  
2 as it refers to "our patients". It's very much drawing  
3 attention to Glasgow patients? Maybe we could go back  
4 to page 2 of [\[PEN0120495\]](#).

5 A. Yes, this -- one must presume this refers to patients  
6 under the care of Dr Lowe and Dr Forbes, yes.

7 Q. Yes. I'll just wait to get it on the screen. So in  
8 your advice sheet --

9 THE CHAIRMAN: Could we have them side by side, possibly,  
10 Mr Gardiner, because there are several  
11 interrelationships between the documents that might be  
12 of interest.

13 We try to put things in context a little. If you  
14 look at the second page of the Glasgow letter, if I can  
15 call it that, we see that the series of recommendations  
16 under "Secondly" has, in effect, been adapted from  
17 paragraph 7 of the letter you described as the "agreed  
18 letter".

19 A. That's correct.

20 THE CHAIRMAN: One or two of the paragraphs have run into  
21 one another or have been combined rather than presented  
22 separately but the information is just the same.

23 A. Yes.

24 THE CHAIRMAN: In fact if you compare the font, at least in  
25 the copy I have, the hard copy I have, Mr Gardiner, you

1 will see that the second page of the Glasgow letter is  
2 in a distinctly different font from the first and the  
3 third.

4 MR GARDINER: Indeed, yes.

5 THE CHAIRMAN: It looks as if there has been a cut and paste  
6 job done to incorporate the advice. In each case, if we  
7 go back a little, the information in what was  
8 paragraph 6 in your agreed letter, or the letter you  
9 discussed with Professor Forbes, has been brought  
10 forward on to the first page, but each talks about  
11 10 per cent.

12 One says 10 per cent in Scotland, and if  
13 Mr Gardiner's interpretation is right, the other one is  
14 saying that precisely the same percentage of infection  
15 applies in Glasgow. Would that ever have been accurate?

16 A. I think it fair to say that patients, as far as  
17 I recall, at this stage hadn't been tested in Dundee,  
18 Aberdeen and Inverness and therefore this estimate is  
19 based on patients looked after, I think, in the central  
20 belt of Scotland.

21 THE CHAIRMAN: I appreciate that that's so from other  
22 information. So it can't have been all of Scotland, if  
23 it were accurate.

24 A. That's correct, yes.

25 THE CHAIRMAN: And if it's the central belt, was it ever the

1 case that the prevalence east and west was precisely the  
2 same?

3 A. Almost certainly not.

4 THE CHAIRMAN: Yes.

5 I'm just not all that happy about spending a huge  
6 amount of time on a sort of analysis of language where  
7 what we may have here is just a very general estimate,  
8 Mr Gardiner, of a level of prevalence to communicate to  
9 patients that it is not everybody but is a significant  
10 percentage.

11 MR GARDINER: Yes, thank you.

12 If we read on in the Glasgow letter, at the bottom  
13 of the page, we see:

14 "We are writing to you now for three reasons:

15 "Firstly, we enclose an appointment to see you. It  
16 is important that we take a blood sample from you for  
17 the virus tests, so that we can monitor virus exposure  
18 in all our patients who have received factor  
19 concentrates. We would also like to perform some skin  
20 tests which measure the body's defences against  
21 infections. At the same time we will be very happy to  
22 give further information and to answer any questions you  
23 may have about the virus and the tests."

24 If we go to the final page, it says:

25 "We will be very happy to talk with them about such

1 concerns. Please bring them along with you if you would  
2 like us to do this."

3 Then:

4 "If the enclosed appointment is unsuitable, please  
5 ring Sister Campbell ... for another one."

6 So there is a difference there, Professor Ludlam,  
7 because this letter from Glasgow is making an  
8 appointment for the patient and if the appointment is  
9 not convenient, the patient is asked to phone up and  
10 make another one, whereas I think from what you told me  
11 earlier, your letter was less prescriptive about coming  
12 for an appointment and it was left more up to the  
13 patient whether they wanted to come or not. Would that  
14 be fair?

15 A. I didn't send out appointments. I invited patients, if  
16 they wished to be tested or to know more, to make an  
17 appointment to come and see me. And I think the  
18 difference in approach reflects the difficulties around  
19 at the time. I'm sure -- I think Professor Lowe is  
20 going to come and give evidence and I'm sure he will be  
21 able to tell you more about what happened in Glasgow.  
22 But it would appear from this letter that there was more  
23 of an emphasis in Glasgow on testing individuals and  
24 telling them the result.

25 Q. Yes.

1 A. Than on this side of the country, where I, in a sense,  
2 gave more responsibility to the patients, to think about  
3 it, to discuss it with their spouse, with  
4 Geraldine Brown. They could easily go to one of the  
5 counselling facilities that were set up independent of  
6 haemophilia centres, so that they could get an outside  
7 view, and I was making myself available to see them if  
8 they would like to come.

9 Q. Yes. That's consistent with your approach, which is not  
10 to insist that results are communicated to patients?

11 A. That's right, yes.

12 Q. Yes, thank you. I propose to move away from the advice  
13 sheet.

14 THE CHAIRMAN: Yes, thank you.

15 MR GARDINER: Professor Ludlam, I am afraid I would like to  
16 go back to the Dr Tedder communication and that is  
17 because the Inquiry is still a little bit uncertain  
18 about dates and I would just like to press you a little  
19 bit on the date that you found out from Dr Tedder about  
20 the initial tests.

21 Could we have a look at [\[SNB0065996\]](#) again, please?

22 I think you told us that as soon as you finished  
23 speaking to Dr Tedder, you got in touch with  
24 Dr McClelland by telephone. Is that right?

25 A. Yes, that's my recollection. That's what I would have

1           done.

2    Q.    So how long would the interval be?

3    A.    Five or ten minutes.

4    Q.    Thank you.  If we look at paragraph 1 there:

5            "On the evening of Friday 26 October Dr Christopher

6           Ludlam telephoned me at home to let me know that six

7           haemophiliac patients of his had developed antibody to

8           HTLV-III.  He thought that three of these

9           seroconversions could be attributable to the use of PFC

10          products.  He stressed his desire to have confirmatory

11          tests ..."

12                 What is confusing us is how you were able to come to

13          that conclusion that the conversions were attributable

14          to the use of PFC products within the space of five to

15          ten minutes?  How did you work that out?

16   A.    I'm sorry, I'm sure I telephoned Dr McClelland to say

17          that patients had been found to be positive straight

18          away.

19   Q.    Yes.

20   A.    But the fact that three were attributable to -- possibly

21          to SNBTS material clearly would have required me to go

22          and look at the transfusion records.  Yes, that would

23          take a little while to do.

24   Q.    Yes.  He seems to be recording the fact that he gets the

25          information all in one phone call.  I suppose what I'm

1 getting at --

2 A. I'm sorry --

3 Q. What I'm getting at, Professor Ludlam, is: is it

4 possible that there was more of a gap than this time

5 that you have given us between phoning up Dr McClelland

6 and passing on this information? Is it possible that

7 you got the information from Dr Tedder, then went and

8 checked your transfusion records, then phoned

9 Dr McClelland?

10 A. No. I can help you. I think I would know -- these were

11 all named patients. There were, let us say, six that

12 were positive. I would know from my memory which ones

13 had had commercial Factor VIII and the other three,

14 I would be pretty certain, hadn't had commercial

15 Factor VIII because, as you know, only a small number of

16 people had received commercial Factor VIII in Edinburgh

17 and I knew their names. And therefore, as soon as

18 I knew the names who were positive, I would know which

19 had had commercial and which were probably SNBTS only.

20 Q. So at the time you would have remembered that three of

21 the patients had had commercial concentrate and three

22 had had SNBTS product?

23 A. Yes.

24 Q. Yes.

25 A. I would know the names -- there are only a small number



1 of people who had received commercial concentrate.  
2 Well, you have the information. And I could give you  
3 the names now -- you won't want me to do that -- but  
4 I knew exactly who they were.

5 Q. I seem to remember that on Friday you told us that you  
6 had deliberately selected ten patients who had only  
7 received SNBTS concentrates?

8 A. I was probably wrong. I probably included some  
9 commercial ones, you know, to see what the answer would  
10 be.

11 Q. So now that you have thought about it, you think you  
12 were wrong when you told us that on Friday?

13 A. I think I probably was, yes.

14 Q. Yes. Okay. Could we move on to the topic of  
15 arrangements for testing of your patients after the  
16 meeting or perhaps more accurately, passing over the  
17 results? Could you tell us what happened next with your  
18 patients in terms of receiving results and so on?

19 A. I was contacted through the haemophilia centre by  
20 patients who wanted to know the results and I saw them  
21 usually at -- outwith clinic times. It's a time when we  
22 were very short of clinic space. I have provided the  
23 Inquiry with a summary of the development of the  
24 haemophilia service but at that time we had a single  
25 room with a small partitioned area off in one of the

1 wards, which we called our "haemophilia centre", which  
2 was for the treatment of acute bleeds, basically.

3 The patients were seen for their routine reviews in  
4 the general medical outpatient department. So I did not  
5 have anywhere else to see people with some degree of  
6 privacy, and I remember having to borrow rooms in one or  
7 two of the other wards, to find out where there was  
8 a free room to see someone.

9 So it was unsatisfactory but I wanted to give the  
10 patients a bit of space and time and have a bit of  
11 privacy. The facility we had in ward 23, the partition  
12 wall between the waiting area and the tiny clinic room,  
13 was thin and I don't think there was even room to sit  
14 down actually in this little room. We had a couch and  
15 a filing cabinet. So I had to find other space. So it  
16 was not satisfactory but I had to make do.

17 Q. Yes. So when would this process have started?

18 A. Oh, I don't remember being contacted by patients before  
19 the beginning of January but thereafter they would ask  
20 to come up and see me. Sometimes they would come up to  
21 collect home treatment, for example, and the nurse would  
22 say, "So and so is here, they would like to see you if  
23 you are available."

24 Or the nurse might say, "Would you like to see  
25 Dr Ludlam?" And if I was available I would come along

1           and see them. So it was a very sort of ad hoc,  
2           unstructured arrangement.

3    Q.   Yes. The Inquiry has heard evidence that one patient  
4           received his results by the end of December 1984. Is  
5           that --

6    A.   That's possible. There may well have been people,  
7           because this meeting was on -- we are agreed -- the  
8           19th. So there were a few days before Christmas and  
9           there is the time between Christmas and New Year. I may  
10          well have seen a small number of patients then.

11   Q.   Yes. Our information is that it was by 21 December that  
12          this patient was told of his results.

13   A.   It might have been, yes.

14   Q.   Would you be able to estimate what percentage of your  
15          patients came and asked and received their results,  
16          let's say, in 1985?

17   A.   I think the majority of patients came in -- some time in  
18          1985.

19   Q.   When you say "the majority", is that the majority of  
20          patients which had been tested at that stage?

21   A.   A lot of the patients who had been tested at that stage.  
22          There would be some patients who hadn't been tested, who  
23          would have come along as well.

24   Q.   I think you told us before that 40 to 50 patients had  
25          been tested by this stage?

1 A. Well, that's my recollection with Professor Tedder.

2 Q. Yes.

3 A. The samples I sent to Dr Tedder.

4 Q. Of that 40 to 50, how many of those patients had come  
5 and received their results from you by the end of 1985?

6 A. I think the majority.

7 Q. Yes. So more than 75 per cent?

8 A. I would think so, yes.

9 THE CHAIRMAN: That's an unusual definition of a majority.

10 A. I didn't want to quibble.

11 THE CHAIRMAN: But I'm more concerned with "tested by this  
12 stage", when one is covering a whole year.

13 MR GARDINER: Yes.

14 THE CHAIRMAN: There is a difference, Professor Ludlam, if  
15 we have 40 to 50 people tested by the end of 1984, then  
16 it makes sense to ask, I think, what proportion of those  
17 people were tested in 1985. But it doesn't answer the  
18 question whether a different percentage of your total  
19 population was being tested in 1985. I would like to  
20 get as much help as I can in understanding the pattern  
21 of testing.

22 A. I appreciate the distinction.

23 MR GARDINER: So I think the distinction is between the  
24 patients who had been tested by the end of 1984, which  
25 I think you told us was 40 to 50.

1 A. 40 to 50, something like that.

2 Q. Yes, 40 to 50, and then subsequently more patients --

3 I think are you telling us that more patients were

4 tested?

5 A. Yes. We were keen to encourage patients to be tested

6 because there was a public health side to all of this.

7 We wanted to know whether the heat treatment process was

8 effective. The studies published in October from Cutter

9 Laboratories and MMWR, I think, were on a mouse

10 retrovirus, heat sensitive tests, and there was some

11 evidence from spiking, I think probably at both these

12 places, that the virus was heat sensitive and that

13 60 degrees or 68 degrees for a short spell would be

14 enough to kill the virus or to make it non-infectious.

15 As you know, from December 1984 only heat-treated

16 SNBTS Factor VIII was provided in Scotland and we wanted

17 to know whether the heat treatment process, which at

18 that stage was for two hours at 60 degrees in the dry,

19 was adequate. And the way to do that, potentially, was

20 to follow up patients, who were negative, regularly, to

21 see whether any of them seroconverted.

22 Q. Yes. Just looking at the 40 or 50 patients that had

23 been tested by the end of December 1984, by what stage

24 in 1985 had the majority of those patients received

25 their results?

1 A. I would have thought at least 75 per cent of them by the  
2 end of 1985.

3 Q. Of course, that would include patients who had tested  
4 positive and patients who had tested negative?

5 A. Yes.

6 Q. Yes. As far as the patients who had tested positive,  
7 how many of that group had received their results by the  
8 end of 1985?

9 A. I think a larger percentage. My recollection is there  
10 were a small handful -- I'm sorry, I'm a bit guessing  
11 but let's say half a dozen at the most patients by the  
12 end of 1985, who we knew to be anti HTLV-III positive,  
13 who didn't know. It may have been fewer than half  
14 a dozen but it was a small number.

15 Q. Would it be fair to say, Professor Ludlam, that your  
16 approach in 1985 to patients receiving their results was  
17 to leave it to the patient to make an approach to you to  
18 ask for the results?

19 A. Yes.

20 Q. You told us that the nurse would sometimes say to the  
21 patients, "Would you like to see Dr Ludlam?" Was she  
22 under instruction from you to ask patients that  
23 particular question during 1985, with a view to  
24 encouraging patients to ask for their results?

25 A. Yes, yes. In general we felt more comfortable if

1 patients knew the results, but we weren't going to  
2 pressurise the patients to have the result.

3 Q. Yes. If you saw a patient who had been tested but who  
4 hadn't received their results in the clinic, what was  
5 your approach to them in terms of encouraging them to  
6 ask for their results?

7 A. It would very much depend upon the circumstances, as to  
8 why I was seeing them in the clinic. I might or might  
9 not have raised the subject. It would depend on many  
10 factors. Of course, that is assuming the patients come  
11 to the clinic. There are some patients who are not keen  
12 to come to clinics and we have difficulty sometimes  
13 persuading them to come regularly for a follow-up. And  
14 I can appreciate that such people, you know, won't see  
15 me as often.

16 Q. Yes. For patients who had come to the clinic and who  
17 had seen you, what were the factors that determined  
18 whether you would raise the topic of testing with the  
19 patient?

20 A. I think, if they had come up with a bleeding problem or  
21 a medical problem that required attention, I would have  
22 dealt with that issue, offered them some treatment -- or  
23 whatever else was wrong with them, maybe some  
24 investigations. And I think I would have concentrated  
25 on that because that's why they had come. If they had

1           come for a routine review appointment and we were  
2           reviewing their situation -- how they were, was the  
3           clotting factor working properly -- I ask that because  
4           if you develop an anti-Factor VIII inhibitor, then, when  
5           you inject the Factor VIII, you don't feel you are  
6           getting the same clinical response. So it's an easy way  
7           of determining whether the patient might have developed  
8           an inhibitor. And I might have asked generally how they  
9           were feeling, make sure that they didn't have symptoms  
10          of anaemia, for example, and would be particularly  
11          interested in knowing what bleeds they had had recently  
12          and if they had an active bleed that they were treating,  
13          because quite often patients get recurrent bleeds into  
14          one joint, called a "target joint", and it becomes  
15          a very difficult joint to manage. They require a lot of  
16          treatment, it's uncomfortable, it's a big nuisance to  
17          them.

18                 So at a routine visit, and reviewing their general  
19          situation, I might well say, "Have you thought about  
20          HTLV-III? What do you know about HTLV and AIDS in  
21          haemophilia," and, you know, "We have been testing some  
22          people."

23                 So it would have been raised. Not for everyone. If  
24          people had come up with a specific medical difficulty,  
25          I would deal with that and probably not think about AIDS



1           because it would be a bit confusing.

2   Q.   Yes.  So you raised it as a topic?

3   A.   I raised the topic with patients when they came for  
4       review, not all patients, not all the time but some of  
5       them some of the time.

6   Q.   Yes.

7   A.   I may know that they have already been -- there was  
8       quite a lot of people that came fairly early, the first  
9       three months of 1985, who may not have been in the  
10      initial 50 and, you know, who hadn't been tested, and we  
11      would have offered them testing and that would have been  
12      given the results and moved on from there.

13  Q.   You said you would have raised the topic with some of  
14      the patients but not with others?

15  A.   Well, they might already have been told their results.

16  Q.   Right.

17  A.   Okay?

18  Q.   I'm talking about patients who haven't had their  
19      results?

20  A.   And I knew the result?

21  Q.   Did you not know all of the results?

22  A.   In my head?

23  Q.   Yes.

24  A.   I had quite a good memory initially of who was positive  
25      and who was negative, but, as the weeks and months

1 rolled on, it became harder to retain.

2 Q. So at these routine review meetings which patients would  
3 you raise the topic with and which patients would you  
4 not raise the topic with?

5 A. I said, if patients came and there was some medical  
6 issue that needed addressing, I would concentrate on  
7 that. If we had a more general discussion about their  
8 haemophilia, their general health, how they were, how  
9 was their work; were they being off work because of  
10 bleeds and their haemophilia or off, you know, prevented  
11 from doing things. And I might in that time, in the  
12 general discussion, say, "And have you thought about --  
13 what do you know about AIDS?" and take it from there.

14 Q. You see, you are using the word "might". I'm trying to  
15 focus on when you would do it and when you would not do  
16 it. Did you have a rule of thumb?

17 A. No. As I say, I wouldn't do it if the patient had some  
18 other preoccupation.

19 Q. We are just talking about routine reviews at the moment?

20 A. A routine review, without another preoccupation, I would  
21 think about raising it with the patient.

22 Q. But would you do it?

23 A. Yes. Well, I would if I thought it appropriate. There  
24 are one or two instances I can think of -- I would  
25 rather not say what they are here but if you insist,

1 I will do so -- where you thought it was perhaps  
2 imprudent to raise the topic.

3 Q. Yes. I think you told us that by the end of 1985 there  
4 was a small handful of patients who had not received  
5 their results. Is that right?

6 A. Yes.

7 Q. Of those patients who had not received their results who  
8 were positive, did you have their identities clear in  
9 your head at the end of 1985?

10 A. Oh, yes.

11 Q. Right. What was your approach to those patients in  
12 terms of communicating results?

13 A. We were -- by the end of 1985 it was becoming clearer  
14 that if you were anti HTLV-III positive, then you  
15 probably harboured the virus. That's the first thing.  
16 Secondly, it was becoming rather clearer that, if  
17 you were anti HTLV-III positive, the risk of progression  
18 to AIDS was greater than our original estimate of one in  
19 500.

20 So if you like, there was a greater confidence about  
21 what an anti HTLV-III positive result meant, and  
22 conversely there was a bit more confidence that if you  
23 weren't anti HTLV-III negative, maybe you didn't have  
24 the virus. So there was a bit more of a dividing of the  
25 ways, if I can put it that way. Late 1985/early 1986 is

1           the sort of time I would put it. It was gradually  
2           evolving.

3    Q.   Yes. Are you saying that by the end of 1985 the  
4           prognosis for patients who had tested positive was  
5           clearer?

6    A.   I think by that stage the chances -- if you were  
7           positive, the chances of you getting AIDS was rising.  
8           So I can't put a figure on it.

9    Q.   Yes. Sorry, I interrupted you. So because it was  
10           clearer at the end of 1985, what did that mean in terms  
11           of your approach to the patients who had been tested but  
12           who hadn't received their results?

13   A.   Well, we were quite concerned and we discussed it at  
14           quite some length, I think you have gathered from what  
15           I have sent in as written evidence and maybe other  
16           people. We used to meet once a week as a team and think  
17           about individual patients, perhaps whom we had seen,  
18           particularly during the previous week, who we had given  
19           results to, what difficulties were emerging. This was  
20           a time when -- it was a fairly quiescent period at one  
21           level because patients were all feeling well. It was  
22           a sort of phoney war time, if I can put it that way.  
23           All the patients were well and we discussed each week  
24           who we had seen, exchanged information that seemed  
25           relevant and increasingly worried about the small number

1 of people who were -- had tested positive and who didn't  
2 know.

3 Q. Yes. Why were you worried?

4 A. Well, the significance in terms of their prognosis was  
5 beginning to look a bit worse. There was still no  
6 treatment or no prophylaxis at this stage, nothing that  
7 could be done, in a sense, medically to improve their  
8 prospects, and so we decided as a group -- and this was  
9 a group of Dr Masterton, the psychiatrist,  
10 Geraldine Brown, Michelle Jones, our haemophilia sister,  
11 our staff nurse -- before the time that  
12 Alison Richardson came to work with us -- myself, my  
13 registrar. Those were the principal people sitting  
14 round the table, thinking about these issues.

15 Q. What did you do about it?

16 A. Well, the advice -- there was the feeling that, well,  
17 maybe patients don't want to know. Maybe once they know  
18 they are antibody positive, there is no going back, and  
19 if you don't know, then you can believe that you are  
20 negative. And certainly I can think of instances when  
21 people have said they have been very pleased they didn't  
22 know and they were very angry when I eventually told  
23 them.

24 So it was a difficult area. We were taking --  
25 Geraldine Brown had experience in counselling,

1 Dr Masterton was very helpful. It was a very new  
2 situation for us and we wanted to be sensitive to the  
3 patients because once you have told someone, you can't  
4 untell them.

5 Q. What you are describing there, Professor Ludlam, is  
6 discussions amongst medical staff. I'm interested to  
7 know if at that time -- and we are talking about the end  
8 of 1985 -- your approach to insisting, if you like, that  
9 patients know the results, changed at all?

10 A. No, I think it changed a little later. It changed  
11 a year or so later, because at that point there was  
12 beginning to be -- the possibility of treatment with  
13 Zidovudine was being talked about. There was the  
14 possibility of prophylaxis against pneumocystis, the  
15 awful pentamidine inhalations. At that time, in other  
16 words end of 1986/87, one or two patients were starting  
17 to become clinically unwell, I assume because of the  
18 virus.

19 So a time came when I felt it really was in the  
20 medical interests of the patients to tell them.

21 Q. Yes, and what time was that?

22 A. This would be the end of 1986/the beginning of 1987.

23 Q. So you moved to a position of insisting, if you like,  
24 that your patients were told their results?

25 A. Well, it was a balance and I thought it was becoming

1 more in their interests, medical interests, to know.

2 Q. Yes. So did you then move to a position where you were  
3 insisting that they found out their results?

4 A. I think at that point I was asking them to come and see  
5 me, and I can't quite remember how strongly I would have  
6 put it but I would have made it very clear that  
7 I thought there were good reasons to know and I would  
8 like to tell them.

9 Q. Yes. So that doesn't sound like you are insisting. You  
10 are perhaps -- how would we put it? -- encouraging your  
11 patients to ask for their results?

12 A. I think -- I'm sorry, I can't remember the -- exactly  
13 how insistent I was but I might have told people, saying  
14 "I think it's in your interests to know."  
15 I'm not quite sure how much leeway, how much option.  
16 I don't think I was actually going to give them very  
17 much option at that stage, because potentially they  
18 might start to develop symptoms of AIDS and I felt it  
19 was actually important that people knew.

20 Q. Yes. You said that you wanted your patients to come and  
21 see you. So how did you make that happen?

22 A. I either wrote to them or someone would ring them up and  
23 ask them to come. I forget the --

24 Q. We are talking here about the small handful of patients  
25 whose results you had but they hadn't been communicated

1 to them?

2 A. Yes.

3 Q. And we are still talking about the group of patients  
4 that were in the 40 to 50 that were initially tested by  
5 Dr Tedder?

6 A. Not absolutely certain about that. They were people who  
7 I knew were anti HTLV-III positive towards the end of  
8 1986.

9 Q. Yes.

10 A. You know, they would have been tested at some stage  
11 before that.

12 Q. Well, I think I had better clarify that with you. We  
13 have the first group, the 40 to 50, who were tested, and  
14 we know that in November 1984, 16 of these patients had  
15 tested positive and they had all received SNBTS product.  
16 I think that you had concluded that these patients had  
17 all received the same batch. Is that correct?

18 THE CHAIRMAN: Professor, I'm not sure it is necessarily  
19 absolutely correct because there were a range of values  
20 but perhaps the significant issue is whether it was  
21 understood by you and your colleagues at that stage that  
22 batch 0090 was highly likely to be the cause of  
23 transmission. I think if we proceed on that basis, that  
24 might be enough.

25 A. Yes, certainly.



1 MR GARDINER: Yes.

2 A. Yes.

3 Q. So that is the group of patients that have come to be  
4 called the "Edinburgh cohort"?

5 A. Yes.

6 Q. Yes.

7 A. But I'm not sure -- sorry, I'm tiring a little in the  
8 numbers. I'm not sure whether the 15 or 16 that were  
9 positive at that time were all from the cohort?

10 Q. I see.

11 A. If we are talking about November.

12 Q. Yes.

13 A. Because -- well, at least one of them was probably from  
14 commercial.

15 Q. Perhaps you could -- you have told us about the initial  
16 testing by Dr Tedder. Could you tell us about other  
17 testing that was done in 1985?

18 A. Yes, certainly. Very early in 1985 it became clear that  
19 anti HTLV-III testing would have to be set up in many  
20 centres in the country. My virological colleague,  
21 Dr Peutherer, who I had worked closely with over the  
22 Hepatitis B work we had done, made enquiries about  
23 setting up the anti HTLV-III test in Edinburgh. So  
24 I would think by about February/March/April there were  
25 a number of different commercial kits that were under

1 evaluation. I can't quite remember. I don't think he  
2 started with live virus because you required special  
3 containment facilities, which he had but I'm not sure  
4 that were used. But local testing was available in the  
5 spring -- by the spring of 1985.

6 That opened up the opportunity for many more  
7 individuals to be tested, not only people with  
8 haemophilia but a whole lot of other people, and as  
9 I think I alluded to and maybe was discussed earlier, we  
10 established, at my suggestion, what we called the "AIDS  
11 Advisory Committee" in Edinburgh, to cover Lothian. In  
12 fact its first meeting was on 19 December 1984. So that  
13 was quite a busy day.

14 We established this committee to try and address the  
15 myriad of problems that were coming out at us, because  
16 it became known that people with haemophilia were anti  
17 HTLV-III positive. And one of the consequences of local  
18 testing becoming available was that, particularly after  
19 it became known, I think in about February 1985 but  
20 I could be wrong, that anti HTLV-III positivity amongst  
21 intravenous drug users was quite high and so some of the  
22 medical staff, particularly in A&E departments in  
23 Edinburgh, and particularly surgeons and particularly  
24 orthopaedic surgeons, became very anxious about the  
25 possibility of getting infection from anti HTLV-III

1 positive people who were not known to be positive.

2 Q. Professor Ludlam, I wonder if I could interrupt you  
3 there. I'm really interested in the testing that was  
4 done at this stage -- and we are talking  
5 about February/March/April 1985. Do you think you could  
6 tell us how many of your patients were tested and what  
7 the results were?

8 A. At that stage I think we would have sent our samples to  
9 Dr Peutherer, and we would probably send samples from  
10 people that Dr Tedder had tested as well to make sure we  
11 got the same answer.

12 And we would have offered testing to people who  
13 crossed the threshold, if I can put it that way, for  
14 reasons I have already explained.

15 Q. Yes. So as a result of that testing, patients who  
16 crossed the threshold as you put it, how many of your  
17 patients were tested in that way?

18 A. Over the succeeding few months I would have thought 50  
19 or 70 per cent of all our patients who were at risk, or  
20 more.

21 Q. What were the results of that group?

22 A. Most of those were anti HTLV-III negative.

23 Q. Yes. How many were positive, if you can remember?

24 A. Probably five or seven, maybe ten.

25 Q. And are you able to say whether some of that group, by

1 the end of 1985, had not received their results?

2 A. I'm sorry, I can't.

3 Q. Okay. Just to clarify the question about confirmatory  
4 testing, did you do confirmatory testing on all of the  
5 Tedder patients, the Tedder samples, if you like?

6 A. I think so, yes.

7 Q. It sounds as though if you didn't have testing  
8 until February/March 1985, some results would have been  
9 passed on before you had done confirmatory testing?

10 A. If I had a result from Dr Tedder on a single sample and  
11 a patient came to see me, I would give them the result  
12 and I would say, "That's as I understand it, but I think  
13 I would very much like a further sample from you to send  
14 to Dr Tedder or to Dr Peutherer to get a second result  
15 to see if it confirms the first."

16 Q. Yes. What would happen when you got the confirmatory  
17 test back?

18 A. I would inform the patient.

19 Q. Yes. In a meeting?

20 A. Probably at a clinic or the nurse perhaps would inform  
21 them. It was not new information. I would be happy for  
22 the nurse to give them confirm -- confirmatory tests, I  
23 think, for the negatives. Confirmatory tests for the  
24 positives I would probably have seen myself.

25 Q. Yes. I think you did tell us a little bit about how you

1 passed on the positive results. Could you tell us  
2 a little about what you advised the patients at the  
3 beginning of 1985, when you saw them, who had tested  
4 positive, about prognosis?

5 A. Well, I said that at that stage -- I'm sorry, I have  
6 forgotten -- I could look it up for you if you wanted --  
7 the exact numbers in North America, who had --  
8 haemophiliacs who had developed AIDS, but it was between  
9 one in a 1,000 and one in 500. So I would have said, as  
10 I described earlier this morning, I very clearly  
11 remember telling one particular patient that it was  
12 about this sort of level from the information we had  
13 available at the time.

14 Q. Yes. Thank you. I would like to ask you a few  
15 questions about your decision not to insist on advising  
16 patients and can I ask you to have a look at  
17 [\[SNF0013850\]](#)? I think we have seen this before. This  
18 is the notes of the haemophilia reference centre  
19 directors' meeting on 10 December 1985. I think you did  
20 tell us a little bit about discussions that were had at  
21 that meeting. Do you remember what the consensus of  
22 opinion was about telling a patient that they had tested  
23 positive at this time?

24 A. My recollection is that if a patient wanted to know,  
25 that they should be told. There was a view that -- as

1 I think I mentioned earlier -- that patients shouldn't  
2 be told. I go on the philosophy that if you are looking  
3 after patients on a long-term basis and have quite close  
4 relationships with them, seeing them quite frequently,  
5 it is actually quite difficult to withhold information  
6 from them. There is a degree of deception and I don't  
7 think that's terribly healthy.

8 Q. Yes.

9 A. So my philosophy in general is to make the information  
10 available if it seems appropriate. I mean, there may be  
11 bits of information occasionally that it's not  
12 appropriate to make available but that's my philosophy.

13 Q. If we look at page 5 of these notes, we see a reference  
14 to Dr Kernoff and then the paragraph underneath that,  
15 the chairman, who is Professor Bloom:

16 "... summarised by saying that testing should be  
17 instituted as soon as possible and that information on  
18 test results should not be given automatically but if  
19 asked for."

20 So that's consistent with your recollection of what  
21 was decided at this meeting?

22 A. I think so, yes, there was a long discussion about it  
23 and a spectrum of views but I think the chairman has  
24 summed it up succinctly and appropriately there.

25 Q. Yes. If we could have a look at [\[SNF0014020\]](#), we see

1           that this is a letter from Dr Craske dated  
2           23 October 1984, and we see on the front there "copy D  
3           Ludlam". Do you remember seeing this letter at the  
4           time?

5   A. Yes, I think I got my own copy of it. This is one sent  
6           to the Blood Transfusion Service but I had a copy as  
7           a haemophilia director.

8   Q. Yes. If we look at 4024, the appendix which is headed  
9           "Ethical problems associated with HTLV-III infection in  
10          haemophiliacs":

11                 "The accompanying letter details a protocol with two  
12                 alternative strategies for the follow-up of patients who  
13                 have received a batch of Factor VIII contaminated with  
14                 plasma collected from a donor who subsequently is shown  
15                 to have AIDS or to have acquired HTLV-III infection."

16                 The two options that are given are:

17                 "Informing the patient and his family of the risks."

18                 Then:

19                 "Restricted follow-up."

20                 At the bottom Dr Craske says:

21                 "In my opinion, option 1 is the only one tenable on  
22                 moral and ethical grounds."

23                 Do you read that as Dr Craske coming to a different  
24                 view from the view that you came to?

25   A. No, I don't think so, because -- can you just bring the

1 page down a little bit, so I can see the top?

2 Thank you.

3 These were people who had been exposed to a batch of  
4 Factor VIII that was contaminated. And the option two,  
5 the restricted follow-up, makes no mention of advising  
6 the patient that he might be at risk of HTLV-III. It  
7 rather implies waiting to see whether he becomes  
8 infected. Clearly, that potentially could have exposed  
9 his wife or sexual partner to infection.

10 So -- I mean, the advice we were offering along with  
11 the physical condoms, were: everyone should consider  
12 they are infected, because even if they were negative --  
13 let's just think of the worst case scenario or a worse  
14 case scenario -- patients were anti HTLV-III negative  
15 in January 1985 and the heat treatment process had not  
16 been effective, that was instituted in December, and  
17 some had got infected in the spring of 1985 from SNBTS  
18 concentrates, we now know, partly from some of the  
19 research that we did, that shortly after infection there  
20 is a big outpouring of virus into the blood and I think  
21 I would be right in saying that early in the infection  
22 you are probably more infectious than later on. I base  
23 that on the HTLV-III antigen results, which were  
24 a measure of virus in the blood. And you get a peak  
25 shortly after infection. I suspect you are more



1 infectious at that stage.

2 So it's not a case of whether or not you inform  
3 people, it is a case of whether they are positive or  
4 they have had an implicated batch, but that everybody  
5 must use -- assume that they either are or could be  
6 infected because we didn't know until about 1987 --  
7 I mean, there were seroconversions of heat-treated --  
8 following -- there were episodes of patients who got  
9 treated with heat-treated concentrate who seroconverted  
10 because the heat treatment was inadequate for a whole  
11 variety of reasons.

12 So it wasn't really until, let's say, 1988 that  
13 there was good evidence that the viricidal techniques  
14 were very effective.

15 Q. Would you accept, Professor Ludlam, that, as a patient,  
16 if you know that you are positive, you are more likely  
17 to take precautions with safe sex and spillages and so  
18 on, than if you simply know that you are potentially  
19 infected?

20 A. I think that's probably right, yes. That's why we gave  
21 out condoms to everybody as a way of emphasising it.

22 Q. Yes. My point really is that as a patient, if you know  
23 that you have tested positive, then you are more likely  
24 to take precautions?

25 A. To use them?

1 Q. To use them?

2 A. Indeed.

3 Q. You are agreeing with that?

4 A. I think so, yes.

5 Q. Can we have a look at [\[PEN0150250\]](#)? That's a letter  
6 dated 30 November 1984, addressed to you. That's also  
7 from Dr Craske, is it not?

8 A. It is.

9 Q. Do you remember getting that letter?

10 A. Yes.

11 Q. Am I right in thinking that there was an appendix --  
12 I mean, we don't have it here but was there an appendix  
13 which was the same as the one that we have just looked  
14 at appended to the other Craske letter?

15 A. I'm sorry, I'm not sure but I suspect it probably was.

16 Q. Yes. Thank you. I would like you to have a look at the  
17 transcript of some evidence that we heard from  
18 Professor Hann. Could we have a look at the transcript  
19 for 10 June? This is page 30, please.

20 The context here is a discussion of the letter that  
21 we have just looked at, the Dr Craske letter, and at the  
22 top of page 30:

23 "Do you remember if this letter that you saw at that  
24 time informed the way that you approached this  
25 question?"

1           That's the question of communicating results.

2           "Answer: I think it was one of many actually. We  
3 had lots of discussions about this at the time and this  
4 was one of many. I think it helped to crystallise the  
5 situation, if you like, in, I think, quite a nice way  
6 and I tended to agree with him, whereas quite a few  
7 others didn't.

8           "You know, in the end, I think, as a clinician,  
9 there is one test above all others and that's a need to  
10 know. There are moral, ethical -- you know, you can go  
11 round in millions of circles with those discussions --  
12 and legal ones too. But in the end, if you have  
13 a disorder which can be transmitted and where people can  
14 develop treatable sequelae, then it's not such a major  
15 issue in my view. The prion problem that came later was  
16 much more difficult -- much, much more difficult, and --  
17 I think, you know, we still go round in ever decreasing  
18 circles with that but the fact is that in these  
19 circumstances I that you the argument against  
20 information was very weak."

21           Professor Ludlam, do you disagree with that  
22 analysis?

23 A. Yes.

24 Q. Well, could you explain to us why that is?

25 A. Well, I don't think -- he raises the issue of prions and

1 variant CJD, and in fact the issues around variant CJD  
2 and the prion were awfully reminiscent of where we were  
3 in -- at the end of 1984. The suggestion that it could  
4 be transmitted -- might be transmitted by blood, and  
5 there was nothing one could do for the patient. The big  
6 difference between prion and HTLV-III is that as far as  
7 I know, prion cannot be sexually transmitted.

8 But from the point of view of what could be done for  
9 the patient, then the two were remarkably similar and so  
10 I -- my point of view is different from Professor Hann.  
11 Professor Hann makes it clear that there was a spectrum  
12 of opinions.

13 Q. Yes. Even at the beginning of 1985, were there not  
14 treatment implications in not telling the patients?

15 A. Could you elaborate a little bit on that, please?

16 Q. Well, some of these patients you weren't seeing  
17 regularly.

18 A. Yes.

19 Q. Sometimes patients on home therapy, you might not see  
20 them for three or four months perhaps?

21 A. Yes.

22 Q. Yes. So if in the meantime a patient started to develop  
23 a cough or something like that, then would they not need  
24 to know that they should go and see a doctor about some  
25 kind of treatment? Was there not some kind of treatment

1 at that point if the patient had come to see you?

2 A. If the patient had -- we tended to provide not just  
3 haemophilia services for our patients, we provided  
4 general practitioner services as well. And so if  
5 patients were feeling unwell -- and they tended to come  
6 and see us even though it wasn't a bleed. Sometimes  
7 you -- a patient has symptoms. It might be due to  
8 a bleed, it might not be. They might have a sore tummy.  
9 It could be due to bleeding, it could be due to  
10 gastroenteritis or something. But in early 1985 it is  
11 unlikely that the patients who were anti HTLV-III  
12 positive would have developed symptoms of AIDS --  
13 AIDS-related symptoms and, as I was trying to hint  
14 earlier, it was when that became more of  
15 a possibility -- in other words, the patients had been  
16 infected for potentially year or two, or a couple of  
17 years -- that the probability of them becoming  
18 symptomatic increased, and I was keen that they knew  
19 their anti HTLV-III status, their infection status,  
20 before they started to develop symptoms because I think  
21 it's not good for them to -- as happened in the early  
22 days, obviously, of AIDS, where people presented, as you  
23 say, with a dry cough from pneumocystis and that's the  
24 first they knew they had AIDS.

25 Q. So an important factor for you in the approach that you

1           were taking to this at that point was the fact that in  
2           your view there was no treatment available if a patient  
3           presented with symptoms?

4    A.   When you say "symptoms".

5    Q.   Symptoms of AIDS?

6    A.   The majority of individuals with haemophilia presented  
7           with breathlessness and a dry cough, and I remember very  
8           well the first few patients who presented that way and  
9           the treatment for that was intravenous pentamidine, a  
10           fairly toxic drug but one that did actually work.

11   Q.   Yes. Was that drug not available at the beginning of  
12           1985?

13   A.   Oh, yes, it would be available.

14   Q.   Yes. Well, I think it's maybe time to --

15   THE CHAIRMAN: Yes, can I have some indication of progress,  
16           Mr Gardiner?

17   MR GARDINER: I hope to finish maybe within about 45 minutes  
18           after lunch. I am afraid my estimates haven't been very  
19           accurate so far.

20   THE CHAIRMAN: I think that I would accept that confession,  
21           if it is such, which is tending to suggest that we are  
22           going to fall very far behind in progress. Anyway, that  
23           cannot be helped. We will adjourn now.

24           I think, professor, you ought to make sure that you  
25           do get some relaxation over lunchtime. I don't want you

1 to suffer from being too tired.

2 A. Thank you.

3 (1.04 pm)

4 (The short adjournment)

5 (2.00 pm)

6 THE CHAIRMAN: Where are you going next, Mr Gardiner?

7 MR GARDINER: I wanted to just clarify one point very

8 quickly with the witness, if I may.

9 THE CHAIRMAN: And then going onto what? There are one or

10 two questions I would like to ask about testing. It

11 depends whether it fits in with that or not. If there

12 is something you want to clear up, first, let's do that.

13 MR GARDINER: My question is about testing -- shall I go on?

14 THE CHAIRMAN: Yes.

15 MR GARDINER: I just wanted to clarify something with you,

16 Professor Ludlam. Before lunch you talked about "local

17 testing". This is testing that was done in Edinburgh.

18 A. Yes.

19 Q. Yes. Did you obtain consent from your patients before

20 that testing was done?

21 A. Well, I think what I was starting to say was that early

22 in 1985, when testing became more generally available

23 and there were calls from many different -- particularly

24 surgeons, for screening for all patients, the whole

25 complexion of testing changed and that's when we began

1 to think about pre-test counselling and who should get  
2 tested, because the surgeons were keen that everyone  
3 should be tested, or if you couldn't test everyone, were  
4 you going to ask everyone who came for an orthopaedic  
5 operation whether they had had sex with men or whether  
6 they had used intravenous drugs.

7 It was this difficulty -- and also, for example, the  
8 insurance companies wanting to know about whether  
9 someone had been tested -- that very rapidly, over 1985,  
10 led to us thinking about what's now called pre-test  
11 counselling, and that's why -- or how I came with my  
12 colleagues to draw up the guidelines for testing. These  
13 were fairly primitive guidelines that -- I think they  
14 must have been written in 1985, probably the end of  
15 1985, because if I remember correctly, they give -- they  
16 don't give a definitive view about the significance of  
17 being anti HTLV-III positive.

18 Q. Maybe we should have them up, professor.

19 A. Please.

20 Q. That might be helpful. Just bear with me.

21 [\[PEN0161284\]](#).

22 A. Could I, while there is a pause, go back to something  
23 I said before lunch, about Professor Hann and whether  
24 I agreed with his testing or giving the results of  
25 testing.



1 Q. Yes.

2 A. I said that I did disagree with him. I was thinking  
3 about it over lunch and he looks after a different group  
4 of patients from me. His were children and I think  
5 HTLV-III infection will influence, will impede,  
6 development of children and I suspect, therefore, it  
7 would be a reason for children not to thrive, not to  
8 gain weight as they ought to, and therefore it would be  
9 important to know that they were positive.

10 THE CHAIRMAN: I think, had we gone on for another page or  
11 so, Professor Hann himself does draw the distinction  
12 between the treatment of children and adults and  
13 suggests that there was a different balance of opinion  
14 in the two groups.

15 A. Thank you, I apologise.

16 MR GARDINER: Yes. You were telling us about the  
17 guidelines. I think we have them here on the screen.

18 A. Yes, thank you.

19 Q. You say you think they were produced at the end of 1985?

20 A. I think so, yes.

21 Q. Who drafted them, Professor Ludlam?

22 A. I suspect I did but I would probably have -- I'm sure  
23 I would have discussed them with my colleagues.

24 Q. Yes. How did you use them in the centre?

25 A. I think they were primarily for the staff. It was a way

1 of focusing the staff's mind -- we had quite a bevy of  
2 staff at that point -- as to what the important things  
3 were to think about.

4 Q. Yes. I think you were using them to answer the question  
5 about whether you obtained consent for local testing?

6 A. So we would -- this evolved, if you like, out of our  
7 need to -- our realisation that it was appropriate to  
8 get consent and to think about some of the issues that  
9 we were thinking about before lunch, about whether  
10 people want to know about positive results or whether  
11 they want to be tested.

12 Q. Yes. So does that mean that for all local testing that  
13 was done by you before the testing took place, you  
14 obtained your patients' consent?

15 A. If they were taking a fresh sample, yes.

16 Q. Yes.

17 A. So the degree of pre-test counselling, if I can put it  
18 that way, evolved during 1985, the amount of  
19 counselling.

20 Q. Yes. But just to draw a distinction between the Tedder  
21 testing, which was on stored samples, where no consent  
22 was obtained, with local testing, your evidence is that  
23 you did get your patients' permission?

24 A. Not only that. We asked their permission, particularly  
25 for the negative patients, to test them repeatedly, and

1 we recorded this on our computer system and dated it,  
2 I think, on the second page of this -- no, sorry, it's  
3 at the top here. Second paragraph:

4 "Discussion of HIV testing must be recorded in the  
5 case notes stating clearly what has been agreed. The  
6 haemostatic screen on the computer must be appropriately  
7 updated."

8 That's so that we could quickly see that someone had  
9 agreed and a date to it.

10 THE CHAIRMAN: My questions were in the same area,  
11 Professor Ludlam. When did this document come into  
12 effect?

13 A. I think it has the feel as if it was written towards the  
14 end of 1985.

15 THE CHAIRMAN: The period I was particularly interested in  
16 was the transition until you reached here. I think we  
17 know by now that 40 to 50 people had been tested under  
18 the original Tedder regime, as it were, and I imagine  
19 that some of them would have responded to the invitation  
20 to come and speak to you as one approached  
21 Dr Peutherer's period, if I can call it that, but some  
22 would not.

23 So far as those of the original group who had been  
24 tested without their consent were concerned, was there  
25 repeat testing by reference to archived material in

1           their case, in 1985?

2   A.   There might have been, to determine their date of  
3       seroconversion.

4   THE CHAIRMAN:   Right.  Would that have been done without  
5       their consent or with their consent?

6   A.   Probably -- it was done fairly quickly, I think probably  
7       without their consent.

8   THE CHAIRMAN:   So that there was some testing in 1985 of  
9       that original group that continued into 1985 under the  
10      original regime?

11  A.   Yes.

12  THE CHAIRMAN:   During 1985 and before the transition to this  
13      documented protocol had matured, was there other testing  
14      of patients without consent?

15  A.   I don't think so.  I think we would have then tested  
16      people as they came up, they came to the clinic, they  
17      came to collect home treatment, if it seemed  
18      appropriate.  We might have been opportunistic to talk  
19      to them at that point.  No, there wasn't -- there  
20      wasn't, if I can put it this way, retrospective testing  
21      done, I think, late in -- middle of 1985.

22  THE CHAIRMAN:   Was there prospective testing done of any of  
23      these patients during 1985 without their consent, using  
24      new samples obtained in the ordinary course?

25  A.   Not intentionally.  I think our intention --

1 THE CHAIRMAN: I find that difficult. It must be  
2 intentionally by somebody.

3 A. Done intentionally and I would hope the patient would  
4 have been asked. That was the clear arrangement.  
5 Because at one stage the request forms, I think, may  
6 almost have asked if the patient's consent had been  
7 attended. Certainly, when we were taking blood in 1985,  
8 to send it for anti HTLV-III testing, we would asked  
9 about it and if the patient agreed, we would have taken  
10 it and sent it.

11 THE CHAIRMAN: So does it come to this: that there would be  
12 no "new" patient -- very much in inverted commas --  
13 tested in 1985 by reference to blood taken at that time  
14 without the patient's consent?

15 A. I don't think so, no.

16 MR GARDINER: Thank you, sir.

17 I would like to go back to something that we were  
18 discussing before lunch again, and this was in the  
19 context of Professor Hann's evidence and the need to  
20 know reason for treatment being a reason that a patient  
21 would need to know.

22 I think you said, professor, that in early 1985  
23 HTLV-III positive patients would be unlikely to develop  
24 symptoms of AIDS; yes?

25 A. Yes.

1 Q. So I would just like to get your position on that. Is  
2 your position that in 1985 there wasn't a need to  
3 monitor, for example, a cough because those patients  
4 simply wouldn't get PCP that quickly?

5 A. The evidence was at that time that it took usually  
6 several years between infection and the development of  
7 PCP. As we knew, our patients, or most of them, had  
8 only been infected less than a year. The chances of  
9 them developing PCP was small.

10 Q. Yes. Just to be clear, is your position that that would  
11 continue until the end of 1986 then?

12 A. Erm ...

13 Q. The absence of a need to monitor, because PCP just  
14 couldn't develop that quickly?

15 A. It was unlikely that it would develop within two years.

16 Q. Yes. And that was a factor in your decision about the  
17 need to give the patients the information about their  
18 condition. Is that right?

19 A. That was part of it, yes.

20 Q. Right. So the Inquiry has heard from one patient who  
21 didn't get his results until 1986, and the Inquiry knows  
22 of two other patients who didn't get their results until  
23 the end of 1986. Is it your position that from a  
24 treatment point of view, these patients didn't need to  
25 know until late 1986 because they simply couldn't get

1 PCP that quickly?

2 A. I think that's correct, yes. There was no, as far as  
3 I could see, medical benefit from knowing.

4 Q. Yes. So it's not the fact that there is no treatment,  
5 it's the fact that the patients would be, in your view,  
6 unlikely to develop a condition that would need  
7 treatment. Is that right?

8 A. Yes, there are two sorts of treatment. There is the  
9 treatment of PCP, for which there was a treatment, the  
10 pentamidine, and then there is treatment of their HIV  
11 disease, which wasn't available at that time and became  
12 available in 1987/1988. Those are the distinctions  
13 I would make.

14 Q. Yes. Okay. Right. Could we have a look at what  
15 Professor Forbes said on this subject, and that's the  
16 transcript of 15 June, page 162. The question starts  
17 actually at the end of page 161. I think this is  
18 Mr Di Rollo. The context again here is passing on the  
19 results of tests:

20 "So as soon as you discovered the outcome of these  
21 tests, you took steps immediately to inform them all of  
22 the results.

23 "Answer: Yes, all of them.

24 "Question: Why did you do that.

25 "Answer: On a personal basis -- well, I think it

1 was important. We were going to tell them very bad  
2 news. There were implications not just for them but for  
3 their families and their lifestyle, and it was to my  
4 mind very important that we tell them what had happened.  
5 Nothing was being hidden away."

6 Well, Professor Ludlam, do you disagree with that  
7 approach that Professor Forbes is outlining there?

8 A. It's a different approach. And it shows how two centres  
9 were coping with a new situation in which there was no  
10 national guidance, that we had to think it up from first  
11 principles. And there was a great deal of discussion,  
12 as you have already alluded to, at a number of meetings.  
13 Those are the minuted ones. There were many more  
14 discussions between colleagues -- around informal  
15 discussions. It was a very difficult time.

16 Q. Another reason for making sure that a patient knew his  
17 results would be what you might call "infection  
18 control", to make sure that third parties weren't  
19 subjected to any risk. I wonder if I could show you  
20 [\[LOT0010094\]](#).

21 This is a letter dated 16 November 1984 from you to  
22 Dr Sutherland. Who was Dr Sutherland?

23 A. As you see, he's a community medicine specialist. He  
24 might have been what you might call the "medical  
25 superintendent" of the Royal Infirmary.



1 Q. Yes. So if we look at the second paragraph, we see what  
2 you say there is:

3 "In consultation with Professor Collee, Dr Peutherer  
4 and Dr Edmond, Dr Parker and I have decided that  
5 haemophiliacs who have received concentrates of either  
6 Factor VIII or IX should be classified 'high infectious  
7 risk' patients. The epidemiology of HTLV-III is very  
8 similar to Hepatitis B and we therefore feel it  
9 appropriate that these patients should be managed  
10 clinically in the same way as patients who are positive  
11 for HBsAg."

12 Could you explain to us what the thinking there was?

13 A. Certainly. At this time we were faced with having some  
14 results, some anti HTLV-III results, on a small number  
15 of people with haemophilia. Some were positive, some  
16 were negative. It wasn't at all clear how to interpret  
17 an anti HTLV-III positive result. It ranged from the  
18 patient might have been exposed to dead virus and that,  
19 like a vaccine, this was purely an antibody response;  
20 the patient was not infected.

21 It could have been that -- in fact, this was thought  
22 at one stage that if you had an antibody positive  
23 result, you were actually better off because you had  
24 been infected, you had got the antibody and you had got  
25 rid of the virus. And then of course there was what

1           came to be known, as, if you like, the true situation:  
2           that if you are antibody positive, you also had the  
3           virus. But the other possibility is that they were  
4           false positive results; in other words, a laboratory  
5           artefact, if I can put it that way, the patient had  
6           never been exposed to the virus alive or dead.

7           Then the converse of that, if a patient was anti  
8           HTLV-III negative, was that either because they were  
9           incubating the infection, they had just been infected  
10          very recently? Was it that the test was insensitive,  
11          that they were infected? Was it a false negative? Or  
12          was it a true negative? The patient had never been  
13          exposed?

14        Q. Professor, we are very keen to finish your evidence this  
15          afternoon. I wonder if I could just ask you to answer  
16          the specific point. Is this infection control here,  
17          effectively?

18        A. This is infection control but it's also, I think, to  
19          make the point that we did not distinguish in handling  
20          people with haemophilia, between those who were antibody  
21          positive and those who were antibody negative. They  
22          were all considered to be a risk of infection  
23          irrespective of their anti HTLV-III status.

24        Q. Yes. This wouldn't cover the risk that a patient might  
25          obtain medical treatment elsewhere; if they went on

1 holiday somewhere and had a bleed or a cut or something  
2 like that. Is that not right?

3 A. And if they said they had haemophilia. If they are  
4 likely to have cut themselves, they are likely to have  
5 said they have got haemophilia, then the next thing that  
6 people would do is be very careful, as became what were  
7 known as universal precautions -- you assume that  
8 everybody actually has an infectious virus.

9 Q. Can you think back to an occasion when any of your  
10 patients, whom you knew were positive but who didn't  
11 know that they were positive were going to have  
12 procedures, can you remember a situation where you  
13 informed a medical practitioner of their status to  
14 minimise this infectious risk?

15 A. Yes. I well remember one patient who needed an  
16 orthopaedic operation, and I went to discuss it with the  
17 surgeon, who was a senior surgeon, an orthopaedic  
18 surgeon, who had done a lot of work with our patients,  
19 and I said, "This patient is anti HTLV-III positive. We  
20 must assume that he has the virus. He does need this  
21 orthopaedic operation." And the surgeon said to me,  
22 "It's better that I do it than my young colleague" --  
23 who was also treating some of our patients -- "because  
24 if there is an accident, it is better that I am infected  
25 than my younger colleague is."

1 Q. And the patient didn't know of their status?

2 A. I can't remember. But what I'm getting at is I would  
3 tell the surgeon.

4 Q. Yes. Can you remember any occasions when you would have  
5 done that or when you did do that, when the patient  
6 himself or herself did not know about their status?

7 A. I can't remember but it is quite possible.

8 Q. Just to finish dealing with this particular topic,  
9 communication of the results, Professor Ludlam, would  
10 you accept that leaving aside all of the other reasons  
11 that we have been discussing for passing on the  
12 information to the patient, even in 1984/1985, there is  
13 the point that the information about the patient's  
14 condition is something that actually belongs to the  
15 patient and the patient should have that information?

16 A. I entirely agree if the patient would like the  
17 information.

18 Q. Thank you.

19 Professor Ludlam, the Inquiry heard evidence from  
20 a witness whose anonymised name has been given as  
21 "Mark". I would like to ask you a few questions about  
22 his evidence. Did you treat the witness Mark?

23 A. If it's the individual I think it is, yes.

24 THE CHAIRMAN: That doesn't actually help. I think that in  
25 the circumstances it might be better to communicate the

1 name privately to the professor just on a bit of paper  
2 so that we don't have any doubt at all that we are  
3 talking about the right person. Just write it on a bit  
4 of paper. I'll do it.

5 MR GARDINER: I think I may be able to clear this up, sir.

6 Professor Ludlam, would you like to think again  
7 about my question. You have been in contact with the  
8 Inquiry about this witness.

9 A. Yes, I think I know -- I know who it is.

10 Q. So are you able to say that you did treat the witness  
11 whose anonymised name is "Mark"?

12 A. Yes.

13 Q. Would that be sufficient, sir?

14 THE CHAIRMAN: That's sufficient, yes.

15 MR GARDINER: Mark gave evidence to the Inquiry and I would  
16 like to give you a two-part summary of his evidence on  
17 one particular topic and then ask for your reaction.  
18 You may have heard this before but I'll repeat it.  
19 Firstly, Mark told the Inquiry that when any form of  
20 testing was mentioned to him, he made it clear that if  
21 there was anything wrong, he wanted to know.

22 Secondly, Mark told the Inquiry that in relation to  
23 the perception of those who saw him at the Royal  
24 Infirmary, he didn't want to know the result of any HIV  
25 result on him, that any such perception was wrong and

1           that all he had ever said was that he didn't want to  
2           know the detail of laboratory measurements of his  
3           results, for example iron levels or something like that.

4           Have you got the sense of that?

5   A.   I have, yes.

6   Q.   You don't want me to repeat it for you?

7   A.   No, thank you.

8   Q.   What's your response to that evidence from your personal  
9           experience, Professor Ludlam?

10  A.   I was hesitant to begin with to let him know of his  
11           result because of a number of social reasons, but I felt  
12           that a time came when it was important for him to know  
13           for the reasons that we have -- I have already rehearsed  
14           and we have discussed earlier today.  And so I arranged  
15           to see him -- I forget the date, some time in 1986 --  
16           and actually I was quite taken aback because he was  
17           quite categorical that he didn't want to know and I had  
18           not actually experienced that reaction in someone who  
19           was so determined that no way was I to tell him.  I was  
20           a bit thrown.

21           So I said, "Well, okay, but look, we are telling  
22           everyone that they must be very careful with sex and  
23           blood and spillages."

24           And I was particularly concerned because he had an  
25           occupation that exposed him to being potentially

1 injured.

2 Q. Sorry, can I caution you, Professor Ludlam, we must try  
3 to be careful not to give out any personal details  
4 because this is an open session, of course.

5 A. That was all I was going to say. And that concerned me  
6 and that was all the more reason for my being anxious.  
7 We tried on at least two further occasions to convey  
8 this information to him. One was to potentially visit  
9 him at home and the other was when he came up to the  
10 clinic and he saw one of our very able young doctors and  
11 she tried to persuade him, very strongly -- this would  
12 be about 1988 or 1989. Because at that stage there  
13 was -- and I can't remember his counts at the moment --  
14 there was the potential for him having PCP prophylaxis.

15 I further -- I have just remembered actually that he  
16 wouldn't have qualified for PCP prophylaxis because his  
17 counts hadn't fallen to the level at which it was  
18 considered appropriate to start PCP prophylaxis.

19 Q. Yes.

20 A. So there were several occasions when we tried very  
21 explicitly to explain to him and he adamantly didn't  
22 want to know. And this wasn't talking about iron  
23 levels; this was talking about HTLV-III and AIDS.

24 Q. Are you quite clear that 1986 was the first date that  
25 these discussions started?

1 A. Yes.

2 Q. Yes. Well, could we have a look at page 3 of [\[WIT0040706\]](#)?

3 You can put that away.

4 Professor Ludlam, it's our understanding that the

5 earliest entry was 1988. Would you disagree with that?

6 A. There is the sheet that was in my private notes, if

7 I can put it that way, that was from 1986.

8 Q. Yes. Thank you. What private notes were these?

9 A. This was a record of my seeing Mark in 1986, wanting to

10 tell him about his result and he not being keen to

11 know -- or didn't want to know the answer. I made

12 a note of that and the advice that I gave to him and

13 I felt it inappropriate to put it in his case notes for

14 some of the reasons we talked about earlier, and I had

15 a confidential file in my room, locked up, in which

16 I kept that information. That information has now been

17 returned to his principal case notes.

18 Q. Yes. Thank you --

19 THE CHAIRMAN: Have you seen it of late, Professor Ludlam?

20 A. Yes.

21 MR GARDINER: I would like to move on to the GMC guidance of

22 1988. So could we have [\[PEN0161165\]](#)? Could we go to

23 the next page, 1166? Just down at the bottom of the

24 page we see that that's a letter from Robert Kilpatrick,

25 president, and Donald Irvin, chairman of the standards



1 committee. This is dated April 1991 and it says:

2 "In August 1988 the attached statement was sent to  
3 all doctors on the Principal List of the Register and to  
4 those holding limited registration. It contains  
5 important material offering guidance to doctors in  
6 approaching a number of ethical questions which arise in  
7 relation to the management and control of HIV infection  
8 and the diseases associated with it."

9 Then it says:

10 "... the statement stands as an expression of the  
11 Council's views in four main areas where ethical  
12 difficulties can arise:

13 "the doctor's duty towards patients;

14 "duties of doctors infected with the virus;

15 "consent to investigation or treatment;

16 "confidentiality."

17 Professor Ludlam, do you remember seeing this at the  
18 time?

19 A. Yes.

20 Q. Thank you. Could we go to page 3, paragraph 15, headed  
21 "Confidentiality". It says:

22 "Doctors are familiar with the need to make  
23 judgments about whether to disclose confidential  
24 information in particular circumstances, and the need to  
25 justify their action where such a disclosure is made.

1           The Council believes that, where HIV infection or AIDS  
2           has been diagnosed, any difficulties concerning  
3           confidentiality which arise will usually be overcome if  
4           doctors are prepared to discuss openly and honestly with  
5           patients the implications of their condition, the need  
6           to secure the safety of others and the importance of  
7           continuing medical care, of ensuring that those who will  
8           be involved in their care know the nature of their  
9           condition and the particular needs which they will  
10          have."

11                 It's the last sentence I would like to refer to you  
12          Professor Ludlam:

13                 "The Council takes the view that any doctor who  
14          discovers that a patient is HIV positive or suffering  
15          from AIDS has a duty to discuss these matters fully with  
16          the patient."

17                 What I want to ask you simply is: do you consider  
18          that you complied with this guidance in your treatment  
19          of your patients during this period, 1985 to 1990?

20          A.   This was issued in 1988. I had a duty, yes, to assess  
21          my patients' situation in relation to AIDS and in  
22          particular how he might suffer, but also his sexual  
23          contacts, and my recollection is Mark was well aware  
24          that he should be using condoms.

25          Q.   Right. I would like to move on, please. Could we have

1 a look, please, at [\[PEN0120330\]](#)? This is a report from  
2 Dr Vivian Nathanson, who is the director of professional  
3 activities at the British Medical Association. Have you  
4 read this report, Professor Ludlam?

5 A. I have, yes.

6 Q. Thank you. The Inquiry asked Dr Nathanson several  
7 questions and the one that we are concerned with is  
8 number 6 at the bottom of page 9. The question was:

9 "What was the correct approach to communicating the  
10 results of a diagnosis of HIV between 1984 and 1990?  
11 What was the GMC guidance on this point? How did that  
12 guidance evolve?"

13 And the answer that Dr Nathanson gives is:

14 "In its 1988 guidance the GMC states that:

15 "'The Council takes the view that any doctor who  
16 discovers that a patient is HIV positive or suffering  
17 from AIDS has a duty to discuss these matters fully with  
18 the patient.'"

19 Her commentary on that is:

20 "At that time the GMC did not go into the level of  
21 detail that is in current guidance, but the use of the  
22 phrase 'a duty to discuss these matters fully ...' makes  
23 it clear that the intent is the same.

24 "It is important to remember that at that time the  
25 majority of doctors in clinical practice in the UK had

1 never seen a patient who was HIV positive or who had  
2 AIDS. The spread of the virus was limited, not least  
3 because of an effective public health campaign and  
4 significant behaviour change within certain high risk  
5 communities. Doctors in London and certain other cities  
6 might have case clusters, but HIV remained a relatively  
7 rare condition. Doctors in Genito-Urinary Medicine and  
8 some infectious diseases specialists gained the highest  
9 levels of knowledge and experience in managing the  
10 condition and in communicating test results with  
11 patients. Doctors treating patients with haemophilia  
12 gained comparable experience.

13 "In the late 1970s many doctors did not tell the  
14 patients the whole truth, especially where that truth  
15 was a diagnosis of an incurable illness. This was the  
16 well-intentioned legacy of Thomas Percival's influential  
17 text on medical ethics. The intent was to shield  
18 patients from disturbing information. The duty of  
19 beneficence was interpreted as an obligation to be  
20 reassuring rather than honest. But many doctors had  
21 begun to move away from this benign paternalism to  
22 a more equal relationship with patients."

23 Professor, my question is: in 1985 and 1986, were  
24 you still pursuing the kind of "benign paternalism" that  
25 Dr Nathanson was referring to here?

1 A. No. Because we were not -- in "benign paternalism", you  
2 are making the assumption that the patient doesn't want  
3 to know they have got an incurable disorder. I was  
4 giving the patient the control of asking whether they  
5 had this infection as best we could diagnose it.

6 Q. Yes. Thank you.

7 Sir, I propose to move away from this topic onto  
8 something else.

9 Just on a completely separate topic,  
10 Professor Ludlam, and this is just a quick question. We  
11 know that from about December 1984, Factor VIII  
12 concentrate was heat-treated in Scotland but I think it  
13 was about another year before SNBTS produced  
14 heat-treated Factor IX concentrate, and I think when you  
15 were here before during the B2 section, you said that  
16 the Edinburgh centre's practice after December 1984 was  
17 to prescribe unheat-treated Factor IX concentrate.

18 A. I think that's correct, yes.

19 Q. Yes. It's a very quick question, which is: to the best  
20 of your recollection, did you have any patients who  
21 required Factor IX concentrate between the end of 1984  
22 and the end of 1985?

23 A. Yes, we had very few Haemophilia B patients. Rather  
24 fewer, I think, than we would expect for this  
25 population. And the guidance that was issued was either

1 to continue with NHS unheated Factor IX or to use heated  
2 commercial Factor IX. The infectivity, if I can put it  
3 that way, of Factor IX, even in those early days, was  
4 known to be much less than Factor VIII. The chances of  
5 someone with Haemophilia B being anti HTLV-III positive  
6 was very much lower and therefore I felt it was probably  
7 on balance safer to go on using NHS from our relatively  
8 AIDS-free population, if I can put it that way, than to  
9 use Factor IX that came from donors who may well have  
10 a very high prevalence -- a relatively high prevalence  
11 of HTLV-III and the heat treatment might have been  
12 ineffective, in a word.

13 Q. I think you told us that before. My question is: did  
14 you meet with your patients and explain the risk of  
15 using unheat-treated Factor IX during that period?

16 A. I think we must have done. We had very few patients.  
17 I think we must have done because it would have been --  
18 everyone else was getting heat treatment and so they  
19 would have been a different group and we would have  
20 explained to them.

21 Q. Your recollection is that that risk was explained to  
22 them?

23 A. I think so, yes.

24 Q. Yes. Okay. Thank you. I want to move on to a separate  
25 topic. Can we have [\[LIT0010895\]](#)? What is this article,

1 professor?

2 A. This is an article primarily, or initially, written by  
3 my colleague, Dr Steel, as a result of his suggestion  
4 that we should HLA-type individuals with haemophilia.

5 Q. Yes. This is about the Edinburgh cohort, is it not?

6 A. It is, yes.

7 Q. Could we go to 0897? Just at the point that says:

8 "Discussion", if we could just expand that. This is  
9 a quotation which we used in the preliminary report.

10 What's said here is:

11 "While there have been several longitudinal studies  
12 of HIV infection extending over three years or more and  
13 including much larger numbers of subjects, the Edinburgh  
14 cohort study is unique in at least three aspects. The  
15 patients had all been assessed before exposure to the  
16 virus; the period of exposure to infection has been  
17 defined with some precision; and since no other risk  
18 factor has been identified in any of the members of the  
19 cohort, all are presumed to have been infected from the  
20 same source (probably representing a single virus  
21 strain). Information on the subsequent clinical course  
22 of these patients is thus of special value."

23 Professor, this was truly a unique cohort of  
24 patients, was it not?

25 A. Yes.

1 Q. Would you agree that it had international attention?

2 A. Yes.

3 Q. And the cohort generated many research papers and  
4 medical articles?

5 A. Yes.

6 Q. Yes. I have a question for you about this,  
7 Professor Ludlam. We can see that the Edinburgh cohort  
8 was unique and very interesting from a research point of  
9 view. My question, Professor Ludlam, is: are you aware  
10 that some patients and relatives think that emphasising  
11 the research benefit that has accrued implies that the  
12 human dimension is insufficiently appreciated?

13 A. I have come to realise that but the patients who became  
14 infected in this cohort were treated and investigated no  
15 different from, I think, the other patients under my  
16 care who were HTLV-III positive. I regret that, as  
17 I think Alison Richardson said, some of them felt like  
18 guinea-pigs. That distresses me and distressed me and  
19 I'm sorry about that. On the benefit side, the patients  
20 were well investigated and monitored and it allowed us  
21 to get, I think, because of my research interests,  
22 earlier treatment for some of them.

23 Q. Yes.

24 A. But I'm -- I am sad that they felt like guinea-pigs, and  
25 as I mentioned a little while ago, this idea that



1           somehow I had possibly intentionally put HIV into  
2           bottles of concentrate to see whether the heat treatment  
3           process was effective -- I'm not quite sure where that  
4           arose but that's a very distressing and I don't know  
5           whether patients actually believed that. It's an awful  
6           thing if they did.

7    Q. Well, I wonder if I could ask you a few more reflective  
8           questions. Looking back now, are there any aspects of  
9           the AIDS study that you would do differently?

10   A. Do you mean of the cohort investigations?

11   Q. Yes, the early investigations, when you were using the  
12           forms being sent to Dr Steel?

13   A. Oh, in 1983?

14   Q. In 1983.

15   A. Well, I think we should have done one or two things.  
16           One would be to have called it an "assessment of CD  
17           lymphocytes" and made that explicit to patients, or the  
18           other actually was to say nothing to patients and just  
19           get on and do it. It was part of the monitoring  
20           process.

21   Q. Yes. Looking back now on the meeting in December 1984,  
22           would you organise it differently?

23   A. I don't know if I would have organised the meeting  
24           differently. I might have said things differently.  
25           I think perhaps it might have been -- would not have

1 denied patients their individuality or their right not  
2 to know, but perhaps if I had arranged for them to come  
3 and see Geraldine Brown for what you might call pre-test  
4 -- "post-test pre-telling you the answer counselling",  
5 if we had perhaps set that up and made sure that  
6 everyone came through that, I think that would have been  
7 another way to have approached it, and maybe I would do  
8 that if we were running this again.

9 Q. Yes. The third reflective question. Looking back now,  
10 would you handle the written communication with patients  
11 after the meeting differently?

12 A. I thought most of what was in the information sheet we  
13 sent out was as near as I could get to the situation.  
14 Perhaps I should have made it clearer that you, the  
15 reader, might be positive but as I say -- as I tried to  
16 indicate earlier, I think there was clearly a covering  
17 letter with the circular that I think would have made it  
18 clear that we were hoping to see the patient. Perhaps  
19 it could have been made a little clearer that, "You," as  
20 an individual reader, "might be positive".

21 Q. Yes. I have two further questions for you. For the  
22 first question I would like you to look at something  
23 that Professor Lever told us when he came here to give  
24 evidence. Could we have the transcript up at page 44.  
25 Could we go to the bottom of the page? There is

1 a question there about two different aspects of the  
2 risk/benefit analysis. Have you read this,  
3 Professor Ludlam?

4 A. I don't think I have read it all. I looked at parts of  
5 it. So assume I haven't.

6 Q. Could you just have a look at it at the moment and then  
7 read over the page to the beginning of 46?

8 THE CHAIRMAN: Can we all follow it through, please?

9 (Pause)

10 MR GARDINER: Have you read that, professor?

11 A. Yes, I have tried to take it in.

12 Q. Yes. Professor Lever is talking about an illness which  
13 had a very high mortality. What I would like to suggest  
14 to you that in 1983, when people with haemophilia were  
15 dying of AIDS, starting to die of AIDS, the risk/benefit  
16 changed so that it was necessary at that time for  
17 haemophilia clinicians to address that risk with each  
18 individual patient.

19 A. I don't know that the risk did change in 1983. The risk  
20 changed in 1984 or 1985 because the chance of bleeding  
21 in haemophilia, fatal bleeding, intracranial bleeding,  
22 in this country, each year about ten people died of  
23 intracranial bleeds, 1984, 1985 and 1986, and the number  
24 of individuals dying with AIDS in the UK were far below  
25 that number per year.

1 Q. I'm suggesting that that calculation is something that  
2 should have been addressed with patients on an  
3 individual basis, not the doctor making the calculation  
4 but discussing it with the patient.

5 A. I understand the question and I can say that it wasn't  
6 practice to do so, not just not in Edinburgh but I don't  
7 think virtually anywhere else, because -- again the  
8 risks were very small, perceived to be very small, of  
9 AIDS, the risks of bleeding were large, and if one was  
10 to try and reduce the risk of HTLV-III infection, then  
11 you might do that by offering cryoprecipitate and  
12 reducing the number of treatments and all the evidence  
13 is that that would have been very unacceptable to  
14 patients.

15 Q. Final reflective question for you, Professor Ludlam:  
16 a view has been expressed to the Inquiry that you were  
17 deflected from the need to have the risk/benefit  
18 discussion with patients because you were focused on the  
19 AIDS study. I would be grateful to have your comments  
20 on that view.

21 A. I would put it the other way round: I was acutely aware  
22 of AIDS being a risk from July 1982 onwards. And  
23 particularly by the end of 1982 when were several more  
24 patients had been reported with AIDS, haemophiliacs with  
25 AIDS, it was clear there was something unusual

1           happening. I was acutely aware of it. That's why  
2           I started to do the immune tests. That did not deflect  
3           me; it made me think very carefully about the risks as  
4           I perceived them.

5   Q. Just bear with me. (Pause)

6           Sir, I have no further questions.

7   THE CHAIRMAN: We will have a break at that point.

8   MR GARDINER: Yes.

9           (3.15 pm)

10   (Short break)

11           (3.42 pm)

12   THE CHAIRMAN: Professor Ludlam, I think it's obvious that  
13           you are quite tired. I am concerned that no one should  
14           be kept in the witness box beyond the point at which  
15           they feel comfortable. From our point of view, and  
16           I think from your point of view to some extent, to  
17           finish it is highly attractive as an option but if you  
18           feel that you are getting to the point at which the mind  
19           it no longer under the level of control that you would  
20           like, you really must tell me so that we can change  
21           course.

22   A. Thank you.

23   THE CHAIRMAN: Mr Gardiner?

24   MR ANDERSON: I wonder, sir, if I could interject at this  
25           stage.

1 THE CHAIRMAN: You are not going to tell me that you are  
2 tired.

3 MR ANDERSON: Sir, I'm always tired.

4 There is clearly an attraction for finishing,  
5 I think for everybody and indeed Professor Ludlam, but  
6 I understand that we are not sitting tomorrow, we are  
7 sitting on Tuesday and Wednesday and on Wednesday  
8 I think it's thought that we are going to have  
9 Dr McClelland in the afternoon. So there would be  
10 a whole morning slot next Wednesday, if that were  
11 considered attractive. I have discussed this with  
12 Mr Di Rollo and quite understandably he doesn't know how  
13 long he is going to be. He may be a very long time. He  
14 may be quite a short time. So I simply throw that into  
15 the equation as an alternative.

16 THE CHAIRMAN: In some context there is a law of diminishing  
17 returns, I rather suspect that in this there is a risk  
18 of a law of inflationary returns. The more time that's  
19 available, the more time will be taken. But what shall  
20 we do? I'm quite happy to take advice on this.

21 MR GARDINER: I'm not sure if we know the final position for  
22 Dr McClelland yet. I think it might be premature to  
23 start planning about that.

24 MR ANDERSON: I understand he is definitely available  
25 Wednesday afternoon.

1 THE CHAIRMAN: I understand it probably wouldn't be next  
2 Wednesday to continue with Professor Ludlam.

3 MR GARDINER: I don't think it's quite as clear as all that,  
4 sir.

5 THE CHAIRMAN: It's ten to four now, quarter to four now. I  
6 think my view would be that Mr Di Rollo certainly must  
7 not be compressed. You must not feel under any  
8 pressure. It wouldn't be fair. And I rather think that  
9 the two of you would simply get out of sync and matters  
10 wouldn't go well. I would rather that there was enough  
11 time for everyone.

12 So we will simply have to find another time,  
13 Professor Ludlam, for you.

14 Is there anything else that you want to finish off  
15 on?

16 MR GARDINER: I just have this one sheet of paper, sir.

17 Professor Ludlam, I promised that that was my last  
18 question. I apologise. I have one further one.  
19 I think you should have a sheet of paper in front of you  
20 and it's a sheet of paper that at the top says:  
21 "The Royal Infirmary of Edinburgh OP clinical  
22 notes."  
23 Is that right?

24 A. Yes.

25 Q. This isn't in our database and I believe that this sheet

1 of paper has been produced by you. Is that right?

2 A. It's part of his -- the patient's principal medical  
3 records now.

4 Q. Yes. Thank you. Earlier --

5 THE CHAIRMAN: Let's just call it "document X".

6 MR GARDINER: "Document X". Thank you, sir.

7 This document X, is that the sheet that you were  
8 referring to from your private notes of the patient  
9 Mark. You referred to earlier?

10 A. It is.

11 Q. It is. I think you told us that you thought that this  
12 sheet dated from 1986?

13 A. That's correct.

14 Q. Yes. What are you basing that on?

15 A. Principally the date as written.

16 Q. That's to the left-hand column which says, "13/11 ..."  
17 Then we see two figure?

18 A. Yes.

19 Q. You are reading that as an 8 and a 6.

20 A. I am.

21 Q. Yes, thank you. Just looking at what's written there,  
22 we see at line 4, that says:

23 "Working as ..."

24 Then redacted is the occupation:

25 "... started nine weeks ago."



1           Professor Ludlam, we heard from Mark that he had  
2           started employment when he was 19 and that would have  
3           been in 1988. So on that basis, is this entry not  
4           consistent with his evidence and does that not on  
5           reflection make it more likely that that is an 1988, as  
6           opposed to a 1986, entry?

7       A. My memory -- and I don't want to say what happened nine  
8           weeks before, but I -- my recollection is that he had  
9           started the work I have referred to here and I'm  
10          really -- I think, very sure that this was 1986.

11       THE CHAIRMAN: Professor Ludlam, is the original sheet in  
12          the records now?

13       A. Yes.

14       THE CHAIRMAN: Then I think that I will take steps with your  
15          help to see the original and perhaps we can come back to  
16          this some time in the future, because photocopies can do  
17          terrible things to documents.

18                And I suggest that we leave it there, Mr Gardiner,  
19                for the moment and then we will see if we can clear it  
20                up in due course.

21       MR GARDINER: Okay.

22       THE CHAIRMAN: Very well, ladies and gentlemen, I think we  
23          should adjourn at that stage, until Thursday.

24       (3.50 pm)

25       (The Inquiry adjourned until Thursday 23 June 2011 at 9.30

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

am)

I N D E X

PROFESSOR CHRISTOPHER LUDLAM .....1  
(continued)  
Questions by MR GARDINER (continued) .....1

