

Thursday, 5 May 2011

(9.30 am)

(Proceedings delayed)

(10.15 am)

MS DUNLOP: Good morning, sir. Our plans for today were to have Professor Hann and then Dr Pettigrew, but as you know there is a technical glitch with the videolink to Cork and people are working as we speak to try to identify what the problem is and fix it, but very fortunately Dr Pettigrew was here, so we are able to swap round the witnesses for today and to begin with Dr Pettigrew instead.

The other point to mention is that, as I think we have said on the website, Professor Hann and Dr Pettigrew also have a contribution to make in relation to topic B5, which is, put shortly, information to patients, and we do intend to ask them questions about that today, and for that part the questions are going to be asked by Mr Gardiner because he is dealing with that.

DR ANNA PETTIGREW (sworn)

Questions by MS DUNLOP

THE CHAIRMAN: I hope you don't feel disadvantaged by being taken out of turn. It does mean that you don't get the chance to sit and see how the Inquiry operates but

1 I think we try to be reasonably kind. So I hope
2 everything will be fine.

3 A. Thank you, sir, but I managed to come on Tuesday.

4 THE CHAIRMAN: You managed to see something.

5 A. Yes, thank you.

6 THE CHAIRMAN: See how you get on but if you feel
7 uncomfortable, like any witness, just let us know and we
8 will try and deal with it.

9 MS DUNLOP: Thank you.

10 Dr Pettigrew, we always begin by looking at
11 a witness' curriculum vitae. So if we have yours up on
12 the screen, it is WIT0030270.

13 A. This won't take very long.

14 Q. You have given us on the first page the details of your
15 education and we can see that, as well as a medical
16 degree, you have a biochemistry degree. That looks to
17 have been more than what Professor Ludlam described,
18 about taking a year in the middle of a medical degree to
19 do an honours science degree. Did you actually do
20 a science degree first?

21 A. I did what they call an intercollated degree, but
22 because in biochemistry you have to do two years
23 intercollation. It is slightly different from what they
24 do now. So it was a proper science degree but it was an
25 intercollated BSc.

1 Q. Can we turn to the next page, please, where you list the
2 positions you have held. I suppose really we should go
3 on to the very next page because that begins in the
4 early 1970s. It tells us about some of your activities
5 while you were studying and then your pre-registration
6 house officer posts, and then if we go back on to
7 page 2, please, you had a post-reg house officer post in
8 Professor Hutchinson's unit. And I suppose for any
9 non-Glaswegians, "Hutch", as he was known, was a big
10 figure in paediatrics in Glasgow, was he not?

11 A. Absolutely, yes.

12 Q. And you worked with him doing a range of different
13 paediatric --

14 A. It was the equivalent of a pre-registration house
15 officer post but Professor Hutchinson only took post
16 registration doctors to be house officers in his unit.
17 So it was, you know, general paediatrics, receiving ward
18 work, taking bloods, et cetera.

19 Q. We can see that you then had a spell at
20 Glasgow Royal Infirmary and then you were at the Beatson
21 and then you started at Yorkhill in May 1980, and you
22 say you did six sessions. Roughly speaking, is that six
23 half days?

24 A. Yes, I did five mornings. I usually finished about two,
25 depending on how much work there was, and then on

1 a Thursday afternoon I stayed on to take part in the
2 haematology clinic.

3 Q. And was that a general haematology clinic?

4 A. It was a general haematology clinic, where we saw
5 patients with leukaemia, other patients with blood
6 disorders and obviously, as the success rate in treating
7 leukaemia was increasing, there was increasing numbers
8 of children being reviewed at the clinic, and then much
9 later, I think after Dr Hann arrived, there was
10 a haemophilia clinic introduced as well, which I think
11 was a Friday afternoon.

12 Q. That didn't start until Dr Hann arrived?

13 A. I think it was after Dr Hann arrived that there was
14 a haemophilia clinic.

15 Q. So before Dr Hann arrived, children with haemophilia
16 would be seen at the haematology clinic.

17 A. No, children with haemophilia weren't seen at the
18 haematology clinic. Before Dr Hann arrived there wasn't
19 really any regular review of the children with
20 haemophilia.

21 Q. Right. So was it on a sort of as and when basis?

22 A. Yes, well, a number of severely affected haemophiliacs
23 were on home treatment and they would come, if
24 necessary, usually to the day bed area or sometimes to
25 casualty and then to the day bed area, and the ones who

1 weren't on home treatment with turn up as and when, but
2 quite often they would try and come directly to the day
3 bed area because, you know, with time that was where we
4 saw the haemophiliacs.

5 Q. I think we will come back to that when we look at
6 a little more of the history of the centre at Yorkhill.
7 Just to continue looking at your CV, you were there for
8 almost nine years and then it looks as though you began
9 your training for general practice. Is that right?

10 A. That's right.

11 Q. Because these jobs, the geriatric medicine and the obs
12 and gynae, these are necessary preliminaries for general
13 practice; is that correct?

14 A. Yes.

15 Q. Then you were a GP trainee and you have been in general
16 practice, you tell us, since February 1991 in Springburn
17 in the north of the city, and you have also done a bit
18 of cardiology at Stobhill and some teaching at
19 Glasgow University?

20 A. Yes, that's correct.

21 Q. And on the final page, if we can go to page 4, you tell
22 us about some articles and other work in which you were
23 involved. Some of them particularly in relation to
24 genetic aspects of haemophilia.

25 A. That's right, yes.

1 Q. Also you contributed to an article we have already
2 looked at about DDAVP.

3 Right, having done that, there are two documents we
4 need to have in front of us, which relate to your
5 evidence. The first is a set of questions that were
6 sent to you by the Inquiry and that is [\[PEN0150271\]](#).
7 The second document, I think we perhaps need to
8 juxtapose contains the answers. It is [\[PEN0150486\]](#).

9 You have obviously seen these before, Dr Pettigrew?

10 A. Yes.

11 Q. The first question we can see on the document on the
12 left, and we were asking you about the treatment regime
13 at Yorkhill for children with haemophilia, and you have
14 explained in your answer that you started working as
15 a part-time clinical assistant in May 1980. We have
16 seen that:

17 "At that time there were a number of children
18 already established on prophylactic home treatment.
19 I can't remember the exact number of these children but
20 there were approximately six at that time who received
21 regularly, I think twice weekly, Factor VIII concentrate
22 injections as well as additional treatment given by the
23 parent as required for acute bleeding episodes."

24 Can I ask you, Dr Pettigrew: do you have any
25 recollection of when the centre at Yorkhill really got

1 going? When did it become a haemophilia centre?

2 A. I couldn't really answer that. Certainly I wasn't aware
3 of there being a haemophilia centre when I worked in
4 Yorkhill between 1976 and 1977. When I started work in
5 Yorkhill, it wasn't really to work with haemophilia, it
6 was really to work in general haematology, and even then
7 there wasn't an actual haemophilia centre.

8 As I say, we tended to see the children -- I think
9 they still tended to come to casualty and whoever was on
10 call for haematology would be contacted. Then with
11 time, as I say, we tended to see them in the day bed
12 area, and finally, when haematology sort of day unit
13 moved up to Ward 7, there was a dedicated room for
14 haemophilia then. So that would have been -- I'm not
15 sure, maybe about 1984/1985, when we had a dedicated
16 room for haemophilia, but up until then we were just
17 part of the general paediatric day unit.

18 Q. So was haemophilia care at Yorkhill -- if we could call
19 it a centre, because the information we have had from
20 UKHCDO seems to describe it as a "centre" from,
21 certainly the latter part of the 1970s -- was it in
22 essence a sort of satellite of Glasgow Royal Infirmary?

23 A. I don't think you could call it a satellite of
24 Glasgow Royal Infirmary because we didn't really have --
25 you will be aware I used to work in the haemophilia unit

1 at Glasgow Royal Infirmary when I worked in the Royal
2 Infirmary but when I worked at Yorkhill, there wasn't
3 a great deal of communications between Yorkhill and the
4 centre at Glasgow Royal Infirmary. I think
5 Dr Willoughby operated more independently.

6 Q. Was Dr Willoughby mainly involved in looking after
7 patients with leukaemia?

8 A. I mean, he was a single-handed consultant and I think
9 Dr Hann -- you know, when I read his statement, he made
10 the point that, you know, I think he was probably a bit
11 taken aback when I arrived at Yorkhill to find that he
12 was in charge of not only a laboratory, but haematology
13 patients and patients with solid tumours, oncology
14 patients. So Dr Willoughby was running all these
15 services.

16 Obviously at that time there was, you know, a lot of
17 developments in the treatment of leukaemia. So a lot of
18 his time, I think, was spent with treating haematology
19 patients, particularly leukaemia patients. But, you
20 know, he still obviously spent time looking after the
21 haemophiliacs as well.

22 Q. Right. The position that you took up in May 1980, was
23 that a new post or had there been somebody doing that
24 job before?

25 A. No, that was a new post and in actual fact it was not

1 an NHS post. It was funded out of departmental funds
2 over the years.

3 Q. I think you would have to explain that to us a bit more
4 fully, if you would.

5 A. I think, as often happens, you know -- for instance
6 I know of a similar thing in the Beatson oncology unit
7 in Glasgow -- over the years people donate money to the
8 department to try and help with either, you know,
9 research or clinical work in treating, at that time,
10 children with leukaemia and tumours. And Dr Willoughby
11 decided that, you know, because with the treatment of
12 leukaemia there was more intensive treatment, there was
13 more need for outpatient treatment for the continuation
14 of treatment and outpatient investigations, he needed to
15 expand the staff. So he was looking for somebody to
16 come and work part-time, primarily really to help with
17 the outpatient treatment for leukaemics, and you know,
18 I was asked if I wanted the post. So it was a new post.

19 Q. So your understanding when you started was that the
20 primary focus was children with leukaemia?

21 A. Yes.

22 Q. But there was also responsibility towards children with
23 haemophilia?

24 A. Because I had worked in haemophilia before, I obviously
25 had an interest in haemophilia and, you know, naturally

1 you kind of gravitate towards what you are interested
2 in, and I think other people realised that, you know,
3 I had had experience and other members of the
4 haematology staff would perhaps ask me, you know, for
5 advice sometimes, although Dr Willoughby was obviously
6 in charge. But I think it is quite natural if you have
7 had experience of something that you gravitated towards
8 that.

9 Q. That paragraph, your first answer, you talk about:

10 "... the introduction of home therapy, initially for
11 two boys with haemophilia, who I had been told by
12 Dr Willoughby and other clinicians at Yorkhill had been
13 regular attendees at casualty up to two to three times a
14 day, and frequently required admission because of
15 bleeding episodes."

16 Would that be mainly bleeding into the joints?

17 A. Not necessarily. These were kind of toddlers who were
18 into everything and, you know, even things like --
19 I think on one occasion they found the father's razor
20 blade and cut themselves. So they were up and down
21 quite a lot. They lived locally but there would be
22 other families that would be living quite far away who
23 would be fairly frequent attenders as well, and it
24 wasn't always easy for them to get to Yorkhill.

25 Q. We have seen material, particularly from the 1970s,

1 Dr Pettigrew, in which at the meetings of UKHCDO there
2 were discussions about the sort of life that a child
3 with haemophilia could have or should have. I suppose,
4 noting that that was an issue, the actual practical
5 issue, however, if you are a parent or a small boy, must
6 be that it's very difficult to encourage them to live
7 quietly. Small boys don't live quietly.

8 A. No, I think it is impossible. You know, a normal
9 toddler is, you know, trying to investigate his world
10 and is developing, both from the mobility point of view
11 as well. Inevitably they are going to have falls,
12 inevitably they are going to get into things that they
13 shouldn't get into, and I think it's extremely difficult
14 for parents. You know, they could either just molly
15 coddle them and not allow the child to do anything or
16 else try and maintain a fairly controlled environment
17 where they allow some expression and some development,
18 some exploration, but under constant supervision.

19 Q. So did you find, having had experience of looking after
20 adults at Glasgow Royal Infirmary, that there were quite
21 significant differences when you went to look after
22 children with haemophilia?

23 A. You mean from the point of view of the ones that were on
24 home therapy or ...?

25 Q. I think perhaps just more generally.

1 A. In general.

2 Q. Different issues --

3 A. There are certainly different issues. You know, I think
4 adults obviously are autonomous and independent, whereas
5 children, it is the parents that are obviously involved
6 in their care. And haemophilia, you see the effects of
7 the haemophilia on the whole family when it's a child
8 involved. You see the effects on the child as well and
9 you know, some of the bleeding episodes that we had,
10 particularly they were very prone to bleeding round the
11 mouth, which is very difficult to control and can be
12 quite serious if they fall and cut their tongue or that
13 sort of thing, and the disruption that it caused to
14 family life.

15 A lot of these children didn't have very good
16 attendance at school and as I say, Yorkhill covered the
17 whole of West of Scotland. So even for the parents to
18 come to Yorkhill would often be quite difficult for
19 them, because in those days not many would have cars,
20 couldn't always get an ambulance. They would quite
21 often have to come by public transport and the
22 alternative would be to go to a local hospital where
23 they may not get the treatment that was necessary or
24 appropriate.

25 Q. At the time when you started in 1980, did that still

1 happen that people sometimes went to their local
2 hospital?

3 A. Yes, and in fact, I know on Tuesday there was quite
4 a discussion about the severity and the grades of
5 haemophilia, and I remember there was a young boy who
6 lived in Lanarkshire who had what appeared to be a minor
7 head injury. He was classified as a mildly affected
8 haemophiliac. He went to the local district general
9 hospital. It was inadequately treated and he died from
10 intracerebral haemorrhage. These things were happening
11 then and there was still quite a risk from bleeding
12 episodes.

13 Q. This was in the early 1980s?

14 A. Yes.

15 Q. This example that you give about the two boys who had
16 been regular attendees, you say that they were coming to
17 casualty. So was that the normal procedure for a child
18 who was having a bleed, that they would go to casualty
19 at Yorkhill?

20 A. Yes, and then casualty would contact Dr Willoughby or
21 one of his staff.

22 Q. You, if you were there?

23 A. After I came, yes. I could be contacted. I think they
24 would tend probably to phone one of the full-time staff
25 and they would arrange for them to come to the day bed

1 area and treatment would be sent over for them.

2 Q. So were you less involved in that kind of acute
3 situation?

4 A. In that, you know, I would only be involved in acute
5 situations if they occurred in the hours that I was
6 working there, and obviously there would be acute
7 situations outwith hours and I didn't do on-call. So
8 I wouldn't be involved in those situations.

9 Q. So the acute situations in the evenings and weekends
10 perhaps would be dealt with by whoever was on call for
11 haematology, would they?

12 A. Yes.

13 Q. Right. You note that these particular boys had greatly
14 reduced their rate of attendance and admission to
15 hospital after the commencement of home therapy, and you
16 say:

17 "It was my impression Dr Willoughby had introduced
18 home therapy and prophylactic treatment in an attempt to
19 give not only the children but their families as normal
20 a life as possible."

21 A. Yes.

22 Q. So when you arrived in 1980, is it your recollection
23 that there was both home therapy and prophylactic
24 treatment already up and running?

25 A. Yes, I think that the majority of patients on home

1 therapy were obviously boys who would be classified as
2 severely affected haemophiliacs, who would be prone to
3 spontaneous haemarthrosis, and Dr Willoughby had
4 introduced the prophylactic treatment programme. If you
5 think of two distinct things: home therapy and
6 prophylactic. So from the prophylaxis point of view,
7 the idea was to reduce the frequency of spontaneous
8 haemorrhages and try and ensure that the boys didn't
9 develop, you know, haemophilic arthropathies or muscle
10 shortening, and in fact I think that was borne out:
11 a lot of the boys did manage to maintain their joint
12 function very well.

13 Q. In drawing the distinction you draw between prophylactic
14 treatment and home therapy, are you meaning by home
15 therapy a response to what seems to be a developing
16 bleed in a child?

17 A. Yes. If patients are on home therapy only, they would
18 then be treated if they developed a bleed.

19 Q. That treatment --

20 A. Sorry, can I just add, Ms Dunlop.

21 Q. Yes.

22 A. And obviously, if patients are on home therapy and they
23 can treat themselves at the onset of a bleed, it means
24 that the bleed is treated promptly. There was less risk
25 of developing, you know -- it would help to reduce the

1 damage to the joint as well. So you know, getting
2 treatment in early was also very important.

3 Q. The home treatment that parents were administering, did
4 the child have a catheter, a line in already and the
5 parents just --

6 A. No.

7 Q. No?

8 A. Each time the child was treated, the parents had been
9 trained to introduce intravenous butterfly needle, which
10 is a little needle with a little butterfly wing on it
11 and then a little tube. So they would introduce the
12 needle and then they would attach the tube onto the
13 syringe with the Factor VIII on it, and inject the
14 Factor VIII. I was here when the World in Action
15 programme -- and you saw a young man administering
16 Factor VIII himself, injecting himself.

17 Q. That was how it was done --

18 A. That was how it was done, yes.

19 Q. Moving on through your answer, you say:

20 "As far as I recall, the children on home treatment
21 received both commercial Factor VIII and also SNBTS
22 Factor VIII, depending on what was available."

23 Can I ask you firstly, do you have any recollection
24 of using the SNBTS product in the early 1980s? By that
25 I mean what was it like to work with?

1 A. I used it in the Royal Infirmary and I certainly
2 remember there it was difficult to work with because it
3 took a while to dissolve. You had to kind of encourage
4 dissolving by having it on a kind of roller system that
5 helped it dissolve. You know, it could take about half
6 an hour to dissolve.

7 Q. What do you mean by a roller system?

8 A. Well, one of these rollers that go round -- two or three
9 rollers, and they go round and the bottle rotates and
10 that helped dissolve it because it didn't dissolve very
11 quickly.

12 Q. Was that something you had to do with SNBTS product but
13 not with commercial product?

14 A. No, the commercial product was much more user-friendly.

15 Q. Right. What were some of the features of the commercial
16 product that made it more user-friendly?

17 A. It dissolved more quickly and also it came in a box with
18 everything in it, you know, all the equipment, as it
19 were, the syringes and needles. It was just more
20 convenient, I think, to use for home therapy.

21 Q. Did parents themselves express views about what they
22 wanted?

23 A. I think I would have to say that in the main, certainly
24 in those early days, the parents preferred the
25 commercial factor concentrate because it was more

1 user-friendly.

2 Q. Right. What about the views of the doctors, of
3 Dr Willoughby and yourself, about what product you
4 should be using? Did you have any particular
5 preference?

6 A. Well, when I arrived at Yorkhill, obviously I hadn't had
7 the experience of using a lot of commercial factor
8 concentrate in the Royal. We tended to use it for
9 surgical procedures and I asked Dr Willoughby why was he
10 using commercial factor concentrate and he said
11 basically, when he started his home therapy treatment,
12 he couldn't get a guarantee from SNBTS that he would get
13 the supplies that he needed to maintain that home
14 therapy treatment and therefore he used commercial
15 concentrate.

16 The commercial concentrate we would probably use
17 more in the home therapy patients and in those patients
18 that aren't getting cryoprecipitate, and obviously in
19 children we tended to use the cryoprecipitate for the
20 ones that weren't on home therapy. But if there were
21 situations where they went on home therapy and needed a
22 concentrate, we would probably use SNBTS if it was
23 available.

24 Q. What do you remember from that time about any sense of
25 risk with either type of product?

1 A. Well, we were obviously aware of the risk of Hepatitis B
2 but other than that in the early -- well, when I arrived
3 and probably up until 1983, we weren't really aware of
4 any other risks, although it was known that some
5 haemophiliacs did have abnormal liver function tests and
6 there was a possibility that there was another form of
7 hepatitis that hadn't been identified then that could
8 affect haemophiliacs. But the main concern at that time
9 was Hepatitis B.

10 Q. Right. Both you and Dr Willoughby, if I can ask about
11 both of you, because we can't ask Dr Willoughby, how did
12 you view those risks? I'm trying to understand what
13 sort of perspective you placed on these risks.

14 A. Well, I think that, you know, from reading transcripts
15 and other statements, that has been discussed before.
16 And it was really the risks of treatment versus the
17 benefits, which is something that we always have to
18 think about in medicine and --

19 Q. Just to interrupt, Dr Pettigrew. I completely
20 understand that the transcripts are available for
21 everybody and I think everybody reads them, but if you
22 could do the best you can to think back to that time
23 when you were working with Dr Willoughby in the early
24 1980s, and try to recollect, if possible, what the two
25 of you thought about the relative risks.

1 A. I don't ever recall having a discussion with
2 Dr Willoughby about the risks of treatment. But the
3 benefits of treatment and home treatment were quite
4 obvious.

5 Q. So are you saying that you think you personally, at that
6 time, had a sort of awareness of the risks of liver
7 disease?

8 A. I had an awareness of the risk of Hepatitis B.

9 Q. Yes. Do you think you had an awareness at the time of
10 the risk of another kind of hepatitis?

11 A. Well, again from working in the Royal I knew that some
12 haemophiliacs had developed abnormalities of the liver
13 function test, and when I came to Yorkhill I started,
14 from time to time, when we were doing our routine bloods
15 from the haemophiliacs at Yorkhill, to check for the
16 liver function tests as well.

17 Q. Right.

18 A. But at that time we didn't know what was causing that
19 and what the outcomes would be.

20 Q. If there wasn't a regular clinic specifically for
21 children with haemophilia, what was your opportunity to
22 take blood samples and perhaps do liver function tests?
23 Was that just if the children happened to be there?

24 A. Sometimes the children would come with an intercurrent
25 problem and then you would have the opportunity then.

1 Q. Right. But there was no --

2 A. There was no --

3 Q. -- system of seeing them every six months or every year,

4 or something like that, to do these tests?

5 A. Not when I initially arrived, no.

6 Q. And did that develop?

7 A. That did develop, yes.

8 Q. Can you remember roughly when that changed?

9 A. I can't give an exact date but I think it was probably

10 after Dr Hann arrived.

11 Q. We are about halfway down the first page of your answers

12 and you do mention that cryoprecipitate was

13 impracticable for home treatment use. Can you just

14 explain a little more what the impracticability was?

15 A. Well, first of all it would have to be stored in

16 a freezer and at that time, even with home therapy with

17 concentrate, there were sometimes delays in, I think,

18 instituting it because some of the families didn't have

19 a fridge. So there was very few families that actually

20 had a freezer. Then there was a difficulty of thawing

21 it, of drawing it up, larger volume, and injecting it.

22 So it was really not practical for home treatment.

23 Q. Were there any children using cryo for home treatment?

24 A. Not initially, no.

25 Q. Did that develop?

1 A. I think as far as I recall -- and I can't be absolutely
2 definite about this -- but I think when there was
3 concern about the possibility of concentrate
4 transmitting an infectious agent that was related to the
5 development of AIDS, I think one of the parents asked if
6 cryo could be used.

7 Q. Right.

8 A. But I can't be absolutely sure about that.

9 Q. You do say, if we look at the next paragraph in your
10 answers document, that:

11 "Children who were not on home treatment would
12 receive either cryoprecipitate or Factor VIII
13 concentrate. SNBTS or commercial depending on
14 supplies."

15 Cryo would usually be given to the younger children
16 and to mildly affected haemophiliacs. What was the
17 thinking behind that?

18 A. Well, it was certainly given to milder affected
19 haemophiliacs, because obviously they wouldn't need the
20 same doses of Factor VIII as the severely affected
21 haemophiliacs would. The severely affected younger
22 children, I think, were probably initially treated with
23 cryo but as time went on, they may have been treated
24 with Factor VIII concentrate. I think particularly if
25 it was felt that they were going to be put on to home

1 therapy.

2 Q. Right. It has been our understanding that even somebody
3 whose haemophilia was described as mild, if they were
4 having a bleed, that might need quite a lot of
5 treatment?

6 A. It depended on the situation because some of the bleeds
7 would require -- for instance, if you are talking about
8 an intraoral bleed, a bleed in the mouth, you would
9 really have to try and ensure adequate levels of
10 Factor VIII to stop that bleed. But you know,
11 a haemarthrosis as a result of injury in a mildly
12 affected haemophiliac, you wouldn't need to give them as
13 much Factor VIII because they would already have some
14 level of circulating Factor VIII.

15 Q. Right. The second question we asked you was about
16 children transferring to adult care and you have
17 explained that for us. Then the third question was
18 about this choice between commercial product and NHS
19 product. We mentioned to you this meeting on
20 30 January 1981, where you attended in place of
21 Dr Willoughby. Perhaps we could just have a look at the
22 minutes of that meeting. That's [\[SNB0015055\]](#).

23 I appreciate you say you have no recollection of the
24 meeting and we know it was 30 years ago, but we do at
25 least have the minutes. So if we can just look at them

1 in replacement for the documents for the moment. There
2 you are attending in place of Dr Willoughby, Friday
3 30 January 1981.

4 When we look at that section at the bottom of the
5 first page, headed "Commercial purchases of
6 Factor VIII":

7 "The data provided for 1979 and 1980 showed that
8 a significant and apparently increasing quantity of
9 commercially produced Factor VIII was being used and the
10 reasons for this were discussed. It was stated by
11 haemophilia directors that sometimes only a commercial
12 product was available. There were also occasions when,
13 for clinical reasons, a higher purity product was
14 required."

15 Slower solubility is referred to and so on.

16 Dr Pettigrew, the tone that comes across from this
17 is that the purchase of commercial concentrates,
18 particularly increasing amounts of commercial
19 concentrate, was not a welcome development and that some
20 justification of that had to be advanced. Do you
21 remember that being a sort of sentiment or an atmosphere
22 of the time?

23 A. Even looking at these minutes, I don't recall anything
24 of the meeting and as I say, the only comment about the
25 use of factor concentrates is that I hadn't been

1 accustomed to using them routinely in the Royal
2 Infirmary and had, as I said, asked Dr Willoughby about
3 his use of them and he gave me the explanation, as I had
4 already mentioned.

5 Q. So you don't remember feeling, as it were, that this was
6 something you had to explain or justify?

7 A. Well, I don't think it was my place to explain or
8 justify it because obviously I wasn't director of the
9 haemophilia centre.

10 Q. There certainly isn't any reference to the fact that
11 there is apparently quite a high usage at Yorkhill. So
12 it doesn't look as though Yorkhill specifically was
13 being discussed, but if you don't remember the meeting,
14 I suppose you don't really remember.

15 A. Sorry.

16 Q. No, right, fine.

17 Close that document down, please and go back to
18 where we were. You say in answer 4:

19 "The decision to use commercial Factor VIII was
20 taken by Dr Willoughby."

21 Do you remember, perhaps not with reference to that
22 meeting but more generally, there being any kind of
23 policy in relation to NHS product that was prevailing in
24 Scotland at the time?

25 A. I don't really remember any policy, no.

1 Q. Right. So you don't remember any sense in which there
2 was a sort of collective attempt to achieve
3 self-sufficiency, to manage without importing American
4 product?

5 A. Well, you know, if you recall, I was a junior doctor and
6 I wasn't really involved in those sort of discussions.

7 Q. Right. Go over the page with Dr Pettigrew's answers,
8 please. Just looking a little more at the mechanics of
9 obtaining the product, your recollection is:

10 "The commercial Factor VIII was ordered by the
11 haematology department, usually by the senior chief
12 technician."

13 Is that the senior chief technician of the
14 Haematology department?

15 A. Yes, it was a Mr Jewel at the time.

16 Q. As in diamonds and pearls?

17 A. Yes.

18 Q. You think he dealt directly with the pharmaceutical
19 company?

20 A. I think so. That would be my recollection, but again
21 I couldn't absolutely confirm that.

22 Q. Right. Where was the material kept?

23 A. There was a cold room in the haematology department,
24 because obviously they had to keep immunoglobulin and
25 other products as well. So it was kept in a cold room.

1 Q. When parents needed more for home therapy, what was the
2 procedure?

3 A. For the supplies, the parents would come to the
4 haematology department and there was a reception there
5 and the receptionist would usually, I think, get one of
6 the staff from the lab who would issue the Factor VIII,
7 and I presume a record would have been kept there of
8 what was issued. The parents also had diaries to keep,
9 where they noted down the date, the amount and the batch
10 numbers.

11 Q. Right. Do you remember for what period the parents
12 would be given a supply? Was it enough to do them for
13 a certain length of time?

14 A. I can't remember the exact period but I think it would
15 be probably for maybe about -- I would be guessing but
16 probably about a month, but I would be guessing.

17 Q. You would be guessing?

18 THE CHAIRMAN: Could I follow up just a little on storage?

19 MS DUNLOP: Yes.

20 THE CHAIRMAN: Where were the stocks of therapeutic products
21 kept?

22 A. In the cold room, in the haematology lab.

23 THE CHAIRMAN: So you have indicated that sometimes therapy
24 would depend on what was available.

25 A. Yes.

1 THE CHAIRMAN: Was there any external source from which
2 Yorkhill drew product or were all of their product
3 requirements dealt with by maintaining stocks in
4 haematology?

5 A. I think all the products that were used would be kept in
6 the cold room in haematology. I don't think we would
7 have any products that would have come from elsewhere.
8 You mean would we have phoned the Royal and asked for
9 some?

10 THE CHAIRMAN: For example.

11 A. I don't think so, no.

12 THE CHAIRMAN: Or go directly to the transfusion service and
13 ask for product?

14 A. Sometimes we had to phone the transfusion service. For
15 instance, if a child with leukaemia had been in contact
16 with chicken pox we had to phone the Blood Transfusion
17 Service and get chicken pox immunoglobulin, and I think
18 if I recall, we might have had to phone to get platelets
19 sent from the Blood Transfusion Service.

20 THE CHAIRMAN: Yes, if we leave aside the specific
21 immunoglobulins for particular application and just
22 concentrate on Factor VIII and possibly Factor IX,
23 essentially Yorkhill operated a self-contained stock
24 system?

25 A. Yes.

1 THE CHAIRMAN: Ordering in, maintaining and drawing on it
2 for use.

3 A. That was my impression, yes.

4 THE CHAIRMAN: Yes.

5 MS DUNLOP: We asked you if you knew why the Armour product
6 seems to have been preferred at Yorkhill and you said
7 you didn't know, that it was already in use when you
8 took up your post.

9 A. That's correct.

10 Q. Was there any sort of involvement of Armour with
11 haemophilia care at Yorkhill? Did they fund any
12 particular aspect of the care or, you know, pay for
13 leaflets or booklets or anything like that, that you can
14 remember?

15 A. I can't remember specific funding of booklets or care
16 but they did fund, as was common practice in a lot of
17 centres, for members of the haemophilia unit to go to
18 scientific meetings, for instance. From time to time.

19 Q. But you do not know if there were any, for example,
20 preferential arrangements for the supply of the product,
21 any discounting or any reduction in price based on
22 a certain minimum quantity or anything like that?

23 A. No, I have absolutely no knowledge of anything like
24 that, no.

25 Q. Do you know how the Armour product was paid for? Do you

1 know where the money came from?

2 A. Again, I haven't any knowledge about that at all, I'm
3 sorry.

4 THE CHAIRMAN: Do you know whether your post was paid for by
5 Armour?

6 A. No, my post was not paid for by Armour.

7 MS DUNLOP: Your post was departmentally funded.

8 A. Yes.

9 THE CHAIRMAN: But you did say that was on the basis of
10 donations. That was why I was asking the question.

11 A. I don't think I would have been comfortable working in
12 a post if it was funded by a drug company.

13 MS DUNLOP: We asked you about parents who were trained to
14 administer the concentrates and you say that a number of
15 parents had already been trained before you started but
16 after you started, you took some part in training.

17 A. Yes.

18 Q. Was that the sort of procedures you have described, like
19 using the butterfly needle and so on?

20 A. Yes, that's right.

21 Q. Is that because more children were joining the programme
22 all the time?

23 A. Yes, there weren't, I mean, a huge number but, you know,
24 if there was -- it depended on several factors, not just
25 the frequency of attendance, the disruption to family

1 life et cetera, but obviously you had to assess whether
2 it was appropriate to train that particular parent to
3 give Factor VIII. But if there was a situation where
4 there was a child attending very frequently, and in
5 particular if they were having difficulty attending, if
6 they were coming from a bit further away or even if they
7 lived locally and were attending frequently, then they
8 would be considered for home therapy if it was felt that
9 it was appropriate and that the parents could be
10 trained.

11 Q. Did some parents apply a bit of pressure to join the
12 home therapy programme?

13 A. No.

14 Q. No.

15 A. I think, you know, initially a lot of parents would be
16 quite nervous about being trained for home therapy.

17 Q. Although I suppose it must be the case that for most of
18 the parents they already had experience of haemophilia
19 in the family.

20 A. No, not necessarily so. Some parents did. I can't
21 remember the statistics, but is it a third that don't
22 have any family history?

23 Q. Right. Then question 8. You were asked about the early
24 1980s, particularly 1981 to 1983, and your recollection
25 is that:

1 "There was greater availability of SNBTS product."
2 A. Yes, that's correct, and I think also 1983 was when
3 Dr Hann took up his post as well.
4 Q. Yes, and what was his perspective?
5 A. When Dr Hann arrived -- I don't know whether, you know,
6 it was because he was the new boy on the block, but he
7 was more in favour of using the SNBTS concentrate and we
8 seemed to get more supplies of SNBTS from 1983.
9 Q. Did you understand his reasoning? We are optimistic we
10 will manage to ask him this himself but did you
11 understand his reasoning for that?
12 A. Well, obviously by 1983, this self-sufficiency was
13 thought to have been achieved and also, having had the
14 opportunity to review some of the literature through the
15 preliminary report, it was obvious by 1983 that there
16 were concerns about the possible transmission of an
17 infectious agent, particularly from commercial
18 concentrate.
19 Q. Was there some bad feelings surrounding Dr Willoughby's
20 departure. Did he leave with a bit of a backdrop of
21 discord?
22 A. I noticed that comment in Dr Hann's statement but I was
23 trying to recall -- and certainly at the time
24 Dr Willoughby departed, I couldn't think of any
25 particular sort of bad feeling, and in fact we had an

1 excellent leaving do, which lots of colleagues from all
2 areas in the hospital and all departments attended,
3 because he was very well thought of.

4 There was an instant, and I can't remember when it
5 was, but it wasn't immediately before departure, it was
6 probably some months before, where there was some
7 disagreement which reached the press between
8 Dr Willoughby and another consultant in the hospital
9 regarding treatment of a child who had a tumour, and
10 I don't think Dr Willoughby was in agreement with this
11 other consultant who hadn't had experience of treating
12 children before.

13 Q. But you don't remember any particular disputes about
14 haemophilia care?

15 A. No, no. Definitely not, no.

16 Q. We asked you if you went to the symposium in Stirling
17 and you said you have no recollection of it.

18 A. No.

19 Q. You think you were first aware of the possibility that
20 AIDS was caused by an agent transmitted by blood and
21 blood products in 1983?

22 A. Yes.

23 Q. I don't suppose you remember what the trigger for your
24 awareness will have been?

25 A. I don't. Again, you know, looking through the documents

1 that we have looked through, it would seem that that
2 would be probably about the time that we became aware.

3 Q. We noticed from the paperwork that you went to PFC and
4 gave a talk. The film was made in 1983 and it was on
5 the care of haemophilia patients, but you don't still
6 have it?

7 A. No, in fact I hadn't recalled that there had been a film
8 taken. I do recall the visit because it was just before
9 heat treatment was being introduced and it was the first
10 time we had seen -- the haemophilia sister and I went
11 and we were shown round the department and were told
12 about heat treatment and shown how the product was made.
13 So it was very interesting.

14 Q. Dr Pettigrew, in question 12 we asked you about
15 a meeting of 29 November 1984. You weren't at that. It
16 was a meeting, which we describe in our preliminary
17 report, to discuss what had happened in Yorkhill and
18 Glasgow Royal Infirmary and Edinburgh Royal Infirmary,
19 and Dr Gibson was at that meeting on behalf of Yorkhill,
20 and she is minuted as having said:

21 "Five out of ten children treated at Yorkhill with
22 commercial products were positive for the AIDS virus."

23 We asked you about your recollection of that time.
24 Do you actually remember as an event these results being
25 obtained?

1 A. Yes, I remember it very well. Dr Hann had received
2 a letter from Dr Follett, who was head of the regional
3 virology laboratory, and Dr Follett listed the names of
4 children whom he had found to be positive for the
5 HTLV-III antibody, as it was called then, in samples
6 that had been sent for detection of Hepatitis B and had
7 been stored by Dr Follett. He tested retrospectively
8 and he sent a letter to Dr Hann with a list of names of
9 those that were positive, and I remember it well because
10 it was one of those awful moments in life to see that
11 confirmed on paper.

12 Q. As far as your recollection goes, you think that was
13 testing that Dr Follett had done rather than something
14 that Dr Hann had asked for, or do you not know?

15 A. I don't know who initiated the testing. My recollection
16 was that Dr Follett had initiated testing
17 retrospectively, but I can't confirm that.

18 Q. So Dr Follett will have had some Yorkhill samples in his
19 lab?

20 A. Yes.

21 Q. Right. That was ordinary procedure at the time, was it?

22 A. Yes, it was a procedure at the time that, you know --
23 well, we have talked about this -- on a fairly regular
24 basis, but we did check for Hepatitis B on a fairly
25 regular basis, if you put "fairly regular" in inverted

1 commas.

2 Q. Yes.

3 A. Those samples would have gone to Dr Follett at the
4 regional virology laboratory.

5 Q. Dr Pettigrew, have you seen the spreadsheet that has
6 been produced for Yorkhill?

7 A. Was that the one of treatment of concentrate use or --

8 Q. Just to fill in a bit of the background for you. As
9 part of our research in the Inquiry we have been trying
10 to get some sort of sense of numbers of people who were
11 infected in different centres, and data was provided by
12 UKHCDO, which the current haemophilia centre directors
13 then examined, and spreadsheets were prepared for the
14 various centres, listing by code patients that they
15 consider were most likely to have been infected in that
16 centre.

17 A. No, I haven't seen that.

18 Q. You haven't seen that?

19 A. No.

20 Q. Perhaps you could have it in front of you. It is
21 [\[PEN0120160\]](#).

22 Dr Pettigrew, the spreadsheets on the screen now,
23 and it's difficult to get the whole thing on in a way
24 that's easy to read, but perhaps if we could go right to
25 the left-hand side, thank you.

1 It's very difficult, Dr Pettigrew, to work out when
2 any individual is most likely to have been infected.
3 It's more difficult for some people than for others but
4 the information is not there for everybody. The only
5 thing that we have been able to do is to ask about the
6 last negative test, accepting, of course, that that is
7 retrospective testing and the first positive test, which
8 in some cases is retrospective as well.

9 For the most part it does look as though the
10 patients who were infected acquired the virus through
11 treatment at Yorkhill, and did so in the early part of
12 the 1980s. Perhaps principally 1982/1982 and maybe into
13 1983. Does that reflect your understanding or is that
14 something that's news to you?

15 A. No, my understanding was that those unfortunate patients
16 who were infected were infected around about that time,
17 1981/1982, perhaps into 1983.

18 Q. There certainly was mention at the meeting in 1984 of
19 commercial products or imported products having been
20 used at Yorkhill. At the time was there a sense of
21 a connection between the imported product and these
22 infections?

23 A. I think that was probably generally accepted that there
24 might have been an increased risk from imported products
25 but I don't think, you know. So far as I recall SNBTS

1 wasn't entirely free of infection either.

2 Q. Do you remember, in any discussions that took place
3 about what had happened at Yorkhill, any particular
4 focus on how it had happened, which products might have
5 been responsible?

6 A. I think, certainly when we did get the initial results,
7 we would have to assume it was commercial product
8 because that was what they were using at that time.

9 Q. You see, on this spreadsheet, there is quite a lot of
10 PFC product referred to as well but there aren't any
11 breakdowns of amounts, but from the information that
12 UKHCDO have provided, it has been possible to work out
13 that at least in 1980, the ratio of commercial product
14 to domestic product is approximately 4 to 1. So about
15 four times as much commercial product was used as
16 domestic product.

17 A. I think --

18 Q. Do you think that reflects your recollection?

19 A. Yes.

20 Q. Do you know anything about litigation against Armour?

21 A. No, sorry, I don't.

22 Q. Mr Gardiner is going to ask you some questions about the
23 details of the communication with parents and with
24 children. So he will be coming back to that. That's
25 really the questions that we have put in that section of

1 the document on the left. You continued to work at
2 Yorkhill until, I think it was 1989?

3 A. Yes, January 1989, yes.

4 Q. And you must have had a lot of involvement in looking
5 after people, children, who had tested positive?

6 A. Yes, that's correct.

7 Q. We had noted that in fact you gave a presentation at
8 a paediatric haematology meeting, I think, in 1987.
9 I mean, do you remember doing that?

10 A. Yes, I remember doing that and preparing my presentation
11 for that, yes.

12 Q. Did that become a very large part of your workload at
13 Yorkhill?

14 A. Looking after haemophiliacs or ...?

15 Q. Looking after children with haemophilia who had tested
16 positive for the antibodies?

17 A. Well, fortunately at that time the majority of patients
18 who were positive and still attending Yorkhill were
19 relatively well. So therefore our involvement was more
20 in a supportive role with them and their parents; if
21 there was an increased involvement, that would be where
22 it was.

23 Q. As far as any directly medical advice was concerned,
24 I think you say in your answers that that came from the
25 infectious diseases unit at Ruchill. Is that right?

1 A. Yes, they were involved in monitoring the children,
2 particularly doing immunological tests but the children
3 continued to be followed up at Yorkhill, and in fact by
4 that time we had the regular haemophilia clinic, and we
5 obviously introduced in our review of the haemophiliacs
6 at the clinic, examination to exclude any evidence of
7 progression of their, if you like, pre-AIDS status into
8 overt symptoms and signs --

9 Q. Sorry, you maybe answered this at the beginning, but did
10 the establishment of the regular haemophilia clinic
11 coincide with getting the specific room?

12 A. No, in fact the haemophilia clinic, as with the
13 haematology clinic in those days, was held in the
14 general outpatients department.

15 Q. So when was the specific haemophilia clinic established?

16 A. I think it was probably soon after Dr Hann arrived
17 because, you know, I knew that they had established
18 regular clinics at the Royal Infirmary and we thought
19 that we should, as a comprehensive care centre, be doing
20 regular clinics at Yorkhill.

21 Q. Right. Thank you, Dr Pettigrew.

22 I think, sir, now would be a natural break and then
23 after we have had a short break, Mr Gardiner can ask
24 Dr Pettigrew one or two questions about information.

25 THE CHAIRMAN: Early on in Dr Pettigrew's evidence she

1 referred, I think, to children on home treatment keeping
2 notebooks, and there are one or two questions I might
3 like to ask about that, unless you have got in mind to
4 ask them yourself.

5 MS DUNLOP: No. I don't have questions about notebooks.

6 THE CHAIRMAN: Yes.

7 Dr Pettigrew, I think you explained that children on
8 home therapy would keep records, and of course one would
9 expect that. Did they bring those records in for
10 examination at Yorkhill from time to time?

11 A. Yes. What tended to happen was when the mother -- it
12 was usually the mother -- came to collect the treatment,
13 she would drop into the day bed area and I was usually
14 based in the day bed area, as was the haemophilia nurse
15 specialist sister at the time, and she would drop in for
16 a chat and also we would look at the book to see if
17 there had been any intercurrent bleeds or if the child
18 had remained free of intercurrent bleeds and what the
19 usage was. So we would have a look at the diary at the
20 clinic.

21 THE CHAIRMAN: I used to be an accountant and I naturally
22 think in these terms. So did you note down the
23 quantities in internal records that were used and in
24 effect keep a balance record?

25 A. No, we didn't. When they had filled their books and

1 they had to get new books, the parents would take them
2 back to the haematology department and they were kept
3 there. What happened to them, I do not know.

4 THE CHAIRMAN: But the routine was that these records, which
5 were left with the parents, I suppose, until they were
6 complete, were then called in and held at the hospital
7 itself?

8 A. Yes.

9 THE CHAIRMAN: Were they analysed at that stage?

10 A. No. As I say, when the parents called up for the
11 treatment, they usually called over to the day bed area
12 and we would go through the book at that time and
13 discuss any problems that had arisen since they had last
14 produced the book.

15 THE CHAIRMAN: The obviously relevant clinical data there.

16 A. Yes.

17 THE CHAIRMAN: Do you know whether the books were kept as
18 permanent records or whether they were just disposed of
19 or what?

20 A. I can't answer that. I would have hoped they would have
21 been kept as permanent records but I can't answer that.
22 I don't know.

23 THE CHAIRMAN: Right, thank you very much. I think that's
24 all I would like to ask at this stage. Thank you.

25 (11.25 am)

1 (Short break)

2 (11.44 am)

3 Questions by MR GARDINER

4 MR GARDINER: Dr Pettigrew, I would like to ask you some
5 questions about the information that was given to
6 patients about the risk of AIDS from blood products, the
7 tracing and testing of patients exposed to the virus and
8 the information that was given to patients who were
9 infected. This is what we are calling the B5 topic.

10 I think, Dr Pettigrew, the Inquiry wrote to you on
11 31 March. That's right, isn't it?

12 A. Yes.

13 Q. That is in our database at [\[PEN0160477\]](#). That's the
14 letter that we sent to you about this topic, isn't it?

15 A. Yes.

16 Q. Then you were kind enough to respond on 21 April and
17 that's at [\[PEN0120277\]](#). So if we can just first of all
18 look at the letter that we sent you. On the first page
19 we set out the details of the topic. Then if we just
20 pass over to the second page, the second paragraph:

21 "In relation to B5(a), we suggest that your client
22 might like to consider the following matters ..."

23 Number 1:

24 "When the possibility that AIDS was a blood-borne
25 disease which affected haemophiliacs became apparent

1 around December 1982, did Dr Pettigrew discuss the
2 implications with her patients (or their parents) before
3 continuing to use factor concentrate therapy?"

4 I think I'm right in saying, Dr Pettigrew, that you
5 answer that question in (a) in your letter. Is that
6 right?

7 A. Yes, that would be correct.

8 Q. So you are addressing that question.

9 A. Yes.

10 Q. What you say there is that:

11 "A number of patients were established on home
12 therapy treatment with Factor VIII concentrate before
13 I started working at Yorkhill hospital and before the
14 risk of AIDS being transmitted through blood and blood
15 products had been confirmed. During the period where
16 there was increasing concern that a transmissible
17 infectious agent was present in blood and blood products
18 ..."

19 You have put 1982 to 1983:

20 "... we would advise parents of this concern but at
21 that time there was no definite proof."

22 This morning you told us that the first time you
23 became aware was in about 1983, that AIDS could be
24 transmitted by blood products.

25 A. I think that would be correct, and initially when I was

1 contacted by the Inquiry, my recollection of dates,
2 et cetera, was very vague but having read the
3 preliminary reports, I'm assuming that it would have
4 been in 1983.

5 Q. Yes. Well, the questions that I'm going to ask you
6 about that are really at around about that time, around
7 about 1983. Could you tell us: what would you say to
8 patients about this concern?

9 A. If parents -- it would usually be parents -- voiced
10 concerns, we would say that, as I have stated, there was
11 a possibility -- the possibility had been raised but at
12 that time there was no definite evidence. There was
13 still a lot of debate, even among the experts, as to
14 whether or not there was a definite infectious agent and
15 the advice at that time was that they should continue
16 with therapy.

17 But obviously, I would be following advice that
18 I would be given by my seniors.

19 Q. Yes. I'm going to ask you about that in a minute. The
20 way you put it there was if parents voiced concern;
21 would you routinely discuss this with parents, even if
22 they didn't mention it themselves?

23 A. The majority of parents would voice concerns because
24 they were a well-informed group, and obviously most of
25 our parents were in contact with the Haemophilia Society

1 and would be aware of this.

2 Q. What discussions did you have about this with either
3 Dr Willoughby or Professor Hann, or at that time would
4 it just be Professor Hann?

5 A. Well, Professor Hann arrived, I think, in January 1983
6 and I can't recall any specific discussions. But
7 I think there was obviously, from the beginning of 1983,
8 and as I have mentioned before, increasing concern.
9 Fortunate for that time we were able to introduce more
10 Scottish -- SNBTS Factor VIII and try and encourage the
11 parents to use that in preference to the commercial
12 Factor VIII.

13 Q. So Professor Hann hadn't formulated a policy that he
14 discussed with you about discussing this concern with
15 parents?

16 A. Not at that time, not early in 1983, no.

17 Q. Right. Did that come later?

18 A. I can't recall any specific policy with regards to
19 discussing with parents the risk of AIDS.

20 Q. Okay. These discussions about this concern, where would
21 they take place?

22 A. Well at that time we would still be in the day bed area
23 and, as I have said before, the parents would call in,
24 usually just for a chat, and that would be the time when
25 the concerns would be raised.

1 Q. Could you help us what the day bed area consisted of
2 exactly?

3 A. Well, we share the day bed area with the whole hospital
4 and it was used for treatments, and patients with minor
5 surgery would be treated in the day bed area as well,
6 post anaesthetic. There was two four-bedded rooms. So
7 the haematology patients tended to be in one four-bedded
8 room and the non-haematology patients in another. There
9 was two treatment rooms and we tended to have the use of
10 one treatment room, which we used not only for the
11 treatment of haemophilia but for treatment of leukaemic
12 patients and patients with solid tumours, and there was
13 a waiting room.

14 Q. So where would these sorts of discussions about these
15 concerns take place with the parents?

16 A. Well, it would depend what was available but, you know,
17 usually in the treatment room or sometimes in the
18 waiting room.

19 Q. The preference would be the treatment room, I presume?

20 A. Well, it depends on the circumstance. You know, you
21 might be just talking to them wherever you were, and
22 they would bring up this concern. So you know,
23 I couldn't say specifically where these discussions took
24 place.

25 Q. No. I'm talking specifically about a concern about this

1 new virus being transmitted by blood products. So it's
2 that kind of discussion. Would you have a preference
3 for where you would have those sort of discussions?

4 A. Well, obviously any discussions you would have, you
5 would hope to have where there was privacy and
6 confidentiality.

7 Q. So your preference would be for privacy if it was
8 available?

9 A. Yes, absolutely.

10 Q. Thank you. During these discussions about this concern,
11 would other treatment options be discussed with the
12 parents, for example cryoprecipitate or going to NHS
13 product if commercial concentrate was being used?

14 A. As I say, during 1983 we had a more reliable supply of
15 SNBTS and we would try and encourage parents to use
16 SNBTS rather than Factorate concentrate.

17 Q. What about the possibility of stopping NHS concentrates
18 and moving back to cryoprecipitate? Was that ever
19 discussed?

20 A. I don't think it was ever discussed because of the
21 practicalities -- or the impracticality of it. But if
22 the parents, you know, asked about that, we would
23 discuss it with them.

24 Q. So cryoprecipitate treatment wasn't offered because it
25 wasn't a practical possibility?

1 A. It would have been a very difficult to institute home
2 therapy with cryoprecipitate.

3 Q. Dr Pettigrew, these sorts of discussions about concerns,
4 is that something that would be recorded in medical
5 notes for patients?

6 A. I don't think it would necessarily be recorded in
7 medical notes because if the parents came to the day bed
8 area, you know, it would be a drop-in, and we wouldn't
9 have the child's notes available. We only have the
10 child's notes when the child appeared with a problem;
11 for medical advice or treatment.

12 Q. Yes. Thank you. Just to go back to your letter, in the
13 next paragraph you say:

14 "I cannot recall giving initial counselling to
15 parents of newly diagnosed haemophiliacs."

16 What are you meaning by "initial counselling" there,
17 Dr Pettigrew?

18 A. I think if there was a newly diagnosed haemophiliac, the
19 consultant would normally discuss with the parents the
20 implications of that and have a full discussion with the
21 parents.

22 Q. Would you be in attendance at those sorts of meetings?

23 A. Sometimes but sometimes not because remember I was
24 part-time, so I wasn't always there.

25 Q. Yes. The meetings that you were at, were different

1 treatment options discussed?

2 A. I can't say with any certainty. I can't recall with any
3 certainty. I think, you know, the main aim then would
4 be to make sure that the parents understood the risk of
5 bleeding episodes.

6 Q. I think you told us earlier that, notwithstanding the
7 risks of transmissible agents, the advice to the parents
8 would be to take the factor concentrates because the
9 risk of bleeding outweighed the risk of the
10 transmission; is that right?

11 A. Well, at that stage, I think probably still the balance
12 was in favour of continuing treatment and, as I have
13 mentioned, there was lots of different opinions at that
14 time, and I think, as Dr Winter said, the consequences
15 of stopping treatment, you know, would have had quite
16 a dramatic effect as well.

17 Q. But your personal recollection of that time,
18 Professor Hann, the advice he would have given in
19 initial counselling, that would be to recommend
20 concentrate treatment; is that right?

21 A. Yes, unless the parents specifically stated that they
22 didn't want to continue. If the parents stated they
23 didn't want to continue, we would say, well, you know,
24 that would be their choice and you would have to respect
25 that but I don't think any parents did.

1 Q. Thank you. If we could just move to the next paragraph
2 of your letter, I think this is in response to
3 a question about testing. What you say here is:

4 "As answered in my statements in topic B2, question
5 12, when a test for the HTLV-III virus became available,
6 initial testing was carried out retrospectively by
7 Dr Follett of the regional virology laboratory on
8 storage serum samples. I do ..."

9 I think that should be:

10 "I do not know who initiated this testing but
11 subsequently both positive and negative patients were
12 retested to confirm results."

13 Could we just have a look at your B2 statement,
14 please? Which is [\[PEN0150486\]](#).

15 A. Sorry, could I qualify something I said earlier? As
16 I said in my statement, any change in treatment policy
17 would obviously not be my decision to take and if
18 a parent didn't voice a concern that they didn't want to
19 continue with treatment, that would be obviously
20 something I will refer on to the consultant.

21 Q. Thank you. If we could look at the 0487 document,
22 paragraph 12, I think the question is about the results
23 of the children who had been infected. Paragraph 12 you
24 say:

25 "I cannot remember the exact number of children who

1 were first found to be positive for HTLV-III, as it was
2 termed then, but I think it was about eight to ten, some
3 of whom had already transferred to the adult unit and
4 one had moved to a different part of the country. These
5 results were received in a letter to Dr Hann from
6 Dr Follett, the virologist. He had carried out initial
7 tests retrospectively on stored serum."

8 I think earlier on today you told us a bit more
9 about that. What I wanted to try to clarify with you
10 is: is it your recollection that every routine sample
11 that was taken from patients was then subsequently
12 retained by Dr Follett in a deep freeze? Is that how it
13 worked?

14 A. I couldn't answer that. I mean, we sent Dr Follett
15 samples from haemophiliacs for testing for Hepatitis B.
16 I mean, I can't tell you if all of those samples were
17 stored by him or if some of them were stored. I really
18 don't know. But he certainly had stored samples that he
19 was able to test retrospectively.

20 Q. How often would these samples be taken? I think you
21 mentioned it this morning but could you just remind me,
22 the Hep B samples?

23 A. We would try and do it at fairly regular periods but
24 I couldn't give you an exact time, but you would
25 probably try and check them at least maybe yearly.

1 Q. When the Hepatitis B samples were taken, were the
2 parents advised why the samples were being taken?

3 A. It's my recollection that when we were taking blood
4 samples, I would usually say, "I'm taking blood for ...
5 "We will just check for Hepatitis B." Sometimes we were
6 checking for Factor VIII levels, for instance.
7 Sometimes we would check their blood count to make sure
8 they hadn't become anaemic and also, if I was checking
9 for liver function tests, I would say, "We are checking
10 the liver function tests because it appears that some
11 haemophiliacs have abnormal amounts in the liver
12 function test and we are going to keep an eye on that".

13 Q. Do you think permission was obtained from parents before
14 testing the stored samples by Dr Follett?

15 A. I don't think it was. That's why I say I don't know who
16 initiated the testing.

17 Q. Thank you.

18 THE CHAIRMAN: Would your department have been the natural
19 conduit or contact with the parents if consent had been
20 sought?

21 A. Yes --

22 THE CHAIRMAN: Dr Follett wouldn't have direct contact with
23 the parents, I imagine.

24 A. No, Dr Follett wouldn't have contact with the parents,
25 no. But I think things, as has been mentioned before --

1 you know, we are talking about 26 years ago, when
2 medicine was practised in a slightly different fashion
3 and consent was not always obtained for what was thought
4 to be -- you know, for testing.

5 MR GARDINER: What was the main difference in the way that
6 medicine was practised at that time?

7 A. For instance, in haematology you were always taking
8 blood samples from children but every time you took
9 a blood sample, you wouldn't always say each time, "I'm
10 testing for X, Y, Z". Nowadays in my practice when
11 I send people for blood samples, I would say, "I'm
12 testing for X, Y, Z".

13 Q. I think at the bottom of paragraph B you say there was
14 retesting to confirm results?

15 A. Yes, the parents would be informed then if there was
16 retesting.

17 Q. Because you would have to bleed the children to get
18 a fresh sample?

19 A. Yes, and it obviously would be a very sensitive
20 situation.

21 Q. So your recollection is that on retesting, it was
22 explained to the parent what was being tested for and so
23 on?

24 A. That would be my recollection, yes.

25 Q. Okay. Thank you very much. If we could just move on to

1 paragraph (c), which is over the page in your letter.
2 This is addressing the question of informing parents
3 about the results of tests.

4 You say:

5 "Parents of those children who tested positive were
6 informed as soon as possible, either opportunistically
7 when they attended the day bed area or at the
8 haemophilia clinic. The information given to parents
9 was based on the state of knowledge at the time."

10 And so on. You have told us that the results were
11 communicated by Dr Follett to Professor Hann in
12 a letter?

13 A. That's correct.

14 Q. So how did you find out about the results?

15 A. Dr Hann called me over to his office and he showed me
16 the letter, and I presume that he must have been happy
17 that the tests that Dr Follett was using were fairly
18 reliable and, you know, he advised me that he felt we
19 should inform the parents as soon as the opportunity
20 arose.

21 Q. Would you be able to tell us more or less when this was?

22 A. The date?

23 Q. Yes. Or a month even.

24 A. Sorry, I can't remember but I presume it would -- would
25 it be late 1984 maybe? But I honestly couldn't give you

1 an exact date but I presume, when -- Gallo discovered
2 his virus in May 1984, I think, so it might have been
3 late 1984/early 1985, but I honestly can't give you
4 a date.

5 Q. So late 1984/Early 1985 is your best estimate, is it?

6 A. Yes, but that's a guess.

7 Q. Is that from your own recollection, Dr Pettigrew?

8 A. Well, I have to say it's probably more from reviewing,
9 you know, the preliminary report because initially
10 I couldn't have given you an exact -- I would have said
11 mid 1980s.

12 Q. Thank you. At that time, when you first spoke to
13 Professor Hann, how many children did you think were
14 involved?

15 A. Again, I can't give you an exact figure. You know,
16 I have said there, I think -- what did I say? Maybe
17 about ten but I couldn't give you an exact figure.
18 I did know the exact figure then, obviously, and
19 throughout the time I was working at Yorkhill, but
20 I don't recall the exact figure now.

21 Q. You told us that Professor Hann said to you that he
22 wanted the parents to be advised about the results as
23 soon as possible?

24 A. Yes.

25 Q. Yes. Did he discuss with you how the results would be

1 communicated, who would do it, what the format would be?

2 A. No, not really, no.

3 THE CHAIRMAN: Could we just go back a bit. I think your
4 answer wasn't "as soon as possible" but it was "as soon
5 as the opportunity arose".

6 A. Yes.

7 THE CHAIRMAN: I think there could be a significant
8 difference, Dr Pettigrew, between those two. If it was
9 as soon as possible, one might have expected you to take
10 positive steps to inform. If it was as opportunity
11 arose, what would be involved in that?

12 A. I think the majority if not all the patients who were
13 found to be HTLV-III antibody positive were on home
14 treatment. So we knew that we would see them or see the
15 parents within a few weeks at the day bed area. So we
16 would -- or I would try and speak to the parents when
17 they came to the day bed area, and if we hadn't seen
18 them, we would see them at the clinic.

19 THE CHAIRMAN: Do you think it was this second of the two
20 possibilities that actually applied?

21 A. No, I do recall having a discussion with some parents in
22 the day bed area and in the waiting room.

23 THE CHAIRMAN: In some cases that might involve quite
24 a significant delay.

25 A. I think probably you would be talking maybe up to three

1 or four weeks but I don't think -- you know, we didn't
2 hold on to the results for months; we did try and inform
3 the parents as soon as the opportunity arose. I think
4 what Dr Hann didn't want was to write to the parents and
5 say, "Could you come and see me, please". Because there
6 was obviously a lot of concern at the time and
7 haemophilia is a small world and I think there would be
8 discussion among parents and patients themselves about
9 testing.

10 THE CHAIRMAN: Sorry, Mr Gardiner.

11 MR GARDINER: Thank you, sir. Why did he not want to write
12 to the parents about this?

13 A. I think you have to think back to that time, when there
14 was a whole lot of hysteria, misconceptions, about AIDS.
15 We were trying to maintain confidentiality, we were in
16 a situation where, you know, even the porters in the
17 hospital had stated that if there was a child in the
18 hospital with AIDS, they would not be involved in
19 transporting that child from department to department,
20 including the mortuary. So it was a very, very
21 difficult time and we were trying to protect them from
22 that sort of hysteria and reaction.

23 Q. So was there a concern that committing it to paper
24 would --

25 A. Yes. In fact I don't even think the results were

1 initially entered into the case notes.

2 Q. So you think that Dr Hann's concern about writing out
3 would be, in part, that somebody would have to write the
4 letter and therefore necessarily somebody else would
5 have to know and that would --

6 A. Well, somebody would write the letter, and I think we
7 could trust our staff in the haematology department, but
8 letters would then have to go into case notes.

9 Q. So who could see the case notes that Dr Hann didn't --

10 A. Well, case notes were held centrally, you know, in the
11 records office.

12 Q. Do you have a recollection of discussing these sorts of
13 things with Dr Hann at that time, the need for secrecy
14 and so on?

15 A. Yes.

16 Q. But during this discussion there was no mention of the
17 way in which the results would be communicated?

18 A. No, there wasn't. I presume that Dr Hann trusted me to
19 do it in an appropriate manner.

20 Q. Was it going to be your job?

21 A. Certainly those parents that were not given the results
22 at the clinic, I would have seen.

23 Q. Yes. And who would have seen them at the clinic if it
24 wasn't you then?

25 A. Both Dr Hann and I would have seen them at the clinic.

1 Q. Dr Pettigrew, can you remember if you did advise the
2 parents about these results?

3 A. Yes, I did, yes. I can distinctly remember at least
4 two, if not more, that I spoke to before the clinic.

5 Q. So would that mean that Dr Hann must have advised the
6 other parents?

7 A. Well, I think the other parents we would have both seen
8 at the clinic.

9 Q. Could you just tell us how you did it? How did you pass
10 on this news?

11 A. With great difficulty. You know, you had to tell these
12 parents that their child had been found to be positive
13 for this new test, that we weren't absolutely sure of
14 the accuracy of this test and that the test would
15 indicate that there was a possibility they had been
16 infected by the virus which was thought to cause AIDS.
17 But at that time we didn't know and we couldn't tell
18 them whether their child would definitely develop AIDS
19 or not. And then we also had to give some practical
20 advice.

21 Q. What would that be?

22 A. Well, obviously these weren't mothers that were
23 injecting their children. So we had to remind them to
24 continue to take the precautions that we would take to
25 prevent infection, such as Hepatitis B, and advice about

1 hygiene about the house and not sharing tooth brushes
2 et cetera, and obviously we would inform them about the
3 risk of transmission by sexual contact.

4 THE CHAIRMAN: Sorry, did you say these were or weren't
5 mothers who were injecting?

6 A. The majority would be mothers -- or some of them by that
7 stage, the children would be injecting themselves.

8 MR GARDINER: It may seem like an odd question but how long
9 would this take, this passing on this news?

10 A. It could take quite a long time. It wasn't something
11 you rushed because obviously, in giving that
12 information, you couldn't just give it and then leave
13 the parent. You had to give them some support and also,
14 if I can add, you know, these are parents and families
15 that we had got to know well over the years, not only
16 them but obviously working at the Royal before, I knew
17 some of their relatives as well.

18 Q. Dr Pettigrew, did you receive any guidance at all from
19 anyone before you took on this exercise of passing on
20 these results?

21 A. I don't think there was any specific guidance available
22 at the time and I know now medical students are trained
23 in giving bad news, but the only training I had was from
24 my experience and obviously haematology, there was often
25 occasions when one had to give bad news but I don't

1 think I had ever been in a situation like this before.

2 Q. Thank you. Now, just to pass on chronologically a bit
3 further on, as knowledge developed about the disease,
4 did you have occasion to discuss the developing
5 knowledge with the parents and the implications of the
6 diagnosis?

7 A. Yes, as I mentioned, following the information that the
8 patients were positive for HTLV-III antibody, we
9 continued to see them regularly at the clinics, probably
10 a bit more regularly, and there would be an opportunity
11 discuss any advancements in the knowledge about the
12 condition. There was also, as I think I mentioned, you
13 know, we involved social workers and there were parent
14 support groups set up as well.

15 Q. Thank you. Can we have a look, please, at the Inquiry's
16 letter, which is [\[PEN0160477\]](#)? If you could have the
17 front page in front of you there. This is the Inquiry
18 writing to you and letting you know the kind of things
19 that you are going to be asked, and the second last
20 sentence:

21 "It is likely that she will be asked about the
22 answers given in that statement at the hearing. In
23 particular, she should be aware that the parent of one
24 of the boys that she was treating has told the Inquiry
25 that they were informed that their son was HIV positive

1 in the corridor of the day centre. Your client is
2 mentioned in connection with this."

3 So, you see, Dr Pettigrew, what's being said there,
4 that at the period that we have been talking about,
5 a parent of one of the children that you were treating
6 has told the Inquiry that they were informed about the
7 HIV diagnosis in the corridor of the day centre and --

8 A. Sorry, I think they said the clinic.

9 Q. Corridor of the day centre.

10 A. I'm sorry, but the further information I have got --
11 initially, I thought it was the day centre but
12 I subsequently received a further transcript, which was
13 anonymous, and it mentioned the clinic.

14 Q. Well, we can maybe just put a caveat in here at the
15 moment, Dr Pettigrew, that we are being terribly careful
16 not to mention the names of any of the relatives or
17 patients. So working within that constraint, if we
18 could just look at what's said in this letter here, and
19 you will see what's being suggested. In your letter,
20 what you say at paragraph (c):

21 "Parents of those children who tested positive were
22 informed as soon as possible, either opportunistically,
23 when they attended the day bed area or at the
24 haemophilia clinic."

25 You have told us a bit more this morning about the

1 layout of the day centre and so on. So Dr Pettigrew, is
2 it possible that what is being said here in this letter,
3 which has been reported to the Inquiry, is correct?

4 A. I don't think so. I mean, I do recall speaking to
5 parent in the day bed area, but my recollection is of
6 sitting in the waiting room which would have been
7 otherwise empty at the time.

8 Q. Okay. Well, can I just ask you, Dr Pettigrew: you have
9 told us about the changes in the profession and the
10 changes in approach to patients and now, of course, you
11 have had a further 25 or so years of experience. Given
12 that, would you now, looking back, do what you have just
13 told us: pass on the results of an HIV test in a waiting
14 room, even if it was empty?

15 A. Well, I did not have any other option because I did not
16 have an office. I wasn't a senior clinician. We didn't
17 have an interview room in the day bed area. So the
18 option was to find an area of privacy, where I could
19 speak to the parent in confidence.

20 Q. Just looking back now and with the time that has passed,
21 is that something that, if you could do it again, you
22 would do it that way, with more privacy?

23 A. I did it with privacy.

24 Q. Thank you. I would like to pass on to another area.

25 I think you told us that part of what you had to do when

1 you were passing on this very serious news to parents,
2 was to offer support and you had a supportive role.
3 Could you explain to the Inquiry what you mean by that?
4 What was the support that you would be giving in those
5 circumstances?

6 A. Well, as I mentioned, obviously over the years we had
7 come to know the parents very well and the parents
8 continued -- and I think probably by this time or just
9 shortly after that, we moved the unit up towards 7A and
10 we had a dedicated haemophilia room and the parents
11 would often -- again, pop in because it was a very open
12 sort of policy, and when they did, there was the
13 haemophilia sister, who had been there for a long time
14 as well, and we would try and give the parents any
15 support that we could, by spending time with them and
16 talking with them.

17 I explained also that the main opportunity for
18 support for patients who were known to be positive for
19 HTLV-III, or as it was later called, HIV, was through
20 predominantly the organisations such as the
21 Terrence Higgins Trust, and we didn't feel that that was
22 appropriate. We involved our own social worker
23 in-house, in providing support to these parents, and
24 also there was another social worker who I think was
25 based at Ruchill who probably had a bit more experience

1 and he became involved as well and there was also
2 a parent support group set up.

3 Q. Do you remember the names of these social workers?

4 A. The social worker who was based in Yorkhill was called
5 Christina Leach. And the other gentleman social worker,
6 who I think was based in Yorkhill, I think was
7 Jim Black.

8 Q. You mentioned patient groups?

9 A. Yes, there was a lady, Patricia Wilkie, who had become
10 involved with haemophiliacs who were HIV positive, and
11 she had contacted parents and she had set up a support
12 group for them.

13 Q. I think the Inquiry is going to hear from
14 Patricia Wilkie in the next block. But did you have any
15 personal involvement with Patricia Wilkie and what was
16 discussed at these meetings and so on?

17 A. Well, I was trying to recollect. I don't think
18 I personally attended the -- I can't recall attending
19 the support groups. I think it was probably better that
20 there wasn't a medical person there because it left the
21 parents free to discuss issues that they might not want
22 to discuss in front of us and also it took it out of the
23 hospital context.

24 Q. Yes. Thank you.

25 I just have a couple of final questions for you,

1 Dr Pettigrew. If we just go back to the question of
2 communicating the test results that we discussed
3 earlier, could you tell us: if the parents did not come
4 in with the particular problem or if they didn't have an
5 appointment, did you take active steps to get in touch
6 with them, to communicate the results?

7 A. Yes, I think initially when I was contacted, in the
8 initial set of questions I was sent, there was mention
9 of parents had mentioned that there was a number of them
10 told at the same clinic, and I think probably on
11 reflection what happened was that the ones that we
12 hadn't managed to speak to were invited to attend the
13 next haemophilia clinic, and that would just be an
14 ordinary letter with a clinic appointment, with no
15 mention. So we would maintain the confidentiality there
16 and the sensitivity of the issue.

17 Q. Yes. So if time passed and the parents hadn't come in,
18 then a letter would be sent just for a normal clinic
19 appointment. Is that right?

20 A. Yes, as far as I recall, I think that's probably what
21 happened.

22 Q. Yes, okay.

23 I think you mentioned Jim Black earlier. Was he
24 based at Ruchill or Yorkhill. Do you remember?

25 A. I think he was based at Ruchill. I can't say with

1 absolute certainty but that was my recollection.

2 Q. Yes. Just finally, Dr Pettigrew, in the next block the
3 Inquiry is going to hear evidence from people who were
4 involved in a meeting at the end of December 1984 to
5 discuss the results. The first results of HTLV-III
6 positive tests in Scotland, and our information is that
7 letters were sent to all people with haemophilia at that
8 time inviting them to this meeting. Does that ring any
9 bells with you?

10 A. Was that meeting organised at the Royal Infirmary by the
11 Haemophilia Society?

12 Q. This is a meeting that was organised by Dr Ludlam and
13 Dr Forbes was present as well, we understand -- sorry,
14 in Edinburgh, I should say.

15 A. Oh, it was in Edinburgh.

16 Q. Yes.

17 A. I don't recall being involved in that or anything about
18 that. I mean, were patients from Glasgow invited as
19 well?

20 Q. Well, that is our information. I'm just wondering if it
21 rings any bells with you.

22 A. Sorry, what date was this?

23 Q. This is at the end of 1984; December 1984.

24 A. I think -- I recall that there was a meeting which
25 I thought had been organised -- yes, at which all

1 haemophiliacs were invited to attend. I thought it was
2 in the Royal Infirmary -- sorry,
3 Glasgow Royal Infirmary, as opposed to Edinburgh Royal
4 Infirmary.

5 Q. This was a meeting in Edinburgh. Does that ring any
6 bells with you?

7 A. I have a recollection of a meeting that was held to
8 inform haemophiliacs of the situation regarding
9 transmission of AIDS through blood products. I thought
10 it was in Glasgow but I may be wrong.

11 Q. Yes.

12 A. Whether it's the same meeting or not.

13 Q. This is an Edinburgh meeting. So ...

14 A. I can't recall anything specific about it.

15 Q. You can't recall anything about an Edinburgh meeting?

16 A. No.

17 Q. So you don't remember any discussions with parents about
18 being asked to attend such a meeting?

19 A. I don't remember any discussions with parents about
20 being asked to attend that meeting, but I don't remember
21 discussions with parents about specific things at that
22 time. Sorry, I couldn't really say with certainty
23 whether I did or didn't.

24 MR GARDINER: I don't have any more questions, sir.

25 Thank you Dr Pettigrew.

1 Questions by the CHAIRMAN

2 THE CHAIRMAN: Dr Pettigrew, over the period that you were
3 involved, either alone or with Professor Hann, in
4 speaking to parents about the emerging and developing
5 AIDS problem, where did you get your information?

6 A. Well, it was quite difficult because obviously that was
7 the days before the Internet and easy access to
8 journals. Looking back, I think, obviously from
9 colleagues. In fact I was trying to recollect where
10 I got my information and I found it very difficult to
11 recollect where I got my information, but obviously we
12 would be attending scientific meetings and I remember at
13 one point trying to get hold of the Morbidity and
14 Mortality Weekly reports, and I think we eventually got
15 hold of those from the department of epidemiology. But
16 in those days, unless you were alerted to an article
17 appearing and then went to the library and asked them to
18 get the journal and photocopy the article for you, there
19 wasn't instant access to information.

20 THE CHAIRMAN: With all respect to you, you were
21 a relatively junior clinician at that stage.

22 A. Yes.

23 THE CHAIRMAN: So it is easy to envisage, I think, two more
24 or less extreme situations. In one of them there would
25 be a structured system within which your seniors would

1 ensure that you had a body of knowledge available to
2 enable you to deal properly with parents of children,
3 and at the other extreme, you would be left to your own
4 devices. If you were really ferreting around trying to
5 find the MMWR or dependent on casual contact with other
6 colleagues, one might tend towards the second of those
7 two situations. Would you like to think about it and
8 tell us?

9 A. I think -- obviously I must have attended meetings to
10 discuss the problem, or I certainly remember at some
11 point reading, you know, the seminal article in the New
12 England Medical Journal that was referred to, but when
13 I read that, I don't know.

14 But how I actually kept up-to-date with information,
15 I couldn't tell you, but we did try to keep up to date
16 with information, but how I did that I don't know.

17 THE CHAIRMAN: Just to put it directly: was there any
18 occasion on which Professor Hann laid down a sort of
19 protocol for dealing with parents or children in which
20 he prescribed the level of information that ought to be
21 given to them?

22 A. No, but when I was speaking to parents, I was aware of
23 the current knowledge of the time because it was
24 obviously an area that I had to try and keep up-to-date
25 with by whatever means was available.

1 THE CHAIRMAN: Well, I can understand that but of course we
2 know that over significant periods of time there were
3 competing views.

4 A. Yes, absolutely.

5 THE CHAIRMAN: How would the selection be made as to which
6 of the current views was communicated to a parent?

7 A. Well, I think, you know, by the time we received the
8 results, we knew that there was a virus involved.

9 THE CHAIRMAN: So after Gallo and the development of the
10 test?

11 A. Yes.

12 THE CHAIRMAN: Yes.

13 A. But at that time, you know -- and that's why I think
14 I was trying to keep up with, for instance, the
15 Morbidity and Mortality Weekly reports, to try and find
16 out if the natural history of the disease had been
17 worked out. So we could give patients or parents more
18 information about what was the percentage of patients
19 who were found to be HIV positive or HTLV-III positive
20 who went on to develop full-blown AIDS, because that
21 wasn't known and it was obviously that uncertainty which
22 would have been extremely difficult for parents to live
23 with, having lived with the uncertainty of haemophilia
24 all their lives.

25 THE CHAIRMAN: So I think that we would understand that

1 there were differing views, where all or only
2 a proportion would proceed to full-blown AIDS.

3 A. Yes. At that point, when we got the results, you
4 couldn't give any definite information about whether the
5 child would progress to develop full-blown AIDS or not.
6 We just didn't know.

7 THE CHAIRMAN: Was the decision on what to tell a parent at
8 that stage left to you, if you were having a one-to-one
9 interview?

10 A. I think, when you talked about did Dr Hann have
11 a policy, I don't think he would have had a policy but
12 we may have discussed at some point what the current
13 thinking about AIDS and the development of AIDS in
14 patients who were HIV positive or HTLV-III positive was
15 at the time. So although there was no actual policy of
16 what do we tell parents, I think we would have discussed
17 what was the state of knowledge at the time.

18 THE CHAIRMAN: You have made it clear that there wouldn't be
19 a record in the patient's notes about this.

20 A. I don't think initially there was because of the stigma
21 that would have been attached to them and the hysteria
22 that was not only among the general public but also
23 among people in Yorkhill at the time as well.

24 THE CHAIRMAN: Of course, there is more than one way of
25 skinning a cat and it might have been possible for the

1 department to maintain records apart from the notes that
2 showed what was being done.

3 A. Yes, that could have been possible, yes.

4 THE CHAIRMAN: Was anything of that kind attempted?

5 A. I'm not sure. I mean, we may have made even an entry in
6 the notes at the clinic, that parents had been seen and
7 a discussion, without perhaps detailing what that
8 discussion was.

9 THE CHAIRMAN: Yes. Let's take the two cases that you can
10 remember particularly.

11 A. Yes.

12 THE CHAIRMAN: In which you were the person who carried the
13 burden of telling the parent. Would you report back to
14 Dr Hann?

15 A. Yes, I would have reported back to Dr Hann, yes.

16 Q. How would that have been done?

17 A. I would have spoken to him. I would have seen him
18 because as a haematology unit we met regularly every
19 day.

20 THE CHAIRMAN: We have to envisage a small department with
21 a lot of close contact?

22 A. Yes, so I would say, "I had the opportunity to speak to
23 so and so today."

24 THE CHAIRMAN: But there would be no record of that so far
25 as you can recollect?

1 A. There wouldn't have been initially, no.

2 THE CHAIRMAN: Yes. Thank you.

3 Do you want to follow that in any way before I ask

4 Mr Di Rollo.

5 MR GARDINER: No, thank you, sir.

6 THE CHAIRMAN: Mr Di Rollo?

7 Questions by MR DI ROLLO

8 MR DI ROLLO: Thank you, chairman.

9 Dr Pettigrew, can I ask you first of all about

10 matters in relation to practice at Yorkhill in the early

11 1980s? I think you have told us that when you first

12 were there, Dr Willoughby was in charge and that he had

13 used primarily commercial Factor VIII, and the

14 explanation that was given was one related to security

15 of supply; that's how it was explained to you. Is that

16 right?

17 A. Yes, reliability of supply.

18 Q. Reliability of supply. Did he ever go into any more

19 detail than that or was that just all that you were told

20 about why commercial product was favoured over NHS

21 product?

22 A. I don't recall him going into any further detail, no.

23 Q. Did you question that or in any way ask for any more

24 information about that?

25 A. Well, I initially questioned him, as I stated, because

1 I had been used to dealing with mostly SNBTS
2 Factor VIII. But initially when I went to Yorkhill,
3 I didn't feel it was my place to question the consultant
4 as to his decisions because I was a relatively junior
5 doctor and that wouldn't have been my place.

6 Q. When Dr Hann arrived, it changed from commercial to NHS
7 fairly quickly. Is that right?

8 A. Yes, I think the figures would show that the usage of
9 commercial Factor VIII during 1983 dropped dramatically.

10 Q. I realise this is difficult, all this is a long time
11 ago, but do you have any recollection of actually at the
12 time being conscious of a shift from commercial to NHS
13 product?

14 A. I think there probably was some sort of level of being
15 conscious of a shift.

16 Q. Was that purely related to the emerging concern in
17 relation to AIDS or was that because of a different
18 attitude towards NHS product on the part of Dr Hann?

19 A. I think it might have been related to the fact that
20 there appeared to be more NHS concentrate available, as
21 well as perhaps a conscious shift on the part of Dr Hann
22 to move to NHS concentrate.

23 Q. We have heard evidence in this Inquiry, I think, that in
24 Edinburgh, for example, commercial product was not used,
25 if at all possible, for clinical reasons. Were you

1 aware of those clinical reasons at the time?

2 A. No, I wasn't.

3 Q. Obviously you are aware of them now, having read,
4 presumably, the evidence and also the preliminary report
5 and other material?

6 A. Could you remind me of those clinical reasons?

7 Q. As I understand it, because commercial product came from
8 America and would be more likely to contain donations
9 from large pools, from paid donors, there would be
10 a concern that commercial product was possibly more
11 likely to be harmful to patients. That would be, in
12 essence, one of the reasons why commercial product would
13 be not favoured? It would be NHS product, local
14 product, which would be favoured?

15 A. Right. I'm sorry, can you just repeat the question?

16 Q. The question was were you aware of those reasons at the
17 time, ie in the early 1980s, as to why NHS product might
18 be better to use for patients than commercial product?

19 A. I think possibly I was aware of that. I can't say with
20 any certainty.

21 Q. Do you know if parents of children were informed about
22 the potential risks one way or another between NHS
23 product and commercial product?

24 A. I can't say with any certainty whether they were or not.

25 Q. One of the things that perhaps you have indicated in

1 your evidence is that you certainly didn't move back
2 from using concentrates to cryoprecipitate, even after
3 the AIDS scare became apparent. Am I right to
4 understand that, in terms of your evidence today?

5 A. Yes, but again that wouldn't have been my decision to
6 take.

7 Q. Right. And in terms of informing patients about the
8 relative risks or whether that would be a good idea or
9 a bad idea, again was that something that you were
10 involved in, that discussion, or would that be somebody
11 else that would have that discussion?

12 A. I think I may have on some occasions been involved in
13 discussions such as you describe, if the patient had
14 asked me or had enquired or had brought it up.

15 Q. The way you have put that tends to suggest to me that
16 perhaps it would be for the parent to raise it; if it
17 wasn't raised, then it wouldn't be discussed. Am
18 I right to think in that way?

19 A. Yes. I don't think there was any policy given to
20 a junior member of staff to bring up such questions with
21 the parents.

22 Q. I understand. I mean, I appreciate, first of all, this
23 is a long time ago and, secondly, your position in the
24 hierarchy in relation to matters.

25 Can I just put this? There is one document I want

1 to put on the screen, [\[LIT0010243\]](#). This is a leader in
2 the British Medical Journal, dated 10 December 1983, and
3 if we go over to the second page, could we just go to
4 the final paragraph? This is saying:

5 "For the moment, however, it seems sensible to treat
6 very young severely affected children with
7 cryoprecipitate rather than concentrates."

8 The context of this, I think, is the position that
9 clearly there was a concern about the safety of factor
10 concentrates, whether NHS or commercial, at that stage.
11 The question really is whether parents were given any
12 information about this by Yorkhill and whether or not
13 they were given an opportunity to take a view that
14 cryoprecipitate, rather than concentrate, should be used
15 at this time?

16 A. I find it difficult to answer this question because
17 I don't think there was any policy. But if parents had
18 asked about the relative safety of cryoprecipitate
19 versus concentrate, that would have been discussed.

20 Q. As I understand it, I think you are telling us you
21 weren't proactive in influencing parents'
22 decision-making to go back to cryoprecipitate, for
23 example. That wasn't something that you set out to do?

24 A. That wasn't my place. I was a junior member of staff
25 and it wasn't my place to do that.

1 Q. I understand.

2 A. Sir, can I just add: at Yorkhill --

3 Q. Of course.

4 A. -- it was very much a consultant-led service and I think
5 still is.

6 Q. I want to turn to the second matter that you have been
7 asked about, which is the way in which testing was
8 carried out and the information that was given to
9 parents in relation to the outcome of those tests. Can
10 you tell us what would be done differently now, as
11 opposed to what was done then? Has anything changed
12 specifically, in terms of practice, as between the
13 mid-1980s and now?

14 A. I think you are quite aware there has been quite
15 a change in practice since then, and I think it has
16 already been alluded to by Dr Winter that this whole
17 issue of testing for AIDS changed medical practice
18 dramatically. It introduced the concept of pre-test
19 counselling. But I think it's difficult to apply the
20 standards of today to what was common or normal practice
21 then.

22 Q. What about in relation to the information given to
23 parents about what had happened and the results of tests
24 and how that would be communicated, the manner of
25 communication and things of that kind? Can you give us

1 an indication as to the change in practice in relation
2 to that?

3 A. You mean, would I have done anything differently then,
4 based on the standards now?

5 Q. Yes, that's what I would like to ask you.

6 A. I don't think I would have. I would have had to ensure
7 that the parents were given as much information as we
8 had at the time; I would have to ensure that that
9 information was given to the parents -- and I'm talking
10 about parents because I think I already mentioned it was
11 common practice then to speak to parents rather than
12 children; we would have to make sure that that
13 information was given in a confidential manner; and we
14 would have to make sure that they had an opportunity to
15 ask appropriate questions and were given appropriate
16 support afterwards.

17 The question as to whether or not that discussion
18 was recorded in the case notes: I don't know if I would
19 necessarily have still recorded it in the case notes at
20 that time, based on current practice. I think --

21 Q. What's current practice in relation to the case notes?

22 A. Current practice is to record information accurately,
23 but even in my current practice in general practice
24 I quite often use the term: "Had a long chat with the
25 patient regarding issues in relationship to ..."

1 THE CHAIRMAN: What would the "to" have been, perhaps?
2 Would it have been AIDS?

3 A. Things have changed nowadays because of access to
4 records and I think, although we do try to be accurate
5 and honest in recording our information, even now
6 I would be aware that there was some information given
7 to the -- this is not really in relationship to what we
8 had been discussing but there is still some information
9 given to a doctor from the patient which is highly
10 confidential, and you have to be careful how you record
11 that information, in case at a future date the records
12 are accessed for other purposes, with the patient's
13 permission but perhaps with the patient not realising
14 what information is in those notes.

15 MR DI ROLLO: The AIDS outbreak and the information or the
16 counselling required in relation to that -- if someone
17 has been diagnosed as being HIV-positive and you have
18 got it and it's a child, you would have to run through
19 with the parent certain ramifications of that.
20 Presumably, at that time you would have been used to
21 giving similar types of advice in relation to hepatitis
22 infection as well; you would have to advise about the
23 possibility of infecting others and all the rest of it.
24 That was something that you would have done in a similar
25 way, even in 1983, as you had done up until then for

1 other infections that a child might have contracted
2 through blood products or any other means. Is that
3 correct?

4 A. I assume that to be the case, yes.

5 Q. I have no other questions, sir, thank you.

6 THE CHAIRMAN: Mr Anderson?

7 MR ANDERSON: I have no questions, sir, thank you.

8 THE CHAIRMAN: Mr Sheldon?

9 MR SHELDON: I have no questions, sir, thank you.

10 THE CHAIRMAN: Anything else, Mr Gardiner?

11 MR GARDINER: No, thank you, sir.

12 THE CHAIRMAN: Dr Pettigrew, thank you very much.

13 A. Okay.

14 MR GARDINER: I understand that Dr Hann has been stood down
15 for the rest of the day, sir.

16 THE CHAIRMAN: For the rest of the day?

17 MS DUNLOP: He was only available until one.

18 MR GARDINER: So we don't have another witness, so that
19 would be it for today.

20 THE CHAIRMAN: Well, ladies and gentlemen, it looks as if IT
21 has undermined us on this occasion but we meet again
22 tomorrow?

23 MR GARDINER: Yes, indeed. Dr McClelland.

24 THE CHAIRMAN: Dr McClelland. So Dr Hann has been postponed
25 indefinitely or to some particular time?

1 Not a particular date.

2 Thank you. Until tomorrow.

3 (12.53 pm)

4 (The Inquiry adjourned until 9.30 am the following day)

5

6

I N D E X

7

8 DR ANNA PETTIGREW (sworn)1

9 Questions by MS DUNLOP1

10 Questions by MR GARDINER43

11 Questions by the CHAIRMAN70

12 Questions by MR DI ROLLO75

13

14

15

16

17

18

19

20

21

22

23

24

25

