

Tuesday, 11 October 2011

(9.30 am)

PROFESSOR HOWARD THOMAS (Affirmed)

Questions by MS DUNLOP

THE CHAIRMAN: Yes, Ms Dunlop?

MS DUNLOP: Thank you, sir.

Good morning, Professor Thomas.

I want to begin with a little bit of biographical detail, if I may. Could we look firstly, please, at your curriculum vitae, which is PEN0171671.

This is, I suspect, a greatly abbreviated CV but I think we should design you as in the department of medicine. I see from your clinical appointment there, which is about half way down the page, "Honorary consultant, general physician and hepatologist at St Mary's Hospital in Paddington."

Would that still be correct?

A. That has really changed now, in that as of April this year, I reached 65 and retired. So now I'm an emeritus professor of Imperial College with teaching and research rights, but I don't do clinical practice any more.

Q. Until April this year, were you involved in clinical work at St Mary's Hospital?

A. Yes, I was.

Q. Thank you.

1 Could we just have a look at your degrees and
2 qualifications first of all? I suppose what leaps out
3 at us -- leaps out at me -- is that you did a PhD in
4 Glasgow in 1974, in the 1970s. You are a fellow of the
5 Royal College of Physicians of London and also a fellow
6 of the College of Physicians and Surgeons in Glasgow,
7 a fellow of the Royal College of Pathologists, a fellow
8 of the Academy of Medical Science. We can see, outlined
9 underneath, your past and present senior appointments.

10 You have explained to us your current appointment,
11 the membership and offices you have held of and in
12 learned societies: the Association of Physicians of
13 Great Britain and Ireland, and then a number
14 which relate to the liver, which is the Association for
15 the Study of the Liver, European Association for the
16 Study of the Liver, the International Association.

17 Indeed, of the first two you have been president, of
18 the first two liver associations you have been
19 president, the British Liver Trust, member of council of
20 BSG -- we are guessing that that is the British Society
21 of Gastroenterology. Is that right?

22 A. Yes.

23 Q. And a member of the council of the
24 Royal College of Physicians. I take it that's in
25 London. Yes.

1 A number of journals are listed. Again, we can see
2 two relating to hepatology and indeed, you were
3 a founding editor -- the founding editor or a founding
4 editor of the Journal of Viral Hepatitis?

5 A. With one other person; the two of us founded it.

6 Q. And we see that that journal is still carrying on. Is
7 that correct?

8 A. Yes, correct.

9 Q. That presumably has a worldwide circulation?

10 A. Yes.

11 Q. Then on to the next page, please. You have listed for
12 us your membership of international committees, and
13 again we see the liver featuring fairly strongly, and
14 then national committees, Department of Health advisory
15 group on viral hepatitis, chair of the Department of
16 Health steering group on the Hepatitis C national
17 strategy. Are all of these still true or have some of
18 them come to an end?

19 A. They have really mostly come to an end in 2010.

20 Q. Right. So which of these that are shown as being "to
21 the present" are still continuing as at today?

22 A. Well, I have ceased to have a role in these national
23 committees as of 2010 -- January -- December 2010.

24 Q. Thank you.

25 Then there is a long list of academic distinctions.

1 Again, gastroenterology, virology and hepatology all
2 featuring. You then tell us that you have published
3 around 450 papers and reviews. You outline for us the
4 main areas on which your research has been focused.
5 Unsurprisingly, much of this relates to the liver and
6 liver disease. We see, for example, the third bullet:

7 "Conducting the first European randomised control
8 trials on the use of interferon in ... "

9 Is that chronic Hepatitis B and chronic Hepatitis C?

10 A. Yes.

11 Q. On to the next page, please.

12 Again, a lot of mention of hepatitis. I notice
13 particularly the fourth bullet on this page:

14 "Contributing to the cloning of Hepatitis G virus."

15 I'm going to come back and ask you about that
16 because I know you have a little addendum really on the
17 topic of Hepatitis G:

18 "Determining host genetic factors influencing
19 outcome of Hepatitis B and C. Identifying HCV-induced
20 changes in the brain."

21 We will talk about that too. Then:

22 "Demonstrating the increasing incidence of
23 cholangiocarcinoma in the UK."

24 Is that really bile duct cancer?

25 A. Yes, it is, and probably not related to Hepatitis C, as

1 far as we know.

2 Q. And then:

3 "Identification of genetic factors influencing
4 alcoholism, drug-induced liver disease and NAFLD."

5 A. That's non-alcohol related fatty liver disease.
6 Essentially fat in the liver related to obesity in type
7 two diabetes, which puts you at risk of cirrhosis.

8 Q. Then current grant income. Are these research projects
9 which have come to an end?

10 A. The MRC programme grant comes to an end in the next few
11 days in fact. The rest have already ceased.

12 Q. Are you still the editor of the textbook "Viral
13 Hepatitis"?

14 A. Yes, we are doing the fourth edition of that now.

15 Q. Right. At what point in your career, Professor Thomas,
16 did you become a liver doctor?

17 A. Well, when I was a lecturer at the Royal Free, which
18 would be around about the early 1980s --

19 Q. Right, and you gravitated towards the liver; the liver
20 particularly interested you. What was it that you think
21 caused the change or caused the move?

22 A. Up until then I had done general medicine and during my
23 PhD I had become interested in induction of tolerance to
24 orally administered proteins, essentially food proteins,
25 and it turned out that the liver had a major role in

1 that induction of tolerance process. So as a result of
2 that PhD really, I got the opportunity to go as
3 a lecturer to the Royal Free Hospital, where I became
4 interested in liver disease, really.

5 Q. And the --

6 A. I'm not sure of the precise dates of that. It would be
7 at the end of the PhD actually.

8 Q. Right. And your interest in the medicine of the liver
9 has continued to the present day?

10 A. Yes, and because I held the chair of medicine at
11 St Mary's, I also had to do general medicine, acute
12 medical take. So I was a specialist in liver disease
13 but had a general knowledge of medicine and practised
14 acute medical receiving, acute case receipt.

15 Q. Yes, and you had some involvement in work with HIV in
16 the 1980s, I think, as well?

17 A. Yes, most of that interest really -- I really just
18 supported Dr Janice Main, who was a member of my
19 department at St Mary's from 1989 onwards, and she
20 really dealt with that group that were co-infected with
21 viral hepatitis and then HIV.

22 I had some early interest in HIV really,
23 predominantly because of its involvement in the
24 haemophilia patients, along with Hepatitis B and C, but
25 outside that haemophilia setting I wasn't really

1 involved in the care of HIV-infected patients.

2 Q. I think, in fact, Professor Gazzard, for example, who
3 has become a world authority on HIV, he actually moved
4 into HIV, as I understand it, from a base in
5 gastroenterology, because there were theories about HIV
6 not -- I don't want to use the wrong language but having
7 some sort of genesis in the gut, or having some kind of
8 connection with the gut. Is that right?

9 A. Yes, I mean, many patients with HIV infection develop
10 opportunistic infections and some of those affect the
11 gut and also other organs of the body. So I think his
12 interest really started as a result of managing those
13 gastrointestinal complications, and of course, as drugs
14 became available for treatment of the immunodeficiency
15 state directed towards HIV virus itself, then, of
16 course, he became interested in that aspect as well.

17 Q. Right. Thank you.

18 I think we can put your CV to one side and move to
19 look at the report which you have provided for the
20 Inquiry. That is [\[PEN0171071\]](#), and that will appear on
21 the screen.

22 It's my intention, Professor Thomas, just to work
23 through your report and ask you some questions as we go.
24 You have asked for a white board. We have a white
25 board, and if we need to use it, then please do so. We

1 may outline some particular arrangements for that if we
2 come to use it.

3 You say at the beginning of your report that there
4 are five main hepatitis viruses and I suppose
5 conveniently they follow the first five letters of the
6 alphabet. I wanted to ask you whether these viruses are
7 all alike or whether their only common feature is that
8 they cause liver disease?

9 A. They are all from different families of the virus
10 kingdom, if you like, and as you have said, they come
11 together because they all replicate in the liver cell
12 and cause a form of hepatitis.

13 Two of them, Hepatitis A and Hepatitis E, cause
14 a self-limiting infection. In other words, after two or
15 three months, the liver function test will come back to
16 normal. The virus will be eradicated and the person
17 will have protective immunity for the rest of their
18 lives against those two viruses.

19 Whereas Hepatitis B and C -- and I'll come to D in
20 a minute. Hepatitis B and C are distinct in that they
21 cause acute hepatitis but a proportion of those infected
22 go on to chronic infection, and it's the chronic
23 infection that puts you at risk of what we call
24 "progressive liver disease", where there is a risk of
25 developing cirrhosis, and it's the cirrhotic patients

1 who have the greatest risk of developing hepatocellular
2 cancer, primary liver cell cancer of liver cells.

3 Q. I said we would briefly mention Hepatitis G and I think
4 this is an appropriate moment. We have a passage in our
5 preliminary report which relates to Hepatitis G and
6 perhaps we could just, whilst leaving Professor Thomas'
7 report open, go to the preliminary report.

8 The reference for that is [\[LIT0012310\]](#) at page 3.
9 We will get the hard copy reference for that in
10 a moment. I think it's page 19 for anyone who is
11 working with a hard copy. Yes.

12 We can see that paragraph 2.10 on page 19 of the
13 preliminary report deals with Hepatitis G. I wondered
14 if you would perhaps bring us up-to-date on Hepatitis G,
15 if you would, please?

16 A. It's a flavivirus and at the time, when we were
17 involved, along with an American group, in identifying
18 it and cloning it, we thought it did cause a form of
19 hepatitis. It was found in about 20 per cent of people
20 with chronic Hepatitis C and it was difficult to
21 actually dissect how much of the liver damage was caused
22 by the Hepatitis C and how much was due to Hepatitis G.

23 Subsequently, people with just Hepatitis G infection
24 were identified and in the main they don't have liver
25 disease. So I think now the position is that this is

1 not a hepatitis virus, it doesn't cause hepatitis. The
2 main interest in it now is that it replicates in a type
3 of lymphocyte, what we call the CD4 lymphocyte. That's
4 the same cell as HIV replicates in. And when
5 Hepatitis G infects those lymphocytes, it appears to
6 slow down the replication and the development of
7 problems due to HIV.

8 Michael Manns' group showed that some time ago and
9 it has held up. So it's interest has been really as
10 a modifying virus infection that modifies the course of
11 HIV. Whether it modifies the course of Hepatitis C
12 isn't 100 per cent clear but it probably doesn't make it
13 any worse, nor any better.

14 Q. Does this virus have a different name now?

15 A. Yes. Two groups found this virus at more or less the
16 same time and the other name for it was GBV-C and that,
17 of course, didn't commit to being a hepatitis virus, and
18 that's the one really that's probably best used now.

19 Q. GBV-C. I think we can guess what the V stands for but
20 the "GB"?

21 A. There was a virus that replicated in marmosets, which
22 was apparently transmitted from a surgeon whose initials
23 I think were "GB", and his blood was shown to transmit
24 this infection to the marmoset, another non-human
25 primate. Those marmosets developed hepatitis.

1 Then the group at Abbott Pharmaceutical Company
2 actually found out that GBV-C was in fact a member of
3 a family of viruses. The other ones were GBV-A and B,
4 and the one in humans was C.

5 It turns out that the one of major interest in
6 relation to Hepatitis C is the one GBV-B, which doesn't
7 infect man but does cause hepatitis in marmosets,
8 initially severe acute hepatitis, but in a small
9 proportion of marmosets it does cause a chronic
10 infection. And that has been a useful model in some
11 senses, allowing us to try and understand Hepatitis C.

12 Q. Right. So I think for our purposes we can just
13 understand this as a case of mistaken identity?

14 A. Yes, or mistaken role, really.

15 Q. This virus is not a hepatitis virus.

16 A. Exactly.

17 Q. Right.

18 Can we go back to the report, please? And in your
19 first paragraph you draw for us the distinction between
20 modes of acquisition that Hepatitis A and E are
21 enterically transmitted. So they come in through the
22 digestive system, whereas B and C are parenterally
23 transmitted, and you say that's by introduction of
24 infected material through the skin or mucosal surfaces,
25 and obviously for people with haemophilia, the virus in

1 that scenario would be injected into the blood?

2 A. Yes.

3 Q. And that's an example of parenteral transmission?

4 A. Correct.

5 Q. B and C may cause acute or chronic infection, and you

6 say:

7 "It's the chronic infections that put patients at

8 risk of hepatocellular carcinoma."

9 Would it be the case, Professor Thomas, that all

10 chronic infections start as acute infections but not all

11 acute infections progress to chronic?

12 A. Yes, that's true, and many acute infections may go

13 unidentified; in other words, they are asymptomatic.

14 Q. Right. Just to talk a little bit about the difference

15 between B and C, when we come to patterns of disease,

16 could you explain for us, in relation to both these

17 viruses, what the breakdown would be as between acute

18 and chronic infection?

19 A. If we start with Hepatitis C, the break between acute

20 and chronic is an infection that continues for longer

21 than six months after the identification of the

22 infection.

23 Q. Yes.

24 A. So it's often a diagnosis which is made in hindsight; in

25 other words, you wait six months and then you can say

1 that this is not an acute infection; it is an acute
2 which has progressed to a chronic infection.

3 After infection with Hepatitis C, around 30 per cent
4 will clear the virus. They suffer an acute infection,
5 they clear it within the first three to six months. The
6 remainder, 70 per cent, go on to a chronic infection and
7 those are the cases that are at risk of developing
8 progressive fibrosis, ultimately cirrhosis and liver
9 cancer.

10 With Hepatitis C it is only those that have
11 cirrhosis that are at risk of developing liver cancer.
12 As far as Hepatitis B is concerned, the proportion that
13 develop an acute, as opposed to a chronic infection,
14 varies with age. If you are infected at birth from your
15 mother, then there is a sort of 95 to 100 per cent
16 chance that you will become chronically infected. If
17 you are infected after two years of age, right through
18 to middle and late years of adult life, then 95 per cent
19 will develop an acute infection and 5 per cent will
20 develop the infection.

21 So the time of infection is important in
22 Hepatitis B. The number developing the chronic
23 infection diminishes the older you are when infection
24 occurs.

25 There is another important issue too: of those that

1 have the chronic infection, the majority who develop
2 cancer will already have developed cirrhosis;
3 70 per cent of those with hepatocellular cancer will
4 have cirrhosis but 30 per cent will develop a cancer
5 before the stage of cirrhosis, and that's a point of
6 distinction between Hepatitis B and C.

7 Q. Yes. So with Hepatitis C cirrhosis is a necessary stop
8 on the way to liver cancer. With Hepatitis B it is not
9 a necessary stop on the way to liver cancer?

10 A. That has become of importance in explaining risk to
11 patients and particularly emphasising the need to be
12 treated before you get to the cirrhotic stage, which
13 brings with it the risk of cancer.

14 THE CHAIRMAN: Ms Dunlop, Professor James is suggesting that
15 we have got one of these points the wrong way round, and
16 I think it is very important to get it right.

17 PROFESSOR JAMES: I think you may have misheard. It is true
18 to say that hepatocellular cancer can occur in Hep B
19 without cirrhosis but is extremely rare in Hep C without
20 cirrhosis.

21 MS DUNLOP: I think that's what the witness said.

22 PROFESSOR JAMES: But it's not what you said, I don't think.
23 I may be wrong and may have misheard, and if so I very
24 strongly apologise.

25 THE CHAIRMAN: I think it's just a difference in language.

1 What you said was that Hepatitis C is a "necessary"
2 step.

3 MS DUNLOP: I said:

4 "With Hepatitis C, cirrhosis is a necessary stop on
5 the way to liver cancer; with Hepatitis B, it is not a
6 necessary stop --"

7 PROFESSOR JAMES: I beg your pardon. I'm so sorry, I
8 misheard.

9 MS DUNLOP: We are all singing from the same sheet.

10 PROFESSOR JAMES: I'm rather further behind the sheet than
11 you were. Sorry.

12 THE CHAIRMAN: I just don't want any of these points to slip
13 past.

14 MS DUNLOP: I'm also, as well obviously those above me, I'm
15 dependent on those beside me to keep me right. I'm just
16 looking at them to make sure that they know that, but
17 they do.

18 THE CHAIRMAN: This is one of these points, where, as I once
19 heard counsel say to a shorthand writer, "Take out that
20 question", rather than the opposite. So we would like
21 to take out that series of answers, Professor Thomas,
22 but we will do it without changing the transcript.

23 MS DUNLOP: So I think we have established the important
24 point of distinction about the role of cirrhosis in
25 Hepatitis B and Hepatitis C, and obviously from the

1 percentages you have given us, the problem of chronic
2 disease is much greater with Hepatitis C than with
3 Hepatitis B.

4 A. That's true, unless of course with Hepatitis B you are
5 infected at birth, when the higher proportion have
6 chronic infection.

7 Q. I suppose epidemiologically that must be quite a small
8 group, however?

9 A. No, as it turns out, I think there are about 350 million
10 people with chronic Hepatitis B, whereas there is only
11 around 170 million with Hepatitis C. These are
12 guesstimate figures obviously, and three quarters of
13 those that have chronic Hepatitis B are infected at
14 birth, and the majority of these are in fact in China.

15 Q. Oh. In British terms, just, I suppose, being
16 chauvinistic for a moment, chronic Hepatitis B, how much
17 of a problem is that?

18 A. I think it's probably a smaller problem than
19 Hepatitis C. It varies in different areas of the
20 country and it's mainly people who are first generation
21 migrants from the Far East or Africa or the
22 Mediterranean, who have the high prevalence of
23 Hepatitis B, whereas Hepatitis C at the moment is, apart
24 from the haemophilia population, probably increasing in
25 prevalence because it is transmitted through intravenous

1 drug use, which we have failed to gain control of really
2 in our societies at the moment.

3 Q. Right. Another difference between the two is, as
4 I understand it, that Hepatitis B is a DNA virus,
5 whereas Hepatitis C is an RNA virus. Is that correct?

6 A. Correct, yes.

7 Q. And that just means that the genetic information for the
8 B virus is contained in DNA, whereas for the C virus,
9 it's contained in RNA. Is that right?

10 A. That's right.

11 Q. Another difference between them -- and we will come back
12 to this -- but I understand from you that another
13 difference between B and C occurs when one considers
14 alcohol, and perhaps you could explain that to us as
15 well.

16 A. Well, it's now an accepted fact from the basis of tissue
17 culture work that alcohol increases the level of
18 replication of Hepatitis C and as a consequence, the
19 liver damage that you see in someone who has Hepatitis C
20 and is in addition taking significant amounts of
21 alcohol, those two factors are synergistic; in other
22 words, they cause more liver damage than the sum of the
23 damage due to the alcohol and the Hepatitis C, whereas
24 when you come to Hepatitis B, the data suggests that
25 alcohol does not synergise with Hepatitis B; in other

1 words, the liver damage in that setting is just the
2 summation of that which is due to the alcohol and that
3 which is due to the Hepatitis B.

4 Q. Right.

5 A. And that's again important because before we had ways of
6 treating patients with Hepatitis C, one important thing
7 to say was that you can slow down the progression of
8 your Hepatitis C if you reduce your alcohol intake, and
9 the ideal scenario would be that you would be abstinent
10 from alcohol.

11 Q. Right, just for those of us for whom "synergistic"
12 doesn't trip off the tongue every day, the notion of
13 that is, as you have said, that the total damage is more
14 than the sum of the parts?

15 A. Correct.

16 Q. Yes.

17 Having then looked at some of the key features of
18 these two viruses, I would like to move on to the next
19 section of your report, which outlines for us the
20 discovery of the Hepatitis C virus.

21 We are very familiar, Professor Thomas, with the
22 term "non-A non-B hepatitis", and I think we understand
23 the concept that this was hepatitis for which
24 Hepatitis A and Hepatitis B could be demonstrated not to
25 be the cause, and that's because testing was available

1 for both these viruses. But I think, as you have
2 explained, if one had been 100 per cent terminologically
3 correct, the name would have been longer than "non-A
4 non-B", and perhaps you could explain that too?

5 A. Yes, there are other parentally transmitted viruses,
6 cytomegalovirus and Epstein-Barr virus are parentally
7 transmitted. And technically speaking, since you are
8 defining Hepatitis C by exclusion of these others, it
9 should be non-A non-B, non-cytomegalovirus and
10 non-Epstein-Barr virus. And there is another important
11 component in the definition of non-A non-B hepatitis,
12 which of course implied an infective aetiology, and that
13 was that it should occur in a clinical setting, where
14 you believed it to be an infective agent; and the
15 settings that allowed you to make that deduction were:
16 after a blood transfusion, after Factor VIII
17 concentrate. Those are the two main ones.

18 Q. Yes.

19 A. And that differentiates it from non-A non-B hepatitis,
20 that outside that infection setting might suggest that
21 the hepatitis, which just means inflammation of the
22 liver, might be due to a drug, for instance, ampicillin
23 for example, or something like this.

24 Q. Yes. Again, if we were trying to be precise, it
25 wouldn't be correct to say that non-A non-B hepatitis

1 was renamed "Hepatitis C". It's that our virus, which
2 was named "Hepatitis C", was discovered and that virus
3 explained the majority of cases of non-A non-B
4 hepatitis, but not 100 per cent of them. Would that be
5 an accurate way of putting it?

6 A. I think so. It's still a moot point as to whether there
7 were a few post-transfusion hepatitis cases which might
8 indicate another virus. I personally think that the
9 evidence for that now is diminishingly small and that
10 Hepatitis C does appear, for all intents and purposes,
11 to explain most of the cases, if not all of the cases,
12 of post-transfusion hepatitis.

13 THE CHAIRMAN: Can we deal with this practically by limiting
14 NANB in some way by definition, to make clear that in
15 the final report we are dealing only with
16 transmission-related hepatitis or something? Is there
17 some way one can put it that would be technically
18 correct and at the same time simple to present?

19 A. Yes, I think it has tended to be shortened to "PT",
20 post-transfusion, hyphen, non-A non-B hepatitis, which
21 is probably the nomenclature which will help most.

22 THE CHAIRMAN: Thank you very much. I can see that helping
23 because one can adopt that early on, as it were. Thank
24 you.

25 MS DUNLOP: This paragraph in which you describe the work of

1 Mike Houghton and colleagues working at Chiron, perhaps
2 could stand a little bit of development,
3 Professor Thomas, because this is very difficult science
4 for those of us who are not scientists. As I understand
5 it, the work which was carried out depended on having at
6 the outset a person who was ill with non-A non-B
7 hepatitis. Is that correct?

8 A. That's correct. And where there was reason to believe
9 that they had acquired that from a blood transfusion.

10 Q. Right.

11 A. Which would meet that criterion of it being PT,
12 post-transfusion non-A non-B.

13 Q. And serum was taken from that person. By "serum" we
14 should understand plasma with the clotting factors
15 removed. Is that correct?

16 A. Yes, you could use either, though. It really is just
17 material that -- from the patient's blood that you will
18 subsequently show is infectious by injecting it into
19 a chimpanzee. It's usually serum because the clotting
20 factors create problems if clots form during the viral
21 extraction procedure.

22 Q. I see. This substance is injected into -- I think in
23 fact it was several chimps but to try and make it
24 simple, it was injected into a chimpanzee who then
25 developed non-A non-B hepatitis. Is that correct?

1 A. That's correct, and that was an essential step to remove
2 any doubt about whether the episode in the patient was
3 indeed due to an infectious agent.

4 Q. Right.

5 A. Because of course, all we had in the patient was an
6 infusion and then two to three weeks afterwards,
7 hepatitis, and that could have just been a coincidence.
8 So when it was then shown that the patient's serum
9 transmitted the same transaminase rise, or Hepatitis, to
10 a chimpanzee, that was taken as evidence that it was an
11 infectious agent.

12 Q. I have seen a reference in an English decision, I think
13 it's a Court of Appeal decision, to the fact that the
14 chimpanzee was called "Rodney", so if, for these
15 purposes, we are imagining the one chimp, we can perhaps
16 think of him as Rodney.

17 So he develops non-A non-B hepatitis and at this
18 point a sample -- again, I think serum is taken from the
19 chimp. Is that right?

20 A. Yes.

21 Q. And from that sample the RNA is extracted. Most of the
22 RNA will be chimp RNA. I'm saying "is"; was extracted
23 by those at Chiron. The hope was that they would also
24 capture some viral RNA. Is that right?

25 A. That's essentially it but they didn't know whether it

1 was an RNA or a DNA virus, so they would be extracting
2 in a way that allowed them to extract both RNA and DNA.
3 But again, it would be true that that would include
4 material from the chimp body as well as from a putative
5 virus that may or may not be present.

6 Q. Having extracted the genetic material, then, if we call
7 it that, to cover both RNA and DNA, they added reverse
8 transcriptase, which is an enzyme that allows RNA to
9 convert into DNA. Is that correct?

10 A. That's correct, and from that point on, they can handle
11 the material as if it is all DNA, and indeed it is all
12 DNA after that reverse transcription process.

13 Q. That material was then put into plasmids, and you have
14 explained to me that a plasmid is a vehicle which will
15 enable the expression of the DNA code. So it will
16 facilitate replication of the DNA code of whatever is in
17 the plasmid?

18 A. That's correct, yes.

19 Q. It can also be known as a "cloning vector". Is that
20 right?

21 A. Yes.

22 Q. That product then goes into bacteria and in this case
23 I think E. coli?

24 A. Yes.

25 Q. And the hope was that as the bacteria grow -- and this

1 is across, I suppose, a very large tray or many trays --
2 the DNA in those bacteria will be reproducing or will be
3 coding, and most of that will be chimp DNA but some, it
4 was hoped, would be viral DNA. Is that correct?

5 A. Yes, yes.

6 Q. So the injection into the bacteria is to facilitate
7 multiplication and also, as I think you have explained,
8 that was the only way in which the DNA could do its job,
9 you know, could genetically reproduce. Is that an
10 accurate way of putting it?

11 A. Yes, and it's the only way that the DNA could encode for
12 the protein, which is the important part, because it's
13 part of the structure of the virus, putative virus.

14 Q. Right.

15 At that point, after that has, I suppose, been going
16 on for a period of time, you need a second patient, who
17 is a patient who has had post-transfusion non-A non-B
18 hepatitis and has recovered, so is presumed to have
19 antibodies. Is that right?

20 A. That's right, yes.

21 Q. Yes. What role does that patient play?

22 A. Well, from that patient's serum, which you assume to
23 contain an antibody directed against some component of
24 the virus, you hope by either radio labelling or enzyme
25 labelling that antibody, it will help differentiate

1 between proteins that are derived from the chimpanzee
2 and proteins that are derived or encoded by the virus;
3 because the majority of the proteins that will have come
4 through that process that you described will be
5 chimpanzee proteins.

6 Q. Yes.

7 A. You are just interested in the one needle in that
8 particular haystack, perhaps one in a million, which
9 will be a viral protein, as opposed to
10 a chimpanzee-encoded protein, and the antibody is the
11 way of sorting that out.

12 Q. Yes. At this point in the experiment, a ligand is used.
13 I think we have had some explanation of the role of
14 a ligand, when we heard from Professor Tedder.

15 A. It's a label, really. It's either a radioisotope or
16 it's an enzyme that creates a coloured substrate,
17 usually a peroxidase or an alkaline phosphatase.

18 Q. Yes, we heard about horseradish peroxidase.

19 A. That's right. You should just think of that as a label.
20 So it is a labelled antibody, derived from a
21 convalescent serum, that can differentiate proteins
22 encoded from the virus or encoded from the chimp nucleic
23 acid.

24 Q. Yes, and what you are hoping is that if an antibody to
25 this mystery virus is contained in the convalescent

1 patient's serum, it will bond with a piece of virus
2 which is contained in your tray and, because there is
3 a signalling device, the fact that that reaction has
4 occurred will show up?

5 A. Yes.

6 Q. Yes. And did it work?

7 A. It did work but many people, including myself and many
8 people around the world, tried similar approaches and
9 came up with nothing. And that, of course, then begged
10 the question: was it that one had the wrong starting
11 material; in other words, there wasn't an infectious
12 virus in the material -- and I could go into why that
13 might be the case -- or could it have been that this was
14 an unusual agent and didn't evoke an antibody response?
15 In other words, our detection system wasn't working.

16 So it was really an act of faith, since you knew you
17 were neither certain about the starting material, nor
18 the detection system. That's the worst possible
19 situation really.

20 Q. So Chiron succeeded where many others had tried and
21 failed?

22 A. Yes.

23 Q. And --

24 THE CHAIRMAN: Could I ask at that point: were the others
25 around the world approaching the issue in the same way

1 as Chiron?

2 A. Yes, the advantage that the Chiron group had was that
3 they had material that was what we call "well
4 pedigreed". In other words, because of the constraints
5 around using chimpanzees -- and the chimpanzee is the
6 only non-human primate that allows replication of
7 Hepatitis C -- there are only two or three groups that
8 had access to chimpanzees and could show that these
9 human sera were indeed infectious; in other words, they
10 transmitted hepatitis during passage. "Passage" means
11 you go from the patient to the first chimpanzee and,
12 then you take the material from the peak of the
13 hepatitis in the first chimpanzee and inject it into
14 a second chimpanzee and so on. And that passage shows,
15 without any doubt, that it is a transmissible agent.
16 The rest of us didn't have that advantage.

17 The other thing that the Chiron group were able to
18 do was that they were able to titrate the amount of
19 virus. In other words, between chimpanzee 1 and
20 chimpanzee 2, they would dilute chimpanzee 1 serum many
21 times until it no longer caused hepatitis and then they
22 assumed they could calculate then how much virus they
23 thought was in that specimen, in that first material.

24 Of course, they chose one where there was
25 a relatively large amount of virus and that really was

1 the thing that opened it all up. And that was the work
2 of a guy called Bradley at the Centre for Disease
3 Control.

4 THE CHAIRMAN: It's just quite difficult to pick up the
5 essence of the inventive step from the report of the
6 litigation in England, where there is the most
7 extensive, I think, debate on this. So from my point of
8 view, and I think from everyone else's, we do not need
9 to understand everything but it is helpful to be able to
10 pin down just what it was that Chiron achieved that
11 distinguished them from the rest of the world.

12 A. Yes. I think -- I mean, I was involved with that
13 particular patent defence really, as an example of
14 somebody who had tried and failed, if you like, and
15 I think the only difference really was that there was
16 very great uncertainty about the starting material and
17 the detection system, to the extent that many people had
18 given up, believing that there wasn't a virus; it was
19 a chemical reaction that caused the transaminase rise,
20 much in the way that a drug in medication can cause
21 hepatitis. But I think this is why there hasn't been
22 a Nobel Prize for the identification of Hepatitis C
23 really, because this initial inventive step, you know,
24 questions as to how inventive it is, apart from the
25 legal patent issue, of course, which is important. And

1 of course, it was the first time that a patent was given
2 for a natural sequence. Not a human sequence but
3 a natural sequence of a living organism. So it was
4 unique in that sense as well. But they got the patent.

5 Q. Yes, thank you.

6 Professor Thomas, you explained to us that the point
7 of the plasmid, the cloning vector, is to access the
8 protein synthesising capability, so it's a mechanism
9 whereby whatever piece of DNA has been put into the
10 bacterium can cause synthesis of proteins in the way
11 that the virus would normally synthesise proteins. So
12 you are looking for something that's synthesised by the
13 genetic material that relates to the virus and not to
14 the chimp?

15 A. Yes.

16 Q. And as I understand it, in the very small minority of
17 these trays or samples -- that is, the ones that related
18 to the virus and not to the chimp -- an antigen was
19 synthesised and that then caused this antibody/antigen
20 reaction, and I think the antigen was called "511".

21 A. Yes.

22 Q. It was christened 511. Is that correct?

23 A. Yes.

24 Q. And that is part of the virus but only a part of it?

25 A. Yes, it's one of the enzymes of the virus. It's what

1 would subsequently be called "NS4", which is a protease
2 of the virus. I don't know whether it's helpful just
3 to -- is there a pen? I might draw it on there.

4 (Pause)

5 THE CHAIRMAN: I'm sure it's helpful but from here I can't
6 see it. I'll just come over so that I can see it.

7 A. So the RNA of the virus is positive strand and it
8 encodes for what we call a polyprotein. This is the
9 virus RNA, which would, of course, be in a virus
10 particle and, when it gets into the cell, it would
11 encode for this polyprotein, which is all the virus
12 structural and non-structural proteins (inaudible).
13 This polyprotein then has got to be clipped into
14 fragments and --

15 THE CHAIRMAN: Physically or ...

16 A. Sorry?

17 THE CHAIRMAN: Physically clipped?

18 A. Physically clipped, yes, and that's done by a protease,
19 and the virus makes its own protease. So it's actually
20 done by the NS3 and the NS4 proteins. They then clip up
21 the polyprotein into fragments and that allows them to
22 form into the particles. What we were hearing is that
23 the antigen that was recognised by the antibody in the
24 recovered patient's serum was in this region, NS4, and
25 that was termed "511".

1 Okay?

2 THE CHAIRMAN: Does 511 have any significance other than
3 a number attached to it?

4 A. It is just a way of identifying the antigen really, it
5 has no other significance, and, of course, it has been
6 lost in time now. The only thing that's carried forth
7 is NS4 because that is something which is a part of the
8 virus and has been important subsequently. This isn't
9 just scientific detail; these non-structural proteins
10 are the target for the modern drugs of today.

11 So the proteases NS3 and NS4 are targeted by
12 protease inhibitors -- and no doubt you will hear from
13 others. These drugs now are useful. They increase
14 response rate quite substantially.

15 NS5b is another enzyme, the so-called polymerase of
16 the virus, that makes more copies of its RNA and that
17 can also be inhibited by drugs.

18 So the only reason for this diagram is to show you
19 where the antigen derives. It is from the NS4 protein
20 and it is one of the antigens that evokes an antibody
21 response at an earlier stage of the infection.

22 THE CHAIRMAN: I think the labelling process one can see in
23 a sense at a superficial level quite easily, but you
24 introduce something that has a particular characteristic
25 impressed on it from another source and it will react

1 and give you a reading. But just exactly what's
2 happening is not at all clear at that point.
3 A. I think how you need to think of it is that essentially
4 you put a copy of the RNA. The fact that it has been
5 reverse transcribed into DNA is a technicality. That
6 DNA then results in the production of a protein. All of
7 that is occurring in the bacterial cell.

8 The answer then is how do you identify the bacterial
9 cell that has got this particular bit of viral RNA in it
10 and everything that derives from that, how do you
11 identify that as separate from the chimpanzee material?
12 That purely relates to convalescence serum having
13 a molecule in it called an antibody which can bind
14 specifically to sites on the virus-encoded proteins.

15 That is either labelled with iodine 125, so that you
16 can see where it is by radioactivity being tagged in the
17 protein --

18 THE CHAIRMAN: Or the enzyme --

19 A. Or the enzyme system --

20 THE CHAIRMAN: -- such as the horseradish --

21 A. That's just a label. I wouldn't think of it as an
22 iodine or an enzyme; just call it a label and a way of
23 tracking where the antibody is bound.

24 THE CHAIRMAN: It is perhaps enough to know that it happens.

25 A. Yes, I think the detail of that probably is a little

1 irrelevant really, except for interest's sake, really.

2 As you pointed out, the inventive step was the fact that

3 they continued to do it, when many others gave up.

4 THE CHAIRMAN: Which is not or might not at that stage have

5 been recognised as a particularly inventive process:

6 persistence instead of --

7 A. Correct.

8 PROFESSOR JAMES: It might be called the Robert the Bruce

9 moment. You know: try, try, try again, sort of thing.

10 It's fair to say that they tried for millions of times

11 over about five years before they got this result, isn't

12 it, Howard, or maybe longer?

13 A. Yes. Most people were starting to say the hepatitis

14 that occurs after Factor VIII concentrates or after

15 transfusion of whole blood, maybe it's related to the

16 chemicals that are present in the blood or the HLA

17 proteins, you know, which are contaminating these

18 coagulation factors. There were all manner of other

19 explanations, which really just served to illustrate

20 that it was no longer clear that there was a virus

21 involved. People were beginning to doubt that.

22 I think that's the only point I would really need to

23 make at this stage.

24 MS DUNLOP: Thank you for explaining it to us.

25 A. Or confusing --

1 Q. Well, we have the transcript and we can always go back
2 and re-read it because it may not necessarily stick
3 first time.

4 THE CHAIRMAN: I think it is very important that other
5 people were giving up, even on the thought that a virus
6 was involved.

7 MS DUNLOP: Yes.

8 A. That's an interesting key point really.

9 THE CHAIRMAN: And one is trying to get a picture of what
10 was done and some sort of impression of whether
11 something else might have been done, and if the process
12 is of investigations or leading the vast majority of
13 competent scientists to the view that they are following
14 a false trail, that is important in itself.

15 A. There was one other thing that I think might serve to
16 illustrate the uncertainty at the time and that was
17 that, while it was still called "post-transfusion non-A
18 non-B", we did a controlled trial, for instance, with
19 interferon, in the belief that, were it a virus, the
20 interferon would cause the transaminase abnormality,
21 a measure of the hepatitis, to improve. We did it as
22 a controlled trial because we knew that post-transfusion
23 hepatitis is an intermittent disease. The transaminases
24 may go up and then down and up and down. So we gave
25 interferon to half the patients and no treatment to the

1 other half and were able to show that the transaminases
2 fell in the group that received interferon.

3 What's the importance of the interferon? Well, it's
4 a specific antiviral drug, again suggesting that there
5 was a virus involved.

6 Q. Evidence?

7 A. So we did that in 1989, the year that the virus was
8 discovered, and we were then able to go back and test
9 our non-A non-B hepatitis patients that went into that
10 trial and, sure enough, they were all Hepatitis C cases.

11 Q. When you say "we", this is your team at Imperial?

12 A. We were at the Royal Free at that stage.

13 Q. At the Royal Free, sorry.

14 A. And Jay Hoofnagle did a similar experiment but he didn't
15 do it in a controlled way, so he didn't know whether the
16 improvement was a coincidence or not, but in 1988/1989
17 there were two studies published showing that interferon
18 normalised the transaminases in non-A non-B hepatitis,
19 further illustrating that this was a virus because
20 interferon, as far as we knew, only worked against
21 viruses.

22 Q. I suppose the other thing we should take from this,
23 Professor Thomas, is that what was identified in this
24 breakthrough was not the whole virus?

25 A. Yes, exactly.

1 Q. And I think that has featured at a much earlier part of
2 our inquiry because there are differences between
3 genotypes. We are just going to come on to that.

4 Because the first generation tests may have been only
5 looking for a very small number of antigens or a small
6 portion of the viruses, the variations between the
7 different genotypes might make testing more successful
8 with some genotypes than with others. Is that correct?

9 A. Yes, we didn't know about genotypes, of course, and the
10 assumption, as we have pointed out, was that the
11 antibody source which was going to be used as the
12 detection system would be against a common antigenic
13 component of the virus, but we didn't know that that was
14 going to be the case.

15 So we could have had, for instance, an antibody from
16 a genotype 3 case and if the virus being cloned was
17 genotype 1 and it was in an area of sufficient
18 variability, the antibody wouldn't bind. So that would
19 be another reason why we would fail.

20 Q. Yes.

21 A. So ...

22 Q. I think the whole genome of the virus has subsequently
23 been sequenced. Is that right?

24 A. Yes, yes.

25 Q. That's it; you have drawn it for us.

1 A. And that's what was done and they managed to identify
2 the whole virus. Then Chiron said that then they could
3 replicate the virus in tissue culture, and clearly they
4 were looking at an artefact -- is the kind way of
5 looking at it -- because this little fragment at the end
6 here, called the "3 prime uncoded region" wasn't present
7 on their RNA and that's essential for viral replication.
8 So when they extended the patent to say that any system
9 that uses this nucleic acid structure information should
10 allow the investigator to generate a replication system
11 and within that replication system you could then
12 identify drugs, well, it didn't replicate in spite of
13 what they said because this 3 prime is missing.

14 Q. I think we need to be sure that we have got this term,
15 Professor Thomas, the "3 prime end"?

16 A. The 3 prime uncoding fragment. In other words, it's the
17 tail end of the RNA molecule, that doesn't encode for
18 amino acids.

19 Q. Right. The correct term for that is 3 prime, as in
20 prime number?

21 A. Yes, 3 prime uncoding region.

22 Q. Uncoding region?

23 A. Yes.

24 Q. Right?

25 THE CHAIRMAN: And its function is the reproduction --

1 A. It allows the virus to make more copies of the RNA.

2 THE CHAIRMAN: And that's the right-hand element in the
3 sketch of which we have a picture so that we can --

4 MS DUNLOP: And that's a necessary but not sufficient
5 element in replication. Is that correct?

6 A. Yes, you would need the whole molecule for replication
7 but if you just have this part, without the 3 prime
8 uncoding, it won't replicate. So they were lucky to get
9 that component of the patent.

10 THE CHAIRMAN: It could always be reduced for a lack of
11 utility here.

12 MS DUNLOP: Is it still correct to say that no one has grown
13 the virus in tissue culture?

14 A. No, the Japanese have now done that. They can replicate
15 the virus in a particular cell line.

16 Q. How recent is that?

17 A. In the last five years, that sort of timeframe.

18 Q. Looking a little bit further down the first page of your
19 report, if we could, please, we have another heading
20 "The virus and its replication". You tell us that:
21 "HCV is a flavivirus ..."

22 And this, I understand, comes from the Latin for
23 yellow, which is "flavus". You say it shares some
24 properties with other members of the family including
25 dengue, yellow fever and West Nile viruses. You say it

1 is a single positive-stranded RNA virus, which exhibits
2 considerable genetic heterogeneity.

3 A. That just means sequence variation.

4 Q. Yes. So genetic diversity. I think you have already
5 alluded to the fact that obviously this has been
6 emerging knowledge since 1988/1989, that there are
7 a number of different genotypes. You say:

8 "There are six major genotypes with additional
9 differences between the strains found within
10 a genotype."

11 I think they are labelled A and B, as necessary. Is
12 that correct?

13 A. Yes, or A, B, C, D, however many.

14 Q. Yes, however many letters you need. So it did strike me
15 when I was preparing for this that you can have
16 a genetic difference between, say, 3A and 3B and that
17 must be a smaller difference than the difference between
18 genotype 3 and genotype 2?

19 A. Correct.

20 Q. And then those differences must be much smaller than
21 between Hepatitis C virus and another virus?

22 A. Yes.

23 Q. Is it all a question of degree of difference?

24 A. Well, it is a question of degree of difference and there
25 is an international convention. But having said that,

1 it isn't completely arbitrary because as it turns out,
2 there are major biological differences between these
3 different genotypes. So, for example, genotype 1 virus,
4 when treated with interferon and ribavirin, we cure
5 40 per cent of those patients, whereas with genotypes 2
6 and 3, the same treatment, interferon and ribavirin,
7 cures 70 or 80 per cent. So there are significant
8 differences.

9 Q. So it's not just a difference in the make-up; it's
10 a difference in the behaviour, if you like, the
11 biological behaviour?

12 A. Yes, which is not surprising because that's, of course,
13 encoded by the genetic structure of the virus. So the
14 proteins are slightly different.

15 Q. And you go on to explain that even within an individual
16 infected with a single inoculum -- so a person who has
17 just one genotype -- the genetic sequence of each virus
18 particle is different and changes over time. And
19 I think you go on to discuss that in a little bit more
20 detail. And you talk about the causes for those
21 changes, which include the host's immune response and
22 more recently exposure to potentially therapeutic drugs:

23 "HCV exhibits greater genetic diversity than most
24 other viruses and this is a major contributor to the
25 high rate of chronicity ... the difficulty in producing

1 a vaccine, and the rapidity of emergence of virus
2 strains that are resistant to the new protease,
3 polymerase and NS5a inhibitors."

4 Just to clarify, professor, the genotypes don't in
5 some way change into each other?

6 A. No, they are sufficiently different from the onset of
7 infection to be identified as separate genotypes but
8 within a strain there will be significant changes in the
9 virus, related to the fact that this NS5b, which is
10 responsible for making more strands of the RNA of the
11 virus, doesn't have what we call a "proofreading
12 system". So when it's making a copy of this RNA strand,
13 it keeps making errors. And normally, yours and my
14 RNA -- the enzymes that replicate our DNA would actually
15 check to make sure that they had replicated it
16 faithfully; in other words, there was a proofreading
17 system. The virus doesn't have that so it keeps on
18 making errors, and that actually creates what's called
19 a swarm of quasispecies: every virus particle in the
20 patient is slightly different in its RNA sequence.

21 Q. So from the point of view of survival of the virus, the
22 errors are quite handy?

23 A. They are very handy. There is an upside and a downside,
24 because if it makes an error in something that's
25 important to its replication, of course it becomes

1 non-viable, it can't replicate itself anymore. So
2 within that constraint, the other mutations are actually
3 of advantage because you have an infinitely variable
4 population of virus particles. So whatever pressure the
5 immune system puts on the virus, there will be a small
6 number of quasispecies, just individual variants, which
7 have an advantage in that setting because their antigens
8 will be slightly different. So it is a real advantage
9 for the virus.

10 Q. You have given us a picture. Can we go a little bit
11 further down? We can see it there and that's, as you
12 say, a stylised representation of the virus, a virus
13 particle. Can you just talk us through it a little bit,
14 please?

15 A. Yes, the virus consists of lipid fat, which is derived
16 actually from the cell which it's replicating within,
17 and in that lipid envelope are stuck the envelope
18 proteins, which in the case of this virus are E1 and E2.
19 These virus proteins allow the virus, in a key and lock
20 process, to bind to something on the surface of the
21 cell. Remember, the virus can't replicate unless it's
22 within the cell. It needs all the enzymes of the cell
23 to replicate itself. So it has got to get in there and
24 it does that with a key and lock process.

25 Q. And that's a handy metaphor because that's the door?

1 A. That's the door into the cell.
2 Q. Yes, and it gets into the liver cell, right.
3 A. Yes. And then within that envelope is a more robust
4 core structure, and that serves to protect the RNA of
5 the virus, the genetic information of the virus, and
6 that's one of the reasons why this virus can live for
7 a significant time outside the body. It's protected by
8 this protein shell, particularly the core protein, and
9 then stuck on to that RNA will be the RNA polymerase,
10 this NS5b enzyme, and that's going to make copies of the
11 RNA of the virus.

12 The other thing to point out here, of course, is
13 that these envelope proteins themselves are
14 hyper-variable, they change according to the antibody
15 pressure that comes on them, and this is again
16 a function of the fact that the replication enzymes of
17 the virus are all the time making mistakes, so all these
18 envelope proteins are slightly different on each virus
19 particle, and therefore when an antibody is made against
20 one type of the envelope, this will neutralise that
21 virus and then a smaller variant will emerge with
22 a different antigenic type, and this will not be
23 neutralised initially until the new antibody against it
24 is produced.

25 Q. So thinking of this stylised reproduction in 3D, what

1 has happened is it has been cut open to let us see the
2 inside, and normally the outside would have these
3 envelope proteins, which are antigens, and these are the
4 red bits sticking out?

5 A. Yes.

6 Q. Yes.

7 A. And it might be pertinent here to mention that the
8 molecule to which the virus binds on the surface of the
9 liver cell is the same molecule as involved in taking
10 fat into the cell. It's called the LDL receptor. So
11 the virus has piggy-backed its entry process on to
12 a normal receptor process that the cell uses to take
13 fats into the cell, and if you look at the levels of
14 virus in the blood after a fatty meal, they go up
15 because --

16 Q. I want to come back to that. You mention that to us and
17 you have alluded to the possibility of a pharmaceutical
18 answer to that. So if we could come back to that
19 perhaps, professor.

20 The second --

21 THE CHAIRMAN: The sort of docking system that we are
22 talking about depends upon the characteristics of the
23 cell that's being attacked and the envelope proteins on
24 the virus?

25 A. Yes.

1 THE CHAIRMAN: Is it simply by chance that the viral
2 proteins come equipped with appropriate key and lock
3 devices or docking devices?

4 A. I think at the beginning of time -- it gets a little bit
5 philosophical -- there must have been multiple different
6 virus particles and they would only get into the cell,
7 in which they ultimately were going to be able to
8 replicate, if they had by chance a protein that bound to
9 the cellular receptor, an appropriate docking system.

10 MS DUNLOP: So it's natural selection among viruses.

11 A. Yes.

12 THE CHAIRMAN: And Professor James has mentioned, at least
13 to me, earlier that some viruses are species specific.
14 Is that related to their capacity --

15 A. Yes, exactly. The receptors are different on each
16 person's cells actually, and also between different
17 species, but in the main the virus has -- if you look at
18 viruses in general, they will have used a normal
19 cellular receptor. So for Hepatitis C for instance, it
20 enters the cell through something called "secretory
21 piece", which is normally a method of transmitting one
22 particular antibody across the gut. The herpes virus
23 gets in through the FC receptor. These are all
24 essential parts of the human physiology, if you like,
25 and the virus has just found a way of using that.

1 Q. I'm sorry, I didn't quite catch that. The Hepatitis A
2 virus comes in through the secretory piece, is that what
3 you said?

4 A. Yes, the secretory piece is a docking mechanism on the
5 lining cells of the intestine, so the virus Hepatitis A
6 binds through that system, which exists normally to
7 transport antibodies from the gut mucosa into the lumen
8 of the cell -- into the lumen of the gut, rather.

9 Q. So this is, I suppose, a kind of opportunistic behaviour
10 by viruses; they make use of what's already there for
11 a different purpose?

12 A. Yes.

13 Q. Figure 2, I think we might all feel more comfortable
14 with, Professor Thomas. We can recognise it.

15 A. It's just to illustrate how prevalent this infection is
16 really. And this will become important later on because
17 we are going to hear that Factor VIII concentrates were
18 imported from the United States, which, as you see, has
19 a higher prevalence, than, for instance, the UK.
20 Prevalence in the UK is less than 1 per cent; in the US
21 it's around 2 per cent. This is in the general
22 population. Of course, the other issue is the
23 difference between unpaid and paid donors, which we will
24 come to later.

25 Q. Yes.

1 A. So that's the reason for showing this.

2 Q. It's very tempting, of course, to study the map,
3 professor, and there are interesting variations within
4 the continents. Of course, I had to check in
5 South America but the red country is Bolivia. Why
6 should it have such a high rate of Hepatitis C?

7 A. I think things like tribal behaviour, scarification
8 techniques of the Indian communities and these sorts of
9 things, plus the contribution that man has made are
10 important factors. You have chosen Bolivia but if look
11 at Egypt, for instance.

12 Q. I was coming to Egypt actually.

13 A. And there people were using a drug, which was given by
14 an injection, to treat shistosomiasis. And they made
15 this generally available and as a consequence they --
16 didn't use sterilised needles, and as a consequence they
17 transmitted Hepatitis C, and 20 per cent of the Egyptian
18 population have Hepatitis C, and it's all of one
19 particular genotype, genotype 4, which is quite
20 difficult to treat.

21 So there, an intervention by man to treat another
22 condition, shistosomiasis, resulted in transmission of
23 this virus. I suspect something similar may have
24 happened in Central America.

25 Q. In fact there is a high instance, not quite as high as

1 Egypt, but a high instance in Libya as well?

2 A. You might say, "Why is it low in the UK," and this
3 figure of less than 1 per cent, it is actually very low
4 in the UK and that, I think, is partly related to the
5 fact that we had a National Health Service from 45
6 onwards, where, you know, sterile equipment was provided
7 in every hospital. In the continent, for instance --
8 you will see in France and Germany the prevalence is
9 higher, and that was related to the fact that they
10 didn't have a National Health Service. They used
11 unsterilised equipment a lot of time and that spread the
12 virus.

13 Q. I think we were under the impression that there was
14 quite a high prevalence in Italy, but there doesn't look
15 to be?

16 A. I think it is a high prevalence but particularly in
17 southern Italy. I don't know whether that is green at
18 the end of the boot of Italy but it's supposed to be.

19 Q. It's supposed to be green at the boot of Italy?

20 A. It should be, yes.

21 Q. Right. Well, perhaps something we can enjoy studying
22 further at home.

23 You then give us another map, professor, and this is
24 the geographic distribution of the different genotypes.

25 A. In the UK it's about 50/50 genotype 1 and genotype 2 or

1 3. The majority of the 2s and 3s are in fact 3. So
2 it's about sort of 50/50. In the United States it
3 initially was mainly genotype 1. And in the haemophilia
4 population it has mainly been genotype 1, but added in
5 subsequently has been genotype 3. And of course, the
6 frequency with which each genotype is seen will be
7 dependent upon the country where the Factor VIII
8 concentrates were made, for instance.

9 Q. Yes. We can see exactly what you said a moment ago
10 about the dominance of genotype 4 in Egypt. There isn't
11 much reference to 5 and 6. 5 in southern Africa?

12 A. 5 is really South Africa and genotype 6 is Hong Kong and
13 China.

14 Q. Can we just go back to the text, please, scrolling
15 a little bit further down. I think you have covered
16 this already, professor, talking about the two highly
17 variable envelope proteins and its lipid coat.
18 Hyper-variable regions. And this is the point about the
19 virus evading its detector, as it were, isn't it?

20 A. Yes, and the immune system is always playing catch-up.
21 It takes about ten days to produce the antibody after
22 a new antigen appears and so the immune system is always
23 ten days behind the antigenic variation generated by the
24 mutations in the virus.

25 Q. Then a point which again you have already touched on

1 under HCV replication, that it gains entry:

2 "The virus gains entry to the liver by binding to
3 lipid receptors on the liver cell surface."

4 You have said that these are the same receptors as
5 take up fat from the diet. Yes.

6 The point you made a moment ago about levels of
7 virus increasing after a high fat meal, does that mean
8 that people with Hepatitis C should watch their fat
9 intake?

10 A. I think it's a relatively small change but it is
11 something that has been observed by Dr Bassendine and
12 her group, in fact in Newcastle.

13 You mentioned the fact that, you know, there are
14 drugs being developed now, or already exist, the
15 statins, which influence the amount of LDL cholesterol
16 and if you give a statin to somebody with Hepatitis C,
17 the amount of virus goes down; not to the same level
18 that you would see with the therapeutically useful
19 drugs, in other words interferons and ribavirin, which
20 can be curative, but the statins do cause a small
21 reduction, which is one of the reasons why people
22 started to suspect that the virus had piggy-backed on to
23 some of the fat metabolisms of the body.

24 Q. I don't want people to get the wrong impression,
25 Professor Thomas. Is there an upside to being on

1 a statin if you have Hepatitis C or are the
2 interferon/ribavirin treatments really the route that
3 should be followed?

4 A. The latter, yes. It's the interferons and ribavirins
5 which are the only therapeutically useful manoeuvres.
6 The statin were an interesting quirk. It may be in the
7 medium term that something will come out of that but at
8 the moment they are not useful clinically.

9 THE CHAIRMAN: Ms Dunlop, before you turn over the page.

10 MS DUNLOP: You would like a break? We would like a break.

11 I think the next diagram is one that is going to cause
12 us a certain amount of difficulty, given its scale.

13 (11.00 am)

14 (Short break)

15 (11.26 am)

16 THE CHAIRMAN: Yes?

17 MS DUNLOP: Thank you.

18 Just looking at the point in your report that we had
19 reached, Professor Thomas. Essentially once the virus
20 is in, so it has used its key in the lock and got in, it
21 then hijacks the replication mechanism of the cell. Is
22 that right?

23 A. Yes.

24 Q. To make more copies of itself?

25 A. Yes.

1 Q. Yes. And you say:

2 "New virus particles are then assembled and released
3 from the liver to circulate in the blood stream."

4 Later in your report you tell us that about 10 to
5 the power of 12 new virus particles are made each day.

6 A. Yes, and each one is slightly different, hence the
7 capacity of the virus to evolve under the various
8 selection pressures under which it comes.

9 Q. Can we turn the page, please, and look at the next
10 diagram and it's getting bigger. I think it would be
11 prudent if I simply asked you to walk us through this,
12 please, if you would.

13 A. I think the main point of showing this diagram was
14 really to illustrate how the virus is intimately
15 involved with fat metabolism.

16 At the top left the virus is the orange particle
17 with the mushrooms on its surface, which are the
18 envelope proteins, and that's to represent the lock and
19 key mechanism. And on the membrane of the liver cell,
20 which is the brown structure, you can see there is
21 a series of receptors, one of which is the LDL receptor,
22 the lipid low density lipoprotein receptor. There are
23 other receptors, we do not yet know how important or
24 otherwise they are, but the one that we know allows the
25 virus to get into the cell is the lipoprotein receptor.

1 Q. So it's the lock, really, for these purposes?

2 A. That's the lock, yes.

3 Q. And the mushrooms are the key?

4 A. The key, exactly.

5 Q. Yes.

6 A. And then within the cell, which is the main diagram,
7 there is the positive-stranded RNA, which, because it's
8 positive stranded, will be the template from which the
9 polyprotein is produced. And the polyprotein is
10 produced in the protein-synthesising machinery of the
11 cell. So the virus is immediately using the apparatus
12 of the cell to make its own proteins, to make virus
13 proteins.

14 Q. And the polyprotein is the blue spaghetti?

15 A. No, the blue spaghetti is what's called the endoplasmic
16 reticulum, and that's the area in the cell that's
17 normally involved in production and secretion of
18 protein.

19 So the virus is really just using this to make its
20 own polyprotein, which is -- you can see, for instance,
21 E1 and E2 and the core protein and then something called
22 "2, 3, 4, 5," which are the other proteins, and the
23 polyprotein is clipped up into those individual discrete
24 proteins, which self-assemble; their physical properties
25 are such that they come together as a virus particle in

1 exactly the right structure, and then those particles
2 then are excreted from the cell in the same structures
3 that are used to get rid of fat from the cell. So the
4 uptake and the process within the cell all use the lipid
5 pathway. That was the only point that I included this
6 to illustrate.

7 Q. Right. So the exit, the back door, as it were, through
8 which the virus leaves the cell again, is also something
9 which exists --

10 A. It exists whereby the cell would normally get rid of
11 fat, you know, from the cell.

12 Q. Right.

13 A. This becomes of some importance in that, if the
14 synthesis of fat in the cell is altered, as, for
15 instance, with a statin, then you alter the ability of
16 the infected cell to export virus, and under some
17 circumstances, particularly with genotype 3, you get an
18 accumulation of fat in the liver cell, presumably
19 because of an imbalance between the rate of synthesis
20 and the rate of export of fat. And that accumulation of
21 fat is one of the factors that causes progressive liver
22 disease and is specific to genotype 3 and is probably
23 related to why that virus is related to type 2 diabetes.

24 Q. Yes. We are slightly jumping ahead here, but it's
25 convenient to do so. You have told us exactly that:

1 that genotype 3 is associated with accumulation of fat
2 in the liver, for which the term is steatosis. Is that
3 correct?

4 A. Yes.

5 Q. And type 2 diabetes mellitus. You have explained to me,
6 before today, that it's more than an association. There
7 is thought to be this causal mechanism as well.

8 A. Yes. Yes.

9 The other importance of mentioning fat in the liver,
10 of course, is that when doctors see a report of fat in
11 the liver, they think that it's often related to alcohol
12 and, of course, we can't really tell the difference
13 between fat which is accumulating through this
14 virus-specific mechanism and fat that's accumulating
15 because of genetically determined type 1 diabetes or fat
16 accumulating due to alcohol.

17 Q. Right.

18 A. So when you start to see fat in the liver, you start to
19 ask, well, is this something that is a mechanism whereby
20 the virus is causing damage or is it that this is an
21 individual who is also taking too much alcohol and has
22 a more rapidly progressive liver disease because of that
23 synergism that I was telling you about, between
24 Hepatitis C and alcohol intake. Or greater than the sum
25 of the parts, as you phrased it.

1 Q. So with diabetes, type 2 diabetes, the mechanism, as
2 I understand it from you, is about the fact that
3 accumulated lipid causes insensitivity to insulin. Is
4 that right?

5 A. Yes. The insulin resistance starts to become a problem
6 then. So it becomes a vicious circle.

7 Q. Can we go down to the text, please? I think you are
8 explaining to us here that it's not the virus itself
9 which directly damages or kills the liver cells, that
10 the liver cells suffer because of the immune response to
11 the virus?

12 A. Correct.

13 Q. Right. So in fact, because the immune system is trying
14 to deal with the virus, it is releasing cytokines. Is
15 that right?

16 A. Yes.

17 Q. And the purpose of cytokines is to kill infected cells?

18 A. Two things: to shut down the virus replication and also
19 to kill infected cells, yes.

20 Q. Then you have given us some further details about the
21 structure of the virus, the RNA is contained in the
22 core, and then about how quickly HCV RNA can be
23 detected. You tell us that only 30 to 40 per cent of
24 people spontaneously clear Hepatitis C and the vast
25 majority do so in the first six months.

1 A. And that's determined by how readily the immune system
2 recognises the infected liver cells, which is in part
3 related to the HLA proteins, which are the recognition
4 proteins.

5 Q. Right. And those vary from person to person?

6 A. Exactly.

7 Q. Depending on an individual's genetics?

8 A. Yes.

9 Q. Yes.

10 A. So we know there are certain HLA types which make it
11 more likely that an individual will develop an acute
12 self-limiting infection than a chronic infection, for
13 instance. We studied that as did several other groups,
14 and that comes out quite clearly.

15 Q. I have seen some reference to the role of HLA,
16 haplotypes in HIV as well. There seems to be some
17 connection between your genetic make-up in that regard
18 and your response to HIV.

19 A. Yes, and if you have -- you know, we have got two
20 chromosomes. So everybody has two HLA proteins at each
21 locus, and if you have two different HLA proteins, that
22 puts you in a better position to present virus proteins
23 to your immune system and clear the virus than if you
24 are what we call homozygous for proteins at any locus,
25 where both the chromosomes have the same gene, let's say

1 HLA1, as opposed HLA1 plus HLA7, which gives you
2 a better chance of presenting.

3 Q. Then you go on to tell us that the level of viremia
4 probably does influence the severity of the liver
5 disease. That's simply the titre of viral particles.
6 So your score of viral particles will influence how
7 severe the disease is?

8 A. Yes, I mean, in people with HCV and HIV or in people,
9 let's say, who have Hepatitis C and are
10 immune-suppressed because they have a liver transplant,
11 the levels of virus are higher, and those are the
12 individuals who get more rapidly progressive disease.

13 Q. Yes. Perhaps we should define what we mean by "severity
14 of disease", and you have just touched on this: to some
15 extent you either have Hepatitis C or you don't?

16 A. Yes.

17 Q. So when we are talking about the severity of disease, we
18 might be talking about such indicators as the rapidity
19 of progression. Is that right?

20 A. Yes, we are really talking about the amount of fibrosis
21 in the liver, which is a precursor of cirrhosis. That
22 is graded on a scale 0 to 6, what we call the Ishak
23 Scale.

24 Q. You had better tell us that. That's an acronym, is it?

25 A. No, it's the name of an American pathologist who

1 described it.

2 Q. Right, could you spell it for us, please?

3 A. I-S-H-A-K.

4 Q. Right.

5 A. And 0 is no fibrosis in the liver, a score of 6 -- or
6 stage 6 -- is cirrhosis. And this becomes important in
7 talking to patients because, once you have cirrhosis, we
8 believe that this is irreversible in the main, and of
9 course that puts you in the context of Hepatitis C at
10 risk of hepatocellular carcinoma.

11 If we clear the virus before a patient reaches the
12 stage of cirrhosis, then all the earlier stages of
13 fibrosis, from 1 up to 5 -- if the virus is cleared that
14 will regress; in other words the liver will ultimately
15 remodel and go back to normal. So it's important to
16 treat the patient before they have cirrhosis.

17 Q. So fibrosis can reverse and cirrhosis can't?

18 A. That's what we believe.

19 Q. Yes, then you tell us that:

20 "Outside of these settings, the level of viremia is
21 not positively correlated with severity of liver injury
22 or fibrosis and in any one patient may diminish as the
23 disease progresses, possibly related to progressive
24 reduction of the liver volume."

25 A. So there is less space for the virus to replicate in,

1 a smaller number of cells.

2 Q. Then you say:

3 "Severity of disease is not, as far as I know,
4 related to the genotype or number of genotypes infecting
5 the patient."

6 I should have said at the outset, Professor Thomas,
7 we did send you a list of questions with some possible
8 theories that had been suggested to us or some things we
9 thought of ourselves. So sometimes this is in answer to
10 points we have put directly.

11 It can, however, be relevant that a patient has more
12 than one genotype. That can be relevant in the course
13 of treatment, I understand.

14 A. Yes, I mean, it is particularly so in patients who have
15 haemophilia because they may be carrying more than one,
16 and also they may also have Hepatitis B as well as
17 Hepatitis C, and there is such a thing as viral
18 interference where the replication of one virus holds
19 down a second virus --

20 Q. Yes.

21 A. -- to the extent that you may not realise that the
22 second virus infection is there until the first virus is
23 cleared, and then up comes the second virus. And we
24 have reported one case, really, where Hepatitis B was
25 there along with Hepatitis C and didn't become apparent

1 until six months after we had cleared the Hepatitis C.

2 Q. Right. So the pattern of viral interference between

3 those two viruses is that C suppresses B?

4 A. Yes.

5 Q. Right.

6 THE CHAIRMAN: Common or rare?

7 A. Pretty rare, really, yes, because obviously it's the

8 product of the instance of the two viruses, outside the

9 context of haemophilia, where you are taking material

10 maybe from 3,000 donors. It is exceedingly rare.

11 MS DUNLOP: But not rare amongst people with haemophilia --

12 or at a point maybe 20 or 30 years ago?

13 A. Yes, it's not uncommon, particularly -- different

14 genotypes of Hepatitis C would be not uncommonly found

15 in haemophiliacs.

16 Q. Right. Yes. A lot of different measures, of course,

17 have been introduced to address the Hepatitis B risk

18 with concentrates as well. So I suppose one would

19 factor in all these other considerations in any

20 assessment of how common the occurrence would be.

21 You go on to talk about other consequences of having

22 the virus. We have covered the type 2 diabetes. You

23 say:

24 "The virus may cause non-Hodgkins B cell lymphoma."

25 So is that essentially a type of cancer?

1 A. Yes, it's a cancer of the lymphoid system, and I think
2 that association is fairly strong, to the extent that it
3 is now fact that it is causatively related to
4 Hepatitis C.

5 Q. I'm sorry, causally related to Hepatitis C?

6 A. Hepatitis C is causatively related to this particular
7 tumour.

8 Q. A particular genotype?

9 A. No. Outside southern Europe the -- if you take a group
10 of non-Hodgkin's B cell lymphomas, you very rarely find
11 Hepatitis C, but in southern Europe it is commonly
12 associated with Hepatitis C. You might say
13 Koch's Postulates, we were talking about earlier, that
14 they fall down there and you would say that, because you
15 don't always see the infectious agent along with the
16 disease, that would argue that the infectious agent
17 doesn't cause the disease when you do see the two
18 together. But the mechanism whereby the virus
19 stimulates a particular receptor, CD81, on lymphocytes
20 and stimulates the B cell to proliferate is established,
21 and that is a fairly convincing way in which you can
22 imagine B cell lymphomas would be caused.

23 Q. Why does it particularly happen in southern Europe?

24 A. We don't know the answer to that, is the answer. It is
25 either that the host is subtly different, which is the

1 most probable explanation, because when we have looked
2 at the virus -- and the whole virus genome has been
3 sequenced in those with non-Hodgkins B cell lymphomas
4 and no pattern comes out as causatively related to this
5 particular tumour. So I think that's an open question.

6 Q. But in this country a rare risk?

7 A. It's a rare association.

8 Q. Right.

9 A. Most people with non-B cell lymphoma do not have
10 Hepatitis C.

11 Q. And most people with Hepatitis C do not get
12 non-Hodgkin's B cell lymphoma?

13 A. Yes.

14 Q. "Cognitive function, brain fog, and mood disorders are
15 probably causatively related to HCV infection, supported
16 by the observation that the virus can infect the brain."

17 I need to ask you firstly, Professor Thomas, to
18 explain to us a little, "brain fog" as a term?

19 A. Brain fog is a phrase introduced by the Americans
20 really, to just describe mild cognitive dysfunction; in
21 other words a difficulty in concentrating and higher
22 cerebral function really.

23 It is found in Hepatitis C and what is more,
24 improves when the Hepatitis C virus infection is
25 treated. The difficulty has always been, outside the

1 context of haemophilia, many of the people with
2 Hepatitis C are using so-called recreational drugs, and
3 they have an effect on cognitive function themselves.
4 But -- and also, by the way, if you have severe liver
5 disease, you develop what's called subclinical hepatic
6 encephalopathy, where cognitive function is again
7 suppressed. But if you look at non-drug using patients,
8 who have minimal liver disease, they do have these
9 cognitive abnormalities.

10 All this was fairly soft data until the virus was
11 retrieved from the brain and found to have a different
12 structure in the IRES, which is the region of the virus
13 that is involved in production of the polyprotein, and
14 that structure was also found in peripheral blood
15 lymphocytes. So the same virus strain that infects the
16 peripheral blood lymphocytes is present in the brain and
17 it's different from what is found in the liver.

18 Q. What, for these purposes, do you mean by "virus strain".
19 Is it something that has adapted slightly?

20 A. It is three adenine substitutions in the IRES. The IRES
21 is a -- there is a structure with a three-dimensional
22 configuration in the RNA, to which ribosomes bind in
23 order to allow this RNA to encode for this polyprotein.
24 So the ribosomes, which are the bodies which make
25 protein, bind to the IRES and then reading the RNA, they

1 produce this polyprotein.

2 If you look at the virus that's found from the
3 brain, then there are three regions where there is an
4 adenine, the base adenine, which are not present in the
5 virus that you can retrieve from the liver. And also,
6 for the virus to replicate, it will also make
7 negative-strand RNA. So the RNA positive strand gives
8 rise to negative, the negative then gives rise to
9 positive and so on.

10 If you can show negative strand present, it means
11 the virus is replicating. And the negative strand, by
12 a group at the Mayo Clinic, has been found in the brain.
13 And my own group was able to show these adenine
14 substitutions in virus retreat from the brain.

15 So there is no doubt that the virus replicates to
16 low level in the brain. It probably has got there
17 because of infection of monocytes, which are the
18 phagocytic cells in the blood. They also may settle in
19 the brain, and there they differentiate into specialised
20 phagocytic cells, called microglial cells, which help
21 clean up any dying cells in the brain.

22 So I don't know whether I have explained that
23 adequately, but the bottom line is that the virus
24 infects monocytes, those monocytes may give rise
25 to microglial cells, and they are cells which are

1 present in the brain and have a very long half-life.

2 PROFESSOR JAMES: The point is that the brain fog and these
3 cognitive disturbances are really independent of the
4 severity of the liver disease.

5 A. Yes.

6 PROFESSOR JAMES: And that's kind of almost exemplified by
7 these little structural changes that you have already
8 alluded to.

9 A. Yes. This came out initially when -- there is something
10 called magnetic resonance spectroscopy, which means you
11 can look at the metabolism of the brain, and when we did
12 that, the same abnormalities that previously had been
13 described in HIV were found in Hepatitis C to a minor
14 degree. And these changes suggested that there was
15 a metabolic abnormality in the brain, which is why we
16 cloned the virus from the brain post mortem material,
17 and where we found these abnormalities. The group at
18 the Mayo Clinic and a group in Hanover have now done
19 similar studies. So I think it is now established that
20 the virus is replicating in the brain.

21 Why is that important? Well, when you come to
22 treatment, I think you have to consider this as
23 potentially a sanctuary site, where the virus may not be
24 readily cleared with interferons. Interferons don't
25 cross the blood/brain barrier so readily.

1 Q. So the virus hides from the interferons by going to the
2 brain?

3 A. Yes, aetiologically speaking, yes. And the ribavirin,
4 which we know reduces relapse rate, is a very
5 fat-soluble drug and probably goes to the brain and
6 clears up this site of replication, which is why
7 ribavirin doesn't alter the initial response to
8 treatment; in other words, the rate at which the viral
9 RNA falls in the blood. That's dependent on
10 interferon's effect on the liver. What ribavirin does
11 is stops the patient from relapsing because it clears up
12 that second site.

13 Q. Right. Not everyone with Hepatitis C will get cognitive
14 symptoms, though?

15 A. No, and recently we have been able to do PET scans,
16 which are a way of looking at the brain, where you can
17 use ligands, molecules that bind to the activated
18 microglial cells, and when you do that, you can show
19 that the microglial cells in the brain are activated,
20 which is a consequence of infection. When those
21 microglial cells are activated, they release chemicals
22 which cause the cognitive abnormalities.

23 So mechanistically we now know what happens. It is
24 important because it explains this symptom complex. And
25 secondly, it's important because it may explain why you

1 need ribavirin to prevent relapse.

2 Q. And you refer not just to brain fog but also to mood

3 disorders. What form would the mood disorders take?

4 A. When you compare Hepatitis C with Hepatitis B, with

5 these standard test systems, there is a much higher

6 prevalence of depressive disorders in the Hepatitis C

7 patients compared to the Hepatitis B or in other liver

8 disease groups. When microglial cells produce

9 neurosteroids, they are involved in this depressive mood

10 mechanism. So those are two important consequences of

11 Hepatitis C virus infection, partly, as I have said,

12 because they may explain why you need ribavirin to treat

13 these patients.

14 Q. Yes.

15 A. I couched this cognitive issue in soft terms when

16 I wrote this but I think now, with the Mayo Clinic's

17 confirmation and the Hanover group's confirmation,

18 I think this is now an established fact, really.

19 Q. So that is extremely recent research?

20 A. Over the last five or ten years. It takes a while for

21 things to become established.

22 Q. Right.

23 Your next section is entitled "Mechanisms of HCV

24 persistence". You explain what happens in acute

25 hepatitis, so when someone who is fortunate enough to be

1 able to clear the virus in an acute episode is ill, that
2 is because the body mounts an effective immune response
3 to epitopes. Epitopes: the part of an antigen that is
4 recognised by an antibody. Is that correct?

5 A. Exactly. Or a lymphocyte.

6 Q. Right. Derived from various virus-encoded proteins:

7 "In general, the stronger the CD4 and CD8 cellular
8 response, the more likely recovery is to occur."

9 Does that actually mean that empirically the more
10 ill the person is with Hepatitis C immediately after the
11 infection, the more likely they are to clear it?

12 A. Yes, those that are jaundiced have a lower frequency of
13 viral persistence than those that are non-jaundiced,
14 because the jaundice is a reflection of the immune
15 system killing liver cells, and the more effective that
16 process is, the less likely the virus is to gain the
17 upper hand and persist.

18 Q. You go on to talk about antibody response to the
19 envelope proteins of HCV:

20 "... but rapid antigenic shift occurs in the
21 dominant quasispecies, presumably due to selection
22 against variants recognised by the prevalent
23 virus-neutralising antibody."

24 So in other words, the virus is discarding bits of
25 itself, which antibodies can deal with. So it's

1 shedding its own weaknesses, as it evolves?

2 A. Yes, there are multiple different variations on the
3 virus. There may be 10 to the 12 virus particles
4 produced per day. They will all have different envelope
5 proteins. So the antibody response will neutralise,
6 let's say, 99.9 per cent of those variants, but there
7 will always be one which doesn't have the epitope
8 recognised by that antibody, and that variant there will
9 become dominant until it is then seen by the immune
10 system again and the immune system then says, "Ah-ha,
11 this is an escaped variant. We must make another
12 antibody," but this is ten days afterwards. And then it
13 shuts down that antigenic variant. So it's a rolling
14 process really.

15 Q. This is back to the catch-up point?

16 A. Yes.

17 Q. That the body's immune system is always playing catch-up
18 with the virus.

19 A. And there is a phenomenon called "immune exhaustion",
20 where the immune system says, "Oh, my goodness, I'm
21 never going to catch this guy," and is then exhausted
22 and starts to make less antibody.

23 Q. Right. You go on to describe characteristics of
24 patients developing persistent infection. Perhaps we
25 can just read that for ourselves. (Pause)

1 You say:

2 "Several studies have now indicated that the immune

3 response may contribute to the outcome of interferon

4 therapy. 50 per cent of patients show no response to

5 interferon."

6 This presumably relates to interferon resistance:

7 "This may relate to inhibition of hepatocyte

8 response to cytokines by Hepatitis C proteins,

9 particularly the Hepatitis C protease, NS3."

10 A. That's now well established that this protease inhibits

11 the production and the response to interferon.

12 Q. So what the body would normally do to deal with the

13 intruder is inhibited by one of the proteins in the

14 virus?

15 A. It would inhibit it by one of the host cytokines. And

16 the viral protease will thwart that process, will stop

17 that happening.

18 Q. Yes. So the cytokines are supposed to deal with the

19 intruder but the virus in fact thwarts that intended

20 mechanism?

21 A. Yes.

22 Q. Right. You go on to explain to us what I read as

23 a description of a possible mechanism?

24 A. Yes, the -- I was telling you earlier about the

25 monocytes or macrophages that are infected, which go to

1 form the microglial cells in the brain.

2 Q. So monocytes are a type of white blood cell and
3 macrophages would normally gobble up the pathogen. Is
4 that correct?

5 A. Yes. And those monocytes and macrophages in a
6 specialised form, what we call antigen-presenting cells,
7 the cells that present the viral proteins to the immune
8 system, these are the dendritic cells. So if those
9 monocytes and macrophages, and as a consequence the
10 dendritic cells derived from them, are infected with
11 Hepatitis C, and they are, then that compromises the
12 cellular immune response, the lymphocyte response.

13 Q. Right. Another table is coming up, or another
14 illustration, and this is the serological profile of
15 acute and chronic Hepatitis C infection. You say:

16 "Chronic viral hepatitis is defined as infection
17 persisting more than six months."

18 Is that, to some extent, arbitrary?

19 A. Yes, it is internationally agreed. It was agreed
20 initially for Hepatitis B, to differentiate acute and
21 chronic infection, and has been applied to Hepatitis C.
22 It's statistically based on -- you know, that -- it was
23 observed that if you were going to get better from
24 Hepatitis C, you would have done so in the first three
25 to six months after infection. If you were going to

1 develop persistent infection of many, many years, then
2 you would still be positive at six months. So that was
3 a break point, if you like.

4 Q. Yes. If we just look at these graphs, we can see that
5 levels of Hepatitis C antibodies are following a similar
6 path in the two. That's the navy blue, or in the second
7 graph, purple line. Is that right?

8 A. Yes.

9 Q. ALT, again a very similar trajectory for the first six
10 months but in the person developing chronic infection,
11 it then zigzags about?

12 A. ALT is a measure of liver damage. It's an enzyme that
13 is normally inside the liver cell and it leaks out when
14 the liver cell is damaged. So in the top part you are
15 seeing a discrete peak with return of the ALT to within
16 the normal range by six months, indicating recovery.
17 And in the second, the bottom part of the illustration,
18 the transaminase starts to come down but then you see it
19 fluctuating above the upper limit of the normal range,
20 indicating chronic liver damage.

21 Q. And the red bar is there to illustrate when Hepatitis C
22 virus RNA is detectable and in the person with the acute
23 infection, it's detectable up to six months but, because
24 their body has dealt with the virus, not thereafter. We
25 then contrast the chronic infection, where Hepatitis C

1 virus RNA continues to be detectable indefinitely. Is
2 that right?

3 A. Yes.

4 Q. What's the significance of the breaks in the second
5 graph?

6 A. That really was just meant to illustrate that, depending
7 on the sensitivity of the assay, it may become
8 apparently undetectable from time to time, but it is
9 still there. In other words, as the sensitivity of the
10 assays have increased over time, you see very few, if
11 any, breaks in what would be depicted by that red line.

12 Q. Right. Then the green bar relates to symptoms. So
13 I suppose, given that the two green bars are the same in
14 the two graphs, this is reflecting what we said earlier
15 about all those who are chronically infected start with
16 an acute infection?

17 A. Exactly, but I haven't captured the point that you put
18 to me, that other symptoms, and particularly jaundice,
19 are more severe in those that have an acute infection
20 than in those that persist; that is the case and
21 I haven't captured that in this diagram, if you like.
22 Perhaps I should have put "Symptoms", two pluses on the
23 top and "Symptoms" plus/minus at the bottom, something
24 like that.

25 Q. I suppose, if the time axis was taken on for long

1 enough, the green bar would return?

2 A. Yes.

3 Q. Yes, varying from individual to individual?

4 A. Yes, I think symptomatic liver disease, you would expect

5 to see maybe 20 or 30 years down the line, and the

6 symptoms that you might expect when the patient

7 developed cirrhosis would be lethargy, perhaps abdominal

8 swelling due to accumulation of fluid, and even

9 jaundice, yellowness of the eyes and vomiting of blood

10 and these complications, really. But that would be at

11 the extreme end of what we call decompensation of the

12 cirrhosis.

13 Q. We are going to come back to that, Professor Thomas,

14 because you have another table later on, or another

15 figure later on.

16 A. Can I make one other point here?

17 Q. Yes.

18 A. That antibody is present in those that recover as well

19 as in those that develop chronic infection.

20 Q. Yes.

21 A. And it's only antibody positivity in the absence of RNA

22 which is the signature, if you like, of an acute

23 self-limiting, cured infection.

24 Q. Yes, and in fact the top graph reflects the convalescent

25 patient whose serum was used in the Chiron experiment,

1 if you like. That would be the pattern of their
2 disease?

3 A. Yes, rather than anomalously, the antibody is present in
4 the chronic infection as well, and it is often in higher
5 titre in the chronic infection.

6 Q. It's just not working.

7 A. It's just not working, and that's because it's to an
8 internal component of the virus, this NS3 protein, and
9 not to the envelope. Had it been to the envelope, it
10 would have neutralised the virus but because it's to
11 a non-structural component, an internal component of the
12 virus, it doesn't neutralise the virus.

13 Q. Right. Can we move on to the section entitled
14 "Transmission of Hepatitis C"? You tell us something we
15 know, that Hepatitis C will spread via the
16 administration of unscreened blood or blood products
17 from infected individuals prior to 1991. It can also be
18 spread vertically, which is mother to baby, and
19 sexually, but the rate of transmission is very low, less
20 than 5 per cent in each case.

21 Then on to next page. You talk about drug use and
22 also about the particular picture in Egypt. You go on
23 to tell us that the higher the concentration of virus in
24 the blood, the greater the risk of transmission,
25 particularly via the sexual and neonatal routes.

1 I think we should ask you about your own experience of
2 sexual transmission. Is this something you have seen?

3 A. It's very unusual. The figure cited in the literature
4 is 5 per cent but in testing the spouses of known
5 chronic HCV-infected individuals, I don't think I have
6 ever found a spouse that has been positive. And indeed
7 that, I think -- with the exception of those that are
8 co-infected, that have HIV, where the Hepatitis C virus
9 is replicating at 1 or 2 logs higher level than it is in
10 the non-HIV infected individuals.

11 Q. Is that back to our 10^{12} each day? So
12 with HIV present it may be a higher number per day?

13 A. Yes, I mean, the number of virus particles being
14 produced, minus the number that are cleared each day,
15 gives you the level of viremia. In a normal HCV
16 infection you are probably seeing a concentration of 10^5
17 to 10^6 , or 10^6 , a million virus
18 particles per ml. At these sorts of level, it's unusual
19 for either sexual or neonatal transmission to occur but
20 if you see the virus go to the levels that are found in
21 Hepatitis B, which are around 10^7 or 10^8 ,
22 you then start to see neonatal and sexual
23 transmission fairly frequently.

24 Q. If we go back for a moment to Hepatitis B, that explains
25 why Hepatitis B is much more readily sexually

1 transmitted. Is that right?

2 A. Exactly.

3 Q. Yes.

4 A. The same is true -- another illustration is there were
5 cases of surgeons transmitting to their patients during
6 operative procedures, and that's very unlikely if the
7 level of virus -- and this is true of Hepatitis B and of
8 Hepatitis C -- are around 10 to the 4 or 10 to the 5,
9 but when they go up to higher levels, then you start to
10 see transmission through perforation of bloods,
11 et cetera. So infectivity is very much related, as
12 I think logic would dictate, to the concentration of
13 virus in the blood.

14 Q. You then come on to a section dealing with transmission
15 by blood and blood products. You tell us that:

16 "Between 1970 and 1990, there was debate as to
17 whether blood products derived from volunteer blood
18 donations, prior to screening tests being introduced in
19 1991, were safer in terms of transmission of HIV and HCV
20 than those derived from paid donors. In the case of
21 HCV, where the prevalence of infection in the UK blood
22 donating general community was around 0.5 per cent ... "

23 We have had discussion on a number of occasions with
24 different witnesses, professor, about the prevalence in
25 the UK, and of course it depends what population you are

1 looking at.

2 A. Yes, very much so, yes.

3 Q. Yes. So --

4 A. But I think -- well, carry on and then --

5 Q. Well, this figure is really back to the coloured world
6 map, isn't it?

7 A. Yes.

8 Q. Yes. And it wouldn't therefore surprise you that much
9 lower figures were found in the blood donating
10 population in both England and Scotland in the first six
11 months or a year after the introduction of screening?

12 A. Yes, and particularly repeat donations, where, you know,
13 already the patients with the higher risk factors had
14 been screened out. So the prevalence of infection in
15 the established blood donor has gradually fallen to
16 levels around 0.01, that sort of level. But 0.01 is
17 still one in 10,000, so you would still expect to see
18 some carryover into a Factor VIII concentrate if it's
19 derived from 30 donors -- from 30,000 donors for
20 instance.

21 Q. Yes. Of course, we understand that this is the problem
22 with large pool concentrates, that very large numbers of
23 donations were used to make each batch.

24 We do need to look a little more closely at some of
25 the thinking on whether volunteer batches, if we can

1 call them that, were less infectious than batches of
2 commercial donations. You say that:

3 "It transpired that the majority of batches made
4 from volunteer blood donations were infected and the
5 frequency of transmission was similar following use of
6 both English NHS and Scottish NHS and commercial
7 material."

8 If we could just have a little look at these
9 references. I think perhaps we can look first at one
10 that isn't mentioned there. It's an article from the
11 BMJ in 1983 and it's [\[LIT0010239\]](#). We have seen
12 Dr Craske's name many times and we know that he tendered
13 a lot of advice on hepatitis to haemophilia clinicians.
14 I expect you recognise the other names. Dr Rizza, we
15 know, was a haemophilia clinician, and actually if we
16 scroll a little bit down the page, we can see that the
17 patients involved in this particular study were those
18 attending the Oxford Haemophilia Centre.

19 I think Dr Trowell is the liver specialist in this
20 group. Is that right?

21 A. Yes.

22 Q. Perhaps if we could just look at the little abstract at
23 the top. I expect you have seen this before?

24 A. Yes, this was one of the papers that alerted us all to
25 the fact that non-A non-B was occurring after NHS

1 material as well as after commercial material.

2 Q. Yes. So 30 patients entered the study but we can see
3 four patients and evidence of chronic liver disease
4 before transfusion. So in fact they were eliminated
5 from the study. At that point, of course, there wasn't
6 a test for the virus; one had to use surrogate testing.
7 Is that correct?

8 A. Yes, yes.

9 Q. So that the testing that was done here to ascertain if
10 people developed hepatitis, was to measure serum
11 transaminase levels. All of the nine patients who had
12 not previously received Factor VIII transfusion
13 developed non-A non-B hepatitis. Then four out of ten
14 patients followed up for a year had persisting
15 abnormalities of liver function. Then it goes on to say
16 that:

17 "More than one serotype of non-A non-B hepatitis may
18 be transmitted by Factor VIII concentrate prepared from
19 volunteer donors in the UK."

20 That, I suppose, was a reasonable hypothesis at the
21 time. Is the variability in retrospect explicable by
22 different genetic make-up of the patients and possibly
23 by different genotypes of the virus?

24 A. The variability in what respect?

25 Q. I think what they are saying in the abstract that the

1 pattern of illness suggests that more than one serotype
2 of non-A non-B hepatitis --

3 A. Oh, I see what you are saying, yes.

4 Q. Yes.

5 A. Well, I think at the time there were also experiments in
6 the United States using chimpanzees, and there were --
7 and also Ari Zuckerman did some experiments here in the
8 United Kingdom -- where if you infused a Factor VIII
9 concentrate into a chimpanzee and it developed an acute
10 hepatitis and recovered, and you then infused
11 a Factor IX concentrate, maybe six month later, then it
12 developed a second episode of transaminase elevation,
13 that was taken to indicate that -- assuming that after
14 the first Factor VIII transmission with subsequent
15 normalisation of ALT, that the animal had developed
16 immunity to that particular agent. The fact that when
17 you put the Factor IX concentrate in, it developed
18 another hepatitis must indicate that that was a separate
19 virus. We now know that that's probably not the case
20 and that you can actually get second and third and
21 fourth infections in someone who has recovered from
22 a first infection with Hepatitis C.

23 Q. So this is a person who has cleared -- to use your
24 term -- the virus on the first occasion. They can again
25 have an acute attack?

1 A. Yes, and that was one of the confounding facts about
2 this because we had all assumed that when someone had an
3 attack of hepatitis and the surrogate of recovery, which
4 was normalisation of transaminases, ALT -- when that
5 reached normality, below the upper limit of normal, that
6 that person would not be infected again, as the case was
7 with Hepatitis A. You would never get a second
8 infection of A. And you don't get a second infection
9 with Hepatitis B.

10 So everyone thought a discrete episode with
11 subsequent normalisation of the ALT must mean that you
12 had immunity, or the chimpanzee had immunity to that
13 strain or that isolate. And that was the reason for the
14 haemophilia doctors thinking that when the same thing
15 happened in patients, it was probably a second virus.

16 The other thing that was apparent was that the
17 incubation periods were different. After a Factor VIII
18 concentrate, the hepatitis usually occurred in two to
19 three weeks, whereas after a Factor IX concentrate, it
20 took about six to eight weeks, which again suggested it
21 might be a different virus.

22 Q. What was the reason for the difference between
23 Factor VIII and Factor IX?

24 A. Well, I mean, there are different methods of preparation
25 and, you know, it was assumed that, you know, there

1 would be differing levels of robustness of the virus and
2 that some of the purification techniques would destroy
3 one virus but not the other, and we already knew that
4 that happened with different viruses in tissue culture
5 settings.

6 Q. The reason for people getting a second acute attack
7 might be to do with the almost infinite variability of
8 the virus.

9 A. Yes, in hindsight I think that probably is what was
10 happening, you know, and that's how we now see in some
11 haemophiliacs several genotypes and subtypes of the
12 Hepatitis C in a single patient.

13 Q. Yes.

14 A. But that was an anomaly in virology, in that usually,
15 when you are infected with one virus and you recover,
16 then you cannot be infected with that same virus again.

17 Q. Yes. Just to look quickly at the text of the paper,
18 there is this reference on the left-hand side to a kind
19 of theory that product manufactured in the
20 United Kingdom would be safer than product coming from
21 the United States.

22 A. That was based on the observation that post-transfusion
23 hepatitis, after infusion of discrete units of blood --
24 and most patients would have two or three units of
25 blood -- I think the frequency at which that occurred in

1 the United States was about 10 per cent of individuals,
2 whereas I think in the UK it may be it was around 1 or
3 2 per cent. So it was assumed that the prevalence of
4 infection, infective agents, was different and indeed
5 I think it was different. The reason that you saw it
6 after NHS concentrates as well as after commercial ones
7 is because of the large numbers of donors.

8 Q. Yes.

9 A. Which made, you know, it irrelevant what percentage were
10 infected.

11 Q. Yes. Staying on this page, there is, of course, a bit
12 of description of what was done, and we can see from the
13 passage headed "Design of Study" that patients were
14 those who had not received Factor VIII in the six months
15 before inclusion, and then further detail of the
16 assessment procedure.

17 Then going on to the next page, there is a little
18 heading "Hepatitis", and we can see that, as already
19 mentioned, they defined a set of results, which would
20 indicate non-A non-B hepatitis, and this is to do with
21 transaminase levels, and then set out their results in
22 a table.

23 Basically, the table shows what's in the abstract,
24 that all nine patients who had not previously received
25 Factor VIII developed non-A non-B hepatitis. So we can

1 see in the middle of the table that there is a two-part
2 column, "Previous Transfusions". So you would be
3 looking for the people with two zeros. Then reading
4 along to the end -- sorry, I should have said there are
5 nine of them. I know because I have counted. Reading
6 along to the end, those nine all developed hepatitis, as
7 indicated by their transaminase level.

8 The only thing which puzzled me slightly about this
9 study actually comes in the discussion section, where
10 the reference to nine has become:

11 "Nine patients who received NHS Factor VIII for the
12 first time."

13 Do you see that sentence? I think it's seven lines
14 in. It says:

15 "All nine patients who received NHS Factor VIII for
16 the first time developed hepatitis."

17 I think actually there are only seven who were
18 receiving NHS Factor VIII for the first time. It
19 doesn't much matter because the point of this study is
20 to show a very high rate of development of non-A non-B
21 hepatitis in people given concentrates for the first
22 time, and that that is true whether the concentrates are
23 commercial or NHS. Is that right?

24 A. That's what was taken away from this study.

25 Q. Yes. You mention other work. The first reference is

1 the paper to which you contributed. Can we go on and
2 look at that? That's [\[LIT0010800\]](#). This is a paper
3 from the British Journal of Haematology in 1985,
4 although we can see that it was sent in in June 1984.
5 I think it's fair to say, Professor Thomas, that this
6 paper deals with incidence of non-A non-B hepatitis,
7 rather than with severity of non-A non-B hepatitis. Is
8 that right?

9 A. Yes.

10 Q. Yes. And in your study, nine out of nine British
11 patients treated with USA-derived commercial products,
12 and 10 out of 12 treated with British volunteer
13 products, developed acute non-A non-B hepatitis.
14 I should have said that this was a study in
15 collaboration with Peter Kernoff and Christine Lee, who
16 were haemophilia clinicians. Is that correct?

17 A. They were the haemophilia centre clinicians and
18 Peter Karayiannis and I were hepatologists within the
19 department of medicine. And the main focus really, was
20 to see whether we could prevent infection with immune
21 serum globulin, in that, through the haemophilia
22 directors' meeting -- of course, there was a lot of
23 discussions about both the NHS and the commercial
24 concentrates transmitting hepatitis, and there were
25 observations in the liver transplant setting that we

1 could prevent Hepatitis B by giving hyperimmune globulin
2 at the time of the transplant. And there was some early
3 data, if my memory serves me correctly, suggesting you
4 might be able to do the same against non-A non-B. So
5 what we were trying to do, bearing in mind we knew from
6 Dr Craske and the Oxford group's data that, irrespective
7 of whether we used commercial or NHS concentrate, we
8 were going to see non-A non-B; could we prevent that by
9 mixing in immune globulin from the general population in
10 the hope that this might contain antibody to the virus
11 and neutralise it and prevent transmission. So that was
12 the main focus of this paper, which is, I think,
13 reflected in the title, "Effects of Prophylactic Immune
14 Serum Globulin".

15 Q. It wasn't a magic bullet?

16 A. No, except that -- you know, again the background was
17 that we were thinking about two viruses: one more
18 commonly seen with Factor VIII and one more commonly
19 seen with Factor IX. And there was one patient who
20 received NHS Factor IX with immune serum globulin, who
21 didn't subsequently develop hepatitis, whereas when this
22 batch of Factor IX had been used in other patients
23 without serum immunoglobulin, it had caused hepatitis.

24 So we were wondering: well, could it be that there
25 is an antibody to one of the viruses, that associated

1 with Factor IX concentrates, but not the more common,
2 which is seen with Factor VIII concentrates. So that
3 was the bottom line, really.

4 Q. That was the thinking.

5 A. The alternative could have been just that there was
6 a smaller amount of virus and it didn't always transmit.

7 Q. Yes.

8 A. So that was what was behind this piece of work really.

9 Q. Right. There are, we can see in the summary, some
10 tentative suggestions about what might be going on. You
11 say in the fifth last line:

12 "Observed differences between concentrates might be
13 attributable to their content of different NANB agents
14 but dose-related effects could provide alternative
15 explanations."

16 A. The other point that is made in the last sentence, of
17 course, is that, because there was a high frequency, or
18 high incidence of infection, both with NHS and
19 commercial concentrates, when the inactivation
20 procedures started to become a possibility, then if
21 there were even one or two patients who didn't develop
22 non-A non-B, then that would be significant, because we
23 are seeing almost 100 per cent infection with the only
24 concentrates that were available to clinicians at that
25 time, whether they be NHS or commercial.

1 Q. Yes.

2 A. So that's the reason for that statement, that this data
3 provides a basis for comparative assessment of new
4 products with possible reduced infectivity. We thought
5 we wouldn't need to do statistical evaluations because
6 it's virtually 100 per cent infection. So if you had
7 one with a reduced infectivity where, let's say, only
8 half became infected, then it's highly likely that that
9 would be an advance, and you wouldn't need to do control
10 studies, which is the point we were trying to make.

11 Q. Right. You go on to say in the beginning of the article
12 that:

13 "The quantity of Factor VIII concentrate
14 fractionated from plasma ... "

15 That is plasma from volunteer donors in the UK:
16 "... is insufficient to meet demand."

17 We have had a lot of other evidence about this,
18 Professor Thomas, and we do understand that there was
19 a different picture as between Scotland and England, and
20 Scotland was much closer to self-sufficiency, whatever
21 quite that means, than England and Wales.

22 A. Yes, I think the ratio, in most of the English centres,
23 was that over half -- probably two thirds of bleeding
24 episodes in the moderate and severe haemophiliacs had to
25 be dealt with by commercial concentrates because we only

1 had enough for about a third of those cases using NHS
2 materials.

3 Q. Right. You say:

4 "Of the total Factor VIII used in the UK in 1982,
5 commercial concentrate accounted for 63 per cent, NHS
6 for 32 and NHS cryoprecipitate for 5 per cent."

7 That's from the UKHCDO?

8 A. And these are all patients who came in with active
9 bleeding or were undergoing surgical procedures, so
10 something had to be done to prevent them being infected
11 really. So they had to have concentrates and when we
12 knew that there was, following the Craske study, a high
13 incidence of infection, we thought we would try
14 immunoglobulin to see if that prevented infection, and
15 subsequently, of course, heat inactivation processes
16 were tried to stop transmission.

17 THE CHAIRMAN: Is the UK here inclusive of Scotland or
18 exclusive of Scotland?

19 A. I don't know, I am afraid.

20 THE CHAIRMAN: It would make some difference to the split.

21 A. Yes. I can't answer that, I am afraid.

22 PROFESSOR JAMES: If the data is from the HCDO, it suggests
23 that it's UK-wide.

24 THE CHAIRMAN: If that is so, then one has to amend the
25 63 per cent/32 per cent split if one is trying to get

1 a picture of what was happening in England and Wales, as
2 against what was happening in Scotland.

3 A. Yes, it would be a higher percentage, wouldn't it, that
4 was commercial in England and Wales?

5 THE CHAIRMAN: Yes.

6 MS DUNLOP: I think actually by this point you were
7 referring to concentrate being used to treat bleeding
8 episodes but I think we know that some patients were on
9 home treatment, although I suppose most of them are
10 using their Factor VIII at home for bleeding episodes as
11 well, just so that they can --

12 A. I think, when they get pain in a joint, rather than
13 coming up to the hospital, they would assume that that
14 was the start of a bleeding episode. I think that was
15 probably common practice.

16 Q. Then on to the next page. You say -- and we have
17 touched on this already -- that:

18 "It is well established that the risk of post
19 infusion hepatitis is higher after commercial than
20 volunteer blood. The evidence that the same holds for
21 clotting factor concentrates prepared from large plasma
22 pools is less substantial. Acute post infusion
23 hepatitis in patients treated with these products is
24 usually of the non-A non-B type and there is
25 a disturbingly high rate of progression to chronicity."

1 We will look at that in a little more detail later
2 on.

3 A. And May Bamber, the author of that, was a member of our
4 group, so we were studying non-A non-B in a
5 non-haemophilia population.

6 Q. And then:

7 "The overall incidence of acute hepatitis in
8 haemophilic populations has been reported to be only 2
9 to 6 per cent of treated patients per year, whether
10 volunteer or commercial products have been used."

11 But you go on to make the point that there may be
12 a degree of under reporting here because:

13 "... a proportion of patients with acute NANB
14 hepatitis remain asymptomatic and will therefore not be
15 recognised unless their biochemical status is monitored
16 prospectively."

17 Which one assumes for patients with haemophilia who
18 weren't coming forward would be unlikely to be happening
19 in the ordinary run of events.

20 You go on to say, at the conclusion of the next
21 paragraph:

22 "The very high incidence of acute NANB hepatitis
23 observed following concentrate therapy prompted a pilot
24 clinical study of prophylactic immune serum globulin."

25 And that's the thinking that you have outlined to

1 us. And again, as we would expect, an explanation of
2 the design of the study and the characteristics of the
3 patients included in it.

4 A slightly larger group: 58 patients with
5 congenital deficiencies of coagulation Factors VIII or
6 IX, so 58 patients with haemophilia, although I think
7 there are one or two in the table with --

8 A. This was before Professor Craske's study was published
9 but, of course, he was a member of haemophilia directors
10 and they always exchanged their data long before it was
11 published in a journal. The gestation period would be
12 a year or so. So Peter Kernoff knew of what was
13 happening.

14 Q. Yes. I was just looking to see -- there were some who
15 had von Willebrand's disease.

16 A. I think there were one or two.

17 Q. Yes:

18 "Only a minority of the patients were virgin.
19 Although most needed infrequent treatment, a majority
20 had received blood plasma or cryoprecipitate therapy
21 before their first exposure infusions... Nine patients
22 had been treated with blood products, cryoprecipitate,
23 exclusively in the six-month period before their first
24 exposure infusion. In these patients it was not
25 possible to be certain that hepatitis which followed

1 concentrate therapy was necessarily attributable to
2 concentrate. Since this seemed much the most likely
3 possibility, however, it was assumed to be so in the
4 analysis."

5 I think we can understand the logic of that, that if
6 a patient developed hepatitis after concentrates, it was
7 attributed to the concentrate rather than to a previous
8 infusion of cryo.

9 You go on to describe the characteristics of the
10 patients and the monitoring that was carried out and
11 then to say at the bottom of the page -- we can see
12 a section beginning in italics:

13 "The occurrence of acute post-transfusion hepatitis
14 was the primary end point of the study."

15 And again you were relying on secondary testing
16 really, to establish if post-transfusion hepatitis had
17 developed.

18 On to following page, please. The therapeutic
19 products are described:

20 "All cryoprecipitate and Factor IX concentrate was
21 prepared by the NHS from volunteer donor plasma. Factor
22 VIII concentrates, all described as being of
23 intermediate purity, were either made by the NHS at the
24 Blood Products Laboratory, Elstree, or bought from
25 three manufacturers, the source of plasma in the latter

1 case being exclusively of USA origin. Donor pool sizes
2 were in the range 1,500 to 5,000."

3 If we go on to the next page, we can see the
4 results:

5 "Outcome in prospectively studied patients is shown
6 in table 1 and figure 1. None of the five patients
7 treated with cryoprecipitate developed hepatitis and no
8 patient with hepatitis had serological evidence of acute
9 infection with Hepatitis A, CMV or EBV. All
10 nine patients treated with commercial Factor VIII
11 concentrate and ten of the 12 patients with NHS
12 Factor VIII concentrate developed acute NANB hepatitis."

13 Then for the Factor IX:

14 "All four treated with NHS Factor IX without the
15 immunoglobulin contracted acute NANB hepatitis and one
16 of these patients also subsequently developed acute
17 Hepatitis B. Symptomatic acute NANB hepatitis was more
18 common in patients treated with commercial Factor VIII
19 than in those treated with NHS Factor VIII or
20 Factor IX."

21 Then you introduce a note of caution, when you say:

22 "The apparent lower incidence of symptomatic
23 hepatitis amongst NHS Factor VIII treated patients may
24 have been influenced by the difficulty of detection of
25 mild symptoms in infants."

1 Further down:

2 "The incubation period of acute NANB hepatitis was
3 related to the type of product infused, being shorter in
4 patients treated with commercial Factor VIII than in
5 patients treated with NHS Factor VIII."

6 In retrospect, possibly to do with viral titre or
7 viral load in the product?

8 A. Yes, although there was the background thought that we
9 may be dealing with two agents.

10 Q. Yes:

11 "No apparent association between incubation periods
12 and the dosage of Factor VIII or IX."

13 Then you go on to say:

14 "It was noticeable that the two patients treated
15 with NHS Factor VIII concentrate who did not develop
16 non-A non-B hepatitis, patients 20 and 21, had had the
17 highest previous exposures in the NHS Factor VIII
18 treated group and were treated with relatively small
19 doses of concentrate for their first exposure."

20 And then some differences in the rates of
21 progression to chronic hepatitis, and we can see all of
22 this in the table, which is on the next page.

23 We can see that group between patients 20 and 25 who
24 are shown as having no hepatitis, five of them who had
25 cryoprecipitate and two of them who had NHS Factor VIII.

1 Patient 16 looks to have been an infant, who was
2 first given cryoprecipitate and didn't develop
3 hepatitis. But then, if we look further up, we can see
4 that at the age of 27 months he was given NHS
5 Factor VIII and did go on to develop hepatitis. Is that
6 right?

7 A. Yes.

8 Q. Just so we are not confused by patient 16 appearing
9 twice.

10 A. I think the haemophilia directors had actually
11 concluded, as this was evolving, that they should use
12 the cryoprecipitate whenever possible and particularly
13 for the younger patients and, similarly, the NHS
14 Factor VIII rather than the commercial Factor VIII
15 should be used for the younger patients, but the caveat
16 there was within the constraints of it being available.

17 Q. Yes. I want to come back to that, Professor Thomas,
18 because in the 1980s there were obviously some difficult
19 product choices to be made at different points.

20 THE CHAIRMAN: The other thing that it would be helpful to
21 get some sort of flavour of is what you have mentioned
22 before, that information was circulating among the
23 haemophilia clinicians considerably in advance of
24 publication of papers like this. The temptation,
25 I think, for someone like myself is to take the date of

1 publication as the date of dissemination of information,
2 but that might be wrong.

3 A. I think it is wrong. I don't know how many haemophilia
4 centres there were in the UK but it must have been 10 or
5 12 or something of that order and they were a very well
6 organised group of physicians dealing with a relatively
7 small group of patients. They met regularly to try and
8 work out what was going on and to agree priorities about
9 which of the material should be used for which groups of
10 patients.

11 One thing that happened, for instance, that you
12 start to see in this study is that if a patient needed
13 two or three treatments, they would try to use the same
14 commercial Factor VIII concentrate; hence the reason for
15 these batch numbers in the third or fourth column. That
16 wasn't always possible. So you can see patients 2 and 3
17 got two batches but most of the other ones would have
18 received all their treatment over a few days from the
19 same batch and that might mean getting a similar batch
20 from another centre so that that could happen. The
21 younger patients, who had not had previous exposure,
22 were the first up with a call on the cryo, for instance,
23 when it became apparent that, probably because there
24 were only eight or nine donors in a batch of cryo, this
25 was a relatively safe preparation -- relatively safe in

1 terms of non-A non-B. Post-1983, of course, we also
2 knew that the donors were -- because so few were
3 involved, it was improbable that we would transmit HIV
4 with cryo because that was occurring at a very low
5 frequency in the population.

6 THE CHAIRMAN: Yes. I think it has gone slightly off where
7 I started. I think the reference to 10 or 12 would be
8 a reference to the reference centre rather than the
9 total number of centres where haemophilia patients would
10 be treated. There were a lot more of them, I think.
11 But certainly, if we concentrate on those who would be
12 the opinion formers, they would be the senior
13 representatives of the profession.

14 A. Yes, and they met regularly. I know Peter used to come
15 back and tell us what was happening, and John Craske,
16 for instance, I know used to go to the haemophilia
17 meetings.

18 MS DUNLOP: Faithfully. Every set of minutes he seems to
19 have been there, and on their working party on hepatitis
20 as well.

21 A. Yes.

22 Q. I think unusually, we have been told, for a UKHCDO
23 working party, it was convened by Dr Craske and not by
24 a haemophilia clinician, which all shows how very
25 interested and aware of the topic he was.

1 We should also look in the table, professor, at the
2 symptoms column. It is interesting, I think, to see how
3 many of the patients had no symptoms. "S" is "Symptoms"
4 and "SJ" is "Symptoms Including Jaundice". It does say
5 at the bottom:

6 "J indicates the presence of clinical jaundice."

7 A. Although there isn't a statistical difference between
8 the NHS and the commercial concentrates in this area.
9 I think, when you look at the data -- and this comes
10 through with most of the studies -- the severity of the
11 hepatitis is worse in the commercial concentrates.

12 Q. Yes, severity of the acute attack?

13 A. Of the acute attack, particularly as evidenced by
14 jaundice. You can see it here, I think. Four have "J"
15 in that column, having jaundice, four out of nine,
16 whereas only one of the NHS has a jaundice report. That
17 must be related to the higher viral load in the
18 commercial material, although there is enough, even in
19 the NHS, to make sure everyone was infected.

20 Q. Yes.

21 THE CHAIRMAN: What's the zero?

22 MS DUNLOP: Zero is no symptoms.

23 THE CHAIRMAN: Is it? Then there is a great big blank half
24 way down. That's just where there is no hepatitis?

25 MS DUNLOP: They didn't get hepatitis, yes. So the zeros

1 are asymptomatic hepatitis sufferers, yes. We can
2 certainly see that some of those involved were pretty
3 young. The youngest seems to have been four months.
4 Four months, eight months.

5 I'm going to skip over the next two tables because
6 I don't think we need to study them and move on to the
7 discussion, which is two pages further on. Here we have
8 it on the screen. In the seventh line:

9 "It is probable that a susceptible patient exposed
10 to more than about 300 donor units of blood products
11 will develop post-transfusion NANB hepatitis. Since
12 clotting factor concentrates are usually prepared from
13 pools of at least 1,500 donor plasmas, it's not
14 surprising that the overall attack rate following
15 a first exposure to these products should approach
16 100 per cent, whether they are of volunteer or
17 commercial origin."

18 I think the highest number that we have seen for
19 a plasma pool is 30,000 donations, but that was
20 a commercial pool.

21 There is then a mention of the Fletcher paper, at
22 which we just looked, and you and your colleagues
23 suggested that:

24 "Previously reported lower attack rates in
25 comparable groups of patients are probably mainly

1 attributable to reliance on symptoms rather than
2 biochemical screening to detect hepatitis."

3 THE CHAIRMAN: Could I ask a question at this stage? One of
4 the things I have noticed in the literature is that
5 quite often there are quite different criteria applied
6 in determining whether there is hepatitis. I think in
7 some of the American papers I have seen reference to
8 nothing but ALT measurements. You very carefully in
9 this paper point to the three criteria -- I think it's
10 at the beginning of this one, or is it Kernoff's
11 paper? -- that were applied. Was there ever any
12 generally accepted approach to presenting the data?

13 A. I think the thing that we thought should be in there was
14 the context. The third criterion in Peter Kernoff's was
15 that there should be no cause for the hepatitis other
16 than blood products administration. So, for instance,
17 if the patient were taking a medication -- let's say,
18 an antibiotic -- which is known to cause hepatitis, then
19 that would be included.

20 So I think the only difference really would be
21 whether you used ALT, which is an enzyme that
22 specifically arises in hepatitis, inflammation of the
23 liver, as opposed to AST, which increases --

24 THE CHAIRMAN: Aspartate --

25 A. Aspartate transaminase, which increases, for instance,

1 after a pulmonary infarct or a heart attack, as well as
2 after liver damage.

3 THE CHAIRMAN: It just means that one has to pay very
4 careful attention to the criteria set out in the
5 individual paper.

6 A. Yes. And that would have a minor effect, though,
7 I think, on the incidence of hepatitis because you are
8 not going to find in a transfusion setting, you know,
9 people with myocardial infarctions or pulmonary infarcts
10 really, unless, as in the American studies, of course,
11 they were looking at post coronary artery surgery.

12 THE CHAIRMAN: As some of them were.

13 A. As some of them were, yes.

14 THE CHAIRMAN: Yes, thank you.

15 MS DUNLOP: Yes. You also comment, in relation to the group
16 of patients who were studied retrospectively, that there
17 reliance had been placed on the patient to report
18 illness to his physician, and the detected incidence was
19 even lower, at 12 per cent.

20 But, changing the theme, you go on to say:

21 "The absence of hepatitis amongst our
22 cryoprecipitate-treated patients probably reflects their
23 relatively low exposure, as none received more than 70
24 donor units."

25 So, to use language with which we have become a bit

1 more familiar, there are some false negatives in the
2 concentrate-treated patients, particularly the
3 retrospectively analysed perhaps because of the need to
4 rely on reporting, but amongst the
5 cryoprecipitate-treated patients the authors, you and
6 your co-authors, are suggesting that that is probably
7 a genuine finding and reflects their relatively low
8 exposures. Is that correct?

9 A. Yes, and that's shown up by the need not just for
10 a single ALT estimation but for multiple ALT estimations
11 because we knew, as I showed you in one of the earlier
12 diagrams of the acute and chronic infections, the ALT
13 may fluctuate, returning to the normal range between
14 episodes of hepatitis, and the probability of that
15 occurring is much lower, of course, if you have half
16 a dozen observations.

17 Q. Yes. A single measurement may not be as good a guide?

18 A. Yes, and that was the reason for following patients with
19 repeated observations.

20 Q. Yes. The next part of the discussion is about ISG. But
21 the concluding paragraph, on the following page, says:

22 "Whether prepared from volunteer or commercial donor
23 plasma, clotting factor concentrates carry a very high
24 risk of acute NANB hepatitis in first exposure
25 recipients. Even substantial previous exposure to other

1 blood products may reduce this risk only marginally."

2 And you make the point you have made here today
3 about the hope that safer products might be coming and
4 the possibly of your data being used in a comparative
5 exercise.

6 You also go on to say that many patients with mild
7 bleeding disorders, who in the past might have been
8 considered suitable for therapy with concentrates are
9 now considered more appropriately treated with
10 cryoprecipitate or DDAVP.

11 The other reference which you gave at this point in
12 your report, Professor Thomas, was to a letter from
13 Scotland, which bears the reference [\[LIT0013859\]](#). It's
14 the Lancet of September 2nd 1989. We can locate this in
15 time by noticing that:

16 "The Lancet has recently reported that there may be
17 a test for Hepatitis C which will detect antibodies to
18 the major virus-causing post-transfusion non-A non-B
19 hepatitis in patients receiving blood products derived
20 from donors."

21 And the authors are reporting the prevalence of
22 anti-HCV in patients with haemophilia who have received
23 blood products manufactured exclusively from blood
24 donors in Scotland by the Scottish National Blood
25 Transfusion Service and in recipients of commercially

1 prepared Factor VIII.

2 61 patients have been studied and they all have
3 either Haemophilia A or B or von Willebrand's disease.
4 The Ortho ELISA test has been used. 48 of these
5 patients had received non-heat-treated Factor VIII or IX
6 before 1985. 41 of them were seropositive. On top of
7 the 48, there were seven who had received only
8 heat-treated concentrates and a few donations of
9 cryoprecipitate and none of that group was positive.
10 Six patients received only small amounts of
11 cryoprecipitate or red cells and are anti-HCV negative
12 and the results are set out in the table.

13 So in this little group 85 per cent of patients who
14 would have had a history of NANBH are antibody positive,
15 and that's the 41 who had had non-heat-treated product
16 before 1985 and were seropositive.

17 Then, if we could go over the page, please --

18 A. Actually the previous article is also of interest
19 because it looks at the frequency of HIV infection.

20 Q. Yes.

21 Excuse me a moment.

22 A. Antibodies to Hepatitis C virus in haemophilia. But
23 they also look at anti-HIV and it just emphasises that
24 in those with moderate haemophilia you start to see
25 a lower frequency of HIV positivity, just reflecting the

1 fact that HIV was of relatively low prevalence in the
2 UK, or in Scotland, and therefore, even with large donor
3 preparations, if you are using modest amounts, there
4 would be a reasonable number that would not be infected,
5 whereas, when you look at the HCV data, the moderate and
6 severe patients with inhibitors, the figures of anti-HCV
7 positivity are very similar.

8 Q. Yes.

9 A. Which reflects the higher prevalence of this virus.

10 Q. Yes.

11 A. Of interest is why there is about a third who didn't
12 become infected. You might have expected them all to be
13 infected, bearing in mind that all Factor VIII
14 concentrates would have contained the virus.

15 Q. Of course. The point that's being made to me is that
16 this was the first generation of testing kits.

17 A. Exactly. So there may have been lower sensitivity.

18 PROFESSOR JAMES: We know now -- and we have heard
19 evidence -- that those first generation kits were of --

20 A. Of low sensitivity.

21 PROFESSOR JAMES: -- low sensitivity.

22 MS DUNLOP: Yes. Just to get the detail of that letter,
23 could we go back up the page, please? This is coming
24 from France, I think, isn't it, this letter, via --
25 I don't want to say "Monsieur" because it may be

1 "Madame" -- coming from Noel and others. Can we go on
2 to the end, please, just to see the end of this
3 particular letter? In fact your paper is referenced in
4 the French letter, I noticed.

5 In fact the authors of Edinburgh letter, that we
6 looked at before, are wondering why all such patients
7 are not anti-HCV positive, and the explanation may be in
8 the kits:

9 "Perhaps they possess antibody but at a level below
10 the detection level of the ELISA-or they may be HCV
11 antigenaemic in the absence of specific antibody.

12 "Of great interest is the finding that all
13 7 patients who received only heat-treated Factor VIII/IX
14 concentrates are anti-HCV negative."

15 Of course, it's not specific about what the heating
16 protocol was, the extra heat-treated having come in in
17 1987. I suppose some at least of them might have had
18 the extra heat-treated product. But at any rate,
19 Professor Thomas --

20 THE CHAIRMAN: This is unfairly exchanging information you
21 have not got, professor.

22 MS DUNLOP: No. I think what we can take from the
23 two references, your paper and this letter, is exactly
24 what you say, that overall there is a very high rate of
25 infection and that the likelihood of infection doesn't

1 really vary much between commercial concentrates and NHS
2 concentrates.

3 A. And against that high infection rate it's easy to see,
4 when you have a therapeutic advance such as this early
5 heat, where they are only looking at seven patients and
6 where none of them became infected, even if only half
7 had been infected, it would still be likely to be
8 encouraging.

9 Q. Yes. Right. I think, sir, that's a good moment at
10 which to pause.

11 (1.04 pm)

12 (The short adjournment)

13 (2.00 pm)

14 THE CHAIRMAN: Yes?

15 MS DUNLOP: Yes, thank you.

16 Professor Thomas, before lunch we were working our
17 way through your report, which is [\[PEN0171071\]](#). We had
18 reached page 7, which is 1077, and we had just looked at
19 the two references about two thirds of the way down the
20 page. That's to the paper in which you were involved,
21 and also to a letter from Dr Ludlam and others to the
22 Lancet.

23 If we can just go down to the bottom of the page, we
24 can see that you are dealing with the likelihood of
25 people with haemophilia acquiring, respectively, HIV and

1 then going on to HCV from their treatment. As you say,
2 the prevalence of HIV in the donating volunteer
3 community was very much lower, and I think we all
4 understand that.

5 The commercial or paid donor-derived material was
6 more frequently infected than the volunteer material
7 because of the higher HIV prevalence in this group,
8 which often included IV drug users.

9 You say at the bottom:

10 "Thus, the frequent of serological evidence of HIV
11 infection in treated patients with Haemophilia A or B
12 was influenced by the severity of the haemophilia
13 determining the frequency of the administration of
14 Factor VIII or IX."

15 Then you go on to identify three factors which will
16 influence the risk of blood-borne contamination of
17 coagulation concentrates. I think you want to alter the
18 reference there, which at the moment is shown as
19 a reference to the Ludlam letter, and actually you
20 wanted to refer to the letter which we saw immediately
21 before.

22 A. Yes. It's Noel et al.

23 Q. It's by Noel and others. So it will, in fact, have the
24 same reference because it's all part of the same
25 document. So it's [\[LIT0013859\]](#), but it's that letter

1 from the French group that we looked at before lunch.

2 So just to look at these three factors, that the
3 risk of blood-borne virus contamination was related to
4 the number of donors used for each batch, the prevalence
5 of each blood-borne virus in the donor population, and
6 the severity of haemophilia, determining frequency of
7 coagulation factor therapy, and therefore the number of
8 batches to which each patient was exposed.

9 With HCV, of course, there is a different picture
10 because if all the batches have some Hepatitis C in
11 them, then there is a very high likelihood of infection,
12 and that would be true for anybody treated with
13 concentrates, even those rarely treated with
14 concentrates. We saw some of the illustrations of that
15 in the papers we looked at before lunch.

16 Then you go on to allude to some of the selection
17 criteria for donors and to refer to a paper which
18 I think we asked you to look at, which is one by
19 Phil Minor and others in the Lancet. The reference for
20 that is [\[SGF0011380\]](#). Perhaps we could look at it just
21 now. This is about respective levels of infection.

22 It's that letter which we can see beginning in the
23 left-hand column, headed up "Antibody to Hepatitis C
24 Virus in Plasma pools". The letter says that the
25 authors are reporting the results of tests, I think it

1 is, with the Ortho Diagnostics anti-HCV ELISA on plasma
2 pools, from which such products -- that's
3 concentrates -- are prepared. We can see for ourselves
4 the different pools that they sampled. The results are
5 tabulated. Really quite a stark difference between the
6 pools from the USA and the pools from the UK.

7 A. I think that's reflecting the lower proportion of the
8 donor material being positive for anti-HCV and therefore
9 that's diluted, and with limiting sensitivity, then
10 there would be some undetectable.

11 Q. So it's really the two factors that we discussed before
12 lunch: lower titres going in in the first place and
13 possibly limited sensitivity of the test.

14 A. Yes.

15 Q. Interesting to note that statistic at the bottom:

16 "Two of 538 donations from UK sources were positive.
17 A frequency of 0.4 per cent consistent with previously
18 reported figures."

19 A. That's the figure that I used earlier on in my document
20 really, saying that 0.4 per cent/0.5 per cent, I think
21 I cited, of donations were positive, and Phil Minor, of
22 course, is from what was the Central Public Health
23 Laboratory, or the Centre for Disease Control, so he
24 would be privy to the figures.

25 Q. NIBS and C, we have heard it called.

1 A. Yes.

2 Q. Actually one of the things that the authors say in their
3 letter -- this is from the right-hand column -- is that:

4 "Another possibility is that the Ortho Chiron test
5 detects antibodies induced by American strains of HCV
6 more than it does antibodies induced by European
7 strains."

8 Which is a good hypothesis?

9 A. Yes, I think were Peter Simmonds here, he would say that
10 the assays were not equally sensitive for the different
11 genotypes of the virus, so far as I understand it.

12 Q. Yes, we did look at some research that was carried out
13 on the first generation assays and how successful they
14 were at picking up, respectively, genotype 1 and
15 genotype 3, and there was a difference, at least
16 according to our understanding. But it does mention
17 also, as a possibility, the US pools contain a very high
18 proportion of strongly positive donations.

19 They say at the end:

20 "Our findings imply that the prevalence of positive
21 donations in the American pools is very high, possibly
22 approaching 100 per cent. This may reflect the fact
23 that in the US, plasma for blood products often comes
24 from paid donors. Examination of pools for HCV RNA is
25 planned."

1 But I think the important point that we need to take
2 from all of this is that even although the
3 United Kingdom pools seem to have very much lower levels
4 of virus, it's still over some kind of critical level at
5 which infection of the pools will occur and the vast
6 majority of recipients will acquire Hepatitis C at this
7 time?

8 A. That's what I take from the overall data.

9 Q. Yes. Can we go back to the report, please? You say
10 exactly that in your report, in your discussion of this
11 paper.

12 Go a little bit further down the page, please, just
13 to see that paragraph in which you discuss this letter.

14 (Pause)

15 Perhaps we can just read to the end of this section.

16 (Pause)

17 You say that:

18 "The haemophilia directors took the view ... "

19 Possibly slightly later than 1982/1983 but at any
20 rate:

21 "... took the view that NHS concentrates, heat
22 inactivated, should be used because they were
23 demonstrably less likely to transmit HIV while
24 invariably transmitting non-A non-B HCV."

25 So the thinking in the group of haemophilia

1 clinicians would be, obviously, that NHS heat-treated
2 concentrates were much safer from the HIV point of view,
3 and therefore preferable.

4 A. Yes.

5 Q. You have then gone on, Professor Thomas, to deal with
6 the changing perception of severity of NANB hepatitis,
7 and you have talked about the conduct of liver biopsies.
8 Liver biopsy in a patient with haemophilia is not
9 a straightforward matter. Is that right?

10 A. Yes, I mean, they are at risk of bleeding however well
11 it's done, and there were deaths in the haemophilia
12 community, two worldwide.

13 Q. You tell us that between 1970 and 1985, liver biopsies
14 taken from NANB haemophilia cases in Manchester, Oxford
15 and London centres, showed mainly lobular hepatitis and
16 chronic persistent hepatitis, usually indicative of
17 a good prognosis. Could you just explain to us, please,
18 what lobular hepatitis is?

19 A. I'll draw a diagram actually, if I may.

20 If that's what we call a portal tract, where the
21 bile ducts, the hepatic artery and the portal vein come
22 in to the liver. So that's the hepatic artery, the
23 portal vein and the bile duct. And the blood then flows
24 along the hepatic sinusoid to leave by the central vein.
25 If there is inflammation just in the portal tracts, not

1 going outside the fibrous delineating plate, then that's
2 call chronic persistent hepatitis, which is or was the
3 benign prognosis.

4 If there was inflammation going into what we call
5 the periportal area, which is scalloped, and there was
6 piecemeal necrosis, which just means the liver cells
7 around the portal tract were being destroyed, that was
8 called chronic active hepatitis, and was associated with
9 the risk of going to cirrhosis. If there were lobular
10 hepatitis, it meant that the inflammation, rather than
11 just being confined to the periportal area, as in
12 chronic active hepatitis, it was spread throughout the
13 hepatic lobule evenly, and that was called chronic
14 lobular hepatitis, and again was said to be of a benign
15 prognosis.

16 These prognostic indices, based on the liver biopsy,
17 were really based on what we saw in Hepatitis B virus
18 infection, and it was assumed that the same would be the
19 case with chronic Hepatitis C. So chronic persistent
20 hepatitis and chronic lobular hepatitis, which was seen
21 in the early biopsies, were deemed to be indicative of
22 a good prognosis. If there was any chronic active
23 hepatitis with piecemeal necrosis, that would be a poor
24 prognosis. And if there was bridging fibrosis, which
25 means fibrous tissue going between either the portal

1 tracts to the central veins, or between the portal
2 tracts, bridging fibrosis was an indication of the onset
3 of the beginnings of cirrhosis. So that was really the
4 basis for saying that initially this was a benign
5 prognostic disease.

6 Q. Was that based on, the supposition that either chronic
7 persistent hepatitis or chronic active hepatitis would
8 not progress?

9 A. Would not progress, was unlikely. There were, however,
10 cases in the literature with Hepatitis B where chronic
11 persistent hepatitis did progress. So it's only -- it
12 was only reflecting probabilities of this outcome. It
13 isn't an absolute measure.

14 This was the reason for doing these biopsies really.
15 It was the only basis that we had for giving
16 a prognosis. Also, of course, on the basis of biopsy,
17 you could give an Ishak score stage in the fibrosis of
18 whether it was limited to just the portal tracts or
19 whether it was spreading throughout the lobule, which
20 would give a higher score on the Ishak score of
21 fibrosis.

22 Q. Lobule is a section of the liver?

23 A. A lobule really is one functional unit, really
24 determined by the blood flow coming in and leaving;
25 coming in through the hepatic artery and portal vein and

1 leaving via the central vein.

2 Q. In retrospect, a supposition that chronic persistent
3 hepatitis or chronic active hepatitis would follow the
4 same course as Hepatitis B and not progress in
5 Hepatitis C, was that wrong?

6 A. I think that was wrong, yes.

7 Q. Yes.

8 A. But the other confounding factor here was that we didn't
9 know where we were in relation to the beginning of the
10 illness, because the other variable which determined how
11 much scarring there would be in the liver, how much
12 fibrosis, would be how long the infection had been
13 going; and as we discussed earlier, in many of the cases
14 it would have an asymptomatic start but -- and rarely
15 did it have a --

16 Q. A defined --

17 A. A defined start, yes.

18 Q. As you have said, the easiest is a patient who has had
19 a blood transfusion on a known date, and you can then
20 say that's likely to be the onset of the illness, but
21 for other patients, particularly those with haemophilia,
22 that's not possible?

23 A. Yes.

24 Q. I'm just needing to check the transcript. (Pause)

25 A. But even in the earliest papers, there were some of the

1 more severe lesions. So it wasn't, you know, all black
2 or white. The reason for doing the biopsies was that
3 those prognostic signs might be seen and that would give
4 us an indication of what would be likely to happen in
5 the future.

6 Q. Right. Can we just look at your report. You have said
7 that:

8 "The initial biopsies showed mainly lobular
9 hepatitis and chronic persistent hepatitis."

10 So in the progression, I should have put lobular
11 hepatitis and chronic persistent together, and then
12 chronic active is a deterioration?

13 A. Yes.

14 Q. Right.

15 A. And the reason for -- also in the biochemical data, if
16 you -- what you expect to see with lobular hepatitis is
17 an ALT, the aspartate aminotransferase, going up and
18 then normal -- this sort of fluctuating pattern is what
19 you see in chronic lobular hepatitis, and this is what
20 we saw classically in the haemophiliacs, which I tried
21 to depict in one of the serological diagrams I showed
22 earlier on in the document.

23 So it was the biochemical picture which made us
24 think we were going to see lobular hepatitis, which is
25 spread of the inflammation throughout the lobule, and

1 indeed, that's what was seen in a significant number of
2 these cases. But there were some that also unexpectedly
3 had cirrhosis, already having gone right the way to
4 cirrhosis.

5 Q. Right.

6 PROFESSOR JAMES: Could I add just two tiny things?

7 I'm sure Professor Thomas would agree that the
8 problem with the liver biopsy is it represents only an
9 absolutely minute -- I mean, less than 1 in 5,000th, or
10 whatever, piece of the liver. So, in a way, there is
11 a tremendous opportunity for what's called sampling
12 error in the liver biopsy.

13 Perhaps the second thing to say is that the other
14 centre that was doing liver biopsies that we are aware
15 of, of course, and Howard too, is Sheffield. And they
16 actually, as you remember, had a rather worse opinion of
17 what the liver biopsies of haemophiliacs looked like and
18 were slightly poo-pooed, for example, by the centres in
19 Manchester and perhaps Oxford at that time. I don't
20 know whether you would agree with that, Howard.

21 A. Yes, I do. The first paper in 1978, from David Triger
22 and his group in Sheffield, already showed that some
23 patients with Factor VIII concentrate-associated disease
24 had cirrhosis.

25 But the trouble with that study and some of the

1 other studies was, of course, clinicians didn't biopsy
2 so-called allcomers, they tended to biopsy, one
3 suspects, those where they thought there would be, you
4 know, a worse scenario. So there was what we would call
5 case selection towards the adverse end of the disease
6 spectrum. So that was another confounding, as well as
7 the sampling error that Oliver has mentioned.

8 MS DUNLOP: I did want to go to Sheffield because I think
9 you have the understated/overstated papers there, but
10 I'm not there quite yet.

11 PROFESSOR JAMES: I beg your pardon.

12 MS DUNLOP: No, we are going to Sheffield.

13 PROFESSOR JAMES: I can't wait.

14 MS DUNLOP: Just to finish this page, you do refer,

15 Professor Thomas, to different editions of
16 Sheila Sherlock's textbook, and we know that this is
17 a seminal work in the area. Is that right?

18 A. Yes, she was a really very famous physician and her
19 textbook, really, was taken as an absolute truth almost.

20 Q. Yes. So in the sixth edition of her textbook in 1981,
21 which, as you have pointed out, will be material
22 prepared before 1981, obviously, she said that NANB
23 hepatitis had a good prognosis but you say, on the basis
24 of a study in the Journal of Clinical Pathology, views
25 changed. I wanted to look at that. That's

1 [\[LIT0010759\]](#).

2 Can we look at the first page in, please?

3 This study, in which you were involved, looked at 12
4 serologically proven cases of non-A non-B hepatitis.
5 The clinical course was mild in 11 patients. One
6 patient presented in portal-systemic encephalopathy.
7 You had better explain portal-systemic encephalopathy,
8 please.

9 A. It's a cognitive dysfunction related to accumulation of
10 ammonia-like compounds because the liver isn't working
11 properly.

12 Q. Nine of the 12 patients continued to exhibit raised
13 transaminase activities six or more months after the
14 onset of the acute hepatitis. You go on to talk about
15 the conduct of liver biopsies, and you say:

16 "Histological findings covered the whole spectrum of
17 acute and chronic hepatitis and one patient had
18 cirrhosis. One notable feature in these biopsies was
19 the presence of fatty changes."

20 A. These were non-haemophilia patients because we, at that
21 stage, didn't want to biopsy haemophiliacs, really.

22 Q. So these are likely to have been transfusion recipients?

23 A. These are transfusion recipients, or cases where there
24 wasn't a transfusion history but on serological grounds
25 they were designated non-A non-B and there was no

1 evidence of a drug toxicity.

2 Q. Right. The first point to note from the main text of
3 the article is the reference in the second paragraph to
4 the viruses, and by that you are meaning NANB agents,
5 appearing to be a significant aetiological factor in
6 chronic liver disease. You refer to findings varying
7 from 12 to 25 per cent as a cause of sporadic hepatitis
8 should we read that as equivalent to acute?

9 A. Yes, that was an acute sporadic hepatitis, but since --
10 we didn't have a transfusion event to mark the beginning
11 of the event, so we didn't have any earlier specimens,
12 we just had specimens that were during the established
13 hepatitis, and that, therefore, made it difficult to
14 determine whether this was an acute hepatitis or whether
15 it was one of these sort of episodes of a flare-up of an
16 existing chronic lobular hepatitis.

17 Q. You give a range of 23 to 46 per cent for rates of
18 chronic hepatitis.

19 A. The other community-acquired so-called sporadic
20 hepatitis would, of course, be Hepatitis A and B, and
21 this was the group that were left after exclusion of
22 those.

23 Q. Yes. Then the now familiar setting out of the criteria
24 for inclusion in the study. Then on to the next page,
25 please. We can see again the logic of excluding other

1 possible causes, including Epstein-Barr virus and
2 cytomegalovirus. Oh, no, you say you couldn't exclude
3 those due to insufficient serum but you excluded
4 Hepatitis A.

5 A. And B.

6 Q. And B, yes.

7 A. Actually I should say, Epstein-Barr, of course, can
8 occur sporadically but cytomegalovirus usually occurs in
9 the context of somebody who is immuno-suppressed. So in
10 a community study you wouldn't expect to see CMV
11 contributing but Epstein-Barr virus could contribute.

12 Q. You go on to say:

13 "Albeit it was difficult to exclude those two
14 serologically, and the clinical course of the patients
15 was not consistent with either Epstein-Barr or CMV
16 infection."

17 Then skipping past the methods of processing the
18 specimens to the last paragraph on the left-hand side:

19 "The clinical histological diagnoses were ..."

20 Various different features. Then looking at the
21 results, in fact of the 12 patients, six were women.
22 All 12 patients were icteric during the phase of acute
23 hepatitis. Then on to the next page, where you describe
24 the eight patients who had liver biopsy within six
25 months of the acute hepatitis. These results are shown

1 in the table there, table 2. Different features. Then
2 you go on to say -- and this is a little bit further
3 down. Yes, that paragraph beginning "in general":

4 " ... the hepatic histology was as described for
5 other types of acute and chronic hepatitis, however,
6 some features were regarded as unusual."

7 You go on to instance the fatty change. That's
8 steatosis again?

9 A. At that stage, of course, that made us think --
10 steatosis always made us think of alcohol as part of the
11 aetiology. We now know that's not the case. It's seen
12 in Hepatitis C as well.

13 Q. Then you go on to discuss your results. You record that
14 you had studied 12 patients who were considered, on
15 serological grounds, to have had NANB hepatitis, and one
16 of the patients had had a very serious illness in the
17 acute phase. Is that right?

18 A. Yes, a dominant hepatitis, where essentially they
19 develop hepatic encephalopathy indicative of liver
20 failure.

21 Q. That's very unusual for Hepatitis C?

22 A. Very unusual. I think there is one described by
23 a Dr Lee in the United States, and we saw one in the
24 Royal Free actually, who was a serologically defined
25 case of Hepatitis C-induced fulminant hepatitis, and she

1 went on -- a woman again -- to recover.

2 Q. And you say, in fact, that if it's going to happen, it
3 predominantly occurs in females.

4 A. Yes.

5 Q. Just to look at a little bit of the biography of the
6 patients.

7 A. One of the problems with these studies, of course, is
8 that again -- and I hope the discussion illustrates
9 that -- is that we are, all the time, trying to define
10 a group by exclusion of other aetiologies, and the
11 reason for wanting biopsies in these was the hope -- and
12 it was just a hope at that stage -- that we might see
13 something that was characteristic of this condition that
14 would allow us to identify it as a specific disease
15 entity rather than a rag bag of what was left after
16 exclusion of the more defined problems.

17 Q. Yes. So you felt that, although there was obviously
18 diagnosis by exclusion to some extent, there was still
19 room for one other candidate to explain a certain number
20 of the cases?

21 A. Yes.

22 Q. Yes. Then on the next couple of pages we can see for
23 ourselves some of the liver biopsies, which I'm not
24 going to ask you to explain. And you go on to tell
25 us -- can we look to the next page, please, and the

1 right-hand side -- that the histological findings
2 covered the whole spectrum of acute and chronic
3 hepatitis. The features that were of interest were the
4 fatty change, excessive cellularity of sinusoids in
5 relation to the degree of necrosis. What should we
6 understand by that?

7 A. That's really this business of the infiltrating
8 lymphocytes spreading throughout the lobule.

9 Q. Right, and bile duct damage. You have referred to this
10 paper, Professor Thomas, as indicating a shift in
11 thinking on the severity of non-A non-B hepatitis, or
12 the beginning of a shift in thinking perhaps?

13 A. Yes, and if you like, affirmation of what David Triger's
14 group had described in 1978, where they were seeing some
15 patients who already had cirrhosis, and I think, if
16 I remember the results section of our paper, half of the
17 patients had these poor prognostic features; namely
18 chronic active hepatitis with piecemeal necrosis, rather
19 than chronic persistent hepatitis or chronic lobular
20 hepatitis, the indicators of what we thought would be
21 a better prognosis. I think half of them, if I remember
22 rightly, had chronic active CAH.

23 Q. Can we just go back, please, to page 4 of [\[LIT0010759\]](#)
24 just to let you see that? I think this is the section
25 that you are referring to.

1 A. Yes, the table there. If you see, there are -- with the
2 established disease, in other words the chronic state,
3 what, four have lobular hepatitis or persistent
4 hepatitis but three have already chronic active
5 hepatitis, two with moderate or severe severity and one
6 established cirrhosis. So really that confirmed what
7 David Triger had described back in 1978, that
8 immediately after that had not been confirmed by
9 particularly Italian and other groups.

10 Q. Yes.

11 A. So really there was a lot of controversy really over
12 what the outcome was for these patients, and don't
13 forget, these are very small numbers of liver biopsies
14 because of the difficulty of obtaining tissue because of
15 the risks involved.

16 Q. Can we go back to the report, please. Just to mention
17 that we do actually have -- I'm not going to take you to
18 it but we do have the particular passage from
19 Professor Sherlock's book, and I think it's referred to
20 in our preliminary report, that in the sixth edition she
21 said:

22 "Non-A non-B hepatitis often progresses to a mild
23 chronic hepatitis. The prognosis of this is, at the
24 moment, uncertain but probably benign."

25 So she didn't commit herself completely perhaps to

1 the view that there was a good prognosis, but I take the
2 point you make in your report, that the general sense of
3 what she was saying was reassuring.

4 A. Then by the eighth edition really, which was being
5 prepared in, let's say two or three years prior to 1989,
6 she has changed her stance by saying 20 per cent develop
7 cirrhosis over 20 years, which is, I think, what we
8 currently believe, and if you wait 30 or 40 or 50 years,
9 then that proportion with cirrhosis goes up
10 progressively, as exemplified by what we see in Asian
11 patients when biopsied in their 40s or 50s, and they are
12 often infected in childhood.

13 So we are looking at patients maybe 30 or 40 years
14 into the disease. Then the majority of these have
15 cirrhosis. So it's a slowly progressive disease but if
16 you wait long enough and the -- you know, 30/40/50 years
17 would be what we are starting to see in the Asian
18 community, then you do see the majority developing
19 cirrhosis.

20 Q. Let's just jump to what she said in the eighth edition
21 if we could, please. That's over the page. Just to let
22 people see. Here we have it:

23 "By 1989, Sherlock, in the eighth edition of her
24 textbook ... "

25 That passage. So, yes, results, I suppose, from

1 surveys of people infected in very early life must be
2 the most valuable because they give you the longest
3 period over which to monitor what happens.

4 Just to follow this chain of papers a little bit,
5 can we go back to the bottom of the preceding page,
6 please? You refer to studies from the United States,
7 also reflecting the changing view, and one example is
8 that reference Koretz and others from Los Angeles.

9 That's [\[LIT0013738\]](#). It's just an abstract, I think.

10 What will this be? An abstract of a presentation or of
11 a paper?

12 A. This will probably be at the American liver meeting and
13 published as an abstract in Hepatology.

14 Q. Right. I suppose in the context of the sorts of sizes
15 of studies we have looked at, Professor Thomas, this is
16 not bad, 66 patients.

17 A. It's one of the bigger ones, yes.

18 Q. Yes.

19 A. They are seeing cirrhosis in around 6 per cent. After
20 four to nine years of follow-up. So still relatively
21 early on.

22 Q. And the overall incidence -- and this is from the middle
23 of the middle paragraph:

24 "The overall incidence of chronic liver disease was
25 between 35 per cent and 53 per cent."

1 And all they have done there is to take the known
2 number, which is 23, and add on for the possible top
3 number, the 12 patients who either died or were lost to
4 follow-up. So these are the parameters of the group who
5 developed chronic liver disease. It's between
6 35 per cent and 53 per cent. And, yes, you have said
7 histologic confirmation of cirrhosis has been
8 established in four. Then we can see the conclusions:

9 "NANB post-transfusion hepatitis commonly results in
10 chronic liver disease. Cirrhosis has occurred in at
11 least six per cent of those developing NANB
12 post-transfusion hepatitis after four to nine years of
13 follow-up."

14 Again, in retrospect, quite short period of
15 follow-up given what you now know can happen over
16 decades.

17 A. Yes.

18 Q. Yes. "Patients with NANB post-transfusion hepatitis
19 should be followed for many years after the onset of
20 disease if biochemical resolution fails to take place.
21 Cirrhosis develops in a clinically silent fashion and
22 usually only after years of activity."

23 A. Of course, the other thing that I think we will probably
24 discuss later is that there are other accelerants of the
25 rate of fibrosis, which we will come to later, which may

1 have been operative in the four who developed cirrhosis
2 here, for instance.

3 Q. Part of this consideration of the changing perception
4 does require that we look at some of the information
5 from Sheffield. I don't know if it requires it so much
6 as it is being notable for the catchy titles of the
7 papers. It seems somehow balanced to look at the two
8 articles which describe it respectively as an overstated
9 problem and an understated problem. So that's what
10 I plan to do. When I say "it", I mean, of course, liver
11 disease in haemophilia.

12 I think the most sensible order is actually to look
13 at the Manchester article from 1983, which is entitled
14 "Liver Disease in Haemophiliacs: an overstated problem",
15 published in the British Journal of Haematology in 1983
16 and having our reference [\[LIT0010008\]](#).

17 Quite a small number of patients, 12 multitransfused
18 haemophiliacs, it says, from the Manchester area with
19 persistently abnormal liver function tests. The tone of
20 this piece is essentially reassuring, Professor Thomas,
21 is it?

22 A. Yes, but I think the criticism, of course, is that, like
23 our own studies, it's on very small numbers and, you
24 know, you have to look at the overall picture really,
25 putting it all together.

1 Q. Yes.

2 A. They are looking only at 12 cases; we only looked at
3 half a dozen. So I think it's all -- in terms of
4 getting a feel for the spectrum of lesions you might see
5 in the overall population of patients, several thousand,
6 this is only suggestive evidence really.

7 Q. Of course, lawyers are fond of pointing out that no
8 evidence that X is the case is not equivalent to
9 evidence that X is not the case?

10 A. Yes, exactly.

11 Q. Sorry. (Pause)

12 It's being pointed out to me that even within the
13 group of 12, there is one patient with chronic active
14 hepatitis and a further four with mild chronic active
15 hepatitis. There is one patient with cirrhosis, sorry,
16 and a further four with mild chronic active hepatitis.

17 In the narrative this article does in fact refer to
18 previous reports of a high prevalence of abnormal liver
19 function tests in multitransfused haemophiliacs, and one
20 of the references is a Sheffield report. I just wanted
21 to pause and, keeping this article open, look at that
22 particular previous reference, which is Preston et al,
23 1978. The reference for that is [\[LIT0010387\]](#). It's the
24 Lancet of 16 September 1978.

25 We can see, just from the summary, what the tenor of

1 the results was. Abnormal liver function tests in
2 77 per cent of the patients studied:

3 "Percutaneous liver biopsy carried out on eight
4 symptom-free patients under Factor VIII cover. A wide
5 spectrum of chronic liver disease was demonstrated,
6 including chronic aggressive hepatitis and cirrhosis."

7 A. What they don't say is how they selected the ones for
8 biopsy from the overall population, and as I mentioned
9 earlier, clinicians do not like doing biopsies unless
10 they think they are going to find something significant.

11 Q. So there is a bit of a selection bias.

12 A. A selection bias, yes.

13 Q. Although they say, in their passage under the heading
14 "patients":

15 "All patients had received Factor VIII replacement
16 therapy on at least one occasion during the preceding 12
17 months. Apart from this, selection was random."

18 But I understand the point you make:

19 "The selected patients were well known to us and
20 were considered to be intelligent and responsible."

21 I'm not sure quite how that affected their
22 propensity to develop hepatitis, but anyway.

23 Perhaps we can just take a moment to look at the
24 results ourselves. If we look on to the second page, we
25 can see there is a table on the patients who had liver

1 biopsy.

2 THE CHAIRMAN: Can I blow it up a little, please?

3 MS DUNLOP: Sorry, yes.

4 THE CHAIRMAN: It's the bottom two.

5 MS DUNLOP: Yes. Actually that paragraph headed "Results"

6 records that:

7 "Liver function tests were normal in only 11 of the
8 47 patients studied."

9 A. The difficulty with all these studies is being sure that
10 what you are looking at is solely caused by Hepatitis C,
11 because there are all the confounders of how much
12 alcohol did they take. We will hear later that the age
13 of infection, the duration of infection, are all factors
14 that determine how rapidly fibrosis progresses, and in
15 most of these studies, those other variables are not
16 known. I mean, the one here with micronodular
17 cirrhosis, you know, could have been someone who took
18 a large amount of alcohol, for instance. Equally well,
19 it could be due to Hepatitis C.

20 So it is difficult to be sure how much of this is
21 due to Hepatitis C or non-A non-B, and that was the
22 other reason for doing the biopsies, because if there
23 were any fat in the liver biopsy, people would suggest
24 that that indicated an additional alcohol factor,
25 because we believed that fat in the liver usually meant

1 alcohol excess.

2 Q. I suppose it depends a bit on the question, doesn't it?

3 I mean, if the question is how serious is the problem,
4 then it may be, for the reasons you give, that the
5 results are not generalisable -- a terrible word -- you
6 can't extrapolate to generalities from these small
7 studies for the reasons you have given: smallness of
8 sample, possible other explanations and so on.

9 But if the request were to be is post-transfusion
10 hepatitis a benign condition that we don't have to worry
11 about, then these studies are of some assistance
12 perhaps.

13 A. Yes, and the other factors are factors which are present
14 in our society, and therefore you have to contextualise
15 the dangers of post-transfusion hepatitis against the
16 backcloth of what we are all doing, which is, you know,
17 taking alcohol, putting on weight, so we are in danger
18 of fatty liver disease to that end as well. So it
19 doesn't mean that it isn't a problem, it just provides
20 other reasons why there is variability, other than
21 differing pathogenicity of the Hepatitis C virus.

22 Q. Yes.

23 THE CHAIRMAN: I wonder how one should look at -- these are
24 very early studies, are they not?

25 A. Yes.

1 THE CHAIRMAN: I don't think any of them purports to be
2 a statistically valid analysis of a relevant population
3 that has been selected on a basis that a statistician
4 would acknowledge as valid either.

5 A. No, exactly. It's just, you know, what's available,
6 suggesting that the clinical course of this infection is
7 not well established at this stage.

8 THE CHAIRMAN: Yes.

9 A. In fact, some would say, even now, we do not really know
10 the factors that determine the rate of progression and,
11 for instance, in Italy Hepatitis C has a much worse
12 prognosis to what you see in northern Europe, for
13 instance, and, you know, that's arguably related to all
14 the other factors, you know, how much alcohol you take,
15 the genetic factors, whether there is co-infection with
16 other viruses, all manner of things.

17 So I don't think this uncertainty about the natural
18 history that was prevalent between 1978 and 1985 has
19 changed massively. I think we are still wondering: is
20 it 20 per cent or 40 per cent that will develop
21 cirrhosis? All we can deduce from these studies is that
22 some people in the context of normal life, you know,
23 where we eat and drink -- you know, some people have
24 severe liver disease. But how many, that's an open
25 question still because none of the studies, as you

1 pointed out, are statistically significant. There isn't
2 a large enough sample of unselected cases.

3 THE CHAIRMAN: On the other hand, if one looks at it from
4 a slightly different point of view, would a person
5 continue to take great comfort from the sixth edition of
6 Sheila Sherlock's book after data of this kind began to
7 be published and made available?

8 A. No, I think they would start to be concerned.

9 THE CHAIRMAN: Because that's the other end of the spectrum
10 of interest, isn't it?

11 A. Yes.

12 THE CHAIRMAN: It's not statistically valid, it doesn't
13 paint a big picture, but it may just cause someone to
14 pause.

15 A. Very much so, yes.

16 MS DUNLOP: Perhaps we should just look at the last page of
17 this, just to see the discussion. We are not looking at
18 all the published material, Professor Thomas. I don't
19 think we could. There are quite a lot of studies and
20 textbooks and so on, from this era and no doubt it's
21 a terrible oversimplification but some are basically
22 pessimistic and some are more optimistic or reassuring,
23 and this is one of the more pessimistic ones.

24 A. Yes.

25 Q. Yes. They are pointing out that they have succeeded in

1 carrying out percutaneous liver biopsy in patients with
2 haemophilia, albeit with Factor VIII cover and
3 appropriate laboratory control. They say that they
4 found -- and this is the middle of the second paragraph:

5 "A wide spectrum of chronic liver disease ... "

6 And they say --

7 A. I suppose it's worth asking how you would present this
8 to a patient really, if you were now to make the
9 arguments for and against, you know, having Factor VIII
10 concentrate treatment. You would be presented with
11 the dilemma of saying, well, you know, let's say it was
12 an elective procedure, where you are thinking of
13 undergoing surgery, you have to provide some level of
14 protection and you have a choice of various coagulation
15 factors that you can use. If you get the best
16 protection, if you like, you would use concentrates but
17 you would have to say that this carries a risk of
18 transmitting, in the majority of cases, irrespective of
19 whether you use commercial or NHS, non-A non-B
20 hepatitis, where there is a variable outcome.

21 We don't really know what proportion will develop
22 cirrhosis but cirrhosis is a disease that progresses
23 over 10, 20, 30 years, not an acute illness, which is
24 what is facing the patient when he is presented with
25 this choice.

1 Q. Yes.

2 A. So, you know, I think with everything we know about the
3 disease now, I think if a patient said to me, "Would
4 I have a Factor VIII concentrate or not?" I think, you
5 know, I would have to have it. You know, there is no
6 choice really, as far as I can see.

7 Q. I suppose that, if you are in this example, if you are
8 a patient with haemophilia, will depend on a lot of
9 factors specific to you: what other treatments might be
10 available.

11 A. Yes, it will depend on the severity. If you had very
12 mild disease, then you would try to get by with
13 vasopressin to stimulate our own production of
14 Factor VIII. I accept that. You would have to, in the
15 discussion that you had with the patient, integrate that
16 information as well.

17 Q. Yes.

18 THE CHAIRMAN: I have to say that if the patient followed up
19 your initial introduction by saying, "Well, just tell me
20 what the range of potential outcomes might be," one
21 would soon get into rather a mess, wouldn't one?

22 A. One would, yes. All you could say is, "Yes, there is
23 a good chance, if you develop non-A non-B hepatitis, and
24 the probability is that you would, we do not know what
25 the outcome will be, but in the worse scenario, you

1 might develop cirrhosis." But if you look at the
2 natural history of cirrhosis, I think there is a nice
3 paper of Giovanna Fattovich, where she took people with
4 existing, known Hepatitis C-induced cirrhosis -- and
5 don't forget, only 20 per cent of the patients will have
6 cirrhosis after around about 20 years, but even when
7 they have got cirrhosis, then the mortality from
8 liver-related pathologies is 2 to 3 per cent. So you
9 are really looking at a high risk of chronic liver
10 disease, which, you know, has a relatively good
11 prognosis when seen against the context of the acute
12 problems that you would be hoping to not get into,
13 obviated by your coagulation therapy.

14 THE CHAIRMAN: And of course, the hypothesis is, or includes
15 here, someone who is going for elective surgery that no
16 doubt has some significant reason behind it.

17 A. Yes, yes, in an acute bleed, of course, the argument is
18 even more strongly in favour but in an elective
19 procedure, I think you would have a choice depending on
20 what the elective procedure was.

21 THE CHAIRMAN: But if one were going to die, let's say, if
22 the morbidity associated with the basic condition was
23 high, the patient would have to measure against that the
24 sort of morbidity factors that you have just been
25 bringing out: very long term and very low rate.

1 A. And that's why, if you look at the haemophilia
2 directors' use of the various concentrates, you know,
3 they try to give to the youngest patients, who, you
4 know, obviously have a greater life expectancy, those
5 lower risk concentrates, such as the cryoglobulins.

6 THE CHAIRMAN: I know that things changed over time but at
7 this early period when these articles were being
8 written, had any haemophiliac died of complications of
9 liver disease?

10 A. No, I think -- I read somewhere in the data that that
11 was very low frequency, if any at all, actually. In
12 fact, one of the authors of one of these papers says
13 that there hadn't been any deaths. But that you would
14 expect from what I said earlier. If you take people
15 with cirrhosis, it's only a few per cent who over 15 to
16 20 years die a liver-related death.

17 PROFESSOR JAMES: We think the haemophilia centre directors
18 published in around 1981 the fact that no haemophiliac
19 had died of liver disease in the preceding five years,
20 which took account of the fact that before that they had
21 been dying of Hepatitis B but that had been obviated by
22 the familiar screening and so on. So that led perhaps
23 to an underestimation of the ultimate significance of
24 non-A non-B just because they said, "Nobody is getting
25 very ill with this".

1 A. Yes. All the problems are rear-ended, if you can use
2 that phrase, really, 20 or 30 years down the line, and
3 then at a relatively low frequency.

4 PROFESSOR JAMES: Yes.

5 MS DUNLOP: Having looked at that 1978 Sheffield paper, can
6 we then go back to what I'm calling the Manchester
7 article, which is [\[LIT0010008\]](#)? This is the 1983 piece
8 in the British Journal of Haematology. It in turn
9 refers back to that paper, Preston et al, on several
10 occasions as being one of the publications indicating
11 a more concerning picture, and perhaps we can just fast
12 forward to the results. That's on page 3 of [\[LIT0010008\]](#).

13 We get some more percentages. Out of a total of 153
14 haemophiliacs attending the department of clinical
15 haematology, Manchester Royal Infirmary, during 1982,
16 52 per cent were found to have abnormal liver function
17 tests. Liver biopsy specimens were obtained in 12 cases
18 and were reviewed by three independent pathologists.

19 The results are set out in table 1. So if we can
20 look at that table, which is over the page, we can see
21 set out there what we noted from the summary. Only one
22 patient showing evidence of chronic active hepatitis,
23 although a further four patients showed some evidence of
24 mild chronic active hepatitis.

25 Sorry, I have done that before. The chronic active

1 hepatitis are patients 8 to 11, so four of those
2 patients with mild chronic active hepatitis, and then
3 patient 12 with chronic active hepatitis with
4 progression to active micronodular cirrhosis.

5 A. The top seven cases have histological findings which we
6 would interpret as indicative of a good prognosis. They
7 have the lobular hepatitis, non-specific changes or
8 chronic persistent hepatitis.

9 Q. So the tone of this paper, and even just given its
10 title, is that it seems to be cautioning against
11 exaggeration of the severity of the problem. Is that
12 correct?

13 A. Yes, yes. You know, there are some worrying things in
14 there but in the main, most of that histology is
15 reassuring.

16 Q. Yes. They go on to say at the very end, if we look at
17 the last paragraph, that they are suggesting that the
18 true incidence of severe histological liver abnormality
19 in multitransfused haemophiliacs may be less than
20 previously reported but similar to the more recent
21 results of 115 liver biopsies carried out worldwide,
22 where the incidence of chronic active hepatitis and
23 cirrhosis was 16 per cent.

24 Then in 1985 what, on any view, is the companion
25 article in the Lancet, 29 June 1985, our reference

1 [\[LIT0010335\]](#). "Progressive liver disease in
2 haemophilia: an understated problem". In his own words
3 Dr Hay told us that they were taking a pop at the
4 previous group, and I suppose this must be to some
5 extent a continuation of the work reported in 1978 in
6 the Lancet. Certainly Preston, Underwood and Triger,
7 had all featured in the paper in the Lancet in 1978.
8 They were finding at least 17 patients with chronic
9 progressive liver disease, eight having chronic active
10 hepatitis and nine having cirrhosis.

11 They went on to say that:

12 "This suggests that chronic persistent hepatitis in
13 haemophiliacs is not as benign as hitherto supposed.
14 Symptoms and abnormal physical signs were uncommon in
15 these patients."

16 In other words, they are pointing to this being, at
17 least in its early stages, a silent problem. It's
18 anticipated that liver disease in haemophiliacs will
19 become an increasing clinical problem in the future.

20 A. I think this is a turning point, isn't it, where people
21 are starting -- and this is the time when Sherlock is
22 writing her eighth edition, to be published in 1989,
23 when she changes her view really.

24 Q. Yes.

25 A. With all the caveats that it's a small number and all

1 the rest of it, that we have already discussed.

2 Q. Yes. They say in their "Patients and Methods" section
3 that:

4 "Since 1977 [they] have been regularly screening
5 haemophilic patients for clinical and biochemical
6 evidence of liver disease."

7 We can perhaps look at the results for ourselves but
8 highlight the initial observation in the discussion
9 section on the next page, that progressive liver disease
10 is a potentially serious problem in haemophilia.
11 Perhaps we can just read on for ourselves to the next
12 page, please.

13 THE CHAIRMAN: Before you go there, the second paragraph in
14 the discussion says that the prevalence increased
15 rapidly with the widespread introduction of Factor VIII
16 and Factor IX. Do you know of any studies at all that
17 dealt with the consequences of use of Cohn Fraction I by
18 the English BPL development or by Scotland?

19 A. You mean how much of that --

20 THE CHAIRMAN: Whether there was any study and whether there
21 are any results available. I'm interested because it's
22 quite clear, I think, both from the writings of Dr Biggs
23 and from work that was done in Scotland and reported in
24 1972, that from about 1956 here in Edinburgh,
25 Cohn Fraction I was being produced and was being used,

1 involving pooling of material and fractionation
2 according to the standard Cohn method, but I don't think
3 we know anything so far about whether there was any
4 hepatitis developing in the populations who were treated
5 with that material.

6 A. No, and most of the albumin, of course, was prepared by
7 a Cohn fractionation process, which involved alcohol
8 precipitation of various proteins.

9 THE CHAIRMAN: The albumin, of course, is the final
10 fraction. It's after a great deal of processing.

11 A. Yes, but I was going to say, the only thing I know is
12 that the albumin is that final phase and that has never
13 been reported to be causing non-A non-B. But I don't
14 know, you know, what the earlier fractionations, you
15 know, of that alcohol precipitation process, you know,
16 whether they were used to any great extent. I don't
17 know whether there is epidemiological data on the
18 incidence of non-A non-B.

19 THE CHAIRMAN: I was just wondering if you did know because
20 I don't think we have seen any at all.

21 MS DUNLOP: Of course, the albumin was pasteurised from
22 a pretty early stage.

23 A. Yes. The other context -- the other person that might
24 know something about that is Andrew Lever, who, when we
25 were working together at the Royal Free, we described

1 non-A non-B associated with intravenous immunoglobulin,
2 which was another product of the Cohn fractionation
3 procedure, where people had diverted away from that
4 because the alcohol exposure caused denatured proteins,
5 and that caused the activation of complement, and all
6 sorts of nasty side effects. And that moving away from
7 that Cohn fractionation procedure, for the production of
8 intravenous immunoglobulin, meant it was no longer safe.
9 It was contaminated with non-A non-B, whereas the
10 intramuscular material made by this fractionation
11 process was free of non-A non-B.

12 THE CHAIRMAN: Following that reasoning, one might think
13 that the first fractionation, which is subjected at that
14 stage to just a straightforward ethanol procedure, with
15 no pasteurisation, no other processes at all, might
16 carry a higher risk, certainly than albumin, but
17 possibly even higher than the immunoglobulins that came
18 after a further process.

19 A. Yes.

20 THE CHAIRMAN: I was merely asking if you knew anything
21 about any study that might bear on that.

22 A. No, I don't. I think the Elstree fractionation people
23 kept detailed records of that and it will be in their
24 documents, I suspect.

25 THE CHAIRMAN: The production has been published and Dr Cash

1 and others produced a similar study, a similar report of
2 the volumes produced in Scotland from about 1956 on.
3 It's not the production of it, it's just whether there
4 is any data at all pointing to the infectivity of that
5 material; and you don't know?

6 A. Not that I have seen.

7 THE CHAIRMAN: No.

8 PROFESSOR JAMES: We have looked very hard and not found
9 any.

10 THE CHAIRMAN: Sorry, it was a diversion, I know, but if we
11 look actually at what's here, the prevalence increased
12 rapidly with the widespread introduction of Factor VIII.
13 It almost provokes the question of what was the
14 prevalence before when one was using what is referred to
15 in England, I think, as "NHS Factor VIII", and in
16 Scotland as -- well, it's not quite clear what it is in
17 the document, but it's clearly Cohn Fraction I.

18 A. And since it hadn't attracted attention, presumably the
19 incidence of ALT abnormalities, which they would have
20 been doing throughout that period, must have been
21 significantly lower.

22 THE CHAIRMAN: Or it may just be a question of time; that
23 things hadn't had a chance to develop.

24 PROFESSOR JAMES: They attributed it to Hepatitis B, once
25 HBV was discovered in the late 60s.

1 MS DUNLOP: I don't know, sir -- I mean, you obviously have
2 information about this but I'm not sure how many
3 patients with haemophilia were reached by the NHS
4 product at that stage. It hadn't seemed to me that it
5 was produced in anything approaching the same sort of
6 quantity once the concentrate started to be produced,
7 either commercially or by the NHS.

8 THE CHAIRMAN: Well, there are two sources of information
9 about it and both of which have been referred to
10 already. One is the Cash article, which gives
11 quantities and a graph, and the other is what you have
12 just disparagingly referred to as the proceedings of the
13 Royal Society, which I seem to be interested in but
14 no one else in this room has taken an interest in at
15 all.

16 MS DUNLOP: It wasn't meant to be disparaging, I was
17 anticipating ...

18 PROFESSOR JAMES: I think you are the only fellow in the
19 room.

20 THE CHAIRMAN: I may be the only fellow in this room, but
21 that's not an excuse. I don't know. We may just have
22 to leave it that there is no evidence whatsoever of any
23 adverse consequences of use of the original Scottish
24 product.

25 MS DUNLOP: I am being referred to footnote 12, which is an

1 article called "Haemophilia, Hepatitis and HAA".
2 I don't know whether that might be any use. We can
3 certainly look for that. We would be able to recover
4 that. I don't know, would you expect HAA to be
5 Hepatitis A?

6 A. No.

7 Q. Because it does say "hepatitis". What do you think HAA
8 might be, or do you not know?

9 A. Where are you?

10 Q. I'm looking at footnote 12, which is on the next page.
11 It's an article from 1970 called "Haemophilia, Hepatitis
12 and HAA".

13 A. I don't know whether that would be referring to --
14 sorry, I can't help there.

15 Q. Just at the very bottom of the page.

16 A. I can't help.

17 Q. No. We will recover the article and see if it assists
18 in any way. I don't imagine that it relates to Scottish
19 product but it may provide an interesting perspective as
20 at 1970, certainly.

21 THE CHAIRMAN: Well, the production of the Scottish product
22 is referred to in paragraph 5.36 of the preliminary
23 report under a reference to the Cash and Spencely
24 article. The proceedings of the Royal Society hadn't
25 emerged as a significant feature at that stage.

1 MS DUNLOP: I did want to look at the end of this article,
2 Professor Thomas. Hepatitis-associated Australia
3 antigen, HAA. It might be worth looking at.

4 THE CHAIRMAN: The stenographer needs a break.

5 MS DUNLOP: Yes, indeed. I'm sure we all do.

6 THE CHAIRMAN: Is that convenient?

7 MS DUNLOP: It might have been better just to finish the
8 article, actually. That would be neater perhaps.

9 If we just look at the page where the discussion
10 concludes. Rather an ominous final paragraph. It is
11 being suggested that the final paragraph is correct.

12 A. And of course, they had the superadded problem of HIV
13 infection, which they were becoming aware of in the
14 1983/84/85 period.

15 Q. Yes.

16 A. Actually, the bottom of that page, you see the paper
17 referred to in the references, Mannucci, Columbo and
18 Rizzetto? They are studying Italian populations, and
19 they were of the view that it was non-progressive as
20 well, up to 1982, and that was based on liver biopsies.

21 Q. Yes. We have assembled, I think, a chronology, not me,
22 but there has been assembled a chronology of different
23 publications, and certainly that's one that is featured
24 in it. But there does seem to have been, over the
25 period from the mid-1970s, certainly towards the middle

1 and later 1980s, an ebb and flow between the
2 publications of whether it was a serious problem or
3 a less serious problem. Is that a reasonable, if very
4 crude, summary?

5 A. Yes. And it is worth, actually, reviewing the paper by
6 Fattovich, where she took, I think, 500 cirrhotic
7 patients, and this is the one where the natural history
8 of Hepatitis C-induced cirrhosis turns out to be
9 relatively benign.

10 Q. Yes.

11 PROFESSOR JAMES: That's the liver mortality of 2 to
12 3 per cent a year?

13 A. Yes.

14 MS DUNLOP: That's one of the more reassuring of the
15 publications.

16 A. Yes.

17 Q. And obviously to be noted because it's a much larger
18 sample size.

19 A. It is a large cohort and it's looking at life expectancy
20 rather than a predictive biopsy, which, as we have
21 heard, for a variety of reasons may not be all it's
22 hoped to be.

23 Q. Yes, right.

24 I think that's a convenient moment, sir, if you want
25 to pause there.

1 (3.27 pm)

2 (Short break)

3 (3.47 pm)

4 MS DUNLOP: Professor Thomas, can you just give us the
5 reference for the paper with the 500 samples, roughly --
6 well, the name of the author.

7 A. It's Giovanna Fattovich. I think it's published
8 actually in Gastroenterology.

9 Q. Thank you. We will look for it. Just before we leave
10 this topic of the changing perception, I wanted to ask
11 you about the period 1985 to 1987, which is really plum
12 in the middle of the changing perception period, in
13 a way, I suppose. It's perhaps slightly closer to the
14 end.

15 During that period, for people who were responsible
16 for treating patients with haemophilia, there were
17 dilemmas. By 1985 in Scotland, a product which had been
18 adequately heated to inactivate HIV was available but
19 there was nothing to suggest that the product was safe
20 against hepatitis, non-A non-B hepatitis.

21 In England there was a more severely heated product
22 and there was an emerging realisation that that might be
23 safe against non-A non-B hepatitis, but there wasn't
24 enough of it. Do you have any views as to what would
25 have been, I suppose, the right treatment for a person

1 with haemophilia in that period, who had not previously
2 received concentrate treatment but who needed treatment?

3 A. I think -- I mean, if it was a mild case of haemophilia,
4 then obviously cryoprecipitate would be a way forward
5 because that, as far as we can see, didn't have a high
6 risk of transmitting non-A non-B hepatitis, and I don't
7 think any cases of transmission of HIV were occurring.

8 If you are asking, you know, where would you
9 position the 60-degree heated NHS concentrate, which, as
10 you have said, still carried a risk of non-A non-B but
11 not of HIV, I would give that one to the moderate to
12 severe cases because, for the reasons I have said, the
13 natural history of non-A non-B, it is a very slowly
14 progressive disease, whereas HIV was much more feared
15 and it would be considered a very important step forward
16 that that preparation didn't carry the risk of HIV.

17 Q. Right.

18 A. I wouldn't have wanted to have used any concentrates
19 that still carried the risk of HIV.

20 Q. Right. What about the answer to your suggestion of
21 cryoprecipitate that might be given, that
22 cryoprecipitate at this point -- this is 1985 to 1987 --
23 might still carry a risk of HIV?

24 A. I think, as far as we knew at that stage, the prevalence
25 of HIV in the general community was very low indeed,

1 particularly if you were excluding the gay population,
2 where most of the cases were occurring. So if that
3 population were not involved in the sourcing of the
4 plasma for cryoprecipitate, then I would have thought
5 the risk of those cryoprecipitates transmitting HIV
6 would be negligible.

7 Q. Is it relevant that from the autumn of 1985 -- I think
8 in practice from September 1985 and officially from
9 14 October 1985 -- donated blood has been screened for
10 HTLV III/HIV.

11 A. Yes, I had forgotten the precise time when the testing
12 became available. It was in 1983, wasn't it, or that
13 sort of --

14 Q. It's the autumn of 1985.

15 A. Yes.

16 Q. Yes. Is that relevant to the therapeutic choice?

17 A. If you are saying that the risk of HIV has gone from all
18 the preparations, the commercial, the NHS and the
19 cryoprecipitate, and all we are concerned with now is
20 the likelihood of transmitting non-A non-B, or
21 Hepatitis C, then the inadequately heat inactivated
22 carried some risk of still transmitting non-A non-B, so
23 its advantage over the non-heated material would be
24 dependent on what the frequency of non-A non-B
25 transmission was and I'm not sufficiently conversant

1 with the data really to comment on that. We know that
2 the non-heat inactivated, we are seeing virtually all
3 individuals becoming infected with
4 non-A non-B/Hepatitis C. I'm not sufficiently aware of
5 the data really to say whether they had a partial effect
6 when they were heating it to 60 degrees, whereas they
7 really needed to heat it to 70 for ten hours, to really
8 get rid of the non-A non-B.

9 Q. Right.

10 A. Am I missing the point?

11 Q. No, I'm just interested in knowing, for the type of
12 patient I'm describing, who is someone who has had no or
13 minimal concentrate before, who presents --

14 A. What you give them.

15 Q. What do you give them?

16 A. I would have given them at the time the partially heat
17 inactivated because it couldn't be any worse than the
18 non-heat inactivated material, where we were seeing
19 virtually 100 per cent infection, whether it was NHS or
20 commercial.

21 So, with that as the worst scenario, anything that
22 was potentially better than that would be preferably
23 used, whether it was proven to be better or just
24 possibly better. I think ethically that would be the
25 material that you would want to use.

1 Q. What about that in a competition with cryoprecipitate?
2 A. Well, I'm not a haemophilia physician but, as far as I
3 understand it, you can't really manage the severe
4 haemophiliacs with cryoprecipitate. The volumes needed
5 are too great. You really need to, in terms of adequate
6 correction of the coagulopathy, use the concentrates.
7 But if it were a mild haemophiliac, your question is
8 would they be better off to have the cryo than the heat
9 inactivated. Then, yes, I think they would be.

10 Q. Right.

11 THE CHAIRMAN: I'm not sure how it's going to work out,
12 Ms Dunlop. I'm wondering, listening to it, whether it's
13 perhaps necessary to specify the characteristics of the
14 patient a little bit more, to see just what sort of
15 person we are talking about and what sort of
16 circumstances.

17 I take it that we can ignore the severe for this
18 purpose at this stage -- or not?

19 MS DUNLOP: I'm not sure, sir. Certainly an important
20 characteristic of the hypothetical patient is that they
21 are a PUP or similar, a previously untreated patient.

22 THE CHAIRMAN: And therefore they are not severe normally?

23 MS DUNLOP: Yes.

24 THE CHAIRMAN: Right.

25 MS DUNLOP: The only situation, of course, in which they

1 might be severe would be a very young child.

2 THE CHAIRMAN: But there are other factors that then enter
3 into it, aren't there?

4 MS DUNLOP: Yes.

5 THE CHAIRMAN: I'm just slightly concerned that it's too
6 general at the moment. But it may be all we can do.

7 MS DUNLOP: Perhaps if we just go backwards a little bit,
8 I think you have said, Professor Thomas, that in
9 relation to such a person, if their haemophilia was
10 mild, you would have been inclined towards
11 cryoprecipitate. Is that correct?

12 A. Yes. That's partly from my own limited experience as
13 an observer, if you like. I wasn't involved in the
14 decision process; I was advising the haemophilia unit on
15 how we might investigate the liver disease of these
16 patients, but what I observed was that for the mild
17 cases Dr Kernoff and Dr Lee would preferentially use
18 cryoprecipitate, if it was available, and that was
19 reinforced, if you like, by the paper that you spent
20 some time going through, where we gave six mild
21 haemophiliacs cryoprecipitate and none of them developed
22 ALT abnormalities, suggesting that, because of the
23 limited number of donors involved in the preparation of
24 that material, they weren't getting infected.

25 Q. Yes.

1 THE CHAIRMAN: I think I see that but let's just change the
2 hypothesis a little. One has a mild haemophilia
3 patient, who has been treated very little or has always
4 been treat with cryo, and he suddenly is confronted with
5 the need for surgery. Could it be that the need for
6 surgery would change one's perspective on what had to be
7 used?

8 A. I'm not sufficiently au fait with haemophilia practice
9 really to give you a professional opinion on that.

10 THE CHAIRMAN: I'm not sure that I really need you to.
11 I just am trying to draw to your attention that perhaps
12 the circumstances need to be rather more particularly
13 defined before you can say very much.

14 A. Yes. The severity of the trauma, for want of a better
15 word, that the patient is going to be subjected to is
16 going to determine how much you need to correct the
17 coagulopathy. If they are undergoing major brain
18 surgery or liver surgery, for instance, you would have
19 to get very good correction of the coagulopathy.

20 THE CHAIRMAN: That's what I had in mind. I didn't want the
21 generality to be so wide --

22 MS DUNLOP: Yes, I appreciate that, sir.

23 I think the other point that we should just clarify,
24 appreciating that these are to some extent generalities,
25 is the other type of patient, the patient who is a young

1 child but who has severe haemophilia, so another
2 untreated patient but who is severely affected by
3 haemophilia. I think you said that you are aware, just
4 from contact with haemophilia clinicians, of the
5 difficulty of managing severe haemophilia with
6 cryoprecipitate.

7 A. Yes, I got that impression, that they much preferred to
8 use concentrates in that setting because of the
9 difficulty of getting the Factor VIII level up to the
10 good haemostasis level.

11 Q. Yes.

12 A. Because you get to a fluid overload position if you have
13 you have to put in so large a volume to get it up to the
14 level where haemostasis is occurring normally.

15 Q. Yes. So all sorts of factors might be relevant, as the
16 chairman says: The presenting problem, which could be
17 a very urgent need for major surgery or it could be
18 a serious bleed; the degree of haemophilia from which
19 the patient is suffering; and, possibly, even the size
20 of the patient, because very small patients, very young
21 patients, can't be overloaded.

22 THE CHAIRMAN: And not only that, there is the very small
23 vessel into which the product has to be introduced. We
24 have heard about as a factor.

25 MS DUNLOP: Yes.

1 A. And I would imagine there are aggregated proteins also
2 in the cryoprecipitate. It's not a totally
3 physiological material and if you get aggregates of
4 proteins, then you get complement activation and all
5 sorts of reactions, and they are greatest when you are
6 infusing the larger amounts.

7 Q. Yes.

8 We still have bit of your report to work through,
9 Professor Thomas. Can we go back to [\[PEN0171071\]](#)?

10 I think it is part of your expectation to return
11 tomorrow, Professor Thomas, is it?

12 A. Yes, I put aside the time because I was asked to, if you
13 needed it.

14 Q. I don't know, sir, might it be better to stop and come
15 back tomorrow? I can keep going but I'm aware it has
16 been quite a long day.

17 THE CHAIRMAN: I shouldn't comment on your capacity to keep
18 going, Ms Dunlop, but I'm sure your judgment is correct.
19 However, we have had a lot of very detailed material and
20 I think it would help us to have a break, if you are
21 able to tolerate that.

22 A. Yes.

23 MS DUNLOP: Yes, I would hope that we would still manage to
24 finish by lunchtime and it would also offer all of the
25 people in the front row the opportunity to ask questions

