

1 Wednesday, 12 October 2011

2 (9.30 am)

3 PROFESSOR HOWARD THOMAS (continued)

4 Questions by MS DUNLOP (continued)

5 THE CHAIRMAN: Good morning.

6 MS DUNLOP: Good morning, sir. Thank you for allowing me  
7 a little extra time. I'm sorry for having gone off to  
8 print something out at the last minute.

9 Good morning, Professor Thomas. Can we return to  
10 your report, which is [\[PEN0171071\]](#), please? We were at  
11 1080. So could we go back to that, please?

12 We were about to begin the section entitled  
13 "Clinical Features of Liver Diseases Caused by HCV".  
14 You have listed for us, professor, a number of features  
15 common in acute hepatitis, and just to run through these  
16 influenzal-type symptoms with malaise, myalgia -- muscle  
17 pain?

18 A. Muscle pain.

19 Q. Arthralgia, joint pain?

20 A. Yes.

21 Q. Anorexia and nausea. There may be a mild pyrexia.

22 That's a raised temperature? And an ache in the upper  
23 abdomen, and then you go on to explain other symptoms  
24 which may ensue.

25 You say:

1           "Jaundice is rare in Hepatitis C infection. The  
2           jaundice usually lasts one to four weeks and heralds  
3           improvement in most cases. The feeling of --"  
4       A. The rareness of jaundice is quite important because that  
5           was always used in surveillance of post-transfusion  
6           hepatitis as the indicator of it having occurred, and  
7           only a small population of the cases using that  
8           screening method actually are picked up. But the better  
9           way is to do prospective ALT testing after blood  
10          transfusion. It obviously picks up the majority of the  
11          cases.  
12       Q. Right. So looking for jaundice as your hallmark would  
13          not be a very sensitive screen?  
14       A. Exactly.  
15       THE CHAIRMAN: Was always, Professor? How long ago should  
16          we be thinking of as the period when that was used?  
17       A. I think Colindale, the public health laboratory, up  
18          until, to my knowledge, the present time, they have  
19          always used jaundice incidence as the measure really,  
20          and it has been a point of contention really because the  
21          Americans have always done the biochemical screening and  
22          this difference, of course, is the reason why the  
23          incidence after transfusion of UK blood is apparently  
24          much lower. I think indeed it is lower but it's  
25          confounded by the different screening tests used.

1 THE CHAIRMAN: I'm aware that in some of the early  
2 literature jaundice is very much highlighted as the  
3 diagnostic feature, but that has actually continued at  
4 Colindale until recently?

5 A. Yes, and they are really interested in comparative  
6 changes year on year really, where, if they are using  
7 the same screening method, I think it's -- you know,  
8 I can see the logic for doing that. They don't come up  
9 with absolute figures on incidence, which could only be  
10 determined either by serological testing, in other  
11 words, looking for antibody seroconversion or  
12 prospective ALT screening, looking for liver damage.

13 THE CHAIRMAN: Yes. I think I can see that consistence in  
14 the application of a single test does tell one  
15 something.

16 A. Yes, it can.

17 THE CHAIRMAN: If there are changes in pattern, but I think,  
18 Ms Dunlop, that the early papers that we had looked at  
19 before quite clearly focus on jaundice and I had  
20 something of an impression, let's say, that that had  
21 ceased to be the test being applied, but that would be  
22 wrong.

23 A. So far as I know, that's wrong. Of course, there is  
24 a massive difference in costs, sir, if you are doing  
25 biochemical screening as opposed to doing jaundice

1 reporting.

2 MS DUNLOP: I think it might be helpful, professor, if you  
3 could recap for us why jaundice is rare in acute  
4 Hepatitis C.

5 A. By "rare" I think maybe a fifth of cases or something of  
6 that order, less than a fifth, have jaundice.

7 Essentially jaundice occurs when the liver cell mass  
8 is reduced, so that bilirubin can no longer be excreted.  
9 Bilirubin is a breakdown product of the red blood cells  
10 of the body. The bilirubin that derives from that  
11 broken-down haemoglobin is excreted through the liver  
12 and because of a reduced liver cell mass and also the  
13 fact that the liver cells swell and therefore the  
14 bilirubin can't pass into the bile duct so readily, what  
15 we call biliary obstruction cholestasis, those two  
16 reasons, reduced liver plasma and reduced ease of flow  
17 of bilirubin into the bile ducts, both of those cause  
18 the rise in bilirubin in the blood and the eyes then go  
19 yellow. Usually it means that the bilirubin has gone  
20 above 40 millimoles per litre. Normally it's up to 17.

21 Q. Why does that tend not to happen in Hepatitis C?

22 A. Because the insult to the liver is less severe than, for  
23 instance in Hepatitis A or B, when a larger proportion  
24 of the liver cells are infected and destroyed by the  
25 immune system as the infection is cleared.

1 Q. Right. So is there a paradox here -- I'm looking at  
2 that sentence that you have:

3 "The jaundice usually lasts one to four weeks and  
4 heralds improvement in most cases."

5 So jaundice is a good sign from the long-term  
6 perspective but it probably means the patient is more  
7 acutely ill?

8 A. Exactly.

9 Q. Yes. And you have pointed to the fact, which you  
10 mentioned yesterday, that fulminant hepatitis is rare in  
11 Hepatitis C, much more so than in Hepatitis B, I think  
12 is right?

13 A. Yes.

14 Q. You then move on to discuss chronic infection and the  
15 ways in which that may present. I think in a nutshell  
16 chronic infection may not declare itself until quite  
17 a lot of damage has been done. Is that right?

18 A. Yes.

19 Q. You say, on the following page:

20 "The infection may not come to medical attention  
21 until late-stage disease is reached and the patient  
22 presents with signs of chronic liver disease or  
23 a complication of cirrhosis, such as variceal  
24 haemorrhage, ascites or the development of  
25 hepatocellular carcinoma."

1           Then you go on to say:

2           "An unknown number of individuals may be infected,  
3 asymptomatic and destined never to develop  
4 complications."

5           I suppose that group by the very nature of its  
6 features must be very difficult to define and identify?

7 A. Yes, it's complicated also by the fact that these cases  
8 may have related to experimenting with drugs, for  
9 instance, in the late teens or early 20s, which people  
10 are not keen to admit to and, of course, they put that  
11 to the back of their minds. They don't have any  
12 symptoms, they don't probably know about Hepatitis C.  
13 So that group of individuals is probably significant but  
14 of unknown size, really.

15 Q. Yes. You then point out that:

16           "There is growing recognition that in some cases  
17 Hepatitis C causes chronic ill-health with decreased  
18 quality of life, depression and general malaise,  
19 regardless of the degree of liver damage."

20           And this is back to brain fog, I think, is it, but  
21 not exclusively brain fog?

22 A. That's correct. In fact, in your annex 4, relating to  
23 the Skipton fund, you quote a paper by Wright et al,  
24 which involved quantitative data using SF36, which are  
25 measures of mental and physical wellbeing. Dr Wright

1 was a member of my own group and during a clinical trial  
2 did these studies, and that shows that they have  
3 a general reduced mental and physical wellbeing, of  
4 a comparable level to what you might see in diabetes or  
5 an illness such as that.

6 It's also worth noting that when we start to treat  
7 patients with interferon, their quality of life goes  
8 demonstrably down initially because of the side effects  
9 of interferon.

10 Q. I'm not convinced, professor, that I got the name of the  
11 author of the paper?

12 A. Wright, M Wright.

13 Q. Thank you.

14 A. It's on page 54 of the document that you gave me just  
15 prior to the meeting.

16 Q. We are going to come to that, so perhaps when we look at  
17 it, we can highlight the specific reference.

18 I wondered from your statement about this effect  
19 being regardless of the degree of liver damage, whether  
20 it is possible for somebody to have these, I suppose,  
21 neurological and psychological difficulties, really with  
22 minimal effect on their liver?

23 A. Yes, I mean, yesterday we discussed the issue of these  
24 mental symptoms being possibly due to one of three  
25 things. One is, of course, severe liver disease, where,

1           because of liver failure and an accumulation of nitrogen  
2           compounds derived from the gut, they develop what we  
3           call hepatic encephalopathy. That's a correlate really  
4           of severe liver disease.

5           The second possibility is, of course, that they are  
6           mentally blunted if you like, because of current or past  
7           use of drugs, I mean recreational drugs. And the third,  
8           which you can only determine by exclusion of the first  
9           two, is this thing that is termed by the Americans  
10          "brain fog", and represents infection of the central  
11          nervous system.

12        Q. Yes. So that in the third category, could that actually  
13          be more severe in an individual patient than what is  
14          going on in their liver?

15        A. Usually not. The type 3 I'm talking about, due to  
16          infection of the brain, those are really very subtle  
17          changes, changes in ability to concentrate, an increased  
18          prevalence of depressive problems. And you can't really  
19          detect those if the patient also has liver failure, the  
20          type 1 thing I described, which is the hepatic  
21          encephalopathy, where all of these symptoms of  
22          diminished cognitive function and depressive problems  
23          are much more severe than you would see with the  
24          infection of the brain.

25        Q. Right.



1 A. Just to relate it to HIV, where there is also infection  
2 of the central nervous system, this progresses to  
3 dementia; that is not seen with Hepatitis C, it's a much  
4 more subtle and milder form of infection.

5 THE CHAIRMAN: In Hepatitis C, is the brain fog independent  
6 of damage to the liver?

7 A. Yes, it is.

8 THE CHAIRMAN: In the sense that one can have one without  
9 the other?

10 A. Exactly.

11 THE CHAIRMAN: So Ms Dunlop's question, at a more basic  
12 level perhaps, is yes, you can have symptoms that are  
13 real in the brain when there is nothing observable in  
14 the liver?

15 A. Yes, correct.

16 MS DUNLOP: Yes. You go on to tell us that the most  
17 reliable way of monitoring the severity of liver disease  
18 is to obtain histology by liver biopsy, and we have  
19 discussed that and you have alluded to the fact that  
20 your own personal experience includes that of fatality  
21 in people with haemophilia undergoing liver biopsy.  
22 I think that's correct, isn't it?

23 A. Yes.

24 Q. You say:

25 "The degree of necroinflammation (grade) and

1           fibrosis (stage) are the key to interpretation and  
2           consequent clinical decision-making regarding  
3           treatment."

4           I just wanted to return to the concept of severity  
5           of disease, and we have talked about severity of an  
6           acute attack and there seems to be some possibility that  
7           that could correlate with a high titre. So if what has  
8           caused the acute attack of Hepatitis C is a very high  
9           dose, as it were, of viral infection, then the severity  
10          of the symptoms you have outlined in your paper may be  
11          worse in the acute infection. Is that correct?

12        A. Yes, I think the -- there are two factors contributing  
13          to the severity of the infection. As you pointed out,  
14          the first is the size of the inoculum and as a result of  
15          the size of the inoculum, the rate of spread through the  
16          liver and therefore the number of infected liver cells,  
17          and then the second factor is how quickly your immune  
18          system kicks in. Don't forget, the virus is not  
19          directly cytopathic. It does not directly damage the  
20          liver. It's the attempts of the patient's immune system  
21          to get rid of the virus-infected cells that causes the  
22          problem. So if that immune response is very rapid, then  
23          you get rapid clearance of the infected liver cells.

24        Q. But at a cost?

25        A. At a cost and faster than they can be replaced by liver

1 regeneration. And the rate at which cells are killed is  
2 related to the quality of the immune response and  
3 women's immune systems are better than men's.

4 Q. That's generally true, is it?

5 A. That's generally true.

6 Q. Right. A piece of good news.

7 When we look at the notion of severity in chronic  
8 disease, I wonder if I'm right in thinking that the  
9 measure of that is really rapidity of progression? Is  
10 that how one understands the notion of severity in  
11 chronic Hepatitis C?

12 A. Yes, I think that's, in a nutshell, true.

13 Q. Right. We understand from you that groups of people who  
14 may experience more rapid progression are the  
15 co-infected patients, so patients who also have HCV, and  
16 also patients who are immune-suppressed for other  
17 reasons, drug reasons or -- I don't mean drug use,  
18 I mean pharmaceutical preparations which they are  
19 taking, which may cause immuno-suppression.

20 But aside from those factors, is it possible to  
21 correlate other factors with rapidity of progression,  
22 for example high initial inoculum, or does that just  
23 disappear as a causative factor when you start looking  
24 at chronic infection?

25 A. I can't give chapter and verse but the impression I get

1 from the literature is that what you have said is true.  
2 So, for instance, if you are transfused a whole unit of  
3 infected blood, which, of course, entails receiving  
4 a large amount of virus, then a greater proportion of  
5 patients are likely to be jaundiced, whereas if you are  
6 infected as the result of a small amount of blood on  
7 a shared needle in the context of intravenous drug use,  
8 then that is more likely to produce an asymptomatic  
9 infection without jaundice.

10 As I say, I can't just, off-the-cuff, give you  
11 chapter and verse on that but I think if you look at the  
12 frequency of jaundice reported in the post-transfusion  
13 studies of Harvey Alter and colleagues, you will find  
14 that he may be reporting jaundice in maybe 15 or  
15 20 per cent, whereas if you look at the number of  
16 intravenous drug users who can recount an episode of  
17 jaundice, it will be much smaller.

18 Q. So is it right then to think of the rapidity of  
19 progression as possibly being connected to some factors  
20 but unlikely to be connected to whether the initial dose  
21 of virus was very high or very low?

22 A. I think -- whether the dose of virus is very high or  
23 very low will be a factor.

24 Q. In the rapidity of progression of the person who is  
25 chronically infected?

1 A. I say that because of the two examples you cited, where,  
2 as a result of co-infection with HIV or in a transplant  
3 setting, immuno-suppression, there is a higher level of  
4 viraemia and a more rapid progression. Whether the one  
5 is causatively related to the other, we don't know, but  
6 the two are present and does beg the question of whether  
7 part of the rapid progression in these two situations is  
8 related to the high level of viraemia.

9 Q. I suppose what I was wondering was whether in those  
10 situations the high level of viraemia is maintained; it  
11 is maintained by the ongoing presence of HIV or by the  
12 fact that the patient is continuing to take particular  
13 drugs which are causing immuno-suppression. With the  
14 high initial dose scenario, that's a one-off?

15 A. Yes, I see what you say.

16 Q. A long time ago they received a high titre of virus but  
17 I wondered if that made it much less likely to feature  
18 as a factor in how rapidly their disease will progress  
19 in the chronic sense?

20 A. I think that may be true because ultimately, although  
21 you may in one case have a very high initial inoculum,  
22 it may eventually set at a more moderate level. If, for  
23 instance, the rate of production of the virus, what we  
24 have discussed, around 10 to the 12 particles per day,  
25 and the rate of clearance of those particles, the

1 ultimate level will be dependent on those two variables,  
2 and the size of the initial inoculum becomes less  
3 important, as you say, as time progresses in that  
4 setting.

5 Q. I think, professor, just to stay with this topic, the  
6 next section in your report is about treatment. You  
7 have mentioned the recent review and I think it would be  
8 convenient to look at that just now, even though that's  
9 the very last paragraph of your report. You have headed  
10 the last paragraph "Bassendine Review of Natural History  
11 of HCV Infection."

12 I think because we asked you?

13 A. You asked me to read that and comment.

14 Q. Yes, and tell us if there was anything in it with which  
15 you disagreed, and I think the answer to that was "no",  
16 but for completeness, if we could perhaps look at that.  
17 It's going to come up on the screen. We don't have it  
18 in court book but it's available on the Internet and  
19 that's where we have inspected it. The particular part  
20 of this report which outlines the medicine, if you like,  
21 is annex 4 and that's page 45. So could we go to that,  
22 please?

23 I don't want to ask you anything in the  
24 introduction. We can see that in the second section the  
25 authors firstly discuss the clinical course of acute

1 infection and I just wanted to look at what is on the  
2 second page here, so page 46. We can see various  
3 statistics are given but what interested me was the end  
4 of the second paragraph, the statement:

5 "The proportion of patients who develop chronic HCV  
6 infection may be determined by many factors. These  
7 include age at time of infection, gender, ethnicity,  
8 presence of symptoms during the acute infection,  
9 genotype, immuno-suppression and HIV."

10 It was that reference to genotype that interested me  
11 and I wanted to put that to you.

12 A. I think, if you look at the literature in the round,  
13 there is a consensus on certain factors which do  
14 influence outcome, and some others come up but aren't  
15 sustained -- by confirmation, if you like -- in other  
16 studies.

17 The reason some of the things are not confirmed is  
18 that they are not direct determinants; they are  
19 correlates of something that is a direct determinant.  
20 The things that come through are -- male gender in all  
21 of the studies indicates a more severe outcome in the  
22 chronic infection. Ethnicity, it does have a role, in  
23 that the -- I have forgotten the appropriate terms  
24 actually, but the Spanish Americans and the Black  
25 Americans have a much lower response rate to treatment

1 than the white Americans, and of course, whether you  
2 respond to treatment is an indirect determinant of what  
3 the disease ultimately results in.

4 That's now known to be related to the frequency in  
5 which the IL28 genetic polymorphism -- the frequency of  
6 which this is found in these various ethnic groups. So  
7 we now have an insight into the mechanism of why the  
8 response rate to interferons, which will in fact  
9 determine whether you do well after infection, because  
10 most people are offered treatment, or whether you do  
11 not, that that polymorphism is a different frequency in  
12 different ethnic groups.

13 The presence of symptoms during the acute episode,  
14 we have already discussed that.

15 Genotype. I don't know of any consistent data on  
16 genotype 1 being more severe than the other genotypes  
17 and part of the reason for that, I suspect, is that you  
18 can never be sure about the duration of infection. So  
19 whilst in the United States much genotype 1 infection  
20 occurred after blood transfusion, where they knew the  
21 onset and therefore they could control for the duration  
22 of the infection, in genotype 3, the infection occurs  
23 mainly in the Asian population and there, in large group  
24 studies, it's apparent that they are infected in early  
25 life, and by that I mean infancy, and that turns out,



1           when you look in later life, to be more severe than  
2           genotype 1, but it's probably related to the fact that  
3           you are looking 40 years after the onset, whereas blood  
4           transfusions usually are, you know, in the 20s or 30s,  
5           after acute illnesses and you look 20 years later rather  
6           than 40 years later.

7   Q.   Yes.

8   A.   So I think genotype is confounded by being unable to  
9           determine the duration of infection.

10           Immuno-suppression and HIV infection we have already  
11           discussed. They are well documented as being associated  
12           with more severe disease and of course, in the  
13           haemophilia population, that has clearly been evident,  
14           in that those with the co-infection have in the main had  
15           a higher mortality than those who have just had  
16           Hepatitis C.

17   Q.   You anticipated, Professor Thomas, the point I was going  
18           to put to you, which is that that mention of genotype is  
19           slightly fleshed out on the next page, because they do  
20           refer to genotype 1. So you have answered that question  
21           about how valid that observation might be.

22           It does seem as though the exercise of measuring the  
23           effect of any one factor is bedevilled by lots of  
24           confounding variables.

25   A.   Yes, and their interrelationship, really.

1 Q. Yes.

2           Something occurs to me -- I'm going backwards

3 here -- but this difference we were discussing at

4 perhaps rather a speculative level, between somebody

5 whose high titre of virus particles is maintained by the

6 fact that they have HIV or are immune-suppressed and

7 somebody whose initial inoculum might be high titre,

8 I suppose one could further refine that to say that for

9 patients with haemophilia, the level of virus might have

10 been constantly topped up by their treatment?

11 A. Yes, that's conceivable, yes. And I suppose that would

12 be supported by the observation that, unlike people with

13 Hepatitis C, after a single unit of blood, the

14 haemophilia patients often have several genotypes

15 present.

16 Q. Yes.

17 A. Which would support that concept.

18 Q. Yes. I suppose, again, it's very difficult to measure

19 the rapidity of progression in a group such as a group

20 of haemophilia patients, because of the difficulty you

21 mention of knowing when the first infective dose was

22 administered?

23 A. Yes, and that has bedevilled the field since the

24 beginning.

25           There is a French group who have really tried to

1           categorise patients into fast, intermediate and slow  
2           progressors, and I was involved in a study with a group  
3           in Lyon, which was an international European group, to  
4           try and do similar things, and all the time you came  
5           back to the issue that you were never sure, in the  
6           majority of the cases, about the duration of infection.  
7           So that was always the unknown variable.

8           So what you ended up having to do was to say: well,  
9           we are going to look at cases where there are second and  
10          third biopsies, where we know, let's say, when biopsy  
11          one was done, that they had, let's say, stage 2 fibrosis  
12          and then when biopsy two was done five years later, they  
13          would, let's say, have stage 3 or 4, and then a third  
14          biopsy done another five or ten years down the line and  
15          they might have stage 5 fibrosis. So there you could  
16          relate the increased stages to the other variable, which  
17          was time between the biopsies, in other words duration  
18          of continuing disease.

19        Q. Yes.

20        A. So when we did that, then we got better data and you  
21          could look then at the range of rates of progression,  
22          and one thing I have used when discussing with my  
23          patients how rapidly their disease is progressing --  
24          I usually said to them, "Well, it progresses one  
25          fibrosis stage every four or five years," and that data

1 is from the sort of situation I was describing a few  
2 minutes ago.

3 Q. Right. Thank you.

4 THE CHAIRMAN: At the moment I'm finding it difficult to see  
5 how one can generalise on that data.

6 A. Yes.

7 THE CHAIRMAN: When the total period is unknown, since one  
8 doesn't know the starting point. There are stages along  
9 the way but no overall period as a reference point.

10 A. Well, you can't, as you say, go back to time zero,  
11 because you don't know when time zero was, but if I'm  
12 talking to a patient who has just had their third biopsy  
13 and that's showing stage 5, I would go back in the case  
14 notes and try to find the second and the first biopsies  
15 and then look at the intervals, and I would then be able  
16 to say to them, "Last week when we did your biopsy, you  
17 had stage five disease" -- or let's, for the sake of  
18 argument, say they had stage 3 on their third biopsy,  
19 because what we are going to try to do is make sure they  
20 get treatment before they get to cirrhosis.

21 So on the third biopsy they have stage 3 disease.  
22 I find a biopsy done five years earlier, which showed  
23 stage 2 disease. So I would discuss with them, "It  
24 looks as if your fibrosis is progressing one stage every  
25 five years; you are now at stage 3, I want to move

1 heaven and earth to stop you getting to stage 6 but  
2 I think you have got another ten to 15 years before you  
3 get to that stage, because it's another three stages and  
4 you are progressing at five years, one stage every five  
5 years."

6 So in that context, I can't project it back to how  
7 quickly they got from the earlier stages but I do know  
8 that at the last biopsy, they are progressing at one  
9 fibrosis stage every five years.

10 THE CHAIRMAN: I understand that, I think. I think that  
11 I can see from the clinician's point of view what's  
12 wanted is a measure of the future period over which  
13 there is freedom to decide whether or not to start  
14 treatment.

15 A. Yes, that's what we are trying --

16 THE CHAIRMAN: That's what you are trying to do. So you are  
17 trying to fix the point at which, for the particular  
18 patient, it's right to go from simply observing into  
19 treatment with the drugs, that have their side effects  
20 and all the rest of it.

21 A. Yes.

22 THE CHAIRMAN: But in a sense that seems to me to be totally  
23 independent of the overall duration. It depends on the  
24 measurement of progression over the period for which you  
25 have data.

1 A. Yes.

2 THE CHAIRMAN: And that alone allows you to make the  
3 projection, and it's independent of total duration --

4 A. Yes, and in fact, where we had more complete data, in  
5 other words, we had these sequential biopsies and we  
6 knew the time of infection, it became apparent that the  
7 gradient, in other words, the rate of change of the  
8 fibrosis, was changing.

9 THE CHAIRMAN: Yes, there is no straight line.

10 A. Exactly. That's exactly --

11 THE CHAIRMAN: It's a complex graph that will vary from case  
12 to case.

13 A. But more frequently increasing with older age.

14 THE CHAIRMAN: Yes.

15 MS DUNLOP: Yes, I think we will come on to look at age, not  
16 least because you have discussed it in your report, and  
17 I want to look at that section but I see it's mentioned  
18 there "Older Age at Infection". That's on page 47,  
19 where there is the mention of genotype 1. There is  
20 another list of risk factors. Can we just see that?  
21 Yes, there it is at the end of the first paragraph.

22 I suppose for children infected -- and you have  
23 spoken about the vertical transmission that occurs  
24 particularly in certain areas of the world -- the sheer  
25 difficulty there will simply be the long life for which

1           they are going to have to live with Hepatitis C.

2    A.   Yes.

3    Q.   But their youth doesn't in and of itself have any

4           independent mitigating effect, does it?

5    THE CHAIRMAN:  Age has an aggravating effect, I think.

6    MS DUNLOP:  It's just with HIV we have been told that age at

7           infection may be relevant, so for those who were

8           infected in childhood, HIV does appear to be progressing

9           less rapidly.

10   A.   The reason I'm pausing is that it is never, in the data

11           that's in the literature, possible to 100 per cent sure

12           dissect away duration of infection from the age at which

13           infection occurred.

14   Q.   Yes.

15   A.   You know, it is said -- and indeed it's true -- that if

16           you look at people between 50 and 60 years of age, what

17           I was alluding to earlier, the gradient of passing

18           through the various fibrosis stages increases, and

19           that's part of the reason for saying that if you are

20           infected after age 50, you have a more rapid

21           progression.  You don't have the slower gradient of

22           progression of those earlier years.

23           But, of course, it's never clear that they have been

24           infected after 50 years -- well, it may not be -- and

25           therefore you always have the confounder of how long

1           they have been infected in the back of your mind.

2    Q.   Yes, and for the person infected at birth, does their  
3           gradient steepen if they are alive and they reach 50?  
4           Does their gradient steepen?

5    A.   Yes, I'm not sure that we have got it for people  
6           infected at birth. It probably is people infected in  
7           their 20s to 30s. 95 per cent of the people have, in  
8           the UK, been infected as a result of intravenous drug  
9           use, and that's usually in their 20s to 30s. So there  
10          is most danger in that area.

11                 I don't know of a cohort where we know they have  
12           been infected at birth and they have been sequentially  
13           followed. What we do know is when we studied the  
14           Bangladeshi population in east London, when we looked at  
15           them in their 50s with the knowledge that in  
16           cross-sectional studies in Bangladesh, the peak of the  
17           time of infection is in the infancy period. So putting  
18           that together with the observations made when they are  
19           50, where most of them have cirrhosis, we concluded  
20           that, you know, because of duration of infection, they  
21           progress more rapidly.

22                 But, I mean, just to confuse you even more, they  
23           have genotype 3 and they get fat in the liver and that  
24           is something that also is correlated with more rapidly  
25           progressing fibrosis and --



1 Q. The whole area is bedevilled by the difficulty in  
2 isolating any one factor and measuring its impact?

3 A. Yes.

4 Q. Yes.

5 A. And that's why you do multivariant analysis.

6 THE CHAIRMAN: Can I ask you a question which is perhaps  
7 very naive and totally misdirected?

8 If one assumes two individuals, males between 40 and  
9 60, and all other factors, other than the date of  
10 infection, are the same, whatever those factors are,  
11 would the gradient differ depending on when the initial  
12 infection was or would one have, between 40 and 60,  
13 correlation between the progression in the diseases?  
14 Maybe you just cannot do this.

15 A. I have the impression there from the work that we did  
16 with the group in Lyon, Trepo and colleagues, that there  
17 is an inflection point. In other words, the gradient of  
18 the curve does change. You cited 40 and 60. I couldn't  
19 be precise about that.

20 THE CHAIRMAN: I was merely giving a 20-year period.

21 A. We got data which suggested in people who had had  
22 several biopsies, that I was alluding to earlier, the  
23 gradient did change. The rate of moving between  
24 different stages increased the older the individual was.

25 THE CHAIRMAN: And that was general, was it, independent of

1           when infection started? Or don't you know?

2   A. We did multivariant analysis and there appeared to be an  
3       independent variable.

4   THE CHAIRMAN: That I find fascinating. That does suggest  
5       that simply by growing older, one reaches a point at  
6       which there is going to be a change in the gradient and  
7       an acceleration of the deterioration in the condition.

8   A. I think that's what we believe at the moment. And if  
9       you are looking for an explanation for that, it is  
10      actually counter-intuitive because we have discussed  
11      earlier that the damage is caused by your immune system  
12      recognising the cells and destroying them. What we do  
13      know is as you get older, your immune system weakens.  
14      That's why I say it's counter-intuitive.

15   PROFESSOR JAMES: Could I just add very briefly, it's my  
16      special subject as Howard knows, aging and the liver.

17           The analogy is with a baby who cuts its thumb and an  
18      older person who cuts their thumb. The baby cuts its  
19      thumb. Actually, by the age of ten, you can't see where  
20      the cut was. The 60-year old person cuts their thumb.  
21      The place where they cut it, in a comparable way, the  
22      scar is there for the rest of their life. And actually  
23      the aging process itself causes the liver, along with  
24      the thumb, to respond less well to injury, and fibrosis  
25      tissue, which is what's going on in the liver, to

1 probably accumulate, and regeneration in a good way, of  
2 the liver, is less good in a 70-year old person than in  
3 a ten-year old person.

4 So in a sense this inflection that Howard has  
5 mentioned is that a person gets to a certain age -- and  
6 different people different ages -- and then gradually  
7 they are just able to deal with this continuing injury  
8 from the virus that's going on all the time in their  
9 liver in a less good way.

10 A. Yes.

11 PROFESSOR JAMES: And, if you happen to pick the virus up  
12 when you are 65 through a blood transfusion, then you  
13 are sort of starting from a bad place.

14 Would you think that would be a fair summary,  
15 Howard?

16 A. Yes, I mean, both with Hepatitis B and Hepatitis C, if  
17 you get an acute hepatitis in your later years, let's  
18 say 60, then there is a syndrome called "failure to  
19 regenerate". You remember I said earlier that you have  
20 a wave of destruction of liver cells, which is essential  
21 for part of the recovery process because the cells  
22 contain the virus, you have to destroy them to get rid  
23 of them, you are then producing antibody to stop the  
24 virus moving into the neighbouring cells, but in  
25 addition, the neighbouring cells have to regenerate to

1 replace the ones that have been killed.

2 So there are four components, if I could summarise  
3 it. There is the number of infected cells; there is how  
4 quickly they are being destroyed, which is dependent on  
5 the cellular immune response; there is the production of  
6 antibody, which is going to be important to stop the  
7 virus released from the destroyed cells to infect the  
8 cells next door; and the last thing is you are down on  
9 the number of liver cells that you have, because of the  
10 ones that have been destroyed, so you are dependent on  
11 the liver regenerating. So if any of those components  
12 result in a situation of a reduction in liver cell mass,  
13 then you will ultimately enter liver failure.

14 Is that okay?

15 MS DUNLOP: Yes.

16 THE CHAIRMAN: Yes. I don't find it difficult to understand  
17 that these factors may all be contributing --

18 A. I was only just meaning have I explained it adequately.  
19 I wasn't meaning a complete story.

20 THE CHAIRMAN: I think we know not to expect a complete  
21 story, after Professor Alexander told us how delighted  
22 his students were to learn that he was 58, when their  
23 studies were showing that that was the point beyond  
24 which there really was no advantage in doing anything to  
25 reverse processes that had already started. Those of us

1           who are really beyond 58 can't take much comfort from  
2           it.

3    A.   I agree.

4    MS DUNLOP:   Just before we leave genotypes, I think we have  
5           covered this yesterday, but to be sure that we  
6           understand: for many people with haemophilia they will  
7           have had more than one genotype circulating, and you  
8           have explained to us that you can have successful  
9           treatment against what at a particular point is the  
10          dominant genotype in an individual, only to find that  
11          they relapse because another genotype has, as it were,  
12          popped up and taken the place of the treated genotype.

13                 So I think we can understand that sequential series  
14                 of events, but at any given point, would the factor that  
15                 there were several genotypes in an individual make their  
16                 rate of progression more rapid, or is that simply not  
17                 known?

18    A.   I don't think it's known.  You could deduce that if the  
19           sum of the two resulted -- in other words, the two  
20           genotypes replicating -- resulted in a higher total  
21           level of viraemia, then you may get more rapid spread to  
22           the liver and more liver damage.  You could argue in  
23           that way.  But I don't know of any data to suggest that,  
24           if you have, let's say, genotype 3 and genotype 1, for  
25           the sake of argument, you get more rapidly progressive

1 disease.

2 Q. Yes. It does intuitively feel as though it might be  
3 more of a problem for the immune system to have two  
4 distinct battles on its hands.

5 A. Yes, you could -- I think that would be the case and, of  
6 course, we discussed yesterday this antigenic overload  
7 or immune exhaustion where, if the virus is continually  
8 presenting the immune system with variations of its  
9 antigenic structure, then the immune system has to  
10 continually produce new clones of cells, recognising  
11 those new antigenic epitopes, and that eventually  
12 exhausts the system.

13 Q. Yes.

14 A. And in a virus like Hepatitis C, irrespective of whether  
15 you have two genotypes, even if you just have one  
16 genotype -- you remember that I mentioned that there are  
17 multiple quasispecies, multiple virus particles which  
18 are all differing in genetic sequence and therefore in  
19 antigenic structure. So the immune system doesn't  
20 really know -- you know, it's looking at a rapidly  
21 changing field of things that it needs to respond to.

22 Q. Yes. I think we also covered yesterday what might  
23 happen in somebody who had Hepatitis B and Hepatitis C,  
24 and you spoke about the interference, so that the  
25 Hepatitis B might, as it were, be waiting in the wings.

1 A. Yes, we had one case where the individual had only had  
2 one inoculum and therefore it wasn't a case of the  
3 later-appearing Hepatitis B having been introduced at  
4 a second stage because of another infusion. There was  
5 only one infusion and I think, if I remember the paper  
6 correctly, six to nine months later only then did the  
7 Hepatitis B appear, whereas normally you would expect it  
8 to be detectable at three months, the standard  
9 incubation period.

10 Q. Yes. Just one other factor, I think, Professor Thomas,  
11 which again is mentioned in this report, and it's in the  
12 next list. There seemed to be several different lists  
13 actually of factors but if we go down page 47, there is  
14 a list here, which we have covered, apart from what  
15 occurs at the top of page 48, which is smoking. What  
16 can you tell us about that?

17 A. It depends what you are smoking. The French came up  
18 with some data to suggest that if you are smoking  
19 cannabis, that is pro-fibrogenic; in other words that  
20 stimulates fibrosis.

21 I don't know any data about just tobacco smoking as  
22 opposed to cannabis smoking. And there is a mechanism  
23 now whereby cannabis causes it, because on some of the  
24 cells that are responsible for laying down fibrous  
25 tissue there are receptors, cannabinoid receptors, the

1 receptors to which the cannabis molecule bites. So we  
2 know the cells that are stimulated to produce more  
3 fibrosis tissue have the right receptors, and that  
4 always encourages one to think that if you know the  
5 mechanism, that the observation is true. It may not be  
6 always so but it does encourage you to that end.

7 Q. I think actually, just really because I didn't want to  
8 leave a loose end, we were discussing something after  
9 the conclusion of yesterday's hearing and we felt we  
10 would like some more explanation of the mechanism of the  
11 rise in viral titre after a fatty meal.

12 We understand about the LDL receptors on the surface  
13 of the virus, as it were, being associated both with  
14 uptake of fat and also with the portal of entry for the  
15 virus, but how actually does it work that the fatty meal  
16 promotes a rise in viral titre?

17 A. You know, it's the usual dynamic really, in that the  
18 fat's coming in and if the virus particles are being  
19 incorporated into those fat globules, then as they pass  
20 by the liver, they are then taken out, by virtue, not of  
21 the LDL receptor recognising the envelope proteins but  
22 recognising the fact that the virus is now covered in  
23 fat globules, which are indistinguishable from those  
24 that have come in in the diet.

25 So if you like, the virus has piggy-backed in on the



1 fat and then, of course, you have got more virus coming  
2 in so then you get the facilitated replication and  
3 production of virus. Don't forget, if you are putting  
4 out 10 to the 12 virus particles per day, small changes  
5 in virus replication will fairly rapidly alter levels of  
6 viraemia, which is essentially what we are measuring.

7 Q. So to go back to the lock, the key and the door, the  
8 door is open more widely, as it were?

9 A. Yes, or you have got a -- yes, I don't want to go into  
10 more detail with the analogy. It will do, yes.

11 PROFESSOR JAMES: It's the exit which is open. Really it's  
12 a traffic problem. More fats kind of going into the  
13 cell and coming out of the cell, and that allows more of  
14 the virus. Remember the diagram from Professor Thomas  
15 yesterday.

16 MS DUNLOP: So the exit is open more widely as well?

17 A. Yes. Just to go back to this smoking of tobacco, of  
18 course, again that's probably confounded by the fact  
19 that people who smoke often take more alcohol. The two  
20 are correlated. So you have to do, you know, co-variant  
21 analysis, looking for whether each of these is an  
22 independent variable or really whether it's merely  
23 related to something else which is causing the change.  
24 It's the old chestnut about, you know -- I have  
25 forgotten what it was now but, you know, people who

1 watch television are more likely to get bronchogenic  
2 carcinoma or something like that. It's an indirect  
3 correlate. Not a good example, probably.

4 THE CHAIRMAN: No, it's like Professor Cairncross, who was  
5 professor of economics at Glasgow just before I went  
6 there in 1956, used to give an example which was passed  
7 on, that after the war the birth rate in the general  
8 Clyde area increased in precise correlation to the  
9 importation of bananas.

10 A. I thought you were going to say that it was correlated  
11 with the number of televisions that there were in the  
12 household.

13 THE CHAIRMAN: I think at that stage it would be an inverse  
14 correlation because people who couldn't afford  
15 a television set ...

16 MS DUNLOP: Professor Thomas, I think these are the only  
17 parts of this annex that I wanted to put to you but is  
18 there anything else that we should particularly note?  
19 I think the author you mentioned earlier, Wright, is  
20 referred to in this paper. Is that correct?

21 A. Yes, yes.

22 Q. That table is on page 50 to 51.

23 A. Yes, Wright et al, 2006.

24 Q. Yes.

25 A. I'm a co-author of that paper. So that's why I know the

1 detail of it.

2 Q. I see. And there are some details of the sorts of  
3 factors you have mentioned. The brain factors, for  
4 shorthand, in this paper as well.

5 There was also detail in the section dealing with  
6 antiviral therapy about quality of life.

7 Can we just perhaps move on to 54? We can see the  
8 scale, something rating quality of life. And a lot of  
9 this, I think, is perhaps common sense, that we  
10 understand the treatment to be very demanding and  
11 obviously people are feeling very unwell with treatment.  
12 That must have an effect on their quality of life. We  
13 can see that statement at the top of 54:

14 "Symptoms such as depression, myalgia, lethargy,  
15 influenza-type symptoms and biochemical and  
16 haematological abnormalities are common on treatment."

17 A. You have noticed that many of those symptoms are the  
18 same that are seen in acute hepatitis and that's because  
19 in acute hepatitis they are caused by your body  
20 producing interferon.

21 Q. Right, yes.

22 A. And when we use interferon therapeutically in larger  
23 amounts than you would otherwise produce, it's not  
24 surprising that you would get the same symptoms.

25 Q. Then we have extra-hepatic manifestations.

1           About half way down 56, there is a reference to  
2           impaired cognitive function, which I think is exactly  
3           the material you have been narrating to us. So we  
4           understand from your report that you don't have any  
5           significant difference of view with the conclusions of  
6           this paper. Is that right?

7   A. That's correct, yes.

8   Q. Yes.

9   A. One particular thing I was asked really is whether  
10       I thought the response to the perceived inadequacies of  
11       the Skipton ex gratia payments had been addressed.

12   Q. I think all we were concerned to focus on,  
13       Professor Thomas, was whether the medicine in this was  
14       accurate.

15   A. Yes, that's -- yes.

16   Q. Yes. It was appendix 4 that we wanted you to look at  
17       and tell us if there was anything in the description of  
18       the disease, or the symptoms or the treatment, with  
19       which you took issue, and my understanding of the  
20       position is that there isn't.

21   A. No.

22   Q. Is that right?

23   A. Yes. Correct.

24   Q. Thank you.

25           Can we return to your report, please, and look at

1 the section on page 11, which deals with treatment?

2 Will you excuse me a moment? (Pause)

3 Thank you.

4 Treatment of Hepatitis C infection. I think before  
5 I ask you about this, I wanted to put to you something  
6 that somebody who has Hepatitis C might think when they  
7 hear about the virus being identified towards the end of  
8 the 1980s. Would it not have been expected that around  
9 that time a concerted effort would be made to test  
10 people who were thought likely to have Hepatitis C and  
11 to offer something to them, treatment or advice or  
12 information?

13 A. Yes, and in fact that was the focus of the Hepatitis C  
14 strategy and action plan, which I was the chairman of.  
15 The intention being -- and one of the few targets in  
16 that was that year on year the number of cases of  
17 Hepatitis C should increase towards identification of  
18 all those that were infected.

19 That becomes difficult because of what I mentioned  
20 earlier, that 95 per cent of those infected are either  
21 current or previous intravenous drug users, and that  
22 group of individuals are not easy to reach for testing.

23 Q. I'm sorry, could you date that action plan for us,  
24 please?

25 A. Sorry?

1 Q. Could you date the action plan? I'm just looking at  
2 your CV, wondering if it's there.

3 A. Yes, it should be there. Chairman of the Hepatitis C  
4 steering group, I think it was.

5 Q. Yes, the steering group on Hepatitis C national  
6 strategy, 2000 to present. You were the chairman of it.

7 A. Yes, there was a significant delay between producing the  
8 action plan and the information that we provided really,  
9 probably close on two years or something like that. So  
10 I would need to check which dates are which, really.

11 Q. But people didn't sit down in 1990 or 1991 and say, "Now  
12 that we have a means of identifying people with  
13 Hepatitis C, how will we respond to this group of  
14 people?"

15 A. Well, there was a look-back exercise launched, which was  
16 to identify those that had received infected blood and,  
17 of course, that was a recommendation of the committee,  
18 that we should try to find those individuals, and there  
19 are data in the microbiological safety of blood  
20 documents in which that's discussed, as to how that  
21 look-back exercise is going, and the feeling that that  
22 needed to be looked at regularly, so that one of the  
23 problems in doing this was that the case notes in  
24 British hospitals -- as opposed to just English -- are  
25 often mislaid.

1 Q. Yes.

2 A. And the only way of finding an individual is often to  
3 locate his case notes. So I think Dr Robinson, who was  
4 asked to head-up this on behalf of the National  
5 Transfusion Service, had to look at, you know, ways of  
6 getting the names through the system, finding the case  
7 notes and then for those individuals to be counselled  
8 about testing and then to actually receive treatment.

9 Q. Yes. But there --

10 A. So that group that was flagged up should be the first  
11 group or one of the early groups to be looked at.

12 Q. Yes. You would have, of course, people who had acquired  
13 Hepatitis C from a blood transfusion, who were not  
14 picked up by look-back because the donor never returned,  
15 for example.

16 A. Yes.

17 Q. The people with haemophilia who had Hepatitis C.

18 A. The haemophilia centres were also looking at this but  
19 one thing that came out of the look-back exercise in  
20 relation to transfusion of whole blood and blood  
21 products was that -- I have forgotten the precise figure  
22 but, you know, maybe as many as half or more than half  
23 had, of course, died because people received blood  
24 transfusions often for major surgery in the context of  
25 cancer care. So it was surprising how many individuals

1 had actually died, you know, by virtue of their primary  
2 condition, not because of the liver disease related to  
3 Hepatitis C.

4 Q. Yes, we have had some evidence about that.

5 A. Yes.

6 Q. I suppose if we perhaps put it another way: if there had  
7 been a systematic identification of all of those who had  
8 Hepatitis C, once testing became available, and  
9 accepting that that would have been an extremely  
10 challenging exercise, the logistics of that are not easy  
11 to conceptualise. But suppose it had been done around  
12 about 1990, what could have been offered to that group  
13 of people?

14 A. I think in 1990 we were just at the early stages of  
15 having interferon. Our study of the use of  
16 lymphoblastoid interferon, which was an interferon  
17 produced from a cell line, was the first European study,  
18 a randomised control study. And that used thrice-weekly  
19 lymphoblastoid interferon, and we were looking at  
20 response rates there of 12 or 15 per cent. And by  
21 "response rates" I mean sustained viral response, what  
22 we now know to be, essentially, a cure; long-term  
23 clearance of the virus with resolution of the  
24 liver disease.

25 So in 1990 -- the reason I'm pausing is that, of



1 course, there is -- the stage of the randomised  
2 controlled trials being done, there usually is then  
3 a confirmatory study because in medicine often the first  
4 studies don't give you the total picture. That, of  
5 course, results in a licence and then NICE would  
6 actually have to agree that this should be generally  
7 available.

8 Q. I see.

9 A. I don't know how long you would expect -- from the  
10 reporting of the trial, which we reported in the BMJ in  
11 1989 -- how quickly you would expect that to feed  
12 through. But one thing that was apparent to me as  
13 a clinical investigator and a physician taking care of  
14 patients outwith the clinical trial, was that many  
15 patients weren't technically impressed with a year of  
16 lymphoblastoid interferon treatment and the prospect of  
17 being cured in 12 or 15 per cent of cases, which is  
18 where, what I was discussing earlier, it became  
19 important to tell patients where they were in the course  
20 of the disease. Because you will recall, it's important  
21 to treat them before they get to the cirrhotic stage.  
22 So the first position was: let's treat those patients  
23 who are nearest to cirrhosis, moderate or severe stages,  
24 to get those through the system first off.

25 Many patients, of course, with the milder stages of

1           fibrosis would ask the question: "Well, how quickly will  
2           it progress and what's the prospect of better treatment  
3           giving response rates above 12 or 15 per cent in the  
4           timeframe that I, as a patient, would have before I got  
5           to stage 5/6, the cirrhotic stage?"

6    Q.   And was the staging of fibrosis in place around 1990?  
7           That's not a more recent innovation.  That's something  
8           that's longstanding, is it?

9    A.   Yes, I mean, Ishak and Nadel(?) had this out a long time  
10           prior to that.

11   Q.   Right.  So what about lifestyle advice?  Around about  
12           1990 could people have been told about the synergistic  
13           effect of alcohol, for example?

14   A.   Well, the real scientific proof for the synergism of  
15           alcohol really came as a result of studies, I think, by  
16           Ralf Bartenschlager, where he had what was called  
17           a "Replicon" system.  They were essentially cells which  
18           were supporting a model virus replication, a model of  
19           Hepatitis C.  And he was looking at a variety of things  
20           that altered the effectiveness of replication, and if my  
21           memory serves me correctly, it was out of that sort of  
22           work that the synergistic effect of alcohol came.

23   THE CHAIRMAN:  When was that?

24   A.   Right ...

25   THE CHAIRMAN:  Roughly.

1 MS DUNLOP: We can look into that.

2 THE CHAIRMAN: Well, of course. It's just to get a feel at  
3 the moment.

4 A. I guess that would be in around about 2004/2005, that  
5 sort of timeframe probably.

6 MS DUNLOP: Right, yes, and we do have also in our  
7 preliminary report, just to go back to your previous  
8 report, it was November 1994 when a licence was granted  
9 for alpha interferon to be used in the treatment of  
10 chronic Hepatitis C.

11 A. Yes.

12 Q. So that's an interesting point as well, exactly in  
13 accordance with what you were saying about the stages  
14 that have to be gone through.

15 A. Yes, and I think at the same time as we were working  
16 with lymphoblastoid interferon, which was produced by  
17 Burroughs Wellcome, the Americans really didn't like  
18 lymphoblastoid interferon. It was really a biological  
19 product where there may have been seven or eight  
20 different interferon subtypes in lymphoblastoid  
21 interferon. Essentially what they did was add a virus  
22 to a lymphoblastoid cell line and purify the interferons  
23 that were produced. And as I say, it may be seven or  
24 eight different subtypes of interferon were present in  
25 that, and from batch to batch that varied.

1           So the American regulatory authorities didn't like  
2           this. And they knew in the background that Weissmann  
3           and colleagues had cloned the genes for interferon  
4           alpha, the alpha 2 gene, and the recombinant interferon  
5           would be coming through the pipeline. And they liked  
6           that because it was, you know, a nice clean purified  
7           recombinant protein. Even to this day, I think nature  
8           didn't provide seven or eight interferons just for no  
9           reason, and I think there is some indication that  
10          lymphoblastoid interferon is better than just  
11          recombinant alpha 2. That's a digression but ...

12        Q. I should have said that the particular paragraph is  
13          9.297 in our preliminary report. And lest I forget to  
14          say this too, we may be able to include the link to the  
15          annex 4 in the Skipton Fund paper, so that if anybody  
16          wants to read that, they can get a link from our  
17          transcript. People are nodding. That seems to be  
18          possible.

19                Just to look then at what you do say about  
20          treatment, Professor Thomas, if interferon --

21        THE CHAIRMAN: Do you want to start on that now? It's five  
22          to 11.

23        MS DUNLOP: I'm in other people's hands. We can try and --

24        THE CHAIRMAN: My primary interest, as usual, is the  
25          stenographer who does get tired. I think we should have

1 a break.

2 (10.57 am)

3 (Short break)

4 (11.21 am)

5 THE CHAIRMAN: Yes, thank you for the break.

6 MS DUNLOP: Thank you.

7 Professor, your report, [\[PEN0171071\]](#). We were on  
8 1081. We have talked about acute infection, and  
9 obviously the success rates have improved hugely since  
10 the early 1990s.

11 Then chronic infection. You do talk about the risk  
12 of developing hepatocellular carcinoma and we  
13 established yesterday that cirrhosis is a necessary  
14 pre-condition for that with Hepatitis C. Are there many  
15 successful treatments against hepatocellular carcinoma?  
16 Are there established chemotherapy options, radiotherapy  
17 options and so on?

18 A. The preferred option is liver transplantation but that  
19 requires that the tumour is less than a certain size and  
20 that the number of tumours is small, two or three.

21 Q. Right.

22 A. I mean, there are forms of chemotherapy but they are  
23 used only for the cases that are not suitable to be  
24 treated by liver transplantation, and radiotherapy is  
25 not used to any significant extent.

1 Q. Right. Does HCC tend to occur with several different  
2 tumours, rather than one manifesting itself.

3 A. Sorry, different types --

4 Q. I just wondered if, when HCC is detected, there are  
5 often several tumours, or is it the norm that there  
6 would only be one tumour?

7 A. Yes, often these tumours arise, in the context of  
8 cirrhosis, by one regenerative nodule giving rise to  
9 a cancer. You will recall we were discussing earlier  
10 that as well as infective liver cells being destroyed by  
11 the immune system, they are continually regenerating,  
12 and if that regenerative component gets out of control,  
13 often because of mutations, then that regenerative  
14 nodule will give rise to a tumour.

15 Usually, initially, that is a single focus, just one  
16 nodule, but you may get a second and a third area also  
17 undergoing the same change. But in most cases it's  
18 a small, single nodule and it's picked up by ultrasound  
19 scanning when it's between a half and one centimetre in  
20 diameter, that sort of size, and then those patients go  
21 rapidly for consideration of liver transplantation, and  
22 that gives an excellent result.

23 Q. It's not practicable to operate to remove the tumour?

24 A. In some cases, yes, that is offered as an alternative,  
25 and it's being considered more and more because, of

1 course, there is a limited number of organs for  
2 transplantation and as the number of HCC has increased,  
3 then we push more patients towards having a resection.

4 It's not ideal because, of course, you haven't then  
5 dealt with the background cirrhosis and other nodules  
6 may undergo malignant transformation in the way that the  
7 first nodule has done. There is a third modality of  
8 treatment, which is what we call thermal or chemical  
9 ablation, in which under imaging control you inject  
10 either alcohol or other materials to kill the tumour  
11 nodule, or you put in a radio frequency signal which  
12 heats it up, or a laser fibre which heats it up, and  
13 those approaches are also being increasingly used.

14 Q. Thank you.

15 A. That can be done almost as a day case.

16 Q. I see. Can we move on the next page, please? Much of  
17 this we have already discussed, professor. For example,  
18 you mention determinants of the presence and quantity of  
19 virus in the blood stream, and we know that these levels  
20 tend to be higher in immune-suppressed people such as  
21 those infected with HIV. But you say the level of  
22 viraemia does not appear to determine the rate of  
23 progression to liver cirrhosis in the  
24 non-immune-suppressed, although we have had some  
25 discussion about that this morning?

1 A. Yes, I think it's a moot point, really.

2 Q. It's a moot point.

3 The levels of transaminases also fluctuate over time  
4 but you say that the presence of normal transaminases is  
5 not necessarily a reassuring sign because it doesn't  
6 exclude significant liver fibrosis. Then we come on to  
7 look again at the rates of progression and we can see  
8 here major risk factors, and you have given us a table  
9 showing the possible impact of different factors.

10 A. In the illustration marked "figure 5", the range is  
11 given to give you a feel for what would be the  
12 difference between somebody with, you know, a full  
13 house, if you like, of the poor risk factors, as opposed  
14 to absence of these risk factors, when the lower figure  
15 would pertain.

16 Q. Yes.

17 A. So, you know, if you are male and you are infected -- it  
18 should be after 50 years of age, by the way, not 55 in  
19 the little red insert. If you are male and infected, an  
20 older age group, and you are taking significant amounts  
21 of alcohol, then you might go down the one, five, 15,  
22 20-year progression route; in other words, the left-hand  
23 of the two figures. Whereas if you were female,  
24 infected in earlier life, not taking any alcohol, then  
25 you might go through the 15, 25, 35 series of figures



1 really. They are just guides.

2 Q. I'm sorry, the correction you made is in the little red  
3 box?

4 A. Yes.

5 Q. It says "55" and it should say 50?

6 A. Yes.

7 Q. Right. We see there mention of obesity. How does that  
8 impact?

9 A. Yes, it's becoming increasingly the case that three  
10 things are operating adversely in many patients. One is  
11 Hepatitis C itself. Second is, as we have mentioned,  
12 alcohol, and whether there is obesity, which is  
13 associated with deposition of fat in the liver. So  
14 what's becoming clear with all of these so-called  
15 insults to the liver is that the accumulation of fat,  
16 which ultimately may burst the liver cells, is bad news  
17 in terms of creating a risk of fibrosis.

18 Q. Right.

19 A. And those three things that I have mentioned, alcohol  
20 and obesity and certain genotypes of Hepatitis C, all  
21 cause an accumulation of fat in the liver. And the  
22 genotype that is most involved in the accumulation of  
23 fat is genotype 3.

24 Q. Yes. You give us underneath the diagram what I suppose  
25 are really the bookends. So at the severe end of the

1 spectrum you have the quarter who are predicted to  
2 progress from infection to cirrhosis in under 20 years  
3 and then at the less severe end you have the third who  
4 aren't going to progress to cirrhosis for at least  
5 50 years, and everyone else in between.

6 A. And the slow progression group, as well exemplified by  
7 the Irish women who were infected with rhesus  
8 immunoglobulin where, at various intervals of follow-up,  
9 the incidence of cirrhosis has been extremely low.  
10 That's obviously because they are female. They have  
11 heeded the don't drink side of things and in the main  
12 they have been infected, obviously, during their child  
13 bearing years. So they have been infected at a young  
14 age.

15 Q. The likelihood of your female patients adhering to the  
16 advice not to drink is greater, is it?

17 A. I don't know that it's greater. I just happen to know  
18 that in that group -- there aren't any pregnant males in  
19 that group, of course.

20 Q. Yes. It's perhaps wise to be circumspect on these  
21 matters. You explain -- and again I think we can follow  
22 the logic of this because you have mentioned it several  
23 times -- that the decision regarding which patients to  
24 treat depends predominantly on histology.

25 Then you go on to tell us on the next page what

1 current gold standard treatment involves.

2 A. "Gold standard" here means the current NICE recommended,  
3 and in Scotland it would be the SIGN recommended  
4 approach to treatment.

5 Q. And indeed, some improvement, I think, is anticipated in  
6 the length of time for which people may have to take  
7 these medications -- indeed, I think it's already here,  
8 and this is the third paragraph -- that if the RNA is  
9 undetectable by the fourth week of therapy, then the  
10 patient presumably receives the welcome news that  
11 treatment duration can be shortened. But the other side  
12 of the coin is that if RNA is still positive at the 12th  
13 week of therapy, treatment is usually stopped because  
14 the chance of a sustained viral response is  
15 insignificant.

16 The protease inhibitors, which are presumably very  
17 close to being used for patients, you say, will increase  
18 the response rate in genotype 1 patients to around  
19 80 per cent?

20 A. Yes, I think 70 to 80 per cent. That's the clinical  
21 trial data. And I think they are going before NICE  
22 in March -- in the next six months up to March, that  
23 sort of timeframe.

24 Q. Right. I think I have understood from you that these  
25 are quite expensive drugs. Is that right?

1 A. Yes, I guess we don't really know what will be charged  
2 at the moment, but I think the -- the reasoning that  
3 I have heard -- because the doctors have said to the  
4 companies, "Why are you proposing charging this amount  
5 of money?" And of course, they have calculated it on  
6 the basis of how much it costs to provide a cure,  
7 an SVR. So if you are doubling the sustained viral  
8 response rate in genotype 1, you are moving it from 40  
9 to 80 per cent for instance, then the market would  
10 withstand, if you are expressing it -- as the new health  
11 service reform might ask us to do -- as a cost per  
12 cure -- and this would be not only in Hepatitis C but  
13 perhaps in other conditions as well. The cost per cure  
14 would be the same if you charged twice as much, if you  
15 are getting twice the number of cures.

16 So there seems to be that sort of logic in the  
17 system somewhere but, of course, there are two drugs,  
18 telaprevir and boceprevir, and there are many more  
19 coming through the pipeline, which presumably will  
20 create competition and force prices down.

21 Q. Yes.

22 A. These are used, by the way, along with pegylated  
23 interferon and ribavirin.

24 Q. Right. So the side effects won't necessarily change?

25 A. I think the side effects will be more severe with the

1 protease inhibitors because when similar compounds, but  
2 not identical compounds, are used in HIV, then they have  
3 caused liver toxicity. You know, accumulation of fat in  
4 the liver, for instance, has been seen with some of the  
5 HIV-active protease inhibitors. So how that will work  
6 through with Hepatitis C is not 100 per cent clear.

7 Telaprevir has been causing quite severe rashes.  
8 But the final costing is going to be dependent on this  
9 last thing that I mentioned, which is a predictive  
10 polymorphism of IL28, which is a lambda interferon.  
11 There is a polymorphism, which is strongly associated  
12 with response to treatment. So it might allow you to  
13 pick out those people who are going to respond to  
14 pegylated interferon and ribavirin from those which  
15 won't, and that latter group might then, instead of  
16 going through a trial of the pegylated interferon and  
17 ribavirin, they might start initially into those two  
18 drugs with the protease inhibitor.

19 And that will influence the health economics. And  
20 then there will be the issue of early-stopping rules of  
21 the type that we mentioned in interferon and ribavirin  
22 because if you can, at an early stage, identify those  
23 that are going to be successfully cured, then again that  
24 will increase the cost-effectiveness. So there are  
25 several groups now looking at, in preparation for NICE,

1           what the management algorithm might look like, and  
2           I presume that ultimately that may influence what the  
3           costs would be.

4    Q.    Yes.

5    A.    And the unknown, of course, is the competitive issue as  
6           well.

7    Q.    Yes.  Are telaprevir and boceprevir made by different  
8           manufacturers?

9    A.    Yes, telaprovir is made by Vertex and boceprovir is made  
10           by Schering-Plough, but they have just been bought by  
11           Merck Sharp and Dohme.

12   Q.    As you say, in Scotland we use SIGN and no doubt similar  
13           sorts of guidance is being looked at for Scottish  
14           patients?

15   A.    Sure.  One of the figures that was cited was that it  
16           might cost up to £18,000 for a combined course of  
17           pegylated interferon, ribavirin and one of these  
18           protease inhibitors.  And, you know, I think, if my  
19           memory serves me correctly, a full year's course of  
20           interferon and ribavirin probably costs about £10,000,  
21           that sort of level.  So they are looking at doubling it  
22           in anticipation of the doubling the response rate, so  
23           that the cost per cure is slightly improved on what it  
24           is now.  So when you do the cost-effectiveness analysis,  
25           it will come out as a significant improvement.

1 Q. Right.

2 A. Which is one thing that NICE and presumably SIGN will be  
3 looking at.

4 Q. Yes. And you look to the future, Professor Thomas, and  
5 you say that the current situation, I infer, is not  
6 static, that there are attempts to develop further drugs  
7 with which to treat Hepatitis C.

8 A. I read somewhere that there is no condition with more  
9 drugs in the pipeline than Hepatitis C.

10 Q. Right.

11 A. I was in the position of having to do a review of that  
12 recently, and by 2015 I think there will be about 30 new  
13 drugs waiting in the wings. And that will, of course,  
14 influence what happens in terms of pricing, I guess.

15 Q. Right.

16 Well, Professor Thomas, there has been a lot of  
17 unhappy information over the past day and a half and  
18 perhaps that slightly more optimistic note is a good  
19 note on which to end. So thank you very much for giving  
20 us all this information about Hepatitis C.

21 THE CHAIRMAN: Mr Di Rollo?

22 Questions by MR DI ROLLO

23 MR DI ROLLO: Professor Thomas, I just want to pick up on  
24 one or two points in relation to what has been said  
25 today and yesterday.

1           Just now and also yesterday you used the word  
2           "cure". Yesterday, I think, in the context of different  
3           genotypes and treatment with interferon and ribavirin,  
4           and whether or not the outcomes would be different  
5           depending on the genotype. I don't know if you remember  
6           that passage in your evidence?

7           A. Yes, I do, yes.

8           Q. One thing I would like to ask you about is the use of  
9           the word "cure". Would it not be more accurate to talk  
10          about effective treatment, rather than cure in this  
11          context? Are you ever really cured, is what I'm trying  
12          to get at?

13          A. In short, I think you are, so long as you are treated  
14          before you have cirrhosis. And, I mean, the phrase  
15          that's used is "sustained viral response"; in other  
16          words, undetectable HCV RNA six months after the end of  
17          treatment. If any reappearance of RNA is going to  
18          occur, it will occur in the first few months after the  
19          end of treatment.

20          You are right to question this because, of course,  
21          we were conservative about translating an SVR,  
22          a sustained viral response, into the word "cure" for  
23          many years, until we had decent long-term follow-up, and  
24          long-term follow-up has shown that viral relapse is  
25          a very infrequent occurrence.



1           The other aspect of cure, of course, is not just  
2           a virological cure but we were also wanting to imply  
3           that if you treat before cirrhosis has developed, then  
4           the existing scarring there, or fibrosis, if you do get  
5           an SVR, regresses slowly, so that the scarring is  
6           reabsorbed, as Professor Oliver James was saying in  
7           relation to a lesion of the thumb or the liver.

8           And that is an evolving field, by the way, because  
9           it hasn't been possible to, in the haemophilia  
10          population, do frequent liver biopsies for the obvious  
11          reason. But we have got non-invasive techniques now,  
12          so-called vibro-elastography, where, with an ultrasound  
13          wave, you flick the liver and measure how much the liver  
14          wobbles, which tells you how stiff it is, just like  
15          a jelly being flicked, if you like. And the stiffness  
16          of the liver is related to the scarring in it and that  
17          should reduce in somebody with an SVR, and indeed it  
18          does.

19          But it may be several years before it actually goes  
20          back to normal and we don't have a big enough cohort of  
21          patients really to make that comment.

22    Q. Is it correct to say then that there may be situations  
23          where there will still be a lingering damage to the  
24          liver?

25    A. I think the really important group, of course, is the

1 patient who comes for treatment once they have got  
2 cirrhosis, because even though we cure the viral  
3 infection there, cirrhosis really doesn't disappear and,  
4 as you heard during the course of the discussion, the  
5 cirrhosis puts you at risk of liver cell cancer.

6 So there are patients who have undergone a sustained  
7 viral response. They are cured virologically speaking,  
8 who already had cirrhosis prior to treatment, and in  
9 that group some of them have gone on to develop primary  
10 liver cell cancers. So in this group you are quite  
11 right, we shouldn't be talking about a cure of their  
12 overall condition because they are still at risk of this  
13 severe complication. But for all the others, short of  
14 cirrhosis, who have a sustained viral response, then  
15 ultimately their liver should go back to normal. And  
16 that word "should" is in there intentionally because we  
17 have only got a few years observing that at the moment,  
18 and it may take longer than that period to go back to  
19 stage zero, which is normal in terms of scarring of the  
20 liver.

21 Q. Does cirrhosis occur in situations where the condition  
22 doesn't become chronic? I think at one point in your  
23 evidence yesterday -- I may have misunderstood what you  
24 were saying, but is it possible to have a situation  
25 where you simply have an acute episode but still, at

1 a later stage, suffer from cancer, liver cancer, as  
2 a result of that acute episode at a later stage? Is  
3 that possible?

4 A. No, no. I think the march of events is acute infection,  
5 failing to resolve, giving chronic infection and then  
6 cirrhosis, and then the risk of liver cancer. You can't  
7 miss out any of those stages, if I could phrase it in  
8 that way.

9 Q. I think there was a point at which I did misunderstand  
10 that.

11 A. I'm sorry if I have given the wrong impression.

12 There are cases where somebody will have reported an  
13 acute hepatitis and then many years later have developed  
14 a -- it has become apparent they have got a cirrhosis  
15 and then a liver cancer, and that we have interpreted as  
16 being an asymptomatic cirrhosis where they have had  
17 a superimposed acute viral hepatitis which could, of  
18 course, be A, B or C -- superimposed on top of  
19 cirrhosis.

20 Not everybody, for instance, will declare how much  
21 alcohol they are taking. We used to be very cynical  
22 about that as doctors, we are less cynical about this  
23 now. Patients are much more forthright about what they  
24 are taking.

25 Q. There is a sentence in your report which may be

1 misleading or may be misunderstood. It's at page 11.

2 Could we just have that up on the screen?

3 A. I have that, yes.

4 Q. It's under the "Chronic Infection" headline. I'll just  
5 read out the whole section:

6 "The main aim is to prevent development of cirrhosis  
7 and death from liver failure and liver cancer. It is  
8 worth noting that it is only those that have progressed  
9 to cirrhosis who are at risk of HCC. Even those who  
10 have cleared the virus, either spontaneously or on  
11 treatment but already have cirrhosis, are at risk of  
12 developing HCC."

13 We should understand from that, from when you are  
14 telling me, that, unless you have developed cirrhosis,  
15 you are not at risk of developing HCC. Is that right?

16 A. That's right, and I think the area of confusion may  
17 be -- because you are thinking of spontaneous clearance  
18 after acute infection.

19 Q. Yes.

20 A. That a small number of patients each and every year will  
21 clear the virus and this could occur at one or five or  
22 ten years after the onset. So that's probably why  
23 that's a bit confusing.

24 Q. Thank you for that.

25 One of the things that I wanted to ask you about is

1 the question of the statistics relating to the  
2 percentage of people that spontaneously clear the virus  
3 and then there is another percentage that go on to  
4 develop the condition. And relating in particular to  
5 haemophiliacs, who had repeated doses of concentrates  
6 over a period of time, if someone has been infected with  
7 the virus and then cleared it spontaneously and then has  
8 a concentrate again later on, presumably the percentage  
9 chance of not clearing it -- that person is back into  
10 the pot again in terms of what the chances are for that  
11 individual.

12 In other words, is it that the more times you have  
13 concentrates, the more times eventually you are not  
14 going to clear spontaneously and you are going to  
15 develop a chronic condition. Is that reasonable?

16 A. Well, I think that probably is reasonable. I think it's  
17 going to be a deduction for me to say that it's  
18 reasonable because I don't think there is good data on  
19 that. You know --

20 Q. What I was going to suggest was that in some board games  
21 you have to throw a double six to start, and you keep  
22 throwing a double six until you start the game or get  
23 your turn to go. Presumably, the more times you take  
24 concentrates, one would have thought, intuitively, the  
25 more likely it is eventually you are going to get

1 a chronic condition as opposed to situation where you  
2 are going to spontaneously clear every time.

3 A. I see where you are coming from. The only factors that  
4 I know of that differentiate between those that clear  
5 the virus and those that don't are the HLA class 2  
6 proteins. And Mark Furze(?) and I published in the  
7 Lancet ten years ago that there are certain HLA types  
8 which have a strong possibility of leading to clearance  
9 of the virus and other HLA types which don't allow  
10 clearance, and that, of course, won't change. Your HLA  
11 type is genetically determined, and those HLA proteins  
12 present parts of the virus to the immune system and say,  
13 "Look, this is a virus. I'm a cell. This virus is in  
14 me, kill me." And you know, if your HLA proteins  
15 present the virus fragments well, then the outcome will  
16 be clearance.

17 Now, that comes through in the data, is probably the  
18 bottom line, and it comes through statistically  
19 significantly so, and it has been confirmed in three or  
20 four other studies subsequently, and that HLA phenotype  
21 won't change. If, when you are throwing your double  
22 sixes, everything is the same. I know in random  
23 situations you are going to not throw double sixes but  
24 it isn't random here. Your environment has stayed  
25 constant, your HLA proteins have stayed constant.

1 Q. I mean, have any detailed specific studies been done in  
2 relation to haemophiliacs or are the studies more  
3 general than that?

4 A. The studies that we did were mainly in intravenous drug  
5 users, not in the haemophilia population. I think the  
6 principle would still apply but it could be that  
7 haemophiliacs have a lower proportion of the good HLA  
8 genes or a higher proportion. It could go either way.  
9 I don't know the data and I don't think it has been  
10 looked at.

11 Q. Obviously your studies, as you have now told us, didn't  
12 concern haemophiliacs. Do you know if studies have been  
13 done by others in relation to haemophiliacs in relation  
14 to this particular point?

15 A. I don't know of any information.

16 Q. Right. As far as treatment is concerned, and having  
17 more than one genotype, is it correct to say then that  
18 if you have more than one genotype of the virus, then  
19 treatment may be more complicated and less likely to  
20 succeed? Is that reasonable? Are those three things  
21 reasonable? More complicated, more difficult and less  
22 likely to succeed.

23 A. You would think that that would be the case and  
24 particularly if you have a mixture of genotype 1 and 3,  
25 for instance, you would expect the genotype 1 to require

1 a year of treatment. Your genotype 3, all else being  
2 equal, would only require six months. What happens when  
3 the two are there together, I don't think we know.  
4 There is only relatively small numbers of patients  
5 treated.

6 I think the other thing that has been a problem in  
7 treating the haemophilia population is that the  
8 interferons have been given subcutaneously and of  
9 course, we are worried about forming haematomas by  
10 having to inject three times a week. The pegylated  
11 interferons, of course, we only inject now weekly. So  
12 that problem is starting to diminish. And initially,  
13 when we had to give the injections more frequently, we  
14 gave them intravenously to make sure we didn't cause  
15 haematomas.

16 When we were only looking at 12 to 15 per cent  
17 response rates, when you are explaining the risk/benefit  
18 to the patient, the need for repeated intravenous  
19 injections was something that would be considered -- in  
20 genotype 1 it would have to continue for a year. That  
21 would be discouraging to the patient, I would think.

22 Q. When was it appreciated that there could be more than  
23 one genotype of the virus? When did that realisation  
24 become apparent?

25 A. It would be in the first two or so years after its



1 discovery in 1989.

2 Q. Right.

3 A. I would guess around about sort of 1991/1992, that sort  
4 of time.

5 Q. Have you heard the term "occult hepatitis"?

6 A. Yes.

7 Q. Can you explain what that is, what it means; what is  
8 meant by "occult hepatitis"?

9 A. Occult hepatitis is when really you are arguing that the  
10 virus is present in the liver or in a cell but not in  
11 the circulating blood. It has been raised in relation  
12 to sustained viral responses. You know, could it be  
13 that you cleared the virus from the blood but not from  
14 the liver? And I think in the first few months after --  
15 you know, when you are coming up to the end of  
16 treatment, there may be situations where you can't  
17 detect it in the blood but it is still present in the  
18 liver.

19 It has also been described with Hepatitis B, where  
20 it has been more complicated actually, because whether  
21 the virus is detectable in the blood is partly dependent  
22 on antigenic assays, Hepatitis B surface antigen assays.  
23 One case that we dealt with in southern Italy, where the  
24 patient was DNA positive but HBsAg negative, turned out  
25 to have a mutation at position 145 in the envelope gene

1 of the virus, in the surface antigen gene, which  
2 destroyed its antigenicity. So that virus was occult,  
3 if you like, but still there. And there are situations  
4 where it has been argued that the virus, Hepatitis B,  
5 may be present in the liver but not in the peripheral  
6 blood, other than that situation I have just described.

7 Why do you ask particularly?

8 Q. Some of those who I represent have raised the matter and  
9 are interested in the question of what it is.

10 THE CHAIRMAN: Could I know what the nature of the interest  
11 is, Mr Di Rollo? Is it something I'm going to have to  
12 consider and report on because if it is, at the moment  
13 I have an answer that there is something called "occult  
14 hepatitis" but I don't really know what its relevance  
15 is.

16 It's quite important, Mr Di Rollo. I hope we are  
17 reaching the end point of oral evidence in the Inquiry  
18 and I'm anxious to get an answer, as we go, rather than  
19 to have to extract answers from Professor James later.

20 MR DI ROLLO: I think it's in the context of those that feel  
21 that they are suffering symptoms but there is a negative  
22 PCR test, and it's in that --

23 THE CHAIRMAN: That does begin to give context but I think  
24 that you really have to develop that with the professor,  
25 that there is a group of people within the total

1 haemophilia population who are reporting symptoms but  
2 who, on test, prove negative.

3 There could be a vast number of reasons for that,  
4 I suppose: the sensitivity of the tests and all sorts of  
5 others. But I think you have to explore it,  
6 Mr Di Rollo, really.

7 MR DI ROLLO: I was going to explore it in the context of  
8 extra-hepatic manifestations but it's plain from the  
9 report, the review that we were referred to by counsel  
10 to the Inquiry, at page 55 of that, that according to  
11 this chronic HCV infection may have an impact on  
12 patients beyond liver damage.

13 These extra-hepatic manifestations can involve  
14 multiple organ systems, including renal, dermatological,  
15 haematological and rheumatological systems. In the  
16 course of your evidence you have mentioned specifically,  
17 I think, issues in relation to brain fog and the like,  
18 that there are patients, I think, that do report  
19 symptoms where there is apparently a negative PCR test  
20 and they have other kinds of symptoms. So it's in that  
21 context that I'm raising this issue of occult hepatitis.

22 THE CHAIRMAN: I'm still a bit worried, Mr Di Rollo. I had  
23 understood the extra-hepatic manifestations here largely  
24 to relate to circumstances in which there were hepatic  
25 manifestations but also other manifestations. But at

1           the moment are you figuring a situation in which there  
2           are extra-hepatic manifestations of the kinds described  
3           in this report, but no hepatic manifestations.

4   MR DI ROLLO:   That's is what I'm asking about occult  
5           hepatitis.   That is what I'm asking about.

6   THE CHAIRMAN:   I think you have to ask the professor whether  
7           that sort of situation exists, where the symptoms are  
8           real as distinct from imaginary or whatever.

9   A.   I would say, first of all, that these extra-hepatic  
10          manifestations -- and you mentioned specifically renal,  
11          dermatological and, you know, the non-Hodgkin's  
12          lymphoma, all of those, I think without exception,  
13          really, have continuing viraemia detectable by HCV RN  
14          PCR test systems.

15                 In the context of brain fog, the majority of the  
16          virus is being produced in the liver and these patients  
17          have viraemia.   Where there has become an issue in some  
18          respects is that -- we were discussing  
19          Koch's Postulates, which are that, you know, if a group  
20          of symptoms are associated with an infection, when that  
21          infection is cured you would expect them to go away.   If  
22          that doesn't happen, can you argue that there is occult  
23          Hepatitis C?   And one of the problems that, for  
24          instance, has been -- when we have done physical and  
25          mental wellbeing scores, these so-called SF36 scores,

1           which were cited under a reference of Dr Wright --

2           perhaps we could pull that up actually.

3   MR DI ROLLO: I'm sure we can.

4   THE CHAIRMAN: I'm sure someone will have the reference for

5           it by now.

6   A. Sorry, I can find it actually.

7   THE CHAIRMAN: Maybe we should all see it rather than just

8           you have it available.

9   A. I could tell you the page reference. It's page 51 in  
10          this document that's on the screen at the moment.

11                 This is the table at the top. You can see that  
12          people who have a reduced quality of life score  
13          initially get worse when they are on treatment. So in  
14          mild disease it goes from 0.77 to 0.65. 1 is normal by  
15          the way. SVR after mild disease, in other words, after  
16          we have got rid of the virus, goes back to 0.82 but it  
17          doesn't go back to 1. People have said, "Does this mean  
18          that there is any residual virus left?" But, of course,  
19          how somebody feels is a very complex situation really.  
20          They are still worrying about, you know, what all this  
21          means. They might not have had all their questions  
22          answered adequately, and I don't think you can take any  
23          residual, compromised quality of life scores as  
24          indicative that there is occult HCV; particularly in the  
25          context of the 95 per cent of patients who have, either

1           currently or in the past, used recreational drugs,  
2           because their quality of life score would be dependent  
3           on whether they have an addictive propensity, you know,  
4           whether they need addictive drugs still.

5           So in short, I think the evidence both in the  
6           extra-hepatic manifestations which are well  
7           established -- like cryoglobulinemia, like renal  
8           disease -- those patients have viraemia, it isn't an  
9           occult infection, and those that, after a demonstrable  
10          sustained viral response, where more than six months  
11          after the end of treatment they are undetectable by the  
12          most sensitive HCV RNA tests, if those people have  
13          residual cognitive abnormalities, it is often related to  
14          non-viral related problems.

15          Of course, there are other issues about  
16          compensation, et cetera, which are also there in the  
17          background, which the neurologist will always tell you  
18          make it difficult to evaluate residual symptoms after an  
19          acute illness really. These are often subconscious.  
20          They are not a deliberate intention to promote  
21          continuation of symptoms. You know, they are still  
22          worried and they do have symptoms that are not related  
23          to viraemia.

24   THE CHAIRMAN: Professor, I wonder if I could try and tease  
25          out an example from the table.

1           If one had a haemophilia patient, whose HRQoL is  
2           measured before manifestation of Hepatitis C appears,  
3           would that person have a score of 1 or would it be  
4           likely already to be compromised by living with  
5           haemophilia?

6   A.   I suspect -- these studies have been done in  
7           non-haemophilia.

8   THE CHAIRMAN:   Yes, indeed.

9   A.   I suspect that it would be compromised, yes.

10   THE CHAIRMAN:   That's the first point that I'm interested in  
11           because if that is the case, then restoration to the  
12           status quo ante would not be to a score of 1.  But if we  
13           then look within that, a person who has had moderate  
14           disease, to take that example, and has suffered from it  
15           and then has treatment, would that person not, even  
16           after being told he or she -- in this case he -- was  
17           successfully treated, be concerned enough about the  
18           history to score under par, as it were?

19   A.   Yes, this starts to come out when you -- if you blind --  
20           in other words, if you look at the scores after  
21           treatment, before the patient knows the outcome, then  
22           there are studies that have been done in the USA which  
23           suggest that part of the improvement is related to the  
24           fact that the patient knows that his SVR is negative.  
25           If he doesn't know that, then there is a group where it

1 does return to the pre-treatment level, but there is  
2 also a group where it doesn't.

3 THE CHAIRMAN: That, I have to say, at the moment doesn't  
4 surprise me because it seems to me that just the nature  
5 of the human response to having been ill is a continuing  
6 concern whether there is some sort of residual deficit,  
7 as it were, and if that were the case, then it would  
8 make it very difficult perhaps to attribute a cause to  
9 that continuing situation, if nothing could be measured.

10 A. I think that's true, yes.

11 THE CHAIRMAN: I don't know if that helps, Mr Di Rollo.

12 MR DI ROLLO: I think it does.

13 The situation is that it's one of these problems  
14 that it's very difficult to actually identify what is  
15 causing the trouble at that particular point, and it may  
16 or may not be related to the actual virus or the fact  
17 that there was a virus there in the first place.

18 A. Yes. What I was trying to say is it's a very  
19 complicated situation really. There is the  
20 pre-treatment problems. They may have additional  
21 problems, other worries, financial worries, you know,  
22 and doctors tend to find reassurance, since they are  
23 making very difficult decisions -- they find reassurance  
24 if there is something objective they can measure, which  
25 is the presence or absence of the virus by techniques



1           which are exquisitely sensitive really. And if, when  
2           you do that, you come up with a logic, something that  
3           you can understand -- when the virus goes down the  
4           patient feels better; when it goes up again, he feels  
5           unwell -- all that reassures the doctor that he is  
6           probably measuring something that's relevant.

7    Q. Can I just come back then to the issue of extra-hepatic  
8           manifestations, which I understand, obviously, is not  
9           the same thing. We are talking about a situation here  
10          where the liver is, one can see objectively, affected.  
11          But there are other things that are happening to the  
12          patient. Can you just describe for us what these other,  
13          or extra-hepatic manifestations are? Can you just go  
14          into some detail about each of them? They are referred  
15          to here as involving multiple organ systems, including  
16          renal, dermatological, haematological and  
17          rheumatological systems. Can you just go through that  
18          for us and just explain what they are?

19   A. The easiest ones to deal with are the renal and  
20          dermatological, in as much as there is a condition  
21          called "cryoglobulinemia", where the virus is complexed  
22          with antibody, and this complex, when the blood is  
23          cooled, precipitates out of suspension, and these immune  
24          complexes, the cryoprecipitate, will stick in small  
25          blood vessels, and the ones that are affected most often

1 are those in the kidney.

2 When you look at the cryoglobulin, depending on what  
3 antibodies it has got in it, you can classify it and, as  
4 you see here, it's the mixed cryoglobulinemias, which  
5 I think are a mixture of IGM and IGG antibodies, which I  
6 think are specifically involved here. There are other  
7 cryoprecipitates which have different classes of  
8 antibodies in them. The dermal complications can again  
9 be related to immune complexes deposited in the  
10 capillaries or small arterials in the skin so that you  
11 get small nodules and often they are on the lower limbs.

12 The other dermatological associations are these ones  
13 called -- this problem called "lichen planus", where  
14 I think really we have no idea as to why the infection  
15 should be associated with lichen planus. I think  
16 porphyria cutanea tarda is a metabolic disease where  
17 there's a genetic component and I think you could  
18 probably take that out of the list now as being  
19 causatively related to Hepatitis C.

20 The non-Hodgkin's lymphoma, I think, is, as we  
21 discussed yesterday, difficult because undoubtedly in  
22 the Mediterranean countries -- and by that I mean  
23 southern Spain, southern France and Italy -- there is  
24 a very high prevalence of Hepatitis C in non-Hodgkin's  
25 lymphoma, as opposed to Hodgkin's lymphoma, which is

1 a control group that was looked at in the same studies.

2 But if you look in northern Europe, the prevalence  
3 of infection in a non-Hodgkin's lymphoma is not  
4 significantly different from the normal population. So  
5 we don't have any epidemiological data for the virus  
6 being involved in non-Hodgkin's lymphoma in northern  
7 Europe. It's possible that a series of viruses in  
8 a particularly genetically pre-disposed individual could  
9 cause a non-Hodgkin's lymphoma and different viruses are  
10 operating in southern Europe to northern Europe, but  
11 that's a bit of a resort of the destitute really because  
12 we have no evidence for that.

13 Q. I think the table 3 that's -- if you go over to page 57,  
14 there are some other conditions referred to that that  
15 finishes there. But what I would really want to draw  
16 out from you is, from the point of view of the patient,  
17 these extra-hepatic manifestations, what would the  
18 patient suffer, taking them in turn: the renal, the  
19 dermatological, the haematological and the  
20 rheumatological problems or systems? How would that  
21 manifest itself as far as the patient was concerned,  
22 these extra-hepatic manifestations?

23 A. If you take the so-called autoimmune diseases, which are  
24 associated but not necessarily causatively associated --  
25 if you take rheumatoid arthritis and autoimmune

1 thyroiditis, there is a genetic predisposition to those  
2 conditions. They usually have A1-B8-DRw3, one  
3 particular HLA pattern. If you have got those, you are  
4 more likely to have these autoimmune problems, and  
5 interferon makes those autoimmune diseases significantly  
6 worse.

7 Q. So the treatment makes them worse?

8 A. Yes.

9 Q. Right.

10 A. And we will screen patients prior to starting treatment  
11 for antibodies in their blood which tell us whether they  
12 have thyroiditis or rheumatoid arthritis and in those  
13 patients where the symptomatology gets worse during  
14 treatment, if you look at the pre-treatment specimens,  
15 they already have these conditions, it's just that the  
16 interferon has brought them out, made them worse, if you  
17 like. That is not an absolute contra-indication but it  
18 is something one would need to discuss with a patient.  
19 I have a patient whose arthritis got really extremely  
20 severe on interferon so that we had to curtail  
21 treatment.

22 Q. What about the dermatological problems? What  
23 extra-hepatic manifestation would you get? What is the  
24 skin trouble that one would have?

25 A. The one that's best causatively related to the

1           Hepatitis C is this cryoglobulin anaemia, where, over  
2           the lower parts of the leg, there will be thrombosed  
3           arterial -- little black nodules on the lower limbs,  
4           which look like purpura but they are actually thrombosed  
5           blood vessels, where the cryoglobulins, the immune  
6           complexes, have got stuck in the small blood vessels.

7           Why in the lower legs? Well, the circulation is  
8           slower in the lower legs and I guess it's more likely to  
9           precipitate there, and the lower legs are also colder  
10          than the upper limbs or the trunk, so the  
11          cryoprecipitate, which precipitates out of the blood  
12          with a falling temperature, is more likely to occur in  
13          the lower limbs.

14        PROFESSOR JAMES: And they are quite painful, aren't they?

15          The nodules are quite uncomfortable if you have them?

16        A. Yes.

17        THE CHAIRMAN: Could I ask when these manifestations were  
18          known? For example, you say that you screened patients  
19          in advance for certain of these conditions. What  
20          timeframe should one have in mind for that?

21        A. In a historical sense?

22        THE CHAIRMAN: Yes. Is it recent or ...?

23        A. I guess we always knew that interferon stimulated the  
24          immune system. So I guess from the early 1990s we would  
25          be thinking about whether we made autoimmune diseases

1 worse. I think, with the licensing, probably in the  
2 package insert it will say that the interferons may make  
3 these autoimmune conditions worse. So that would allow  
4 you to fix a precise date. But it would be in the early  
5 1990s.

6 THE CHAIRMAN: So it's not a very recent discovery?

7 A. No, no.

8 MR DI ROLLO: It sounds to me as though these manifestations  
9 are as a result, not of the underlying condition, but as  
10 a result of the potential treatment. Is that right?

11 A. No, the autoimmune conditions, initially we didn't know  
12 whether they antedated or were caused de facto by the  
13 interferon but, of course, now we know that they may  
14 occur, we test all patients, before they start  
15 treatment, for antibodies, to tell us whether they have  
16 got thyroiditis or whether they have got rheumatoid  
17 propensity. It makes sense really that interferon is  
18 probably making a pre-existing condition worse because  
19 of the genetic predisposition that we know exists. With  
20 the context of interferon treatment, there is a genetic  
21 predisposition to develop these diseases, if you have  
22 A1-B8-DRW3, one particular grouping of HLA proteins.

23 Q. So is this underlying condition as a result of the virus  
24 or is it as a result of the patient anyway having that  
25 underlying propensity?

1 A. It's in relation to the patient and the interferon  
2 boosting their immune system.

3 Q. I follow.

4 A. For instance, you could be giving interferon for  
5 treatment of Hepatitis B. With the same genetic  
6 predisposition and a different virus, the interferon  
7 will still cause these conditions to get worse. In  
8 hairy cell leukaemia, where interferon was used,  
9 similarly you would make these conditions worse. It's  
10 related, in a genetically pre-disposed person, to the  
11 chemical effects of the interferon stimulating your  
12 immune system.

13 Q. While we are on the subject of treatment, as we know,  
14 many of those who were infected with HIV through blood  
15 products also were infected with Hepatitis C through  
16 blood products. I just want to ask you what the effect  
17 of HIV infection has on the ability to treat  
18 Hepatitis C?

19 A. You need to actually consider both viruses. The issue  
20 has always been do you give highly active retroviral  
21 therapy first and then Hepatitis C treatment or do you  
22 do it the other way round? I think in the main patients  
23 are treated for their HIV first and then the interferon  
24 and ribavirin treatment would be added in. The reason  
25 for that is that, as we discussed, the progression of

1 Hepatitis C in the main is much slower than untreated  
2 HIV. So if you can unlink these problems, then you are  
3 going to be in a better situation. Also, don't forget,  
4 as a result of treating the HIV-related  
5 immuno-suppression -- in other words, by getting rid of  
6 the HIV or at least suppressing the virus -- you will  
7 see recovery of the immune response; the CD4 count will  
8 go up and the amount of Hepatitis C will come down  
9 anyway. Against that lower background, logic would  
10 suggest that you are more likely to get a sustained  
11 viral response with standard Hepatitis C pegylated  
12 interferon and ribavirin.

13 Q. Does having to treat both affect the outcome in the  
14 Hepatitis C? Does it mean you are more likely or less  
15 likely to treat effectively the Hepatitis C?

16 A. Yes. I think the overall data suggests that the  
17 sustained viral response rates are probably about half  
18 what you would otherwise see, so that in a genotype 1  
19 you might see a response rate of maybe 20/25 per cent,  
20 instead of 40 per cent. How much of that is corrected  
21 by prior treatment of the HIV, I don't think we really  
22 know at the moment, but logically you would expect it to  
23 be improved.

24 Q. Presumably, also it means that the treatment takes  
25 longer if you are having to deal with both and therefore



1 the Hepatitis C has got a longer time to progress down  
2 the road. Is that fair or not?

3 A. Well, I think against the timeframe of progression of  
4 Hepatitis C -- and don't forget we have been discussing  
5 it going one stage every five years. Against that rate  
6 of progression, I think delaying long enough to get the  
7 HIV under control would be insignificant in terms of the  
8 progression of Hepatitis C. It is going faster in  
9 an HIV-infected person than in a non-HIV-infected person  
10 but even so it's not a rapidly progressive disease.

11 Q. I take it that throughout the 1980s it was the case that  
12 doctors did monitor haemophilia patients' ALT levels.  
13 That's what was done more or less as a matter of course.  
14 Is that right?

15 A. I think so, yes.

16 Q. And presumably that was because of concern about the  
17 potential for liver damage as a result of factor  
18 concentrates?

19 A. Yes, I think following that observation by Craske and  
20 colleagues -- I think it was in the Lancet, wasn't it?  
21 --

22 Q. Yes.

23 A. -- in 1978, I would have thought the majority of  
24 haemophilia patients would be getting their liver  
25 functions tested.

1 Q. Obviously, there was, as we saw yesterday, increasing  
2 concern about the non-A non-B as time went on, not only  
3 its incidence but also its severity?

4 A. Yes. As we were discussing, the timeframe of that is  
5 difficult to ascertain but in the period from 1978  
6 through to 1985 it's becoming clear that it's a more  
7 serious --

8 Q. By 1985, however -- I think yesterday you used the word  
9 this is a "cut-off" or there was a sort of watershed?

10 A. Yes, I think summarised by just citing what I did about  
11 Sheila Sherlock's book. She summarised situations very  
12 well, and I think, as you heard, from edition 6 through  
13 to edition 8 she really changed her tune and said that  
14 she thought it was a more serious condition.

15 Q. All right. Thank you very much.

16 THE CHAIRMAN: Mr Anderson?

17 MR ANDERSON: Thank you, sir, I have no questions.

18 THE CHAIRMAN: Mr Johnston?

19 MR JOHNSTON: I have no questions, thank you, sir.

20 THE CHAIRMAN: Ms Dunlop, do you have anything to follow up?

21 Further questions by MS DUNLOP

22 MS DUNLOP: There is one question which I would like to ask  
23 just before we let Professor Thomas go.

24 It's just back to the sentence you have about acute  
25 infection. For the record, it's on page 11 of

1        [\[PEN0171071\]](#). If you happened to know that a patient  
2        had been infected on a specific date -- I suppose it  
3        might be a patient who is a bit ill and has gone to see  
4        the doctor and has been tested and maybe it's after  
5        a blood transfusion or something. So you have the date  
6        of infection and you know you are within the first  
7        six months. Is there a dilemma there? Do you say to  
8        yourself, well, this patient may clear the virus  
9        spontaneously or, given that there is a 90 per cent  
10       success rate from administration of interferon in the  
11       first six months, do you move straight to giving them  
12       interferon?

13    A. I think nature has been a little bit kind to us, in  
14       that, if they are going to spontaneously clear, although  
15       the cut-off is taken as six months, very many will have  
16       already cleared by six months, and the results of using  
17       interferon in the first three months after infection, as  
18       opposed to between three and six, don't appear to be  
19       significantly different.

20                So I think what Jackel and Manns did in subsequent  
21       studies is take the very earliest ones, earlier than  
22       three months after infection and three to six months,  
23       and they really concluded, so long as you treated before  
24       six months, it was okay, you got the improved results.

25                I mentioned yesterday that sometimes Hepatitis C is

1 transmitted if a surgeon injures himself and a small  
2 amount of his blood goes into a patient, or vice versa:  
3 if surgeons operate regularly on haemophilia patients  
4 who have Hepatitis C and they become infected. In both  
5 directions we would screen the individual, the surgeon  
6 or the patient, at two-weekly intervals so that we  
7 picked up the viraemia as soon as it occurred and then  
8 we would, between three and six months, institute  
9 treatment.

10 Q. Thank you very much.

11 THE CHAIRMAN: Thank you very much, Professor Thomas.

12 Ms Dunlop?

13 MS DUNLOP: We have pencilled in the possibility of some  
14 discussion today about what should happen in the New  
15 Year. I think, however, it might be advantageous if  
16 counsel were able to talk about that among themselves  
17 for a short time first.

18 THE CHAIRMAN: I hope it would be advantageous if counsel  
19 talked about it first; I'm not confident.

20 Thank you very much. I don't think you need to be  
21 concerned about this stage.

22 MS DUNLOP: Maybe, if we plan to resume at two, I think that  
23 would allow time --

24 THE CHAIRMAN: I'm quite flexible about it. We will aim for  
25 two but if you were to benefit from an extra quarter of

1 a hour/half an hour, that would be all right by me;

2 I wouldn't be concerned.

3 MS DUNLOP: We are obliged.

4 (12.27 pm)

5 (The short adjournment)

6 (2.15 pm)

7 Submissions by MS DUNLOP

8 THE CHAIRMAN: Ms Dunlop, has the time been profitably used?

9 MS DUNLOP: Yes, I'm grateful to you, sir, for allowing us  
10 a little bit more time. I'm keen to let others speak  
11 for themselves. So I think that amongst a number of  
12 issues one could usefully discuss at present, what  
13 I want to focus on is the whole idea of closing  
14 submissions.

15 As a result of discussions involving all counsel, we  
16 have a sort of embryonic plan, which, if I may, I'll  
17 just rehearse, and I'll no doubt be corrected if I get  
18 any of it wrong.

19 The idea is that each team, as it were, would use  
20 the period immediately after the New Year to try to  
21 define the issues or the questions which arise. That  
22 would be done by reference to the topics which have been  
23 examined in the oral hearings.

24 Plainly, some of the topics are themselves issues or  
25 could very easily be converted into questions. So

1 I think what's envisaged is that there would be at least  
2 one sublevel underneath a topic, so that one would start  
3 to say, "Well, a sub-issue is ...". For the purposes of  
4 discussion, it may be helpful to think of one we have  
5 just handled, which is B4, the introduction of the  
6 screening of donated blood for HIV.

7 One could envisage sub-issues along the lines of  
8 whether there was an independent effort to evaluate  
9 testing kits in Scotland, whether that was in some way  
10 thwarted and whether, if it had been allowed to proceed,  
11 screening could have been introduced in Scotland more  
12 quickly than it was.

13 I stress that is just an illustrative exercise but  
14 that is the kind of definition of questions that  
15 certainly I have in mind.

16 What is anticipated from the team of Inquiry counsel  
17 is that the preparation of these questions or issues  
18 would be led by the individual counsel who have led on  
19 a particular topic. We would hope that that statement  
20 would be ready perhaps by the third week of January, so  
21 a little before the end of the month. I think we would  
22 all envisage that there will be some liaison among all  
23 the counsel during January, just to see how everybody's  
24 mind is working. I think that would probably help.

25 Then there will probably be a further phase, where,

1 probably not Inquiry counsel but counsel for core  
2 participants, will work on answering some of these  
3 questions or some of these issues. So they will be  
4 advancing submissions on how they would suggest  
5 particular questions should be answered. That phase  
6 might take until around the middle of March and  
7 suggested resolution of these issues could be submitted  
8 in writing. I think we are still, as a group, quite  
9 open-minded on how much of this will require oral  
10 sessions or oral presentation.

11 THE CHAIRMAN: On the scheme so far, only Inquiry counsel  
12 would be preparing the initial submissions in January?

13 MS DUNLOP: Well, all parties would be working on their own  
14 versions of what the questions or issues are to be, and  
15 then these would be submitted before the end of January,  
16 perhaps the third week of January. And I think, as  
17 a result of the discussions we have had, it became clear  
18 that individual core participants are likely to want to  
19 go further, and at least in relation to some questions  
20 or issues, they would want to suggest what the answers  
21 should be.

22 So taking the example that I'm using as a working  
23 example, of screening, if a party, perhaps the families  
24 and the Haemophilia Society, wanted to suggest that  
25 screening could have been introduced more quickly in

1           Scotland, then they might submit a second round of  
2           submissions which will be trying to argue that that is  
3           the case. So they will identify parts of the evidence  
4           on which they rely in suggesting that screening could  
5           and should have been introduced more quickly in  
6           Scotland.

7           That seems to be a stage which would be sought,  
8           I think, by some of those representing core  
9           participants.

10   THE CHAIRMAN: In the second stage then that goes up to  
11           mid-March, do you envisage Inquiry counsel responding to  
12           the initial presentations by participants?

13   MS DUNLOP: I think we don't, sir. We, consistent with  
14           Inquiry counsel being neutral, the four of us wouldn't  
15           anticipate suggesting what the answers should be to some  
16           of the posed questions.

17   THE CHAIRMAN: That might lead on to oral hearings in due  
18           course but ...

19   MS DUNLOP: As I say, I should be corrected if I'm getting  
20           any of this wrong, but I think that is really the  
21           synopsis of the discussions that we have had on the  
22           whole topic of closing submissions.

23           For what it's worth, the separate matter of  
24           a closing statement is something on which Inquiry  
25           counsel really would see themselves as being



1 disinterested, and I don't think I can envisage  
2 circumstances in which Inquiry counsel would want  
3 to make a closing statement but others, I think, will  
4 want to make a closing statement of some sort.

5 THE CHAIRMAN: Do you have any understanding yet of what  
6 that might be?

7 MS DUNLOP: I think they need to tell you themselves, sir,  
8 and I think really from the perspective of Inquiry  
9 counsel, those are the only matters which I would want  
10 to mention today, but if you will allow me a moment,  
11 sir, I will check I haven't forgotten anything. (Pause)  
12 I'm reassured I haven't.

13 THE CHAIRMAN: Mr Di Rollo?

14 Submissions by MR DI ROLLO

15 MR DI ROLLO: Thank you, sir.

16 As far as the procedure of identifying issues and  
17 thereafter presenting, in written form, a submission in  
18 relation to such issues as is thought to be appropriate,  
19 I can confirm that that was really discussed between us  
20 and we think that that procedure should be followed.

21 THE CHAIRMAN: Can I just check on your understanding of and  
22 agreement to the timetable implicit in that.

23 MR DI ROLLO: Indeed.

24 THE CHAIRMAN: Does that involve agreeing that your initial  
25 written statement, whether it's submissions or

1 otherwise, I'm not really exercised -- should be  
2 available by the end of the third week in January.

3 MR DI ROLLO: I'm content with that. What I am more  
4 troubled by is the timescale between January and the  
5 middle of March to produce detailed, as it were,  
6 material or submission in respect of answering the  
7 questions that are posed.

8 THE CHAIRMAN: I'm sorry, why?

9 MR DI ROLLO: What concerns me is being able to process the  
10 information and consult with a number of different  
11 individuals, at least to get some input, all within that  
12 period of time.

13 THE CHAIRMAN: Has any processing of the information been  
14 done?

15 MR DI ROLLO: Well, some.

16 THE CHAIRMAN: Speaking for myself, I know that it has been  
17 a hard job to try to analyse the evidence and keep it up  
18 to date, but I would like to think that I have done most  
19 of it, and I don't like to think that counsel haven't.

20 MR DI ROLLO: Well --

21 THE CHAIRMAN: So if you are telling me that you need an  
22 appreciable period of time to do basic analysis, that  
23 concerns me a bit.

24 MR DI ROLLO: You must -- I'm sure you do -- bear in mind  
25 that we have to absorb the material for the first time

1           in the course of the --

2   THE CHAIRMAN: I have tried to make it clear that I have had  
3           to absorb quite a lot of the material for the first time  
4           too.

5   MR DI ROLLO: You say that but the Inquiry team, and indeed  
6           yourself, have had the opportunity of a number of months  
7           before we started.

8   THE CHAIRMAN: Mr Di Rollo, I'm not reaching any view on  
9           this sort of thing at the moment but I really do want it  
10          to be understood that the process mustn't go on forever,  
11          and I need a fair assessment with rational basis, when  
12          you get round to it. If you are going to ask for an  
13          extended period, I have to know why.

14   MR DI ROLLO: I'm trying to tell you.

15   THE CHAIRMAN: Yes, but the generality is that you could  
16          give an answer to why you need an hour for a motion  
17          instead of ten minutes.

18   MR DI ROLLO: I fully accept that we should not be given  
19          a very lengthy period; I'm just indicating a concern  
20          that the middle of March may be a bit too soon to  
21          complete all of the work that we would want to  
22          complete --

23   THE CHAIRMAN: What do you suggest?

24   MR DI ROLLO: I would look for at least to the end of March  
25          for that purpose.

1 THE CHAIRMAN: Well, that's infinity. It starts today and  
2 ends at least at the end of March; that's no help at  
3 all. What about an envelope?

4 MR DI ROLLO: If you are going to press me on it, sir,  
5 I would say that we should have until 31 March.

6 THE CHAIRMAN: Yes, okay. Clearly, these proceedings are  
7 not bound by any firm protocol that really cannot be  
8 altered. So no decisions that I take in the light of  
9 this discussion will be so final that you can't come  
10 back and ask --

11 MR DI ROLLO: I appreciate that.

12 THE CHAIRMAN: -- for more. But I really just want to have  
13 as tight a framework as I can get.

14 MR DI ROLLO: I fully accept that there is a need to impose  
15 tight deadlines and that we should try our best to work  
16 towards those.

17 The other two matters, one which has already been  
18 raised, which is the issue of the closing statement.

19 The purpose of making a closing statement on behalf  
20 of patients, relatives and the Haemophilia Society is  
21 really to make a public statement in the course of this  
22 public process, drawing together the threads of certain  
23 matters which have emerged in the course of the hearing,  
24 the hearings on evidence.

25 What I have in mind mainly is to do with the

1 information given to patients and the effect that the  
2 infection with HIV and HCV has had upon them. That is  
3 the main topic which we would wish to address in the  
4 course of a closing statement.

5 THE CHAIRMAN: On the evidence that will have been heard by  
6 then?

7 MR DI ROLLO: Obviously we have dealt with B4, B5 and B6,  
8 and we will have by then have dealt with C5 and C6, and  
9 the purpose of making a closing statement is essentially  
10 to point out the patient perspective on these matters.

11 THE CHAIRMAN: Well, that may be what you do in due course.  
12 My concern at the moment is not whether you express  
13 anger, satisfaction or otherwise, Mr Di Rollo; it's  
14 merely to ensure that what we are talking about is  
15 closing statements on the evidence and not an attempt to  
16 introduce fresh evidence.

17 MR DI ROLLO: No, it's simply on the evidence. I would say  
18 that, in making such a closing statement, I would wish  
19 not to be confined to what is contained in the material  
20 that has actually been given at the hearings; in other  
21 words, I would wish perhaps to refer to material  
22 contained in statements to the Inquiry.

23 THE CHAIRMAN: That is perfectly proper, I think that that's  
24 correct. I would wish to have those materials available  
25 to myself, and there is no way I would deny you the

1 opportunity to refer to them.

2 MR DI ROLLO: Such a closing statement would not be lengthy,  
3 and when I say that, I would wish to make it orally,  
4 obviously, but I don't envisage it taking longer than an  
5 hour.

6 THE CHAIRMAN: That's a very modest estimate. I think that  
7 what everyone has to understand is that if we get to  
8 oral closing statements of that length, everything is  
9 fine. If they were to extend to days, they become  
10 counter-productive, and I think they end up as  
11 discussions rather than statements that one would listen  
12 to, and if it's that sort of statement you have in mind,  
13 I have no questions to ask you at the moment. I think  
14 it seems reasonably clear.

15 MR DI ROLLO: Very well.

16 The other matter I think I have to raise is an issue  
17 which became apparent on receipt of an email from,  
18 I think, the deputy solicitor to the Inquiry, which  
19 indicated that there would not be an opportunity to  
20 comment upon a draft of the report before it's issued.

21 THE CHAIRMAN: A draft of the whole report, yes.

22 MR DI ROLLO: I think it would be fair to say that an  
23 expectation has been created that there would be an  
24 opportunity to comment on a draft of the report because  
25 of remarks made by the chairman on 15 March.

1 THE CHAIRMAN: In what context?

2 MR DI ROLLO: In the context of the deaths. I'm sure you  
3 are aware of the passage that I have in mind.

4 THE CHAIRMAN: Yes, indeed.

5 MR DI ROLLO: Can I just leave aside the issue of the deaths  
6 for a moment, because there is a discrete issue there  
7 which is of importance.

8 THE CHAIRMAN: Leave the deaths aside. You are going to  
9 tell me you want to see the whole report and trawl  
10 through it line by line and make comments on it from the  
11 individual word up to the whole note?

12 MR DI ROLLO: What I'm going to say is that it would be of  
13 value, I think, in this process to allow parties the  
14 opportunity of considering a draft in advance of  
15 publication.

16 THE CHAIRMAN: Why?

17 MR DI ROLLO: There are a number of reasons. One reason,  
18 I think, is that the material which the Inquiry has had  
19 access to is vast and we do not have access, I think,  
20 necessarily to all of the material that the Inquiry is  
21 considering.

22 More importantly, I think, because of the vast  
23 nature of the material, it would be useful to see what  
24 material is being relied on in coming to final  
25 conclusions about matters and, as part of that process

1 I think it would be helpful, in allowing participants to  
2 feel included in the final process, to allow them  
3 an opportunity to comment, or to make comment, on what  
4 the report contains before it's issued.

5 THE CHAIRMAN: Tell me what I would do with these comments.

6 MR DI ROLLO: Take them into account.

7 THE CHAIRMAN: Change any impressions given in the draft and  
8 appear to the public to be altering my opinion?

9 MR DI ROLLO: Not necessarily.

10 THE CHAIRMAN: Not necessarily, but is that the objective of  
11 making the submissions?

12 MR DI ROLLO: It isn't the objective.

13 THE CHAIRMAN: Then what is the objective? To strengthen  
14 the preliminary views expressed?

15 MR DI ROLLO: Heaven forbid but your Lordship may make the  
16 odd error.

17 THE CHAIRMAN: I'm sure I will, but I'm not sure they will  
18 matter.

19 MR DI ROLLO: Even from that point of view it might be of  
20 use or value to have some sort of input in relation to  
21 that.

22 THE CHAIRMAN: Do you remember Lord Justice Scott's report  
23 and the effect on him of trying to accommodate every  
24 exchange that parties thought fit to make in the course  
25 of revising a final report, where --



1 MR DI ROLLO: The only thing I remember about him was that  
2 he used to ride a bicycle.

3 THE CHAIRMAN: Well, he probably wasn't fit to ride  
4 a bicycle as a result of the intervention of parties in  
5 relation to his draft report for quite a long time,  
6 Mr Di Rollo.

7 What I must do is to intimate to parties, who are  
8 likely to be subject to criticism of a particular kind,  
9 what the proposed criticism might be and to give them an  
10 opportunity to answer it.

11 That's what I'm required to do. There will be areas  
12 where I might be inclined to go beyond that, and the  
13 deaths raise issues, perhaps of that kind. But you will  
14 have to persuade me that in what is likely to be a very  
15 long report, dealing with vast amounts of material,  
16 there is any advantage at all to be obtained in exposing  
17 the whole of the draft to the critical examination, and  
18 uncontrolled critical examination, of a vast number of  
19 people.

20 That's what you are perhaps setting out to do,  
21 Mr Di Rollo, and that's what you have got to do if you  
22 are going to make this a substantial submission.  
23 Otherwise, it's an open-ended invitation to take an  
24 indefinite tract of future time to involve each and  
25 every party in textual criticism that has got no

1 constraints built in, is unregulated and is likely to  
2 cause nothing but further discord.

3 MR DI ROLLO: You have, sir, obviously an example of where  
4 that opportunity has been given and it didn't prove to  
5 be a success. I have drawn attention to what possible  
6 advantages there may be.

7 THE CHAIRMAN: Have you drawn my attention to any case other  
8 than Lord Justice Scott's in which it has been done?

9 MR DI ROLLO: I don't think I can and I appreciate that it  
10 is not something which ordinarily happens in ordinary  
11 court procedure, or even under the Fatal Accident  
12 Inquiries --

13 THE CHAIRMAN: These aren't ordinary court procedures.

14 MR DI ROLLO: Indeed not. The standard, however, is not to  
15 allow for comments on drafts but the difficulty that  
16 arises -- and this is a real difficulty, I think, that  
17 needs to be considered and taken account of -- is that  
18 when writing the report, there may be material which has  
19 not been focused on or emphasised or looked at in the  
20 public course of the evidence.

21 I can give you an example of unfinished business, as  
22 it were, which we are not coming back to; the issue of  
23 statistics.

24 Our understanding of the situation in relation to  
25 that is that that is a matter on which enquiries are

1 going on and are to be completed. We won't have seen  
2 that material.

3 THE CHAIRMAN: That's a very particular problem and I'm not  
4 limiting this comment to statistics. There is a very  
5 particular problem that there may be reference to  
6 material that has not been discussed in the public  
7 domain. I think, if you were to make a submission that  
8 if I were to use, in any material way, documents or  
9 other sources of evidence that had not been exposed to  
10 examination in public, I ought to give parties  
11 an opportunity to comment on that. That's a different  
12 issue. That doesn't involve sending you the whole  
13 report or anything else. It involves acknowledging the  
14 fact that a public Inquiry is not a complete public  
15 Inquiry if some parts of it haven't taken place in  
16 public.

17 MR DI ROLLO: Quite so.

18 THE CHAIRMAN: I see that as a different point altogether.

19 MR DI ROLLO: It may be that allowing us to comment on the  
20 whole report is the sledgehammer --

21 THE CHAIRMAN: The trouble is I'm the nut, Mr Di Rollo, and  
22 I'm the one who is likely to be broken on the anvil as  
23 you wield the sledgehammer.

24 MR DI ROLLO: I have no desire for that to happen, of  
25 course, and I would hope that if a solution, which takes

1           into account the concern that I have expressed, can be  
2           devised, then that would take --

3   THE CHAIRMAN: I'm sure if you give me your particular  
4           concerns.

5   MR DI ROLLO: I think I have. I have tried to do so in the  
6           context of material that will be referred to by you  
7           which has not been rehearsed in public.

8   THE CHAIRMAN: Well, there are one or two bits that I would  
9           think I wouldn't bother letting you see and at the risk  
10          of upsetting Ms Dunlop again, let me mention the  
11          document that no one has been prepared to bring to my  
12          notice, the joint College of Surgeons/Royal Commission  
13          report. That actually sets out a lot of the history of  
14          the production of the pre-PFC Factor VIII. As I have  
15          tried to indicate, I have an interest in whether there  
16          was in Scotland exposure of the haemophilia population  
17          to a product from pooled plasma prior to PFC, and what  
18          the implications of that might have been.

19                I don't think it's going to come out in the  
20          evidence. I just don't think it is. But it seems to me  
21          a possibility that both in the Southeast of Scotland and  
22          in the area serviced by Elstree in England, there was  
23          throughout the 1960s really, and into the early 1970s,  
24          the supply of a factor concentrate from Cohn Fraction I,  
25          which was substantially fibrinogen with a relatively

1 high Factor VIII content in it, of really the crudest  
2 version of Cohn fractionation, and one then goes into  
3 a period, starting in 1974/1975, when there is the  
4 production of a more refined product.

5 It has seemed to me to be a potentially interesting  
6 question whether, in the case of haemophilia patients in  
7 that part of Scotland and in England, they may have been  
8 developing hepatitis before 1974. They weren't getting  
9 cryoprecipitate all the time, in fact, we all know in  
10 Scotland they only got that from a considerably later  
11 date, according to Cash and Spencely.

12 So there are areas there that I might refer to, but  
13 since no one has taken up something that I have trailed  
14 persistently, I don't see any sense in asking people to  
15 comment on it again. You all know that it's something  
16 I have been interested in and none of you have taken it  
17 up. Why should I expose the issue afresh?

18 So there would be things like that where I think, as  
19 a matter of judgment, everyone has had an opportunity  
20 and has or has not taken it. I think there is no  
21 unfairness to you if I don't give you a chance to  
22 comment on what I might say about the data that one  
23 finds in that document or about the inferences that one  
24 might draw from Cash and Spencely itself, because the  
25 article is referred to in the preliminary report.

1           It's a simple problem.

2   MR DI ROLLO:  It may not be a simple problem but it's one  
3           that we have to leave, to some extent, to your  
4           discretion, because if the process is one of filtering  
5           through the report and determining whether or not in  
6           writing the report, there are aspects that require or  
7           may require some comment for the reason of fairness, as  
8           it were, one has to depend on your judgment in relation  
9           to that because there is no other way we can do it,  
10          unless, of course, the whole draft report is provided  
11          and then we run into the difficulties that you have  
12          indicated.

13   THE CHAIRMAN:  It's an endless process if one does that.

14            You know, just envisage what happens.  So something  
15          that's not central to an issue that you are particularly  
16          interested in, which I would expect to know from your  
17          submitted list of issues.

18   MR DI ROLLO:  Indeed.

19   THE CHAIRMAN:  But it's something that divides you and  
20          Mr Anderson or you and Mr Johnston or you, as against  
21          Mr Anderson and Mr Johnston or whatever, we could have  
22          a very long process, a wholly unregulated process, no  
23          prescription at all as to what the rules might be of  
24          exchange of submissions and counter submissions on  
25          matters that were not sufficient to exercise your mind

1           when you came to draft the list of issues. I can't let  
2           that happen, I don't think. So I think you do have to  
3           think very carefully what you are asking me to do.

4   MR DI ROLLO: One matter before I move on from the draft  
5           report issue, if I can put it like that, is there is  
6           a discrete issue that arises in relation to the deaths,  
7           and I think the context of your remarks was in relation  
8           to, potentially at least, a particular matter arising  
9           out of one of the deaths.

10   THE CHAIRMAN: It's Tamburrini and drink.

11   MR DI ROLLO: Indeed.

12   THE CHAIRMAN: I'm not sure that there is anything else, but  
13           you may know of some things that I haven't identified,  
14           but clearly in relation to alcohol and Mr Tamburrini,  
15           there is a possible issue.

16   MR DI ROLLO: I think an indication has been given that an  
17           opportunity will be given to me to see what's going to  
18           be said in advance.

19   THE CHAIRMAN: Yes. Because there has been a lot of  
20           evidence.

21   MR DI ROLLO: I had rather hoped that such an opportunity  
22           would be given.

23   THE CHAIRMAN: This is a public Inquiry into a death and you  
24           will have to bear that in mind, that I was asked to do  
25           it. I didn't select it. I didn't choose to do it. It

1 was put before me by the Secretary of State, following  
2 representations to her. You will bear all that in mind.  
3 But I know there is an issue. How it's resolved, let's  
4 wait and see.

5 MR DI ROLLO: If I might, what I would be quite keen to have  
6 is an understanding, if I may, that before the report is  
7 issued in relation to that specific matter, we would be  
8 given an opportunity of considering what's going to be  
9 said.

10 THE CHAIRMAN: You can put the question of alcohol in  
11 Mr Tamburrini's death into the issues. I think that's  
12 the straightforward way to do it. I think you are going  
13 to have to identify in relation to each of the deaths  
14 what you say the issues are that arise on the evidence.  
15 And if you do that, the mechanism has been started, as  
16 it were. And that should lead on to the development of  
17 those submissions by the end of March. It will be  
18 squarely before me and it's something I don't see that  
19 I could avoid looking at.

20 So it's going to be there. The issues can be  
21 debated at that stage perhaps, if you wanted an  
22 opportunity to have oral submissions on it. Whether  
23 that meant that you then had to have an opportunity to  
24 look at the draft report, might depend on circumstances  
25 that I would rather not try to anticipate and prescribe



1 in advance, because I'm still open to a flexible  
2 resolution of issues, rather than an over-prescriptive  
3 and narrow, single way of dealing with things,  
4 Mr Di Rollo.

5 MR DI ROLLO: Well, I --

6 THE CHAIRMAN: I'm not going to give you a promise. In  
7 fact, I'm not going to give you any decision here today  
8 at all, but I think it's unlikely that I would give you  
9 a promise before I knew what the format of the statement  
10 of issues was and what the content of the representation  
11 was.

12 MR DI ROLLO: So should I understand it that you are  
13 departing from what was said on 15 March 2011?

14 THE CHAIRMAN: If you construe it the way you do, yes.

15 MR DI ROLLO: Right. I don't think I have anything else to  
16 add at this stage in relation to the matters that have  
17 been identified. Thank you very much.

18 THE CHAIRMAN: Mr Anderson?

19 Submissions by MR ANDERSON

20 MR ANDERSON: Yes, I'm obliged, sir. Turning firstly to the  
21 question of submissions. Clearly I'm in broad agreement  
22 with what has been discussed but it may be helpful just  
23 if I articulate my personal understanding of matters.

24 What, as I understand it, is envisaged by the third  
25 week in January is that each of the core participants

1 plus the Inquiry team will seek to identify those  
2 questions which have arisen, which might be said  
3 possibly to be still matters of controversy; so that by  
4 the end of that process, by the third week in January,  
5 what one will have is a composite list, as it were, to  
6 which each of the core participants and counsel to the  
7 Inquiry has contributed. So it shouldn't be --

8 THE CHAIRMAN: Sorry, you see it as a single document, then?

9 MR ANDERSON: I had thought so, yes.

10 THE CHAIRMAN: That's my misunderstanding then.

11 MS DUNLOP: I hadn't envisaged it as a single document  
12 either.

13 THE CHAIRMAN: There is a big difference because, if it is  
14 to be single, then I think all the parties really have  
15 to agree on what goes into it, and that might take  
16 a considerable period of time, Mr Anderson, I don't  
17 know.

18 MR ANDERSON: That's the reason I sought to dig deeper, as  
19 it were, and go behind it because I'm just anxious to  
20 ensure that before we leave this building today, we all  
21 do understand precisely what's happening. The  
22 misunderstanding is clearly mine. I had thought that  
23 there would be a single. I was simply seeking to point  
24 out that notwithstanding it was on a single document, it  
25 shouldn't be taken that each party agreed that these

1           were necessarily issues.  If there are going to be  
2           separate documents, that flies off.  So that deals with  
3           that.

4           I'm in agreement that it should be possible by the  
5           middle of March for parties to have responded to those  
6           questions as they see fit.  As I would envisage it, it  
7           may be that there are certain questions raised that some  
8           parties do not feel the need to make specific  
9           submissions or comments upon.

10   THE CHAIRMAN:  I would hope so.

11   MR ANDERSON:  Again, I specifically mention this in the hope  
12           that this discussion will perhaps prevent any  
13           misunderstandings, since we have identified one already.

14           Sir, I think that's all that I have to say, sir, in  
15           relation to the question of submissions.

16           In relation to a closing statement, for my part  
17           I would not seek to make any closing statement.  I had  
18           understood that before this Inquiry started, an  
19           application had been made by those for whom my learned  
20           friend Mr Di Rollo represents, to make an opening  
21           statement, and that was not allowed.

22   THE CHAIRMAN:  That's correct.

23   MR ANDERSON:  It, respectfully, seems to me, sir that,  
24           consistent with that, you should disallow any closing  
25           statement.  It's difficult, I have to say, for my part

1 to see whether that is either necessary or appropriate  
2 at an Inquiry of this sort, but I fully accept it's  
3 a matter entirely for you and within your discretion.

4 But I simply have a fear, I have to say, that it  
5 may --

6 THE CHAIRMAN: So have I. That's why I was pressing  
7 Mr Di Rollo on whether it was wholly on the evidence  
8 that we have heard. And I understand him to say that  
9 there would be no fresh evidence introduced at that  
10 stage.

11 MR ANDERSON: One would hope not, but the difficulty I have  
12 with that is that, if it's on the evidence, then really  
13 it seems to me that that's part of the submissions, and  
14 I fail to see how one gains anything by making  
15 a statement which is wholly referable to the evidence,  
16 that can't be dealt with in submissions in the more  
17 traditional manner. And I just have a fear that, with  
18 the best will in the world, there may be some element of  
19 grandstanding, or whatever, in relation to any closing  
20 statements.

21 THE CHAIRMAN: Mr Di Rollo effectively invited you to take  
22 that view by talking about it as an opportunity to  
23 express people's anger.

24 MR ANDERSON: Precisely, and in my submission that simply is  
25 not either necessary or appropriate, but I leave the

1 matter in your hands, sir.

2 The third and final matter is that of a draft  
3 report. Notwithstanding the comments that I have heard  
4 from you, I would also encourage you to produce a draft  
5 report, for this reason, that after the preliminary  
6 report, which was in itself the result of very  
7 considerable industry, those instructing me produced  
8 a document entitled "Errors and Omissions", which  
9 I understand was well received, and the purpose of it,  
10 of course, was not to engage in any special pleading but  
11 simply to seek to correct any errors and omissions,  
12 and --

13 THE CHAIRMAN: It was very long.

14 MR ANDERSON: I make no comment on that, sir. But it's  
15 simply that the same process might usefully, it is  
16 thought, be gone through again.

17 THE CHAIRMAN: I think it's different now, Mr Anderson,  
18 because what we have had is evidence on oath or on  
19 affirmation from a large number of witnesses, and my job  
20 at this stage has changed its character; it is no longer  
21 setting out how I read documents and how I interpret  
22 them, it involves issues of assessment of credibility  
23 and reliability. There are significant areas here where  
24 I have to or may have to exercise that discretion and  
25 I consider that it is absolutely inappropriate that my

1 views on credibility and reliability should be subjected  
2 to critical analysis by individual parties and made the  
3 subject of representations.

4 MR ANDERSON: I'm entirely in agreement with that, sir.

5 There would not be any attempt to influence the way in  
6 which you should deal with the evidence. The only  
7 purpose would be in the hope that it would be of  
8 assistance and that would be to correct any factual  
9 inaccuracies because, notwithstanding your industry and  
10 Professor James's expertise, it would be very surprising  
11 if, after an Inquiry lasting over such a period and with  
12 such a wide subject matter over such a long period of  
13 time, there were not certain inaccuracies, and that  
14 would be the whole purpose.

15 THE CHAIRMAN: I'm sure that's so but since I neither  
16 pretend to omniscience nor infallibility, having a few  
17 errors would merely accord with my own general  
18 expectation of my own performance, Mr Anderson.

19 Really, picking up casual errors is of no real  
20 significance. What matters in an inquiry of this kind  
21 is whether the substantial issues have been addressed.  
22 They are often going to depend on judgment at this stage  
23 in the Inquiry. I don't think that I am over well  
24 disposed to the notion of opening up to your clients now  
25 an opportunity for textual criticism. I do, of course,

1 remind you that you had ample opportunity throughout the  
2 evidence to correct the errors that I no doubt  
3 demonstrated by some of the interventions I made. But  
4 if this is what you are inviting me to do, to allow all  
5 parties the opportunity to look at the draft report, to  
6 make helpful comments in support of the correction of  
7 errors and omissions or something like that -- of course  
8 it has to be everybody.

9 MR ANDERSON: I accept that but, as I say, I had sought to  
10 assure you, sir, that it wasn't to deal with textual  
11 criticisms.

12 THE CHAIRMAN: I can envisage you applying your mind to  
13 every line of it, Mr Anderson, from beginning to end, to  
14 ensure that I have not committed any error of any kind,  
15 grammatical or choice or of language or otherwise, in  
16 your usual way.

17 MR ANDERSON: The offer has been made and if declined, so be  
18 it.

19 THE CHAIRMAN: I have not declined anything yet and I'll  
20 treat it as an offer and thank you for the offer.

21 MR ANDERSON: I have nothing to add.

22 THE CHAIRMAN: Mr Johnston?

23 Submissions by MR JOHNSTON

24 MR JOHNSTON: In relation to submissions and the date by  
25 which the draft list of issues should be prepared by

1           each party, I don't think I can usefully add to anything  
2           that others have said. I'm quite content with the  
3           procedure that's envisaged and also that it will be  
4           possible to prepare the list of issues by late  
5           in January and any submissions by mid-March or the end  
6           of March, depending on what date seems appropriate.

7   THE CHAIRMAN: You feel you can do it by the mid-March.  
8           It's really a question of whether I accommodate  
9           Mr Di Rollo or not.

10   MR JOHNSTON: That's correct, yes.

11           So far as the closing statement is concerned, I  
12           cannot at present envisage circumstances in which  
13           I should want to make one, not least because I would  
14           plan to deal with anything I wish to say in the written  
15           submissions.

16   THE CHAIRMAN: If I may say so, measured by your  
17           intervention in the course of Inquiry, one would be very  
18           surprised at a very lengthy and detailed involvement in  
19           it.

20   MR JOHNSTON: Well, one might think brevity is the soul of  
21           wit, no doubt. At any rate I cannot imagine making even  
22           a short closing statement.

23   THE CHAIRMAN: So it is not of significant interest to you  
24           at this stage?

25   MR JOHNSTON: That's correct. Clearly I'll fall in line



1 with whatever procedure is decided on.

2 In relation to the draft report, I don't think there  
3 is anything I can usefully contribute. All the points  
4 have been aired and I'm content simply to leave it where  
5 it stands.

6 THE CHAIRMAN: Thank you all very much.

7 Ms Dunlop, is there anything that you think you can  
8 help me with at this stage?

9 MS DUNLOP: I would only refer to one matter, sir, which is  
10 that I should have said that certainly what I envisage  
11 is that the identification of issues would relate to the  
12 B and C topics. I did endeavour at the end of the  
13 evidence on the deaths to take a morning to deal with  
14 the evidence that we had heard on the deaths and to  
15 identify what from my perspective were the systemic  
16 issues raised by the deaths. I would, I think, perhaps  
17 be slightly uncomfortable at the idea that I would have  
18 to go back over all the deaths because that's evidence  
19 that was heard some time ago.

20 THE CHAIRMAN: I don't know that you are. In your  
21 submissions? I don't want you to do that.

22 MS DUNLOP: All right.

23 THE CHAIRMAN: No, not at all. I think I have got your  
24 position in a relatively straightforward way, but I'm  
25 conscious that, arising out of it, in one death in

1 particular there is a continuing issue and I would feel  
2 very uncomfortable if Mr Di Rollo didn't have the  
3 opportunity to address that.

4 MS DUNLOP: I see.

5 THE CHAIRMAN: I really do think, Mr Di Rollo, that I would  
6 be surprised to find other issues of the same kind  
7 elsewhere because I don't think any have had any real  
8 debate or discussion or exploration. But in that  
9 one case I know, and I think that it would be  
10 inappropriate not to allow Mr Di Rollo the opportunity  
11 in some way to deal with that.

12 MS DUNLOP: I see.

13 THE CHAIRMAN: But I don't think you need to have  
14 a rehearsal of Ms Dunlop's position; it's there in the  
15 record.

16 MR DI ROLLO: I think I may want some input from Ms Dunlop  
17 at some point in relation to that particular --

18 THE CHAIRMAN: I'm not sure I know why but it's now for me  
19 and not for Ms Dunlop.

20 MR DI ROLLO: No, but in the course of discussions leading  
21 up to the conduct of that particular matter certain  
22 indications were given as to what would be discussed or  
23 not.

24 THE CHAIRMAN: Yes, and, to the best of my recollection,  
25 Ms Dunlop didn't ask a single question that could be

1           interpreted as going beyond what had been discussed.  
2           The problem here arises not from Ms Dunlop's questions;  
3           the problem arises from the expert testimony that was  
4           given by people whose evidence I can't ignore, or may  
5           not be able to ignore.

6   MR DI ROLLO:  Yes, but there are issues arising out of this  
7           which do concern me very much, I have to say, because  
8           certain evidence that could have been led was not led on  
9           Mr Tamburrini's behalf.

10   THE CHAIRMAN:  If you had led it, I would have been put in  
11           an astonishingly difficult position and it would have  
12           been so hurtful to people, and I trust actually that all  
13           of those involved will appreciate that at this stage,  
14           when you focus on the issues that necessarily involve  
15           reference to credibility and reliability, the potential  
16           for the report to do untold damage exists, and it's  
17           a big problem that everyone who has to take a decision  
18           has to confront.

19           As far as litigation is concerned, we know about it,  
20           we do it, we don't like it, but if some of these more  
21           contentious issues don't have to be raised, it's an  
22           advantage.  If they are raised, they carry with them  
23           risks for everybody.  If you want to submit some  
24           documentary evidence to say that Mr Tamburrini didn't  
25           drink, which I gather is the nature of part of it, for

1 particular areas, do it and I'll look at it. But be  
2 very careful because, on the objective clinical evidence  
3 available, it might be necessary to say that some of  
4 that evidence is wholly unreliable, which will not help  
5 the family at all. That is just a bit of advice, to be  
6 careful what you do in this context. That's intended to  
7 be helpful, Mr Di Rollo. I'm not going to silence you  
8 in any way and you will take your own professional  
9 decision in due course but I think sometimes it's  
10 necessary to exercise a wise discretion.

11 Maybe you should have a word with Ms Dunlop, if she  
12 is prepared to talk to you, but I think there are phases  
13 in the life cycle of Mr Tamburrini that may be material  
14 in this context.

15 Anyway, it's not for me to say anything else at the  
16 moment. If you wish to focus it at a particular issue,  
17 if you wish to suggest that there is further evidence  
18 that ought to be heard, then make a motion, put it in  
19 writing and ask for a direction -- and do it now,  
20 please, because one of the reasons for sending out  
21 emails and letters recently has been to try to bring all  
22 of this to a head.

23 MR DI ROLLO: I had thought that the solution to this  
24 particular problem had been identified and given to me,  
25 which is that I would have an opportunity of commenting

1 on the draft report.

2 THE CHAIRMAN: Yes, well, I'm just now saying that that is  
3 not necessarily the way to do it. There may be a better  
4 way to do it. If you ask me to allow you to comment on  
5 the draft report at a stage at which no further evidence  
6 can be led, what good does that do? You are not going  
7 to be able to tell me that I'm in some way barred from  
8 dealing with the subject. That would hardly work. If  
9 there is something you feel must be brought out in all  
10 the circumstances, then the way to do it, which is what  
11 I tried to outline last time I commented about  
12 procedure, is put in an application, tell me why and ask  
13 for a decision.

14 We have got between now and the end of the year,  
15 Mr Di Rollo. I would rather face up to a problem like  
16 that, with respect, now, than in the course of next  
17 year.

18 MR DI ROLLO: I certainly would like to know where I am.

19 I thought I did and now I'm not so sure, and that's the  
20 problem.

21 THE CHAIRMAN: There is one way to find out: Draft a nice  
22 application, put it in, ask me to do something and we  
23 can debate it and I'll give you an answer. Then I think  
24 you will know where you are.

25 MR DI ROLLO: All right.

1 THE CHAIRMAN: There is no single mechanism that solves all  
2 the problems in an Inquiry like this, absolutely not.

3 Well, ladies and gentlemen, thank you all very much.  
4 I'll ponder on these things. It's a distraction, mind  
5 you, it will mean that I don't get on with analysing the  
6 evidence, but that's no doubt not a problem for you.

7 (3.09 pm)

8 (The Inquiry adjourned until 9.30 am the following day)

9

10

I N D E X

11

12	PROFESSOR HOWARD THOMAS (continued) .....	1
13	Questions by MS DUNLOP (continued) .....	1
14	Questions by MR DI ROLLO .....	55
15	Further questions by MS DUNLOP .....	82
16	Submissions by MS DUNLOP .....	85
17	Submissions by MR DI ROLLO .....	89
18	Submissions by MR ANDERSON .....	105
19	Submissions by MR JOHNSTON .....	111

20

21

22

23

24

25

