

1 Thursday, 15 September 2011

2 (9.30 am)

3 PROFESSOR WILLEM VAN AKEN (continued)

4 Questions by MS DUNLOP (continued)

5 THE CHAIRMAN: Good morning. Yes, Ms Dunlop?

6 MS DUNLOP: Yes. Good morning, sir. Today

7 Professor van Aken joins us again from Amsterdam having

8 not been here since the beginning of March.

9 THE CHAIRMAN: I hope you have not been missing us.

10 MS DUNLOP: Professor, we are going to look at two reports

11 you have provided for the Inquiry but before we do that,

12 I thought it would be helpful to remind ourselves of the

13 description you gave of the set-up in the Netherlands,

14 when you appeared in March. So I would like, if

15 I could, please, to go to the transcript for 9 March and

16 look at page 16.

17 In fact I think we should go slightly before that,

18 on to page 15, so that we can get the context.

19 We have just established at this point that you are
20 nominally retired and you have many current activities.

21 You go on to tell us that before you retired you were

22 the director, member of the board of the central

23 laboratory of the Netherlands Red Cross Blood

24 Transfusion Service, which, after you left, changed.

25 It's now called "Sanguin". Sanguine Blood Supplier of

1 the Netherlands. At the time you were in charge, it was
2 CLB. Is that right?

3 A. That's correct.

4 Q. And you generally refer to it in your report as "CLB"?

5 A. Yes.

6 Q. That's what we should understand by that and you
7 explained at about line 15 the history of the
8 transfusion organisation in the Netherlands, which we
9 can perhaps read for ourselves. I think the next bit on
10 page 16 is really the situation as it was over the
11 period in which we are interested. (Pause)

12 So the central laboratory undertook fractionation of
13 plasma and certain other activities as well, and you
14 went on to tell us what happens as at today.

15 You were the director -- and we can see this from
16 your CV -- of CLB between 1980 and 2001. Is that
17 correct?

18 A. Yes.

19 Q. At that time you were also a member of staff in the
20 department of internal medicine at the Academic Medical
21 Centre in Amsterdam?

22 A. Yes.

23 Q. Can you remind us, please, what duties that position
24 involved?

25 A. Since I'm an internist -- at least I was an internist --

1 I was treating patients with autoimmune diseases, like
2 rheumatoid arthritis and SLE, in the outpatient
3 department.

4 Q. Thank you.

5 Having reminded ourselves of your personal
6 professional background, I wanted to go on to ask you
7 what is a very basic question, but it's something that
8 I think is useful to clarify because we are talking
9 about heat treatment and we spent a lot of time on the
10 topic of pasteurisation.

11 It may be that people who read our transcripts or
12 who hear about our Inquiry are puzzled by why it
13 wouldn't be a simple matter, say, to pasteurise blood
14 and I have seen references in comments by those who are
15 interested in these topics to the fact that other
16 countries heated the blood or heat-treated blood and we
17 didn't. So I wanted to ask you: why can blood itself
18 not be pasteurised?

19 A. Well, this is not an unusual reaction from the lay
20 people to ask, "Why not simple heating blood to
21 inactivate viruses and to make it safer?" But it
22 doesn't take into account the complexity of blood, which
23 is not like milk or beer or whatever substance you can
24 pasteurise, which is just composed of one element, of
25 one protein for instance in milk, but it is a mixture of

1 cells, proteins, sugars, fats and a number of other
2 smaller components like hormones and things like that.
3 So it would be a simplification to expect that all these
4 various ingredients of blood would stand heating to the
5 same degree as, for instance, proteins would do.

6 Let's take a blood cell. A red blood cell is
7 composed of a membrane which in fact holds the whole
8 content of the red cell and if you heat it above, let's
9 say, 40 degrees, depending on how the temperature is in
10 fact, it starts to disrupt. The membrane falls apart
11 and the contents of the cell becomes available and
12 starts to clot, because that is again -- haemoglobin is
13 a protein which, when you heat it, starts to clot. So
14 you get one big clump of material, which you cannot
15 further process.

16 The same holds for the other blood cells, like
17 platelets and white cells. Every time you see the
18 heating, the membrane is very susceptible to temperature
19 increases.

20 Now, that is just the cell component. The fluid
21 component, the plasma proteins and the other ingredients
22 like fats and sugars, can be heated, perhaps they are
23 not so sensitive to heat as blood cells are but still,
24 if you heat all these proteins, you get the
25 denaturisation, they fall apart in smaller parts in

1 fact, and these smaller parts react with each other. So
2 you get again a big clump which is not further to
3 process and therefore heating as -- it looks very
4 simple, when you talk about it from the kitchen, for
5 instance, from boiling an egg, but it is not as simple
6 when you apply it to blood, which is a very complicated
7 substance and therefore you have to take into account
8 which substance of blood you want to inactivate and you
9 have to take into account the characteristics of each of
10 these components, how they will react to increase in
11 temperature.

12 You can modify that. You can influence it, by
13 adding certain substances like, for instance, amino
14 acids or certain carbohydrates or even citrate to make
15 the effects of heating on the protein structure less,
16 but it always remains a risk that you introduce changes
17 in the protein, which affect the function of it when you
18 infuse it in patients.

19 Q. Right. So any idea of taking the donation of blood in
20 the transfusion centre and subjecting it to
21 pasteurisation is a non-starter?

22 A. Yes, absolutely impossible. You can do it like, for
23 instance in the previous time I was here we discussed
24 albumin. Albumin is a perfect example for
25 pasteurisation process because it is a simple,

1 relatively simple protein, and already from the 1940s,
2 we have experienced that if you heat-treat that, you can
3 keep it intact and still make it more safe than without
4 heating.

5 Q. Right. Thank you.

6 With that in mind, can we go, please, to the first
7 of your two reports, which is [\[PEN0121932\]](#). We can see
8 that this is headed up "Penrose Inquiry: Heat Treatment
9 to 1985".

10 It is perhaps relevant to make the point that we
11 have divided the whole topic of heat treatment into
12 a first part, which goes more or less up to the end of
13 1984 and beginning of 1985, and then a second part,
14 which will look at the achievement of a concentrate or
15 concentrates in Scotland which were safe against non-A
16 non-B hepatitis. We are going to come to that later in
17 the autumn.

18 Some witnesses -- and you haven't been one of
19 them -- have questioned whether that's a logical
20 division because the whole project of heat treatment in
21 connection with factor concentrates was conceived in the
22 context of hepatitis and it makes it look as though
23 everything before 1985 is in some way connected with
24 AIDS, and that's not the point we are making. It's just
25 that there seems a sort of natural stopping point, which

1 one can use to divide up what would otherwise be a very
2 long topic and I think you understand that that has been
3 our approach?

4 A. Yes, I understand it. For me 1985 is a very useful date
5 to make a split into the report because in 1985 we could
6 simply say that the AIDS problem was largely solved. We
7 knew the virus, we knew that heating was inactivating
8 the virus, and there were techniques available to test,
9 to screen donations for AIDS. So all the measures, like
10 in the past, to make plasma products more safe, for AIDS
11 at least, were available, but for non-A non-B that took
12 much longer and that continued afterwards. But the
13 experience which was collected due to the AIDS problem
14 was also relevant for non-A non-B.

15 Q. Thank you.

16 We can see from the beginning of your report that
17 you have been sent a briefing paper, which was prepared,
18 I think, mainly or possibly entirely by Dr Foster, and
19 that's the document [\[PEN0131309\]](#). We have looked at
20 that already in these hearings. You say:

21 "It's a comprehensive and precise description and
22 analysis of the developments in several European
23 countries, in particular Scotland, and in North America,
24 concerning this topic during the period of 1981 until
25 2006."

1 You give us a little bit of history, and I think we
2 understand that there were many unsuccessful attempts to
3 deal with blood-borne viruses in the period particularly
4 since the Second World War.

5 You go on to say in the second paragraph that:

6 "Of the methods using heat, pasteurisation and dry
7 heat treatment were considered to be very promising."

8 You refer to the pasteurisation of albumin. We know
9 that there was research work by Behring, which started
10 to be publicised in 1980, and I just wondered if, around
11 that time, there was knowledge in Europe of people
12 working on dry heat treatment?

13 A. As far as I know, the sequence was that first of all
14 people were trying pasteurisation, notably because of
15 the reference to albumin in the past, yes? And when
16 that was not successful in the hands of many people,
17 there was investigations to try to see if you could
18 change the procedure by using dry heat -- that was
19 perhaps successful. And that was in fact because
20 pasteurisation is a process which uses the proteins in
21 a fluid state, which, as albumin has shown, can be very
22 appropriate. So when it was shown that if you apply
23 that to Factor VIII, you get immediately denaturisation
24 of that more complex protein, therefore you get hardly
25 any active Factor VIII at the end of the process. You

1 start to think, well, would it perhaps for the protein
2 be better if we didn't do it in the moisture state, in
3 the fluid state, but instead, in the dry state? That
4 was, I think, quite a brave move to try that because
5 some people were thinking, well, how can heat be
6 transmitted in the dry state so efficiently to all these
7 molecules in the product?

8 But still people have been trying it and initially
9 it was thought that it was successful. However, that
10 was based on very preliminary evidence and it was later
11 on criticised and not supported by additional, both
12 clinical and experimental evidence.

13 Q. Yes, and there you are referring to Hemofil?

14 A. There I refer to Hemofil but later on other people also
15 have tried to dry heat.

16 Q. Yes. Can we have a look at one of the tables in
17 Dr Foster's paper, please? That's the paper
18 [\[PEN0131309\]](#). This is a table that you mention in your
19 paper. I think it's at page 1340, if we could have
20 a look at that, please?

21 This is table 3, to which you refer. This table
22 summarises the key dates concerning the development of
23 heat-treated coagulation factor concentrates by SNBTS.
24 We can see there ZHT. That work starting on
25 2 September 1981. Obviously that's the pasteurisation

1 project.

2 On to the next page, please.

3 Then we see the NY products, NY heat-treated,
4 version 1, which was the product dry heat-treated for
5 two hours at 68 degrees, and we have heard about that.
6 We have also heard that very shortly after number NY HT1
7 was distributed, there was a second product, NY HT2, in
8 which the period of heat treatment was extended from two
9 hours to 24 hours, and we can see that and the key dates
10 are set out in relation to both, then finally we have Z8
11 and we are going to learn a lot more about Z8 in due
12 course but not today.

13 Professor, around about 1980/1981, at the time when
14 you became the director of CLB, what was happening in
15 the Netherlands as far as heat treatment was concerned?

16 A. Well, if I remember it correctly -- we have to take into
17 account that it was 28 years ago, so some of my memory
18 may not have been as good as it was at the time. But we
19 were not as active in doing experiments concerning heat
20 treatment as here in Scotland, to be honest.

21 We felt first of all that -- sorry, we did some
22 experiments on a small scale and were very unsuccessful.
23 We lost almost all the Factor VIII when we tried to heat
24 in the wet state or in the dry state. So we gave up, so
25 to say. We stopped those experiments, we relied more on

1 information we got from outside, to see if that could be
2 introduced but it was quite clear that it would be very
3 complicated and would have include changes in the whole
4 manufacturing process.

5 So we waited and we followed the developments in
6 other countries.

7 Q. Right. Can we go back to Professor van Aken's report,
8 please, [\[PEN0121932\]](#)?

9 At the bottom of that page you come on to describe
10 the work by Behring and I thought we had picked up all
11 the papers but I think this may be a sixth documentary
12 reference that you have given us, here referring to
13 a paper that was published in Blut. That's a German
14 periodical on the subject of blood?

15 A. That's the haematological journal of the Germans so to
16 say. You had Germans from Switzerland, Austria and
17 Germany.

18 Q. So this work, of which we have already heard a great
19 deal, was also publicised in that journal, no doubt to
20 similar effect, and you go on to talk about the various
21 challenges which had to be addressed and I think we
22 recognise these: increasing the stability of Factor VIII
23 and thereby its yield, getting access to marker viruses
24 and experimental animals, establishing the degree of
25 virus inactivation and avoiding that structural

1 abnormalities of Factor VIII might occur which could
2 cause inhibitors formation.

3 We have seen reference to concern about neoantigens
4 and our understanding, professor, is that the worry was
5 that the heating would cause something to form on the
6 Factor VIII molecule which would then cause a patient's
7 immune system to manufacture an antibody. Is that
8 right?

9 A. That's right.

10 Q. And then that antibody would stop the Factor VIII from
11 working?

12 A. Yes, and it would stop the working of Factor VIII and
13 would also require, if you have to treat a patient with
14 such an inhibitor, which is an antibody, then the
15 infused Factor VIII is immediately neutralised because
16 it is just taken up by the antibody, captured and taken
17 away. So instead of getting a certain level of
18 Factor VIII, you will end up with zero Factor VIII and
19 that makes it even more complicated. So you need huge
20 quantities of the product to get a certain level, and
21 even that is only for a very short time. So the
22 treatment is very, very complicated.

23 Q. And that very unhelpful physiological response is what
24 we should understand when we see descriptions of
25 inhibitor formation?

1 A. You see, not to be too technical or to make it too
2 complicated, if you look at the structure of
3 Factor VIII, you can see that there are certain parts of
4 the molecule which stick outside, which can't come into
5 contact with cells and with other proteins, and those
6 parts are called "antigens" which, when they are infused
7 or when they are not recognised by the body itself,
8 create the formation of an antibody.

9 That's the sort of protection of the human body to
10 remove substances like viruses and substances which are
11 not known to the body. Yes? So it is purely a defence
12 mechanism but in this case, if you talk about heated
13 Factor VIII, you get a changed molecule, which is not
14 completely the same as the natural substance, the
15 natural Factor VIII, so the logical reaction of the
16 human body is to consider that it is a foreign substance
17 and therefore create antibodies to it. That is why we
18 are so concerned about neoantigens.

19 Q. Yes. Against the background of those various different
20 concerns, we know that PFC began their research in 1981,
21 in response to the news from Behring. You discuss that
22 on the second page. So can we look at that, please?
23 That's 1933.

24 You narrate that in 1983 there were some clinical
25 trials of a pasteurised Factor VIII concentrate and we

1 know that it was in fact one of Dr Ludlam's patients who
2 had a negative reaction to, I think it was NY761.

3 So as you say, that batch couldn't be further
4 distributed or tried because of that negative reaction,
5 although I think we know from Dr Foster's paper that
6 they did continue to make other trial batches and go on
7 to try them and you are nodding at that?

8 A. It was not entirely clear to me what that reaction in
9 that one patient was.

10 Q. Yes.

11 A. Whether it was beyond doubt an antibody or whether it
12 was some other reaction, allergic reaction or whatever.
13 But of course, that may be known by the investigators
14 themselves but it was not clear to me from the report
15 what sort of reaction it was.

16 Q. Yes. I don't think it was ever actually definitively
17 established what the nature of the reaction was?

18 A. Okay.

19 Q. It's a mixture of different things, I think, fever in
20 the sense of chest tightness and diarrhoea and different
21 responses?

22 PROFESSOR JAMES: If I could perhaps very briefly. It seems
23 it wasn't a Factor VIII antibody. The patient received
24 three separate infusions on separate occasions. On one
25 occasion, I think the first, they had an episode of

1 diarrhoea and the second and third they had a feeling of
2 pressure and tightness on their chest and didn't feel
3 very well in a rather non-specific way. Then Dr Ludlam
4 infused them with normal product but didn't tell the
5 patient that it wasn't the "experimental product", and
6 actually the patient then had no symptoms. So these
7 were non-specific reactions to the product that were
8 more in the nature of an "allergic reaction" but no
9 evidence of Factor VIII antibodies.

10 A. Thank you very much.

11 MS DUNLOP: On any view something that had to be taken
12 seriously and we do understand that that was a set back
13 at that time.

14 A. But I want to clarify, I'm not criticising that they
15 made a wrong decision because I think I would have made
16 the same decision.

17 Q. Yes. Then you go on through the period from 1981 to
18 1983 and you say that at that time:

19 "The commercial industry started the marketing of
20 heated (Baxter, Behring) or chemically (Biotest) virus
21 inactivated Factor VIII-concentrate."

22 You go on to talk about the meeting in Stockholm,
23 where there was plainly discussion of these
24 developments. Were you at the meeting in Stockholm?

25 A. Yes, I was.

1 Q. We have heard a bit about it actually in different
2 contexts. I take it it was an important gathering?

3 A. It was at a time that everybody was interested to know
4 if there was any breakthrough in the development of how
5 the transmitting of the virus could be prevented,
6 because the virus itself was of course still not known
7 at that time.

8 Q. Yes. You are talking about AIDS?

9 A. I'm talking about AIDS, yes.

10 Q. Yes. Then you go to the next part of the story, which
11 occurred in the autumn of 1984, and you go on to say
12 that:

13 "At that time it was known that AIDS is caused by
14 a virus, called HIV."

15 I think you say this later, but not then called
16 "HIV" but subsequently called "HIV", I think in 1986.
17 Is that right?

18 A. That I'm not quite sure.

19 Q. We certainly understand there was a lot of debate about
20 what it should be called and there were the rival names,
21 "LAV" from France, and "HTLV-III" from the
22 United States.

23 A. Indeed.

24 THE CHAIRMAN: Ms Dunlop, I wonder if I could go back just
25 a little to 1983.

1 MS DUNLOP: Yes.

2 THE CHAIRMAN: Professor, we are obviously looking for
3 natural breaks, as it were, events or circumstances that
4 changed the direction of research, and I was wondering
5 whether 1983 might be a point in time at which awareness
6 of AIDS and the need to deal with it may have caused
7 some change in emphasis or change in direction within
8 the research community, away from NANB hepatitis.

9 A. Yes, indeed. Certainly in my institute but also in
10 various other centres in Europe there was from the very
11 beginning on, certainly in Amsterdam, we started at the
12 end of 1982 already to change to see how we could in
13 fact deal with it.

14 The first steps were mainly because we didn't know
15 what the substance was, what the agent was, to direct it
16 towards how we could safeguard the blood supply by
17 excluding certain risk donors. So, for instance, male
18 homosexuals with frequent different contacts and those
19 type of risk population.

20 That was the first step. That was what we
21 concentrated on, and at the same time there was
22 discussion ongoing how to deal with the treatment of
23 haemophilia because we recognised very early already
24 that they were specifically a risk population for
25 developing AIDS after receiving Factor VIII

1 concentrates.

2 And that was in fact to discuss with the haemophilia
3 patient population and with the physicians treating
4 haemophiliacs what would be the best policy. And if we
5 discuss later on maybe, we were fortunate enough that
6 there was consensus at a very early stage about how to
7 do this and we got some recommendations, or guidelines,
8 which were made public to everybody, that we in fact
9 wanted to use cryoprecipitate as much as possible,
10 instead of concentrate, for the treatment of haemophilia
11 and that we discouraged more or less -- but that was not
12 CLB but the physicians treating haemophilia
13 themselves -- discouraged the use of commercial
14 concentrates.

15 That was the first investigations, or at least steps
16 which were taken. In the meantime there was a lot of
17 research ongoing into certain surrogate tests, like, for
18 instance, you have certain lymphocytes in blood which
19 react to this virus and grow, whereas others go down in
20 number, so you could use the ratio between what we call
21 the T3 and T4 lymphocytes to see if there was a patient
22 infected with the virus.

23 That was in fact one of the items which we
24 concentrated on in 1983.

25 THE CHAIRMAN: Ms Dunlop, I really had in mind Dr Foster's

1 memo of May 1983 and the change of emphasis.

2 MS DUNLOP: The second report deals with that, sir.

3 THE CHAIRMAN: It deals with it, so you are coming back to
4 that?

5 MS DUNLOP: Yes, sir.

6 THE CHAIRMAN: Really I just want to get a feel for whether
7 the arrival of AIDS, if I can put it that way, caused
8 a change in emphasis, and it did for you, as it did for
9 others.

10 A. Absolutely.

11 MS DUNLOP: I think it's unavoidable that at some points in
12 the professor's evidence we go back to other topics that
13 we have already looked at, and one of those is plainly
14 the whole use of concentrates and the treatment of
15 haemophilia. For my part I think it's useful just to
16 establish some details of what was happening in the
17 Netherlands over this period in general. So I'm happy
18 to try to do that.

19 A. Maybe can I just add a bit? This was not what everybody
20 agreed upon, what we did. I remember vividly, because
21 I was in the States quite frequently, that there were
22 two camps more or less. There was one camp which said,
23 well, AIDS will go over, it will be just a transient
24 period. It's just a virus which is around and blah,
25 blah, blah. And there was another group which said, no,

1 if we are not taking steps now, we face a major
2 disaster, if we don't do anything.

3 That was not just in the US but also some people in
4 my country followed that line and said, well, what you
5 are doing is just self-interest and we will see what
6 happens later on. So it was not a unanimous opinion
7 there. That should be taken into account, that there
8 was a certain period of uncertainty.

9 THE CHAIRMAN: That, of course, is very important but we are
10 trying to get a picture of what the international
11 scientific community was about, and differences of
12 opinion are very important to know and understand.

13 A. Yes.

14 THE CHAIRMAN: So, Ms Dunlop, I really do not want to
15 interrupt your programme, as it were, more than
16 necessary, so I'll leave it to you to decide what should
17 be followed up.

18 MS DUNLOP: Thank you, sir, but I'm certainly conscious that
19 as we go through, there are lots of tempting diversions.

20 Just to stay with the narrative that you have given
21 in this report, professor, of PFC arriving at the issue
22 of dry heat-treated product for Scotland
23 in December 1984, we see that paragraph in your report,
24 and you say that:

25 "The first dry-heated Factor VIII concentrate

1 prepared by PFC was issued for clinical evaluation one
2 week later. Distribution started for routine use in
3 haemophilia treatment. All non-heat-treated Factor VIII
4 concentrate was recalled."

5 You then refer to table 1 in Dr Foster's paper,
6 which gives an international perspective, and you have
7 added in some countries yourself. Can we have that
8 table then, please? We are going back to Dr Foster's
9 main briefing paper, [\[PEN0131309\]](#).

10 Table 1 is on page 1327. We looked at this last
11 week already, professor, and we can see the different
12 countries tabulated there, with comments about their
13 position as far as heat treatment is concerned.

14 I'll keep your report but I think we will keep the
15 table.

16 The first country that you suggest adding in is
17 Ireland. Ireland changed in 1985 to imported
18 heat-treated Factor VIII and you refer to the report of
19 the tribunal of inquiry in Ireland, which is usually
20 known as the Lindsay Tribunal. So if we could perhaps
21 just have a look at your reference there. This is not
22 something we have in court book because it's on the
23 Internet and there it is.

24 Particularly, please, if we could, pages 66 and 67.
25 We see the heading "Heat Treatment" at the bottom of

1 page 66. We see the reference to Professor Temperley,
2 who I think was a haemophilia clinician in Ireland and
3 we can see what happened there. The BTSB is of course
4 the Irish Blood Transfusion Service.

5 The tribunal commenting on a lack of initiative by
6 the Blood Transfusion Service in Ireland in respect of
7 heat-treated commercial products. Then if we just read
8 on a little bit further down. (Pause)

9 I think this provides for us a contrast with what
10 happened in Scotland.

11 A. Yes.

12 Q. It does tell us, just at the very top of the screen now,
13 that:

14 "Unheated commercial products were replaced with
15 heated products with commendable speed."

16 So once action commenced, the replacement was swift:

17 "In the case of Factor VIII by January 1985 and in
18 the case of Factor IX by February 1985."

19 That reference to Factor IX is interesting because
20 that again provides a contrast with Scotland because the
21 PFC didn't issue heat-treated Factor IX until the autumn
22 of 1985 and we understand that here a decision was taken
23 to conduct thrombogenicity studies on the heat-treated
24 Factor IX. Do you think that that was a reasonable step
25 to take?

1 A. Going back in history, I was thinking 1981 or 1980,
2 I was here in Edinburgh to discuss with Dr Cash studies
3 which he was doing on the thrombogenicity of Factor IX
4 products, both thrombin and Factor IX concentrates. So
5 I know that already at that time that was an issue. It
6 was not just an issue here in Scotland, it was an
7 international issue because thrombogenicity was a side
8 effect of some Factor IX concentrates, which was
9 worrying because you were treating a patient who was
10 bleeding and instead you got a thrombus. And at that
11 time it was very unclear what the cause of that
12 thrombogenicity was, whether it was something in the
13 product which had to do with Factor IX and whether it
14 was related to some impurity. It was not clear and so
15 it was, I think, from that point of view, very good that
16 somebody here was doing studies and had an animal model
17 to study this effect, which we were also interested in.

18 And I know that the real cause of the
19 thrombogenicity was only later on found out, when it was
20 clear that it was related to mostly commercial
21 concentrates, which in fact were composed, which were
22 derived from plasma which was of a lower quality than
23 the quality of plasma which was used by most
24 fractionation centres. That was due to the fact that
25 they just pooled various stocks of plasma which were

1 collected and not used immediately, and therefore you
2 could imagine that there was some denaturation going on
3 in those stocks and it was demonstrated that activation
4 of clotting factors had occurred in some of these
5 batches, and that activated clotting factors were also
6 infused caused the formation of thrombus.

7 But that took some time before it was found out
8 because it was not clear because the source material
9 that was used for it was so different. So I think that
10 the decision here to not go immediately for
11 heat-inactivated Factor IX but instead take into account
12 that the possibility of thrombogenicity was a correct
13 one.

14 Q. I think you have told me that there is a wealth of
15 literature on the thrombogenicity of Factor IX,
16 particularly from commercial sources. Is that correct?

17 A. Yes, there is quite some interesting literature on it
18 and on how that whole discovery of what it was was
19 proceeded over the time.

20 Q. Thank you.

21 The next country which I thought we should mention
22 would be the Netherlands and you actually tell us in
23 your report what happened there, that the national
24 fractionation centre -- and that's CLB:

25 "Signed a technology agreement and patent licence

1 agreement with Baxter Travenol of the United States
2 in October 1984, and in June 1985 CLB introduced dry
3 heat-treated Factor VIII concentrate when the regulatory
4 authorities had licensed the product."

5 So we should understand from that, should we, that
6 in the Netherlands your laboratory, CLB, paid to use
7 Baxter's technology. Is that right?

8 A. Yes, we had a very long discussion with Baxter about --
9 this started in the beginning of 1984. They wanted
10 initially that we would completely shift to their
11 product, which we refused and then negotiations were
12 difficult. In the end we agreed that we would pay for
13 the licence and that we would send somebody over to
14 learn how to do the heating, which they employed and
15 that was introduced later in 1984. And not just for
16 Factor VIII concentrate but also for cryo because the
17 licence agreement also stipulated that we had to take
18 into account that if we could not supply sufficient
19 Factor VIII, that they would support but he said they
20 would be able to import -- or to sell their own product.

21 So we were quite sensitive, a bit nervous about how
22 this whole deal would go on, but it was for us the only
23 way to have a rather quick introduction of this
24 technique without going through the whole development
25 state and all the disasters and all the negative

1 effects.

2 Q. Right. So looking at that table, we should add the
3 Netherlands in for June 1985, should we?

4 A. Yes, correct.

5 Q. Right. Would that be true for Factor IX as well?

6 A. I think Factor IX was September/October.

7 Q. Of 1985?

8 A. It was two months later.

9 Q. Right. Just remaining, professor, with the position in
10 your country, I wanted to go back to Douglas Starr's
11 book, which has a description of what happened. The
12 reference for that is [\[LIT0012936\]](#).

13 Perhaps keep the table open but go to Douglas Starr.
14 This is chapter 15 of Douglas Starr's book. You are
15 presumably familiar with Douglas Starr's book.

16 A. I have read it.

17 Q. You have read it? Yes. Within chapter 15 I would like
18 to go, please, to page 16. That's our page 16 of this
19 document.

20 Here we are back in Stockholm in June 1983.

21 I think, professor, there are a number of meetings which
22 have cropped up in our hearings at which we all feel we
23 were personally present by now. This may be one of
24 them.

25 So the meeting in Stockholm in June 1983. We can

1 see what happened there between Dr Evatt and Dr Aledort.
2 Then there was an attempt to pass a resolution about
3 future treatment of haemophilia. And a Dr Shelby
4 Dietrich, who was an enthusiastic Factor VIII proponent.

5 Can we look on to the next page, please?

6 We can see Dr Dietrich's suggested wording at the
7 end of the first paragraph and we see from the next
8 section that according to Douglas Starr, the wording of
9 this draft outraged the Dutch representatives.

10 I suspect that the names quoted in that paragraph are
11 known to you, are they?

12 A. Yes, all people are known to me.

13 Q. Yes. When you were in Stockholm, do you remember
14 knowing of this controversy between Dr Dietrich and
15 Dr Aledort and Dr Evatt?

16 A. Yes, I know -- I remember the discussions which took
17 place in various committees about what is written here.
18 So that was a heated discussion and it just illustrates
19 what I said earlier, that there was not a common opinion
20 about it, whether or not the treatment should change,
21 whether preference should be given to product from
22 whatever source or whether it should be only safe
23 products which would be distributed.

24 So I remember that Dr Evatt from CDC, who was
25 clearly a very careful and very cautious epidemiologist,

1 working in CDC, was very afraid that the virus would
2 spread and that more and more people would be
3 contaminated and infected with it. Whereas Dr Aledort
4 had a different opinion and was feeling that it would be
5 a disaster if patients would have to go back to former
6 treatment, with all the injuries and handicaps which
7 would then surface again.

8 So that was in fact where the dispute came down to.

9 Q. Yes. Douglas Starr says that:

10 "In early 1983 Dr Smit --"

11 A. Yes.

12 Q. "-- had convinced Dutch medical authorities to curtail
13 severely the use of imported Factor VIII. Now he and
14 his countrymen tried to persuade the World Federation to
15 take a more cautious approach to use of the factor."

16 So is this an accurate description of what happened
17 in the Netherlands?

18 A. Yes, indeed. He was very influential. He was
19 a haemophilia patient himself. So he represented the
20 Haemophilia Society in Holland. He is a very
21 intelligent and a brave fellow. He is still alive and
22 he has never hidden his opinion under the table, so to
23 say, he is always outspoken about what he feels, and in
24 fact he is recognised as one of the few haemophilia
25 patients who in fact has represented the community and

1 has come forward with some opinions which not everybody
2 liked. But you see, the Haemophilia Federation is
3 heavily influenced by the commercial sector. The
4 commercial sector pays mostly for what is happening in
5 the World Haemophilia Federation. So if there is
6 somebody who is saying, "Wait a second, we don't agree
7 with you," and feel that there is commercial pressure
8 behind it, he is not very much liked by the others, but
9 still he comes forward and that is what I was saying,
10 that he is a very brave guy.

11 Q. I called him doctor, he is not a doctor?

12 A. No, he is not a doctor, he is a sociologist.

13 Q. Right. There was far greater use of cryoprecipitate in
14 the Netherlands?

15 A. Yes.

16 Q. Yes?

17 THE CHAIRMAN: What age is --

18 A. Sorry.

19 THE CHAIRMAN: What age is Mr Smit now? You say he is still
20 alive.

21 A. He is now, I think, 64. Well, he is in fact also
22 suffering. He is a carrier of the virus. So he is not
23 just handicapped because of the haemophilia disease but
24 he knows that he carries the virus and he is going
25 through all sorts of treatment courses, all of the

1 various AIDS treatments he has had.

2 THE CHAIRMAN: Having taken his own advice, no doubt, as to
3 the product he ought to use.

4 A. Absolutely, because he is very well informed.

5 MS DUNLOP: I think we will come back and look in the
6 context of your other report. Look again at the
7 position in the Netherlands, but for the moment we have
8 established where the Netherlands would go in the table.

9 Could we go back to the table now, please? You
10 talked also in your report about Belgium and we do
11 understand from our hearings before the summer that
12 there was much greater use of cryoprecipitate in Belgium
13 as well. The Belgians never really moved over wholesale
14 to commercial concentrates. You say that:

15 "In Belgium dry-heated freeze-dried cryo was
16 introduced in 1986 and only several years later did
17 dry-heated Factor VIII concentrate prepared from Belgian
18 plasma become available."

19 In fact you would put Belgium at the bottom of the
20 table but subject to the explanation that they were
21 using much greater quantities of cryoprecipitate?

22 A. You see, if you want to understand the situation in
23 Belgium, it is different from the Netherlands and from
24 France because Belgium was completely self-sufficient in
25 plasma. They had a large plasmapheresis programme.

1 They collected plasma in small cities where they had
2 a station, where volunteers came to have plasmapheresis.
3 So they had ample volumes of plasma to supply sufficient
4 Factor VIII for the haemophilia treatment. And they
5 were very firm in using cryoprecipitate. And in
6 addition you have to take into account that the danger
7 of AIDS in Belgium was maybe also a bit different from
8 the Netherlands because, you see, we had a large
9 community of male homosexuals, notably in Amsterdam, but
10 the Belgians claim their population of homosexuals to be
11 significantly less.

12 However, that was I think, in retrospect
13 counterbalanced by the fact that they have more people
14 coming from Africa. I'm not certain that that was
15 a good argument, that they had less risky populations
16 there. Anyway, they were sticking to the
17 cryoprecipitate and since they have the Red Cross there
18 that was responsible, has good connection with the
19 government, notably since the chairman of the Belgian
20 Red Cross is the princess of the Royal Family and she
21 went to the government herself to say that they didn't
22 want importation of commercial Factor VIII. They were
23 self-sufficient and they could do it with cryo.

24 Q. Yes.

25 A. But then of course, at a certain point they had to go to

1 do some heat inactivation, and they choose to inactivate
2 cryoprecipitate.

3 Q. We saw in the Douglas Starr book a reference to a Dutch
4 journalist, is it Piet Hagen?

5 A. Yes.

6 Q. And you have worked with Piet Hagen and produced a book
7 for the Council of Europe and needless to say, we have
8 it and there is an interesting comparative table in
9 there about rates of AIDS in patients with haemophilia
10 around Europe.

11 A. Yes.

12 Q. Is that right?

13 A. Yes.

14 Q. I'm not sure if that table is in our database. We
15 certainly intended to put it in. So we will check again
16 that that table is in court book.

17 I should also, because we have it, refer to
18 information about Finland, which doesn't feature in
19 Dr Foster's table, no doubt because the situation in
20 Finland is different again, but we do have a statement
21 which was provided by Professor Leikola. It's
22 [\[PEN0131396\]](#). Can we look at paragraph 9, please?

23 Essentially, the position in Finland is that the
24 American companies never established a hold on the
25 Finnish market. Is that correct?

1 A. Yes, that's correct, yes.

2 Q. So we can see his narrative from paragraph 9 onwards.
3 Finland continued to use cryoprecipitate, 1980 to 1984,
4 simply because there was no domestic concentrate
5 available. But the Finnish Blood Transfusion Service
6 developed its own intermediate purity concentrate,
7 AHF20, in 1982 and 1983 and it was registered in April
8 or May 1984.

9 It seems here to have been all about timing because
10 in paragraph 10, Professor Leikola goes on to tell us
11 that because of the known, since 1983, risk of AIDS from
12 American commercial Factor VIII concentrates, Finnish
13 haemophiliacs were persuaded not to use imported
14 products should they be introduced to the Finnish
15 market, and commercial preparations didn't come to the
16 Finnish market in the 1980s.

17 Then on to the next page, please.

18 Actually we can see really quite a limited use of
19 AHF20 for home treatment narrated in paragraph 12
20 onwards.

21 Bearing in mind that very limited use of AHF20, we
22 then note from paragraph 13 that the Blood Transfusion
23 Service did go on to heat-treat AHF20. So that would
24 affect the very small number of patients who were then
25 using it. So in fact there was no recall but we seem to

1 be only talking about 17 Haemophilia A patients.

2 So that's a brief examination of the position in
3 some other European countries and some extra information
4 with which to supplement Dr Foster's table, professor.

5 THE CHAIRMAN: Ms Dunlop, do you have more information on
6 the background to paragraph 14, that's going to come
7 later; Luc Montagnier actually speaking in November 1983
8 at the WHO meeting?

9 MS DUNLOP: I don't, certainly not testimony. I can look
10 into that particular meeting --

11 THE CHAIRMAN: I think it's rather novel information, as far
12 as I'm concerned at least. I haven't seen that before.

13 MS DUNLOP: I think it's a meeting that was attended by
14 Dr McClelland. I think Dr McClelland went to the
15 meeting in November 1983 and we do have information on
16 it. It was mentioned in the context of B2.

17 THE CHAIRMAN: It's just I don't remember a presentation by
18 Luc Montagnier being mentioned at all so far.

19 MS DUNLOP: We have the full report of it so we can look
20 back to that --

21 THE CHAIRMAN: It would be particularly interesting to
22 discover whether he was rather more positive in anything
23 he said at that time than some of his written material
24 would suggest. I think we know he was really not
25 particularly inclined to make great claims for his own

1 research when he reported in "Science", and of course
2 his retrospective analysis plays down his own role quite
3 a bit. So it might be very interesting to know what he
4 was actually saying in November 1983.

5 Were you there?

6 A. Well, I attended a number of meetings at the WHO but
7 I don't know whether this specific meeting I was
8 attending. I'm not sure.

9 MS DUNLOP: Well, we are well off track now, sir. Of course
10 it doesn't matter, but according to John Crewdson's
11 book, which I know Professor van Aken is familiar with
12 also.

13 A. Yes.

14 Q. Yes:

15 "Montagnier, at a meeting in Brussels [the date of
16 which isn't terribly obvious], appealed to his audience
17 for help in convincing the scientific world that LAV was
18 the cause of AIDS."

19 So it's a little bit difficult to establish what
20 happened in that important year between May 1983
21 and May 1984 so far as Montagnier was concerned.
22 I accept that it certainly appears from a lot of
23 retrospective writing as if no one really put the pieces
24 together until Robert Gallo did. I know it's a little
25 bit more complicated than that, professor.

1 A. We come to a completely different issue, I am afraid.

2 THE CHAIRMAN: I don't know that we really want to take on
3 the burden of trying to resolve the differences between
4 Gallo and Montagnier over this. We have seen some
5 correspondence, which was intemperate, let's say, in
6 tone and Ms Dunlop keeps threatening me with the book
7 that she has just had in her hand but so far I have
8 resisted the temptation to try to read it myself.

9 So there are difficulties in this area and if
10 I don't have to go down that road, professor, I think
11 perhaps I would prefer not to. No doubt some of the
12 gentlemen here will be very anxiously waiting to take me
13 down that road.

14 The transcript wouldn't otherwise record it but
15 there are shaking heads out there.

16 So I really don't want to go any further but it
17 would be interesting to know if there were more positive
18 assertions made by Luc Montagnier at a meeting of this
19 kind than are perhaps reflected elsewhere, but it's not
20 you. Professor Leikola will tell us about it.

21 MS DUNLOP: I think, sir, some of this will necessarily crop
22 up when we look at our next topic, which is the
23 introduction of screening tests, but we did say in our
24 preliminary report that it wasn't necessary for this
25 Inquiry to enter into the debate about who should really

1 be credited with the discovery of the virus and I think
2 one of the things we did allude to was the ultimate
3 award of the Nobel Prize, which for many people is an
4 interesting clue as to how the matter is seen.

5 A. As Europeans I think we would support more Montagnier
6 than Gallo, but we are biased I think.

7 THE CHAIRMAN: I suspect everyone is biased in this
8 particular area.

9 MS DUNLOP: Can we go back, please, to Professor van Aken's
10 report, which is [\[PEN0121932\]](#) and we are now at 1934.

11 We have covered the information you have given us
12 about the connections between the CLB and
13 Baxter Travenol and then you go on to say that you
14 accept the statement in the PFC paper, Dr Foster's
15 paper, that Scotland was the first country in the world
16 to provide all patients with Factor VIII concentrate
17 safe from transmission of HIV. Although you go on to
18 say that in some countries commercial dry heat-treated
19 Factor VIII concentrate was imported and used for the
20 treatment of some severe patients before mid 1984
21 although the evidence that some of those concentrates
22 were safe from the transmission of HIV became available
23 only later.

24 Then in the next paragraph you allude to another
25 episode with which we are now reasonably familiar, which

1 is the introduction of heated Hemofil T in 1983 and the
2 discovery that some chimpanzees, which had been used to
3 try out the heated Hyland product, went on to develop
4 Hepatitis B and then indeed that the product itself,
5 when it was tried in patients, caused NANB hepatitis.

6 That was so despite the experimental finding that it
7 didn't appear to cause NANB hepatitis in the
8 chimpanzees. Do you want to comment on what you think
9 was going on there?

10 A. With your permission, I would like to go back to the
11 previous paragraph, just to see what I would have said
12 there about Scotland being the first country which was
13 providing Factor VIII for all patients.

14 I think that needs to be highlighted to a certain
15 extent because when I started to read for this report,
16 I didn't know actually that this was in fact here the
17 situation. I had my own bias, of course, and when
18 I started to read the reports of Dr Foster and things
19 like that, I came to the conclusion indeed that this
20 is remarkable, that Scotland was in fact the first
21 country which was completely self-sufficient in heated
22 and therefore safe Factor VIII at least when it comes to
23 the prevention of AIDS.

24 And that is not, I think, very well known in other
25 parts of the world, so it was all the critique which, of

1 course, is connected to an investigation like this. It
2 should also be recognised that this was a real big
3 success in fact, despite all the problems that existed.
4 So I would like, with your permission, just to say that
5 because I think it's fair to say it.

6 Q. Right.

7 A. As an outsider, yes? Not being from this country.

8 I think it's fair to compliment them on that success.

9 Q. Thank you.

10 A. Now, coming to what you said about the next paragraph,
11 your question was in fact -- can you repeat?

12 Q. Yes. We have looked at particularly
13 Professor Mannucci's involvement in the trial of this
14 heated Hemofil product and we know that the sequence of
15 events seems to begin in Stockholm again because he was
16 approached in Stockholm and asked if he would become
17 involved in trying the product, and he and several
18 others then began to try the product out. At that point
19 the research evidence seemed to indicated that
20 chimpanzees given the heated product didn't develop
21 non-A non-B hepatitis. Information then became known
22 that the chimpanzees had developed Hepatitis B and then
23 at some point in the autumn, I think September 1983,
24 Professor Mannucci already realised that the product was
25 causing non-A non-B hepatitis in the patients.

1 To lay people these results seem slightly confusing
2 and I just wondered what your interpretation was.

3 A. Well, if you talk about chimpanzees, the chimpanzee
4 experiments, you have to take into account that what is
5 done is in fact you use a certain lot in which you know
6 that there is non-A non-B present. It is coming from an
7 infected patient, which has demonstrated beyond doubt
8 that there is indeed this elevation of liver enzymes,
9 which is characteristic for non-A non-B.

10 So that plasma, which is not further characterised
11 but just on that parameter, is injected in a chimpanzee.
12 So you don't know the actual quantity of HBV, of
13 Hepatitis B and non-A non-B, which is present in that
14 sample but that was in fact also not the purpose of the
15 experiment. The purpose of the experiment was to see if
16 when that lot was inactivated whether there was non-A
17 non-B or Hepatitis B coming from it.

18 That is one problem with such an experiment. The
19 second problem is how long do you monitor the animal?
20 How long do you continue to follow the animal to see if
21 infectious disease is occurring? These experiments are
22 usually done in Africa, where the chimpanzees live or
23 where they have a colony. So the circumstances under
24 which this is going to happen are not like we are
25 perhaps accustomed here.

1 So you have to take into account that there are
2 certain limitations in those experiments, and of course
3 the industry was quite happy to know that their
4 inactivation method worked, at least for the chimpanzee,
5 but a lot of people involved in the area knew that this
6 was only part of the whole evidence which we needed.

7 What we needed in fact was to know the clinical
8 experience, and there again you require certain criteria
9 which you have to apply when you select the patients
10 which you are going to test. This ideally should be
11 so-called virgin patients; that is patients who have not
12 been exposed to blood products before, which of course,
13 when you talk about haemophiliacs is a sort of, well,
14 a rare animal, so to say, to find. Yes?

15 So it's not so easy to do that and still you need to
16 have convincing evidence. You need to get that
17 population.

18 That is what Colombo and Dr Mannucci managed to do.
19 They had, in their Lancet studies, selected virgin
20 patients, whereas before, if you look critically at what
21 happened before the study, it was a mixture of all sorts
22 of patients because the main purpose was we want to have
23 results, so long as there is no non-A non-B, it's not
24 detected, fine.

25 But this was a really scientific experiment. So I'm

1 not so sure that there is any biological explanation
2 needed to find out what happened here, why is this
3 discrepancy between animal experiments and human
4 experiments? What is the explanation for it? I think
5 it is a matter of dosage, which was not known, what the
6 dosage injected in the animals was, and the dosage which
7 was used in clinical practice. That for me is most
8 likely the reason there was an apparent discrepancy.

9 Q. Yes. I don't think very many chimpanzees were used, so
10 statistically --

11 A. It is very, very expensive. There were hardly animals
12 available. There were animal activists which didn't
13 like it. So there were only a few facilities in which
14 you could do this.

15 Q. Yes.

16 A. So it's no surprise to me that there were no more animal
17 experiments done.

18 Q. Right.

19 THE CHAIRMAN: Ms Dunlop, I think that Professor James
20 has --

21 PROFESSOR JAMES: I suggested to the chairman yesterday that
22 another reason for this discrepancy is also probably
23 species specificity of the virus. So it's very likely
24 actually that chimpanzees, or that particular strain of
25 chimpanzee even, is just not so susceptible to the non-A

1 non-B virus that was contained in that blood.

2 A. Yes.

3 PROFESSOR JAMES: So that's probably another explanation in
4 addition to the one that you had offered. I don't know
5 whether you would accept that.

6 A. I would certainly accept that because there are examples
7 where we know that there are these type of differences
8 between different sources which are part of the
9 experiment, yes, indeed.

10 MS DUNLOP: Thank you.

11 THE CHAIRMAN: So really it's just another factor that tends
12 to undermine the reliability of what had happened before
13 Mannucci started testing the human clinical reactions.

14 A. Yes.

15 MS DUNLOP: Just to conclude that section, you do go on to
16 point out that the protocol, which PFC were using at the
17 end of 1984, 68 degrees for two hours, would be
18 inadequate to activate the agent responsible for non-A
19 non-B hepatitis.

20 A. Yes, indeed.

21 Q. Yes. Then you go on to quite a lengthy section about
22 whether PFC should or could have moved more quickly, for
23 example in early 1984, to introduce dry heat treatment
24 of Factor VIII.

25 I wonder, sir, if rather than starting that we could

1 Then you go on to give us your answer in this
2 particular context and some of what you say is familiar
3 because it has been said by other witnesses.

4 A. Hm-mm.

5 Q. You make the point about the virus at letter A. And we
6 are back to the controversy that we are not getting
7 into. But certainly we know that article in the Lancet
8 in May 1984, and you say:

9 "Thus, in May 1984 it was likely but not yet
10 definitive that AIDS is caused by a retrovirus, the
11 characteristics of such a virus (such as heat
12 sensitivity) were still unknown. Consequently, if heat
13 treatment for inactivation of HIV would have been
14 introduced in early or mid 1984 or earlier, it would not
15 have been based on evidence but rather on speculations
16 about the origin of the virus."

17 Is there any sort of a point to be made about the
18 fact that the commercial companies were pushing ahead
19 with heat treatment in 1983, when the science for them
20 was missing and they didn't have full information about
21 the viruses and so forth?

22 A. You see, I think it is fair to say that they took
23 a pragmatic approach. You could say that they may have
24 argued, "Well, let's heat, why not, yes, and we can
25 later on find out if it can work".

1 Q. Yes, their approach then must have been different
2 because they moved ahead when for them there were still
3 a lot of unknowns as well.

4 A. Yes. Well, of course that's the sort of policy you can
5 follow. Of course, you see, you have to take into
6 account that a commercial company is in many respects
7 different from SNBTS or CLB because first of all you
8 have to supply the world, so to say, your markets are
9 all over the place, whereas SNBTS and CLB had just
10 a country to take care of, and that is important because
11 companies can easily, when a certain product is not
12 accepted or not so happy in a certain country, they can
13 move to another country, whereas SNBTS/CLB is just
14 confined to this place and (inaudible). They have to
15 take into account what the attitude is in the country.
16 So what the clinicians, what the patients feel, more,
17 I think, sometimes than companies have to do.

18 Therefore, I think that if we would have gone to
19 that approach, the pragmatic approach, I would have
20 expected that the haemophilia treaters and the patients
21 would immediately have asked us, "What is the evidence?
22 What is the evidence that you start heating and how do
23 you judge the risks which are attributed to it?"

24 So we would have had a very difficult discussion
25 when we were doing that pragmatic approach, and of

1 course everybody knows that if you start with a new
2 method, the initial results may be promising but later
3 on, when the number of patients grows, you see that you
4 get a more reliable figure in terms of what it
5 represents for the whole population, and it is not as
6 optimistic as it looks initially.

7 So that is what I think this whole topic here is
8 a clear example of. In addition, the conditions of
9 heating were secret, mostly secrets or patented. So you
10 couldn't just say, "Let's do it also like that". No,
11 then you had to take into account that there was
12 a patent.

13 Very important is also, I think, to mention that
14 there were logistical consequences. Heating meant that
15 there was Factor VIII going to be lost, and of course it
16 depends on which technique was used whether it was very
17 much, like, for instance, pasteurisation or whether it
18 was slightly less but still it had logistical
19 consequences. So if the policy in the country is to be
20 self-sufficient, you have to take the logical steps then
21 to increase the collection or to stick to another
22 policy, like we have done, for instance, with cryo.

23 So we took, in fact, the position that we went for
24 cryo instead of concentrates, more use of cryo than
25 concentrate, because it was safer. That was clearly

1 what we could demonstrate, that if you limit the pool
2 from which you make your product to two or four
3 donations instead of thousands of donations, you do not
4 need to be a statistician to be convinced that the risks
5 of the pool are much larger than for a small pool.

6 So that for us was an important argument that we had
7 both sufficient quantity and that we had a relatively
8 safe product, which was known for a number of years and
9 which we knew it would work.

10 Then of course we took into account that, like
11 I said in the rest of my report, the inhibitor
12 formation, which we felt was a serious risk and which we
13 didn't know how to handle then. So the pragmatic
14 approach which the companies took can indeed, from the
15 outside, be seen as a, "Well, why not?" but if you go
16 deeper into it, you see a number of things which make
17 it less attractive to follow that pragmatic approach.

18 Q. Yes. What we were trying to do as an Inquiry was to
19 make the comparison between the end of 1984 and the
20 beginning of 1984, and say that in fact the dry heating
21 treatment which was initiated in Scotland at the end of
22 1984 used equipment which would have been available, was
23 available, at the beginning of 1984. And I don't think
24 that is being disputed but one factor which is very
25 different between the beginning and the end of that year

1 is that by the end of that year in Scotland, there was
2 clear information that AIDS was in the donor pool and
3 that was not true at the start of 1984.

4 So I suppose when one looks retrospectively, that
5 has to have been a relevant factor as well for a country
6 which was supplying concentrates for its own population.

7 A. That I cannot completely follow.

8 Q. Sorry, it was too long.

9 I'm just saying that one of the factors which must
10 have been relevant to decision-making is that at the
11 beginning of 1984 in Scotland, they did not realise that
12 the virus was in the donor population. That must have
13 been relevant to decision-making in 1984. The risk was
14 not a theoretical one but it was an actual one because
15 there were donors in Scotland who were affected by the
16 virus.

17 A. Yes.

18 Q. So once you know that that is true, which was the case
19 in Scotland at the end of 1984, that may change your
20 assessment of the action you are required to take.

21 A. Indeed, yes. That's logical, yes, indeed. You include
22 that factor in your considerations and you think, okay,
23 now we know that there are certain donors which are
24 infected. So our pool is in fact contaminated.

25 Q. Yes.

1 A. Yes, that's clear.

2 THE CHAIRMAN: I think, just if you are doing a standard
3 risk/benefit analysis, if at stage 1 you have
4 a potential risk which you rate relatively low because
5 of confidence in the donor population, and at the end of
6 the period you actually have an emergent real problem,
7 then the risk/benefit analysis has to change.

8 A. Yes.

9 THE CHAIRMAN: I think that's the way to put it.

10 A. I agree.

11 THE CHAIRMAN: But your long answer suggested really there
12 are some fairly fundamental differences between the
13 approach to be anticipated of a commercial producer and
14 the approach to be anticipated of a public sector
15 producer, operating in a defined geographical area.

16 I'm not sure we have necessarily got to the root of
17 all that. I suppose the commercial producer would tell
18 you that he was merely responding to a way of countering
19 some of the difficulties inherent in his existing
20 product; he was taking blood from a wide range of
21 sources, some of which were known to be highly
22 dangerous. Here was something that might improve his
23 position. He might say it's just a natural step forward
24 and there is nothing more to it than that, whereas if
25 you are using relatively pure sources, you have

1 a different approach at a very fundamental level.

2 A. Yes.

3 THE CHAIRMAN: It may be very difficult to work this out,
4 Professor van Aken, in retrospect.

5 A. No, the reason that I -- you see, the pragmatic
6 approach, yes, which you were discussing, from the
7 outside seems quite evident, yes? And I was trying to
8 just formulate some arguments which would perhaps give
9 you a more complete view of what we were thinking about,
10 yes? And indeed, one of the considerations was -- and
11 I didn't include that at this point in my arguments --
12 that the quality of the source material, which the
13 commercial companies were using, was disputed. It was
14 certainly lower, although they didn't agree with that,
15 than what we had here, both in Scotland and in the
16 Netherlands.

17 THE CHAIRMAN: Yes.

18 A. So that would mean that they had to do something to make
19 it acceptable.

20 THE CHAIRMAN: Yes. They could hardly admit in public that
21 they were using extremely dangerous source material
22 which was exposing all the patients to risk, but
23 pragmatically, I suppose that they would know, as anyone
24 else would, that there were risks and if there was
25 something that was going to reduce that level of risk,

1 then they would do it.

2 A. Yes.

3 THE CHAIRMAN: Without apparently worrying about the
4 production of neoantigens, without worrying about all
5 the other adverse consequences that might arise at that
6 stage or just not giving them the weight that you might
7 have.

8 A. I think they don't just give them the weight. I think
9 they must have known that these risks existed. I cannot
10 imagine that they would not be informed about that.

11 THE CHAIRMAN: Well, Ms Dunlop, without access to their
12 research notebooks, I doubt if we will ever get an
13 answer to this question.

14 MS DUNLOP: Well, indeed.

15 Professor, we are skipping over HCV for the
16 moment and looking at the next page, where you discuss
17 how scientists at that time were able to validate their
18 processes. I think it's Dr Cuthbertson who said to us
19 that in a perfect world any virus inactivation process
20 would be assessed against quantities of the actual
21 virus. So a researcher would be able to work with the
22 virus and see if the heating protocol that he or she had
23 devised killed the virus but, of course, that wasn't
24 possible until towards the end of 1984, although I think
25 there is some interesting material about people getting

1 samples of virus and some people getting samples from
2 America and other people getting samples from Paris and
3 so on.

4 Is that reasonable, that in a perfect world you
5 would want the actual virus you were trying to kill and
6 you would want to research with it whether your
7 methodology was successful?

8 A. Yes, of course. If you have the actual virus, in this
9 case HIV, eventually the strain which was present in
10 humans, that would have, of course, the preference. But
11 we know that that is not always possible. So the whole
12 concept of the model viruses coming into action, and
13 that depends on which model viruses are the best or fit
14 or match best with the actual virus. That's a matter of
15 what the virologists have to inform us about, to say,
16 "Well, what are the differences and to what extent is it
17 the same?"

18 Q. Yes, and you explained to us in March that, with the
19 pasteurisation of albumin, it has been possible to work
20 with bovine diarrhoea virus and toga virus, and I think
21 the chairman called them "proxy viruses". These are
22 good proxies for Hepatitis C because, even yet
23 scientists aren't able to work directly with quantities
24 of Hepatitis C and discover if their processes are
25 successful.

1 A. Hm-mm.

2 Q. These viruses, as I understand it -- and please correct
3 me if I am wrong -- are good model viruses for
4 Hepatitis C because there are some genetic similarities.
5 Is that correct?

6 A. That's correct.

7 Q. But in these days, in the early 1980s, when research was
8 being carried out on hepatitis inactivation and HIV,
9 certainly before HIV had been discovered, any work with
10 model viruses was largely guesswork. So it was about
11 selecting viruses which might appear to have some of the
12 same characteristics.

13 A. We talked about non-A non-B hepatitis.

14 Q. Yes.

15 A. We didn't know whether it was one agent, two agents,
16 three agents, four agents. We didn't know anything
17 about that. There were only guesses about what it was.

18 Q. Yes.

19 A. So it was just only after the people found Hepatitis C
20 that it was much clearer and it could be said which
21 model viruses would fit with this actual virus, but
22 before it was mostly speculation.

23 Q. Yes. We know that in the research at PFC, some of the
24 viruses that were used included vaccinia and mumps?

25 A. Yes.

1 Q. For example. Do you have any comment to make about
2 using those viruses as surrogates at that time?

3 A. No, I wouldn't feel myself qualified to do that.
4 I think that is more for a virologist than for me to do
5 that.

6 Q. Right. Can we move on again. There is a section about
7 Hepatitis C which we will leave for the moment and move
8 on to the last page of this, please. This is in (iii).
9 You say that:

10 "Manufacturing, consistency and integrity of the
11 final product with regard to protein function and
12 structure must be demonstrated."

13 I take it you are talking about, firstly, the fact
14 that the product is still effective. I think that's
15 really what you are saying in the first paragraph that
16 we can see.

17 A. Yes.

18 Q. So once you have heated the product, you need to be sure
19 that it's still effective and also that something hasn't
20 been done to it that might cause harm. Is that right?

21 A. That's right, yes.

22 Q. You say:

23 "There are actually documented instances in the
24 literature where heat-treated products had unexpected
25 immuno-genicity and had to be withdrawn from the

1 market."

2 A. There are more and more, but at that stage there were
3 a couple of instances in which it was known that
4 inhibitor formation occurred.

5 Q. Then in your conclusion you are answering the question
6 posed in the negative and you give four bullet points
7 really which underpin your answer. We can perhaps just
8 read those for ourselves. (Pause)

9 Perhaps we should read the third one where you say:
10 "Cell lines producing sufficient quantities of HIV
11 and HCV were not available until mid 1984."

12 It was actually only HIV that was available in --

13 A. Sorry, that's my mistake. That should be removed. Yes,
14 indeed.

15 Q. Yes. Professor, can we look at your second report,
16 please, which is [\[PEN0121928\]](#)?

17 Another event in this piece of the chronology which
18 caused us to reflect is the memorandum that Dr Foster
19 wrote in May 1983, suggesting that the then
20 pasteurisation programme might need to be accelerated,
21 and I think you have seen that memorandum. Is that
22 right?

23 A. I have, yes.

24 Q. Yes. You go on to discuss that in this report. Really
25 returning to similar lines of thought, you say that:

1 "In 1983 it wasn't known how the agent would be
2 present in blood. Heat sensitivity was also unknown."

3 And so on. You conclude at the end of that
4 paragraph that:

5 "It was by no means certain that pasteurisation
6 would be a method to improve the safety of plasma
7 products like Factor VIII concentrate."

8 That is so, professor, but of course at that point
9 Scotland has embraced pasteurisation as the way to go
10 and is researching pasteurisation. So the question
11 really is whether the suggestion that the programme may
12 need to be speeded up and implemented more quickly
13 should have been acted upon.

14 It certainly does seem to be the case that some who
15 were commenting in 1983 on heat treatment programmes
16 were seeing the possibility that that work was going to
17 have to encompass AIDS. We have looked at some written
18 evidence. Obviously Dr Foster is saying that in his
19 memorandum but we have also looked at an English
20 publication which refers to the possible need to embrace
21 AIDS in the heat inactivation research, and we have
22 looked at a minute of a Factor VIII safety group here
23 which also refers to the possibility that that's going
24 to be required. So it does seem that in 1983 people
25 were thinking heat treatment is not just about

1 hepatitis, it may have to be about AIDS as well. Is
2 that reasonable?

3 A. That's certainly reasonable. Lots of people were
4 thinking along that line. What I was thinking about
5 when I got this question is that I remember that there
6 was a number of presumptions at that time about what
7 could be done and what could be the origin of AIDS, and
8 for instance there was stories about antibodies which
9 could be added to the product and things like that. So
10 it is not just pasteurisation. There were a number of
11 speculations, yes?

12 Q. Yes.

13 A. And I regard Dr Foster as a very important scientist and
14 I regard him very highly. So I'm not suggesting that
15 this was nonsense, what he was thinking, just the
16 opposite, but it is just that from his background,
17 I think it was logical. He was so long involved already
18 in pasteurisation that I can imagine that you don't want
19 to lose that and just give it up because there is not an
20 immediate result.

21 So my response to this remark here is just that
22 I didn't see very much evidence that at that time this
23 pasteurisation would work, therefore, I didn't feel
24 myself in a position that I would, in retrospect, feel
25 very supportive of that.

1 Q. So you didn't think that they were really in a position
2 to move straight to pasteurisation of everything around
3 about this time?

4 A. Well, they had all the experience of albumin, of course,
5 and maybe of other proteins, of pasteurisation. So
6 I don't dispute that the group didn't have the
7 experience to take pasteurisation further; it was just
8 that I wasn't convinced that this was the way to go for,
9 but that was my bias.

10 Q. Right. Are you really referring in your answer to the
11 whole initiation of the pasteurisation project, then,
12 from 1981 onwards or are you talking about this moment
13 in May 1983?

14 A. I found it quite difficult to give a clear or a very
15 explicit answer to this because it is a situation
16 where -- we talk about the speculation, yes?

17 Q. Yes.

18 A. And how to judge that speculation in the context of
19 other evidence which was there, and I think for the
20 literature, it appeared that there were some people
21 using pasteurisation, adding n-heptane to it to
22 stabilise the protein. So from that perspective,
23 I could see that Dr Foster's approach could perhaps have
24 been successful if he had continued it. That is not
25 what I dispute. It is just that I -- yes, I feel a bit

1 uncomfortable to find sufficient arguments for that. I
2 don't see where I would put it in, in fact, so to say.
3 I found this one of the most difficult questions to
4 answer in fact.

5 Q. Right.

6 A. Because it would mean that I had arguments to say, "Your
7 speculation is wrong," and the whole pasteurisation
8 issue, as it stands -- as it still stands -- is still,
9 yes, an option, which provided that you have the
10 appropriate stabilising agents to protect the protein
11 and to avoid that it is going to be denatured, that you
12 can still use it. But I don't know sufficient of that
13 development to say, "Well, this was a good approach".
14 So I felt not really comfortable with this.

15 Q. Right. What, I suppose, we can say is that when you
16 heard the news of the Behring research in 1980 or 1981,
17 you didn't initiate a similar programme in the
18 Netherlands?

19 A. No. But we were maybe wrong. We should take into
20 account that those conditions would denature the
21 protein, would denature a complex protein like
22 Factor VIII, that it wouldn't work. Again, that may be
23 a bias but that was how we argued about it.

24 Q. Right.

25 A. But I think that as at BTS, PFC did far more research in

1 pasteurisation than we ever did.

2 Q. Yes, and of course you told us that in the early 1980s,
3 you weren't researching heat treatment at all. So they
4 were in a bigger sense, I suppose, a more general sense,
5 they were working on a project that you weren't working
6 on.

7 A. Yes.

8 Q. Namely heat treatment. What you are telling us is that
9 the particular form of heat treatment, pasteurisation,
10 was something that at the time you had a number of
11 reservations about. You thought that there were some
12 significant problems to overcome if pasteurisation was
13 ever to work.

14 A. Yes.

15 Q. Is that fair?

16 A. Yes, but you see, in addition what I said in the last
17 paragraph of the first page is that:

18 "It should be kept in mind that patient
19 organisations were most afraid about the lack of
20 sufficient products."

21 Yes?

22 Q. Yes.

23 A. Which is connected when you take this approach of
24 pasteurisation, you lose Factor VIII. So you come,
25 sooner or later, to the stage of how I'm going to solve

1 this logistically, and in Holland the situation was that
2 patients, when we asked them, "Well, where do you put
3 your preferences? Is it first of all absolute safety or
4 is it yield and supply," yes? The answer was sufficient
5 product.

6 Q. Yes.

7 A. It surprised us even, I would say that it was so
8 explicit. They said, "Don't do anything to limit the
9 supply", and that affected us going to cryoprecipitate.

10 Q. It sounds like a truly dreadful dilemma that you would
11 be saying to a patient group, "You can have safe
12 Factor VIII concentrate or you can have sufficient
13 Factor VIII concentrate but you can't have both"?

14 A. Yes. That was in fact the sort of dilemma -- in
15 an extreme form of course. But certainly in view of all
16 the uncertainties which existed about what would work
17 and what would not work, it was for us clear that we
18 perhaps, if we used cryo, were just in the middle of the
19 two. We didn't have perhaps the best product but at
20 least we could supply sufficient.

21 Q. Yes. You mention some of the same considerations as
22 being relevant in the summer of 1983. Obviously we know
23 about neoantigens and you refer to that at the bottom of
24 the page. So I suppose one couldn't have taken forward
25 an existing pasteurisation project in 1983 without

1 robust evidence from clinical trials?

2 A. Yes, indeed.

3 Q. You would have seen that as essential.

4 A. Yes.

5 Q. Yes. You go on to mention inhibitors on the next page.

6 Then we are back, in the next paragraph, to reviewing

7 the various different considerations operating in the

8 minds of those responsible in other countries, and you

9 say what you have just said about the resort to

10 cryoprecipitate in the Netherlands and you conclude that

11 section by making the same point about yield.

12 A. Yes.

13 Q. That acceleration of a pasteurisation programme would

14 most likely have led to a low Factor VIII yield and

15 consequently fewer products.

16 So really what you are saying in response to the

17 question about the memorandum and whether that should

18 immediately have been implemented or actioned, is that

19 you find that very difficult to comment on?

20 A. Yes, first of all, because I know that since I was on

21 the board at that time, we had a number of speculations

22 and suggestions by people -- by the scientists, yes? So

23 you constantly had to make a decision about what will

24 likely succeed and what will not succeed, and I can

25 imagine that some people here would have said, "Well, we

1 are not going to follow that option".

2 Q. So it wasn't clearcut?

3 A. No.

4 Q. Yes. You then go on, professor, to discuss a question
5 which we advanced about clinical trials of commercial
6 products:

7 "Should PFC have been encouraging clinicians not to
8 let their patients try the commercial heat-treated
9 products?"

10 I think that is a reference to a view that Dr Cash
11 took at the time. You say you are not very sure what
12 the arguments are. You say:

13 "In fact, the arguments are not known to me."

14 But the understanding we have gained from hearing
15 from Professor Cash and reading the material is that at
16 the end of 1982, when commercial heat-treated products
17 seemed to be coming, Professor Cash was anxious that the
18 commercial companies didn't use up all the virgin
19 patients, to use your expression, with the result that
20 there would be no patients left in the UK, in Scotland
21 and in England, on whom the NHS heat-treated products
22 could be tried. Is that a logical concern? That's
23 something that could have happened, I suppose, is it?

24 A. Yes, indeed.

25 Q. Yes. But --

1 A. But that doesn't mean -- as I say, that could occur that
2 I would agree with that position.

3 Q. What is your response?

4 A. You see, maybe -- we are talking about two small
5 countries with this relatively small number of patients,
6 and that makes it, of course, for the clinical trials,
7 very complicated.

8 So I can see his point, that he was afraid to
9 offer -- that they would have insufficient material to
10 do a trial but, as a producer, and as SNBTS and CLB are
11 both producers of products, I always have felt that we
12 have to be very cautious when you were going to direct
13 or try to give directions for what other products, what
14 other commercial products should or should not be used,
15 because you are in a competitive market and in my
16 experience it doesn't work when you are trying, as
17 a manufacturer, to influence. That you have to leave to
18 the government or to physicians treating haemophiliacs,
19 but as a producer that is not your personal
20 responsibility.

21 I interpreted that Dr Cash was director here of the
22 SNBTS. So he was in fact the director of a producing
23 institution. And therefore I would be more restrictive.
24 I would try other ways to do this instead of so openly
25 giving a recommendation how it should be done.

1 Q. Right. To go back to the situation in the Netherlands,
2 which you refer to again at the bottom of this page, we
3 can see that there was this cooperation between the
4 association of physicians treating haemophilia patients
5 and yourselves as the producer, and that the consequence
6 of that was a much greater continued reliance on
7 cryoprecipitate. To what extent was the government
8 involved in that?

9 A. Good question. The government was -- it depends on what
10 level you are talking about. You see, in Holland we
11 have a structure that you have a committee which looks
12 after the safety and availability of blood products --
13 at that time. It doesn't exist any more but at that
14 time there was a specific committee.

15 That committee consisted of the director of the
16 National Institute of Health, a pharmacist and somebody
17 else, and they looked at which products were imported,
18 whether they fulfilled certain criteria and things like
19 that. So we also had to give them information about
20 what products we were distributing.

21 Then they were advising the government. At the
22 government level there was a section which was dealing
23 with this. That section in the government was not
24 interested, and that was later on criticised when the
25 haemophilia population informed the ombudsman about the

1 negligence at the government level. So the ombudsman
2 started an investigation and in fact, the outcome of
3 that was that the government was criticised for not
4 having paid more attention and more interest into this
5 problem.

6 So the committee which was advising the government
7 was alert but the next step was not sufficiently
8 covered. And that was in fact what was the situation in
9 Holland. So we had good collaboration between
10 physicians, patients and manufacturers, where there was
11 a sort of information exchange all the time, regularly;
12 every two months there was an update. That information
13 was also largely given to this committee but then at
14 government level there was not very much activity.

15 Q. That committee is a committee which existed to advise
16 the government?

17 A. Yes.

18 Q. Yes. So it was independent of the government?

19 A. Yes.

20 Q. Right.

21 THE CHAIRMAN: Can tell me something about the third member?

22 Was that member also a specialist or a layperson or
23 what?

24 A. That person in that committee?

25 THE CHAIRMAN: Yes.

1 A. No, I think he was -- let me think again who it was.
2 There was a pharmacist -- there was an epidemiologist
3 but he was somebody from the National Institute of
4 Health.

5 THE CHAIRMAN: So basically three qualified people?

6 A. Yes.

7 MS DUNLOP: Who had the licensing function? Was that the
8 government or was that committee involved in the
9 licensing?

10 A. The committee was involved in the licensing but the
11 government had to license in the end, but at the
12 recommendation for following the advice of the
13 committee.

14 Q. I see. And actually the advice which you record as
15 having been given by the association of physicians
16 treating haemophilia patients, you have supplied to us
17 but I think at the moment it's only in Dutch so we don't
18 have it in court book, but I think you provided that?

19 A. Yes, I provided that and the main message of that
20 publication is in fact what I have written here as 1, 2
21 and 3. And in a sense it comes back to that the
22 recommendation was: if possible use cryoprecipitate.
23 And that holds particularly for newly diagnosed patients
24 and children.

25 Secondly, if indeed there is an indication for

1 Factor VIII concentrate like, for instance, a major
2 bleeding or surgery, then you can prescribe Factor VIII
3 concentrate prepared from Dutch origin, but commercial
4 concentrates only when there is a history of side
5 effects following the administration of the Dutch
6 concentrate. And therefore Haemophilia B patients use
7 only Factor IX concentrate from Dutch donors.

8 Q. Yes. You say there was one blood bank in the
9 Netherlands which used a different policy?

10 A. Yes.

11 Q. Yes.

12 A. Yes.

13 Q. Excuse me a moment. (Pause)

14 THE CHAIRMAN: Does that imply a degree of autonomy in the
15 management of the blood bank?

16 A. You see, at that stage the situation was different. We
17 had 29 blood banks and one CLB, and these 29 blood banks
18 supplied plasma to us for fractionation but this one
19 blood bank took a different position and that blood bank
20 director imported Factor VIII directly to his blood
21 centre and distributed it from there on, which was quite
22 unusual but it was permitted at that time.

23 Later it was heavily criticised and court cases came
24 on and things like that. So it didn't end up
25 successfully. In fact, patients were not happy with it

1 and things like that.

2 MS DUNLOP: This advice, which you have summarised for us in

3 the three paragraphs, that is what was referred to in

4 the Douglas Starr extract we looked at, is it, when it

5 says in that that Cees Smit had been involved, earlier

6 in 1983, in the formulation of specific advice for the

7 Netherlands?

8 A. Yes.

9 Q. Is that really what you are setting out here?

10 A. Yes.

11 Q. We see that there were two magazines where the advice

12 was published, the Dutch Medical Journal and the

13 magazine "Factor", and that's a magazine for haemophilia

14 patients in the Netherlands?

15 A. The magazine "Factor" was only for haemophilia patients

16 who were part of the Haemophilia Society.

17 Q. Right.

18 A. But that was 98 per cent of the -- almost every patient

19 in Holland was a member of that society. So everybody

20 got that periodical.

21 Q. And the trigger for those discussions at the beginning

22 of 1983 in the Netherlands was the perceived threat of

23 AIDS?

24 A. Yes.

25 Q. Yes. Then we asked a further question about commercial

1 products and you have given us information about
2 licensing of Hemofil in the Netherlands, but perhaps
3 this could be seen as academic because in the
4 United Kingdom the commercial heat-treated products
5 weren't licensed until February 1985. So our
6 understanding is that there was really very limited
7 availability before that and it would have had to have
8 been perhaps clinical trials or named-patient use, which
9 are the limited ways in which these products could have
10 been used in the UK.

11 A. Well, I have to tell you that there was a dispute
12 before, because, you see, this was in the 1980s, so
13 before AIDS started we had a situation where commercial
14 companies wanted to introduce their Factor VIII and CLB
15 had tried to prevent that.

16 Q. Right.

17 A. And so we felt that the market was going to be
18 endangered by that. So there was an official case for
19 the court and the end result of that was that we were
20 obliged to allow commercial concentrates to be imported
21 into Holland. So whereas initially we would do that
22 ourselves, due to that process we were not any more
23 involved and the market was open.

24 Q. That position, which we are describing, where CLB had
25 tried to prevent the importation of commercial products,

1 that seems to contradict what you said a moment ago
2 about as a producer you don't get involved?

3 A. At that time I was not a director.

4 Q. Right. Your conclusion about the use of commercial
5 heat-treated products is given at the foot of this page.
6 You say:

7 "The adoption of commercial heat-treated products in
8 the UK in advance of locally produced products would
9 have been justified once there was sufficient and
10 reliable data from clinical studies demonstrating the
11 safety and efficacy of such commercial products.
12 Hemofil T did not meet such criteria."

13 In fact we know that it was February 1985 that
14 Mannucci and some of his fellow researchers did publish
15 some evidence that in their trial of Hemofil T there had
16 been no seroconversions to AIDS. So there was some
17 evidence in February 1985 but plainly that's after the
18 domestic product was being heat-treated and it's also
19 around about the time when the licensing authority in
20 the United Kingdom changed its position and began to
21 give licences for those products anyway.

22 Q. Excuse me. (Pause)

23 Right. Thank you very much, Professor van Aken.

24 THE CHAIRMAN: Mr Di Rollo?

25 Questions by MR DI ROLLO

1 MR DI ROLLO: In your evidence you mentioned the links
2 between pharmaceutical companies and the Haemophilia
3 Federation, I think you referred to. Can you just tell
4 me what organisation you were referring to when you
5 mentioned the Haemophilia Federation.

6 A. Well, the name is the (Dutch spoken) but that is the
7 Dutch, but it stands for Dutch Haemophilia Society, if
8 I make a translation of it, and that is an organisation
9 which is only for haemophilia patients and their
10 parents. It exists since 1968 or something like that.
11 As I said earlier, about 98 per cent of the haemophilia
12 population is a member of that. They have regular
13 meetings. They have a magazine. They lobby towards the
14 government.

15 Q. This is the Dutch Haemophilia Society?

16 A. Yes, and they are part of the World Haemophilia
17 Federation.

18 Q. So the links that you are referring to are between
19 commercial organisations and the Dutch Federation?

20 A. There are no links to the commercial companies. If that
21 was your question.

22 Q. Links to pharmaceutical companies?

23 A. No, no, there are no links. The companies tried to
24 establish links but they want to stay independent. They
25 talk only with us, with the CLB, when the other

1 companies are also invited. So there is no preferential
2 position.

3 Q. It's just that you did mention that there may have been
4 influence by commercial organisations over them?

5 A. Yes, of course, the commercial companies try through
6 various means to influence the opinion.

7 Q. Right. Can I take you back to your first statement?
8 That's [\[PEN0121932\]](#). In the first paragraph of that,
9 and this is in the context of heat treatment, you say
10 that:

11 "Thereafter, mainly due to the growing concern about
12 the transmission of the agent responsible for NANB and
13 later HIV, more intense research efforts about chemical
14 and physical inactivation of viruses were reported."

15 I want to ask you about the growing concern and what
16 you were aware of at the time about non-A non-B
17 hepatitis and the effects of that. What was the growing
18 concern that you were aware of in relation to that in
19 the early 1980s?

20 A. The growing concern was mainly related to AIDS and with
21 regard to non-A non-B hepatitis that was at that time
22 more or less, I would say, accepted as a side effect of
23 transfusion and of the administration of plasma
24 components. That had not the same urgency as it
25 gradually got later on because in the beginning, when

1 I came on board in CLB on the board, that was not the
2 main concern we had. The first real concern about
3 transmission of the diseases, of viral diseases, was
4 AIDS.

5 Q. The position, I think, you have indicated to us in
6 relation to Holland is that when the concern about AIDS
7 became apparent in 1983, the approach was that imported
8 commercial Factor VIII would not be used. That was the
9 Dutch approach. Is that right?

10 A. That was what the physicians treating haemophiliacs
11 advised. But there was not a ban on the product so to
12 say. Importation was not forbidden. Some people
13 thought that that would perhaps be necessary but the
14 government didn't want to forbid the importation of
15 commercial concentrates.

16 Q. We have a document which is a report from the committee
17 of experts from the Council of Europe, a report of
18 a meeting at Lisbon between 16 and 19 May 1983. It's at
19 [\[DHF0014394\]](#). At page 4398 we will see that there is
20 basically a report of a number of different European
21 countries and under the Netherlands actually there are
22 four paragraphs there. The first three paragraphs deal
23 with, I think, information matters but the final
24 paragraph, says:

25 "Apart from the above questions, there is, of

1 course, the one concerning the use of plasma products
2 from areas in which the disease has manifested itself,
3 for example, the United States. Although no official
4 measures have been taken in the Netherlands, the
5 clinicians, for example, those responsible for the
6 treatment of haemophiliacs, have requested that no
7 Factor VIII concentrate from the United States should be
8 used in future."

9 Does that reflect the position in Holland at that
10 time?

11 A. I must say that that wording is more stronger than what
12 I said earlier in the official publication in the Dutch
13 Medical Journal.

14 Q. Right.

15 A. That was in fact an advice here. It looked as if there
16 was a sort of ban of the product. That was not what
17 was -- as I said, there were indications for Factor VIII
18 concentrate from commercial origin, notably whether
19 there was an allergic reaction to the Dutch concentrate,
20 which was considered to be an indication for commercial
21 concentrate. So this has no exceptions to the rule.
22 And that is what I wouldn't agree to. So I don't know
23 who has supplied this information. It was certainly not
24 me because at that time I was not a member of that
25 committee.

1 Q. Right. Well, it's perhaps not definitive or necessarily
2 correct but would we be right to understand that in
3 Holland there was certainly a feeling that commercial
4 Factor VIII was to be avoided if possible --

5 A. Well, yes.

6 Q. -- at this time?

7 A. Yes, that's correct.

8 Q. And there does seem also to have been very much an
9 emphasis on the use of cryoprecipitate at this time?

10 A. Yes.

11 Q. And that would be cryoprecipitate that was obtained from
12 a small pool of donors?

13 A. Yes.

14 Q. That's right.

15 In terms of the decision-making process there, the
16 decision to go down the cryoprecipitate route, were
17 patients involved in that decision-making process?

18 A. Yes, indeed. That was after a meeting between
19 physicians treating haemophiliacs and the
20 representatives of the Dutch Haemophilia Society.

21 Q. And did there come a point when cryoprecipitate was
22 heat-treated in --

23 A. Yes.

24 Q. When?

25 A. As I said earlier, we started heat treatment of

1 cryoprecipitate at the end of 1984 and in March of 1985
2 we supplied heat-treated cryoprecipitate. Before that
3 we had even introduced still another step, that we
4 reduced the size of the cryoprecipitate. We went from
5 four to two donors, to limit the risk even more.

6 Q. But in the absence of heat treatment, cryoprecipitate
7 was favoured as opposed to Factor VIII products because
8 it was regarded as being a safer option?

9 A. Yes.

10 Q. I think there was some mention in your evidence -- you
11 weren't actually taken to this document of Dr Foster's
12 heat treatment Factor VIII strategy. We have seen this
13 before in this section. It's [\[SNB0073635\]](#). Just
14 looking at that document, I take it you have seen this
15 document?

16 A. I have seen it, indeed.

17 Q. Yes. He is referring there to a situation that --
18 obviously a decision in Scotland had been made to look
19 into heat treatment, to develop that, and then the
20 strategy might be altered because of the new problem
21 from AIDS. What he is saying there is that:

22 "The possibility that a more serious infection is
23 now involved suggests that we may have to review the
24 strategy."

25 And the reason he gives is that:

1 "Haemophiliacs most at risk are the severes rather
2 than the mild and moderates."

3 He also says:

4 "There is already evidence of a panic recourse to
5 cryoprecipitate."

6 In Holland would you describe it as a panic recourse
7 to cryoprecipitate or an informed decision to go down
8 that road?

9 A. Well, you see the word "panic" would seem to me a bit
10 strong but no doubt there was a discussion once we
11 started to talk with them and give the various options.
12 The option to go for more cryoprecipitate was not what
13 you call really welcomed because once you come as
14 a haemophilia patient from the treatment of
15 cryoprecipitate, you are familiar that you have to go to
16 a hospital to get this product administered, put it into
17 solution, to get it inserted in the needle and things
18 like that.

19 So once the concentrates became available, that
20 story was suddenly changed to: this you can do at home.
21 You have a syringe, you have a needle. So if you have
22 to go back again to the previous situation, that's what
23 nobody would like to do. Yes? So it took some time and
24 some effort to convince them that this was the option
25 which was probably the best at the time.

1 But I wouldn't say that there was panic. That would
2 be far too strong. There was a discussion and it was
3 not welcomed but it was accepted.

4 Q. A different approach seems to have been taken in
5 Scotland and it does appear, at least from certain
6 points of view, that there wasn't a huge amount of
7 discussion with patients as to whether this decision
8 should or shouldn't be made, but it does appear that in
9 Holland there was a discussion with patients about this.

10 A. Yes.

11 Q. In some detail.

12 A. Yes.

13 Q. What I would also like to ask you about is the position
14 in relation to Factor IX.

15 You have been asked certain questions about that.
16 We know that in Scotland heat treatment for Factor VIII
17 arrived first but there was a delay in introducing heat
18 treatment for Factor IX. I think you were asked to
19 comment on the fact that there was a delay, and you have
20 indicated that you think that it was reasonable that
21 there should have been such a delay in view of the fact
22 that they had to do certain tests over a period of time.

23 What I would like to ask you, though, is to give
24 a comment on whether you think it was reasonable just to
25 carry on treating patients with Factor IX without any

1 modification, given it was known that there was HIV in
2 the donor population in Scotland. It was also known
3 that Factor VIII could be successfully heat-treated but
4 that Factor IX was not yet available, but that Factor IX
5 would in due course become capable of being
6 heat-treated.

7 So what I'm really asking you: in that relatively
8 short interim period before that, what would you
9 consider to be the appropriate course of action with
10 someone in relation to Factor IX, whether it would be
11 sensible to carry on giving them Factor IX or whether an
12 alternative course, such as cryoprecipitate, should have
13 been at least discussed?

14 A. Sorry, but for Factor IX --

15 Q. Factor IX?

16 A. -- cryoprecipitate is not a product --

17 Q. Sorry, not cryoprecipitate but some other course of
18 action should have been taken with patients --

19 A. Basically, if I understand you correctly: was it a good
20 policy that Haemophilia B patients were exposed to
21 Factor IX concentrates without any further safety
22 measure?

23 Q. That's right?

24 A. Is that what you ...?

25 Q. Yes, it is.

1 A. Well, there is one remark which should be included there
2 and that is by that time -- and I'm now talking about
3 the beginning of 1985 -- the plasma which was collected
4 was tested, at least in my country. We started early
5 1985 to test for HIV. So it was not that there were no
6 measures taken to reduce the risk of HIV. There was one
7 major step taken and that was the plasma was tested.
8 And therefore there was not such an urgency to include
9 heating or whatever to safeguard Factor IX concentrates
10 because there was already this testing procedure
11 included.

12 Q. Supposing there was no testing at that point?

13 A. Then it would perhaps be different. Then you could
14 argue, well, if that -- was it then permitted to let
15 that (inaudible) go on without having a safety measure?
16 Yes, that's a point which you can make. I must say that
17 I can see that for those patients it would perhaps have
18 been better if there was a heated product.

19 Q. Well, what other safety measure would have been
20 possible?

21 A. Well, just -- well, only -- because you see, the
22 Factor IX concentrate is made from a large pool and you
23 can't reduce the pool without having to change the whole
24 manufacturing. So you can't do very much. You can just
25 try to limit the usage by saying, "We are not going for

1 prevention any more," yes?

2 Q. I follow, yes.

3 A. Or, "We are looking far stricter at the indications,"

4 but from the product point of view, there is not very

5 much that you can do.

6 Q. Right. Yes, professor, thank you. That's all I have to

7 ask.

8 A. Okay.

9 THE CHAIRMAN: Mr Anderson?

10 Questions by MR ANDERSON

11 MR ANDERSON: I'm obliged.

12 Can I just take up that last question from my

13 learned friend in relation to Factor IX? What

14 alternative was there in that short interim period,

15 Professor van Aken?

16 A. Sorry, I thought I said the only alternative would have

17 been to introduce heating at an earlier stage.

18 Q. Or alternatively perhaps introduce commercially

19 heat-treated --

20 A. Sorry, yes, you are right.

21 Q. But other than that option, would I be right in thinking

22 that there really was no alternative? Is that not

23 right?

24 A. I don't see any other. Sorry, I should have mentioned

25 that that was an option.

1 Q. Thank you very much.

2 THE CHAIRMAN: Mr Johnston?

3 MR JOHNSTON: Thank you, sir, I don't have any questions.

4 Further Questions by MS DUNLOP

5 MS DUNLOP: Sir, there is one matter which I think perhaps
6 should be further clarified a little and it's in
7 relation to the commercial companies and their
8 connections.

9 Could we just go back to the transcript, please?

10 I think it's page 28. I think it's this answer that you
11 gave earlier, professor, that we need to probe slightly.
12 You see, it's about line 19. You said:

13 "The Haemophilia Federation is heavily influenced by
14 the commercial sector."

15 A. That's the World Federation.

16 Q. Exactly, yes. I just wanted to be very clear about that
17 for the transcript. You are talking about the World
18 Federation of Haemophilia?

19 A. Yes.

20 Q. How does it relate to the national haemophilia groups in
21 individual countries?

22 A. Well, it relates, of course, to it because they are
23 members of the World Haemophilia Federation but within
24 the World Federation there is not what you would call
25 a common opinion about certain things, notably when it

1 comes to these issues which we were discussing. So you
2 have, for instance, the position in the US, the
3 Haemophilia Federation in the US is sometimes quite
4 different from the ones in European countries.

5 Q. Right. Where are their headquarters?

6 A. In Ottawa -- in Montreal. Anyway in Canada.

7 Q. Right. That was all, thank you, sir.

8 PROFESSOR JAMES: Could I add one question, perhaps?

9 The point about the World Federation would have been
10 then that whereas advanced countries with well organised
11 haemophilia services, such as Holland, Scotland, or the
12 UK, would have really not paid necessarily an enormous
13 amount of attention to the recommendations of the World
14 Federation for the kind of reasons that you have
15 outlined. Nonetheless, there were many countries where
16 services were perhaps not so well developed, who would
17 have paid attention to what the World Federation said
18 very closely and perhaps that might have given
19 opportunities for the influence of commercial companies
20 to have an effect. Would that have been a fair summary?

21 A. Well, you are right. I think the World Federation of
22 Haemophilia is clearly aware that their primary focus
23 should be on developing countries because there the care
24 for haemophilia patients is either non-existent or very
25 low quality. So it's clear that they have to focus

1 there.

2 But at the same time, of course you are familiar
3 with how such a society can work. There are all sorts
4 of political issues which are introduced there because
5 they are also used as a lobby organisation when certain
6 measures need to be introduced or changed. The position
7 of the World Federation of Haemophilia, it's looked upon
8 by governments as a representative organisation. We
9 have to take care of what they are saying. It is not
10 that it is just the developing countries but some of the
11 positions come also back to the local organisations.

12 PROFESSOR JAMES: Thank you.

13 A. Is that clear enough?

14 PROFESSOR JAMES: Thank you. Thank you, chair.

15 MS DUNLOP: Thank you, sir.

16 THE CHAIRMAN: Thank you very much, professor.

17 A. Thank you.

18 MS DUNLOP: We are hoping Professor van Aken is not going to
19 leave the building but he can certainly leave the room.

20 THE CHAIRMAN: This is a novelty.

21 MS DUNLOP: We have one or two points to discuss about the
22 next trip Professor van Aken is going on make to the
23 Inquiry but since there is a little bit of time, sir,
24 I thought it would be useful to mention some of the
25 other statements we have from witnesses who haven't

1 attended.

2 We can't conclude our proceedings on this topic
3 because we haven't heard from Dr Smith.

4 THE CHAIRMAN: Yes.

5 MS DUNLOP: And he is going to come and speak about the
6 whole topic of viral inactivation in a oner, as it were.
7 But apart from Dr Smith we have heard from all the other
8 witnesses we are proposing to call in person.

9 The additional statements, however, come firstly
10 from Dr McClelland, and I should draw attention to that.
11 That's [\[PEN0110062\]](#). He made the point that it's not
12 really his area and he is only in a position to respond
13 to one or two specific points.

14 He makes what I would call for shorthand, the
15 "compartmentalisation point". He says:

16 "All of the work on heat treatment up to late 1984
17 was directed to hepatitis risk reduction."

18 I would suggest that that comment has to be read in
19 the light of the evidence that we have heard and seen
20 about people seeing in 1983 that there was a read-across
21 from the then current research to the possibility of
22 needing to deal with AIDS.

23 THE CHAIRMAN: There really isn't a very precisely defined
24 line.

25 MS DUNLOP: No.

1 THE CHAIRMAN: Looking at it. It looks as if certainly
2 there was continuing experimental work going on that had
3 been directly related to NANBH but then AIDS, as it
4 were, comes in as a superimposed layer and in the course
5 of a relatively short time seems to take over as the
6 primary driving factor as one gets into 1984/1985.

7 MS DUNLOP: Yes.

8 THE CHAIRMAN: But it still leaves you with a very good
9 break point around about 1985.

10 MS DUNLOP: The only point I think I would seek to make is
11 that it wouldn't really be accurate to say that until
12 the end of 1984 no one had thought that heat treatment
13 might be relevant to AIDS because there is plainly
14 evidence --

15 THE CHAIRMAN: Dr Foster's memo is a very good indication
16 that in SNBTS things were changing.

17 MS DUNLOP: Yes. He confirms, in relation to that specific
18 question, that he was the person who attended the first
19 meeting of the MRC working party on post-transfusion
20 hepatitis, then he jumps from paragraph 3 to
21 paragraph 32 and gives information, which we already
22 have actually, about the group of patients known as the
23 Edinburgh cohort.

24 THE CHAIRMAN: He merely repeats it, doesn't he? He doesn't
25 tell us anything new.

1 MS DUNLOP: Yes, and he also deals with the question about
2 Dr Perry and that's the extent of Dr McClelland's
3 statement.

4 We also have a statement from Dr Pepper, which is
5 [\[PEN0131391\]](#). Dr Pepper, another chemist, at least by
6 initial training. He has a little resume of his CV at
7 the top. We see that Dr Pepper joined Southeast
8 Scotland Blood Transfusion Service at a time when
9 Dr Cash was the director. He was a senior research
10 biochemist between 1969 and 1974 and then a principal
11 scientific officer in Southeast Scotland Regional Blood
12 Transfusion Service in fact. So he is arriving before
13 Dr Cash but then Dr Cash is the director of that
14 regional service, and Dr Pepper is working there too.

15 He explains the requests made of him when he joined.
16 There is quite lot of information in Dr Pepper's
17 statement and if we look to the next page, we can see
18 that in 1980 Dr Cash invited him to head up and run
19 a new unit called the Headquarters Unit Laboratory,
20 intended to provide expert scientific advice to the
21 national director. He was head of that unit for
22 approximately ten years:

23 "The initial brief was wide, covering any subject
24 that Dr Cash needed scientific advice on."

25 THE CHAIRMAN: I haven't read this before but does this give

1 some clarity to the relationship between the
2 headquarters laboratory and PFC?

3 MS DUNLOP: It does a little, sir, yes. In the next
4 paragraph he says he has had no formal role or
5 responsibilities within PFC but he did sit on the
6 committees set up jointly with them by Dr Cash. We
7 know, obviously, that he featured in the Factor VIII
8 study group and indeed seems to have coordinated the
9 safety subgroup. He says he believes that:

10 " ... between 1985 and 1990 the SNBTS had a high
11 reputation internationally as a result of its innovative
12 research, development and service delivery. This was
13 achieved by good working relations amongst staff, high
14 morale and outstanding leadership, all the more
15 remarkable given the modest size of the organisation,
16 capitalisation and compared to multinational commercial
17 competitors with multimillion budgets."

18 THE CHAIRMAN: If it's of any interest to anyone at all,
19 I have got a copy of Valerie Hornsey's PhD thesis,
20 (inaudible) I'm sure.

21 MS DUNLOP: Right. He goes on to deal more specifically
22 with some of the paragraphs in our questions document.
23 He records the same scepticism that we have heard from
24 others about the prospects for successful heat treatment
25 of coagulation factors, these being, as he says:

1 " ... exquisitely sensitive to damage and
2 inactivation by environmental factors."

3 That:

4 "The development of a successful heating process was
5 a very tall order. It seemed highly improbable, if not
6 impossible, that heating would work."

7 Again an allusion to an issue that has recurred, the
8 need to demonstrate successful inactivation by using
9 animal models or using previously untreated patients.

10 A mention of the fact that animal models had
11 ethical, regulatory, cost and technical problems.

12 In paragraph 7 he is referring to the Factor VIII
13 study group, in particular the report of the safety
14 subgroup, and we saw that yesterday, that there were
15 sequential meetings between Dr Pepper and Dr Somerville
16 and then the next day Dr Pepper met Dr Cuthbertson and
17 then wrote a report in February 1982.

18 He says:

19 "The actual experiments on wet heating were carried
20 out at PFC by Dr Alec MacLeod."

21 THE CHAIRMAN: I think I'm much happier about the status of
22 his original report now that we have heard that it was
23 intended to be a wide-ranging review of everything that
24 was there, rather than a prescription of the work to be
25 carried out by what, on any view, is a very small

1 research team.

2 MS DUNLOP: If we go on to the final page, he makes a point
3 in connection with intellectual property and then says
4 he has nothing to add on any of the other paragraphs.

5 We also sought input from Dr McMillan. You will
6 remember, sir, Dr McMillan's background in working in
7 genitourinary medicine. When we were doing our
8 preparations for this topic, we did want to try to
9 establish what the state of knowledge amongst other
10 Edinburgh clinicians had been about AIDS in 1983 and
11 1984.

12 The letter on this topic is [\[PEN0160452\]](#). We wrote
13 to Dr McMillan in November last year and asked him
14 several questions and he provided a relatively brief
15 statement in response, which I think we have tendered
16 already actually but which I will draw attention to --
17 it's [\[PEN0140102\]](#) -- Dr McMillan's contribution being,
18 of course, relevant in the context of the leaflets
19 topic, about when it was necessary to start publicising
20 the risks amongst blood donors in Edinburgh and then
21 also relevant in the context of heat treatment, so an
22 awareness and judgment of the extent of the risk at
23 various points in 1983 and 1984, and he is not sure if
24 he made the statement that we quoted from a thesis about
25 the presence of patients with AIDS in Edinburgh in 1983.

1 THE CHAIRMAN: It's a bit disappointing, this statement.

2 MS DUNLOP: It is, slightly, yes, but I think the point he
3 is making in the first two bullets is that he thinks he
4 saw a patient with, I suppose, early symptoms, so
5 a pre-AIDS condition, in early- to mid-1983 and then he
6 thinks it was some time in 1984 that he diagnosed
7 a patient with an actual AIDS-related illness.

8 Then, not statements, but some further items of
9 correspondence which are relevant in this topic.
10 [\[PEN0121724\]](#). This is a letter that the Inquiry sent to
11 the Scottish Government. The letter asked in particular
12 about line management of Mr Watt. We have already
13 referred in evidence to a response from the Central
14 Legal Office, giving the position of the
15 Common Services Agency. Just note that this letter was
16 sent -- it also deals with SHHD support for heat
17 treatment of Factor VIII, which we should note from the
18 far side. I think the letter is less important on that
19 because we have actually, in evidence, had quite a lot
20 of examination of documents and memoranda showing
21 support, particularly financial, for the heat treatment
22 project.

23 As far as the line management question is concerned,
24 the response is contained in [\[PEN0121731\]](#). This is just
25 a little bit of further information about Mr Watt's

1 appointment and management.

2 THE CHAIRMAN: Yes.

3 MS DUNLOP: So the belief is that he:

4 " ... would have been formally appointed by Neil
5 Milne, then secretary of the SNBTA, but he was recruited
6 by and originally accountable to the late Dr R Cumming,
7 then Regional Director of the Edinburgh
8 Regional Transfusion Centre, of which PFC was initially
9 a part."

10 Then the rest of the letter is concerned actually
11 with financial support and funding for the introduction
12 of the heat treatment programme, not that there is
13 anything in it that I think is incorrect, but just that
14 I think it should be regarded as subject to the evidence
15 we have had; it is largely superseded by our examination
16 of the various documents over the summer of 1983 and
17 spreading into February 1984.

18 THE CHAIRMAN: Yes. The document you didn't have, the
19 memorandum or whatever it was, by Dr Cash that
20 eventually elicited a response along the lines of, "Get
21 on with it and put in a proper application," was missing
22 and you haven't found that?

23 MS DUNLOP: We haven't traced it but I didn't feel, sir,
24 that it was crucial. I think Professor Cash thought he
25 would like to have had a look at it to see if he did

1 advance it as a bid against the Medicines Inspectorate
2 pot but I think the other evidence quite strongly
3 suggests that he did.

4 THE CHAIRMAN: I think so but I was looking at this
5 yesterday to see how it all came together and one
6 possible view is that the rather thrown argument over
7 whether this could be brought within the
8 Medicines Inspectorate recommendations, as it were, took
9 some considerable time and knowing whether he did
10 present a further argument at that stage might have been
11 of some help. But I don't think we are bothered about
12 it. My general view at the moment, unless anybody
13 differs, is that Professor Cash did hang out for quite
14 some considerable time, asserting that with a bit of
15 imagination perhaps the work on heat treatment could be
16 brought within the scope of the Medicines Inspectorate.

17 But I think you are right, it can all be worked out
18 on the documents.

19 MS DUNLOP: Yes. Maybe we can have another look for it.

20 I presume it's a costing document of some kind with the
21 figures in it. It may not say in terms, "This
22 represents a bid against the Medicines Inspectorate
23 funding," but we can certainly have another look for it
24 and see if we have it buried in one of the files.

25 So, sir, I have no other documents to tender as

1 bearing on this topic and, apart from hearing from
2 Dr Smith, would regard the evidence as concluded. It's
3 certainly concluded for this period of the Inquiry.

4 We would plan to resume again a week on Tuesday and
5 look at the question of screening of donated blood for
6 HIV.

7 THE CHAIRMAN: Gentlemen, is there anyone who would prefer
8 to have the witnesses who have just been mentioned
9 brought for examination or would wish to ask questions
10 or whatever that arise out of these documents?

11 Mr Di Rollo, are you content to deal with them just
12 as they are on their terms?

13 MR DI ROLLO: I haven't thought that there was anything
14 further to be gained by bringing anybody along, I have
15 to say, looking at the material that's been provided so
16 far.

17 THE CHAIRMAN: There is a natural temptation on the part of
18 the litigator to haul Sandy McMillan along and squeeze
19 him a little to see if he can be persuaded to remember
20 things but there is really no basis for this at the
21 moment.

22 MR DI ROLLO: It is unlikely to be very productive.

23 THE CHAIRMAN: Yes. Mr Anderson, are you content?

24 MR ANDERSON: I'm of the same view, sir.

25 THE CHAIRMAN: Yes. Mr Johnston?

1 MR JOHNSTON: So am I, sir.
2 THE CHAIRMAN: So we will just treat them then, Ms Dunlop,
3 as evidence that you have introduced unchallenged.
4 MS DUNLOP: Yes. Thank you, sir.
5 I have no further material.
6 THE CHAIRMAN: And we meet again?
7 MS DUNLOP: A week on Tuesday -- yes, the 27th.

8 (12.39 pm)

9 (The Inquiry adjourned until 9.30 am on Tuesday,
10 27 September 2011)

11

12

I N D E X

13

PROFESSOR WILLEM VAN AKEN1
(continued)

14

Questions by MS DUNLOP (continued)1

15

Questions by MR DI ROLLO73

16

Questions by MR ANDERSON83

17

Further Questions by MS DUNLOP84

18

19

20

21

22

23

24

25

