

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Tuesday, 17 January 2012

(9.30 am)

PROFESSOR JOHN CASH (continued)

Questions by MR GARDINER

THE CHAIRMAN: Good morning.

MR GARDINER: Thank you, sir. Good morning Professor Cash.

A. Good morning.

Q. I'm sure you will be pleased to know that this is your last appearance before the Penrose Inquiry.

A. I'm very pleased.

Q. This morning the topic is C5, which is information to patients, and we are considering in particular look-back and the tracing and testing of patients. Very broadly, the Inquiry is interested in why look-back was started in 1995, when screening for Hepatitis C began in September 1991.

So just to be clear, you will agree that look-back occurs when a donor tests positive for HCV and then in this case the SNBTS look back to see who has received blood products, which have been made from previous donations, and recipients of the blood products are traced and counselled and offered testing. That's a fair definition?

A. I would only make one very important comment, in that, if you take Scotland and if you take the UK, it's not

1 the SNBTS that traces back to the patient; it's another
2 completely different organisation.

3 Q. Yes.

4 A. That certainly applied, as you know, in the West of
5 Scotland. That's very important.

6 Q. Okay. We will have a look at the detail of that. What
7 I would like to do is have a look at the letter that
8 started off look-back in Scotland. So could we have
9 a look at [\[SNB0084848\]](#)? Is this a letter that you are
10 familiar with?

11 A. I am with the Inquiry but not previously.

12 Q. You didn't see it at the time?

13 A. I don't recall, unless you are going to show me I got
14 a copy, but I doubt, in 1994.

15 Q. Yes. But you have read this recently, have you?

16 A. Not recently, recently, no.

17 Q. Would you like to just take a moment and read it?

18 A. Yes. (Pause)

19 Yes. I would only comment that -- you may smile --
20 that when the Southeast of Scotland in this particular
21 context says it's feasible, that will raise a lot of
22 doubt in many areas because they had a huge resource,
23 and it was a very special, interesting area and they
24 could deliver this, really relatively easily. Yes,
25 I recall.

1 Q. I'm just showing you the letter so that I can ask you
2 some questions about it. I'm not asking for a general
3 comment.

4 A. Sorry.

5 Q. Have you read the first page then?

6 A. Yes.

7 Q. Could we go over to the second page, please? Would you
8 just take a moment to read that, Professor Cash?

9 A. Yes (Pause). Yes. Good stuff.

10 Q. Okay, thank you. If we go back to the first page,
11 please, would you agree that there are three important
12 points about this letter? The first one is Lord Fraser
13 says that:

14 "The Southeast blood transfusion study has shown
15 that look-back is feasible and practicable."

16 That's the first thing he says. The second
17 important thing is that treatment is now available, and
18 the third thing is that a factor for him is not
19 initiating look-back could result in liability for
20 losses?

21 A. Yes, I strongly support all those.

22 Q. So you would agree with these reasons for starting
23 look-back at this time?

24 A. Yes, and that was the basis of our debate in our
25 committee, as you know, in May 1994.

1 Q. Yes. So this was the right decision?

2 A. Yes.

3 Q. We also see at the bottom of the page there Lord Fraser
4 says:

5 "I am conscious that the matter of a look-back
6 policy for HCV was considered by the Microbiological
7 Safety of Blood and Tissue for Transplantation Committee
8 (MSBT) at their recent meeting and that they have
9 advised that procedures should be put in place to
10 identify those at risk but 'whatever is done should be
11 done equally and uniformly throughout the UK'."

12 Then he talks about other recommendations but he
13 says:

14 "The advice which I have received from my medical
15 and legal staff is such that I consider that it is no
16 longer a matter of policy but of legal liability, and
17 that look-back should take place as soon as possible in
18 Scotland."

19 So we see there that Lord Fraser is conscious that
20 this advisory committee is not advocating immediate
21 implementation of look-back but notwithstanding that,
22 he is going ahead in Scotland?

23 A. Good for him.

24 Q. Yes. So just using that letter to help us understand
25 the position back in 1991, who do you consider had

1 responsibility for deciding whether look-back should be
2 implemented in Scotland?

3 A. I think I must have -- I mean, I think you are aware
4 that in 1990 -- I think I have got it right but before
5 we introduced testing, I was raising the whole issue and
6 I think I raised it in the first instance with
7 Jeremy Metters.

8 Q. We are going to look at all of that correspondence.

9 A. Well, you have asked who and ultimately the straight
10 answer to your question is the Scottish Office, because
11 this is -- a huge resource was going to be required and
12 little of it has actually the resource to do -- the
13 difficulties with blood transfusion service, they are
14 about matters relating to the health board, which in my
15 view at the time would have required a CMO letter to get
16 things going. So, yes, it would be the department
17 that --

18 Q. In Scotland?

19 A. In Scotland.

20 Q. The position was the same in 1991 as it was at the time
21 of this letter?

22 A. Yes.

23 Q. Yes.

24 A. Yes, absolutely.

25 Q. So just to try to understand how the procedure would

1 work, in 1991 there was the SNBTS who had a board of
2 directors and a committee, Medical and Science
3 Committee, and that committee would make recommendations
4 to the board of directors and then the board would
5 implement them. Is that the way it should work?

6 A. Well, it should work. It would implement them or not
7 implement them. The board had that authority. But in
8 this context one would envisage that if the directors,
9 which they had in 1990, had said, "Look, we think we
10 ought to be beginning to consider this," they would have
11 anticipated that whoever was in charge at any particular
12 time would have taken that issue up because it was an
13 issue that was felt the ultimate responsibility lay in
14 St Andrew's House. So they would take it up with the
15 medical colleagues there.

16 Q. Yes.

17 A. In 1991, as I said on the previous occasion, the
18 responsibility for that was recognised to be the general
19 manager of the SNBTS.

20 Q. But in terms of decision-making, in a way the advice of
21 the two advisory committees wasn't relevant to the
22 decision. Is that not right?

23 A. Sorry, I'm not with you.

24 THE CHAIRMAN: Mr Gardiner I am slightly concerned that "the
25 committee" is now being used with reference to two

1 bodies and it may be necessary to distinguish more
2 clearly between them. The committee in the letter, of
3 course, is the MSBT, which had a much wider remit than
4 blood transfusion.

5 A. It had a much wider and wasn't, in a word, the property
6 of the Scottish Office either; it was the property
7 actually of DHSS.

8 MR GARDINER: Yes.

9 THE CHAIRMAN: And in particular they had responsibility for
10 tissue transplantation.

11 A. Indeed, sir.

12 THE CHAIRMAN: And one may have to read the reference to
13 "its work" in the letter --

14 A. It was the old advisory committee that was greatly
15 expanded now in terms of its responsibility.

16 THE CHAIRMAN: Sorry, Mr Gardiner, it's just in the hope
17 that we don't run the two together.

18 A. I'm getting mixed up because there was the SNBTS
19 committees, the medical/scientific committee. That was
20 very much SNBTS and it reported to the SNBTS board that
21 was chaired by David McIntosh.

22 THE CHAIRMAN: I think we understand that, Professor Cash.
23 All I'm concerned with is that the record shouldn't
24 confuse the two since later on it might not be as easily
25 understood by others.

1 A. Thank you, sir.

2 MR GARDINER: Let's have a look at the documents. So could
3 we have a look at [\[SNB0053102\]](#)?

4 THE CHAIRMAN: It's suggested that perhaps we have
5 a five-minute break -- ten minutes? We will have as
6 short a break as possible. Thank you.

7 (9.50 am)

8 (Short break)

9 (10.08 am)

10 THE CHAIRMAN: Yes?

11 MR GARDINER: Thank you, sir. Sorry to everyone for the
12 delay.

13 Just before we broke, Professor Cash, we were
14 talking about some committees and I think it would be
15 worth just clarifying the different committees we are
16 talking about.

17 There is the Medical and Scientific Committee of
18 SNBTS, who advised the SNBTS board?

19 A. Correct, sir.

20 Q. There was the Advisory Committee for Virological Safety
21 of Blood, ACVSB, which became, or changed into, the
22 microbiological safety of blood or Advisory Committee on
23 Microbiological Safety of Blood and Tissue, MSBT, and
24 that committee advised ministers?

25 A. Indeed.

1 Q. And then there was the Advisory Committee On
2 Transfusion-transmitted Infections, ACTTD, sometimes
3 called the ACTTI, which ended up advising the MSBT
4 committee on transfusion-transmitted infections. Is
5 that right?

6 A. Yes.

7 Q. Thank you. So if we could have a look at [\[SNB0053102\]](#),
8 we are going all the way back to 1990 now and that's
9 a letter to Dr Gunson; do you remember this letter?

10 A. No.

11 Q. No. Okay. But we can see there that you are talking
12 about the "twilight period prior to the commencement of
13 full anti-HCV screening", and raising a question about
14 whether to do anti-HCV tests on donation aliquots. You
15 are not talking about look-back here, are you?

16 A. Well, it's entitled "look-back" sir, is the letter.

17 Q. Are you talking about targeted look-back, if you like,
18 going back and seeing where donations --

19 A. Not particularly. I think what I imagine I was trying
20 to get Harold on a roll for was, well, we had done
21 look-back with HIV, we are in this twilight period. I
22 must say that's an interesting word. It was a very long
23 twilight. But before we start, can we begin to think
24 then about, as HIV, then beginning to do something
25 similar with Hepatitis C. I think that's all, sir.

1 I can't claim anything.

2 Q. Yes. Do you remember what discussions, if any, you had
3 with Dr Gunson about that at this point?

4 A. No, I don't. I do know that Harold was pretty -- and
5 I had a lot of sympathy for him. He was pretty
6 unenthusiastic for a very long period of time, at the
7 whole notion of look-back because, I think I have
8 already said, even this morning, that for England and
9 Wales, the nature of their structure of their
10 transfusion services made it a really, as you looked at
11 it, a giant of a task.

12 Q. Yes.

13 A. They were kind of busy doing many other things.

14 Q. Let's have a look at the next letter, which is
15 [\[SNB0045010\]](#). This is 21 May and this is from Dr Gunson
16 to you. Do you think that's --

17 A. That's not look-back now, although its title "look-back"
18 is a response to my letter. I think Harold is saying,
19 look, we would like to stay where we are, ie wait until
20 we have a report from a clinician saying we think we
21 have a patient here that's jaundiced and may be related
22 to transfusion. Then we would do something about it.

23 Q. Can you remember, if you did have discussions on 27 June
24 with him?

25 A. I don't remember but I'm sure we did. I'm sure we did

1 but I can't remember them, sir.

2 Q. Let's go to [\[SNB0045009\]](#). This is a letter to you from
3 Dr Mitchell.

4 A. Yes, from Ruthven, from Dr Mitchell.

5 Q. It's headed "HCV look-back". Could we just have a look
6 at the last paragraph there? He says:

7 "I have advised Bob Crawford at the present time
8 that we have no look-back policy, although you will
9 understand that in doing so, the service could be
10 considered to be negligent in not advising about
11 potential future use of donor blood."

12 So what did you think was the SNBTS look-back policy
13 at this point?

14 A. I need to just -- could I just check the date, sir,
15 please?

16 Q. It's 14 May --

17 A. Yes, yes. I think we were fishing around to explore are
18 we going to really push this or not and so on. It
19 became, as I remember, much more crystallised in our
20 minds that we really needed to think about this when, in
21 later, as I recall, Jack Gillon's team, that I had set
22 up, with the main task of producing new donor selection
23 process -- that was a colossal task and was hugely
24 important, but we also said, "Look, while you are at it,
25 guys" -- which would have included Bob Crawford.

1 I think he was in Jack's team -- "would you think about
2 look back?" I think late in 1990 they came back to us
3 with a report which included, "Look, we think ..." you
4 know, "From our point of view ..."

5 This went to the directors and as I recall, that
6 triggered then the pushing this up to Dr Metters.

7 I don't know whether I have got the right time.

8 Q. We are going to show you all of these documents.

9 A. To answer your question -- I'm repeating myself --
10 I don't think in May 1990 we were at all sure. We were
11 just -- you know, we were saying to ourselves, "Well, we
12 did this for HIV, shouldn't we be thinking about it?"
13 and so on. And I think Ruthven here is signalling, if
14 we do think about it for the West, it's going to be
15 a big, difficult problem. And I know, Bob Crawford --
16 bless him -- he is now departed -- worked amazingly
17 hard.

18 Q. Can I just ask you a little bit more about that letter?

19 Dr Mitchell seems also to be referring to the service
20 perhaps being considered negligent in not doing
21 look-back. Is that not right?

22 A. Yes, yes, sure.

23 Q. Yes. So would it not be fair to read that as him
24 sounding a sort of distant alarm bell --

25 A. I don't think he was the originator necessarily of that

1 alarm bell. We were all beginning to say, "Hang on
2 a minute". That takes me back, which may be wholly
3 irrelevant, to a meeting I had in the Scottish Office
4 in September 1988, with a group of people, including
5 Scottish Office lawyers, in which our friends in
6 the Scottish Office were concerned about the potential
7 litigation that would arise from HIV. And this was, for
8 me, a landmark meeting in which we eventually began to
9 talk about who had the duty of care and legal
10 responsibility and so on and so on and so forth.

11 So the notion that we may be taken to task about
12 look-back at a later date was not -- was -- didn't
13 originate -- I'm saying nothing against my old friend
14 Ruthven -- with Ruthven. We had been all fretting about
15 this.

16 Q. So in 1988 there was a concern expressed about potential
17 litigation?

18 A. No. Not about HCV, sir. It was a meeting specifically
19 called by colleagues in SHHD to discuss the potential
20 litigation problems that might arise from HIV.

21 Q. In itself or look-back?

22 A. No, just in terms --

23 Q. In itself.

24 A. The generic was: is there anything we did wrong as, you
25 know, we march forward with HIV?

1 Q. But I think you just told us that at this time SNBTS
2 weren't really sure about look-back. Does that mean
3 that you didn't have a policy --

4 A. Yes, of course, I beg your pardon. Yes.

5 Q. Okay. Let's go on to the next letter, which is
6 [\[SNB0053586\]](#). If we go to the second page, please.
7 Thank you. So this is a letter from you.

8 A. Yes.

9 Q. Copied to --

10 A. David McIntosh and Harold Gunson.

11 Q. Harold Gunson, okay. If we can go back to page 1 again,
12 it's to Dr Whitrow, Urbaniak, Brookes, McClelland,
13 Mitchell and Perry. So SNBTS directors?

14 A. Absolutely.

15 Q. "As promised, I have discussed this topic with
16 Harold Gunson."

17 Just pausing there. At this stage in July 1990, can
18 you remember what your discussions were with Dr Gunson
19 about look-back?

20 A. No, I don't. But you have shown me an old letter, which
21 you said, "Did you have these discussions?" And
22 I suspect -- and I said, "I'm sure we did," but I can't
23 remember them. I suspect that's the link.

24 Q. The same discussions?

25 A. That we did have the discussions.

1 Q. And broadly he is unenthusiastic?

2 A. Very unenthusiastic, yes, for the reasons I have given.

3 Q. Okay. What's your attitude?

4 A. My attitude is, "Okay, we will buy it so far, Harold,"

5 but, as you will see later, I took this matter further,

6 and ultimately very much further, but that was later

7 again.

8 Q. Yes:

9 "We both agreed the following, it would not, after

10 we start anti-HCV donation screening, be appropriate to

11 introduce a systematic look-back programme on previous

12 recipients -- as was done for HIV-1."

13 Just thinking back to Lord Fraser's letter, why did

14 you think that an important factor in making this

15 decision, look-back or not, that you had to discuss the

16 topic with Dr Gunson and then report to the SNBTS?

17 Would it not have been the other way round; you would

18 have discussed it with SNBTS directors?

19 A. I think we have evidence from what we have just seen

20 earlier, sir, that we did discuss it and I said, "Look,

21 I'll start liaising," and so on and so forth. So it had

22 been discussed, as I understand it, before July 1990.

23 Indeed -- I mean, I need to check the dates, I can't

24 remember -- but Jack Gillon's very important report, as

25 I'm now recalling, in fact emerged in November 1990, and

1 we had included him in that remit for him, "have a look
2 and think about look-back for us", and I'm pretty sure
3 that that request for Jack and his team to do this went
4 many months -- it will have taken them many months.
5 So --

6 Q. I'll show you the letter.

7 A. You may have something that doesn't fit.

8 Q. I appreciate that this was a long time ago and I'm not
9 trying to trip you up.

10 A. No, I appreciate that.

11 Q. I'm just trying to get your reaction.

12 A. I completely appreciate that.

13 Q. Let's have a look at [\[SNB0055023\]](#). This is a letter to
14 Dr Gillon. So this is back --

15 A. This is June, this is before the one we have just seen,
16 that's right.

17 Q. Yes. You see, first sentence:

18 "The SNBTS directors believe it is now very
19 important that UKBTS prepares itself for the
20 commencement of full anti-HCV donation screening. As
21 part of this exercise, they believe a high priority
22 should be given to producing operational guidelines for
23 BTS doctors ... in the context of counselling ..."

24 So what discussions have gone before with the SNBTS
25 directors about what you are asking Dr Gillon to do?

1 Can you remember?

2 A. No, not specifically, but I mean, if you take what
3 I have written there, sir, I can assure you that we --
4 and I think there is records of this -- were really
5 quite concerned that the operational guidelines for our
6 donor selection teams needed major updating and quickly,
7 and so that was -- you know, it was discussed at some
8 considerable length among the directors. And I'm
9 absolutely certain in my mind that they, the directors,
10 would have asked me, "Look, could you get Jack Gillon or
11 anybody you think might be interested in doing this
12 work," it was a big job.

13 Q. Just to go back slightly, Professor Cash, do you think
14 that it's correct that during May and earlier in 1990,
15 when you were talking about look-back, you might just
16 have been talking about identifying donations, which
17 were potentially transmitting the virus, as opposed to
18 going another stage back and actually chasing the
19 components that had been made from it?

20 A. I can't recall, sir, because the huge step after you
21 have identified -- it's not the donations -- it is the
22 donor. A huge step after that was into the area of
23 patient records and so on and so on and so forth. That
24 may be correct, I cannot recall.

25 Q. Yes.

1 A. But that would have been the easy start, simply stacking
2 up donors. That would be happening anyway. But the key
3 thing in look-back was what you did with that
4 information.

5 Q. I mean, just looking at the letter to Dr Gillon -- it's
6 asking him for operational guidelines in the context of
7 counselling anti-HCV confirmed positive donors -- when
8 you were asking Dr Gillon to carry out this exercise,
9 did you consider that he would look at the question of
10 a more systematic, extended look-back, or was it just
11 the counselling you were asking him to look at?

12 A. I think this is a very important question and I will
13 address it because I'm not absolutely sure. First of
14 all it wasn't donor counselling, it was maybe about
15 donor selection, hugely important in terms of safety of
16 the blood. And Jack, I know, is coming to see you soon,
17 and he would be the better recorder, but looking at that
18 letter, there is no mention of "look-back".

19 Whether -- and you may say, "When they produced
20 their report, they delivered to you, the directors,
21 their donor selection new programme, but they also
22 delivered a view about look-back", and I can't honestly
23 remember whether, when I said, "Please give me a ring if
24 you wish to discuss the matter further," and he did that
25 and we discussed it, and the more we discussed, Jack

1 would have said, "What about look-back?" and I said
2 "Yeah, why not?" -- because these are the guys, like
3 Bob Crawford and him, who would be masterminding it.
4 I honestly don't remember, but Jack might.

5 Q. So at that point SNBTS didn't have a policy about that?

6 A. No, no, not yet.

7 Q. Okay. Who decided to ask Dr Gillon to do this work?

8 A. As you probably know, the SNBTS -- I'm absolutely sure,
9 as we discussed it as directors, going round and round
10 and round, I might claim I -- I doubt -- we just -- it
11 emerged that we were running -- as we ran into the
12 Hepatitis C testing, we didn't have proper donor
13 exclusion, and one of the problems we had was at that
14 time -- and I think there is a record of this -- again,
15 Harold Gunson's team -- I think Brian McClelland has
16 made this statement at some point -- he is absolutely
17 right -- that our friends south of the border really
18 weren't very enthusiastic at developing a whole new set
19 of donor selection, and in the end, I think you will
20 find, Jack's -- and his team's -- document, in the end,
21 was taken on board 100 per cent by our friends south of
22 the border.

23 Q. We are coming to that. Let's have a look at the next
24 letter, which is [\[SNB0045074\]](#). This is dated
25 20 September 1990, and this is Dr Gillon's response to

1 your request, is it not?

2 A. Yes, it looks like it.

3 Q. We see:

4 "As requested, I enclose our deliberations on the
5 subject of donor counselling in the event of positive
6 tests for HCV antibodies. We see this as a basis for
7 developing our policies towards donors, and also as the
8 background information necessary in the training of
9 counselling doctors."

10 In the last paragraph he says that he sent an
11 earlier draft to Harold Gunson but he has not received
12 his comment.

13 A. I think we had instructed -- I don't like to use the
14 word. We had asked Jack if he would keep closely in
15 touch with Harold Gunson as they developed this. So
16 that would fit very well.

17 Q. Yes. So enclosed with that letter was what was the
18 draft, and if we could have a look at that, it's
19 [\[SNB0053647\]](#).

20 A. Yes, this is the one I remember. I thought it
21 was November but it's October. Yes.

22 Q. Yes. If we could go to 3656, at the bottom of the page
23 we will see "JG. 20th September 1990". That's the date
24 of this draft. Do you remember receiving these?

25 A. Not specifically but I have a very clear memory of being

1 bowled over by the quality of the work, and it's the
2 amount of work involved and how it was going to be of
3 huge value, not only to us but to the whole of the UK.

4 Q. Yes. Let's just go back to the first page, 3647. We
5 will see there that the working party was Dr Gillon,
6 Dr Crawford, Dr Galea and Dr Davidson. If we go over
7 the page, the first paragraph:

8 "Dr J Gillon was requested by the NMD ..."

9 So national medical director, so that's yourself?

10 A. Hm-mm.

11 Q. So he is taking it as an instruction from you, as
12 opposed to from the committee?

13 A. Yes, I don't like to use the word "instruction" because
14 it was a request.

15 Q. A request?

16 A. "Could you help us, Jack?" And a lot of people
17 instinctively always said "yes".

18 Q. Yes, okay. And 1, 2, 3, sets out what he has been asked
19 to do, or his working party have been asked to do: to
20 produce the guidelines.

21 If we go to 3651, the working party has set out the
22 "Background information for SNBTS medical officers
23 counselling anti-HCV-positive donors." That's on the
24 next few pages. If we go to 3654 under the heading
25 "Informing the Donor," this section deals with

1 communicating information to the donor who has been
2 found to be positive.

3 A. Who has been found positive, yes.

4 Q. And it contains various recommendations about how it
5 should be done, breaking the news and we see down there,
6 the heading "Breaking the News", and it's done in
7 a question and answer format:

8 "What does a positive test mean?

9 "Does it mean I have got hepatitis?"

10 If we go over the page:

11 "Will I die of this?

12 "How did I get it?

13 "Am I likely to infect other people?"

14 Next page:

15 "Can I ever give blood again?"

16 Then we come to the important section for our
17 purposes today:

18 "What about my previous donations?"

19 Which says:

20 "The recipients of previous donations will be traced
21 and their consultants or GPs informed. We hope to
22 obtain results of any tests carried out. However, it
23 may cause distress to the donor to discuss this matter
24 in any detail. A general comment suggesting that we are
25 going to check to see that the recipients are all right,

1 that they get any treatment they may require, should be
2 sufficient."

3 So what's set out there, Professor Cash, is an
4 expression of policy, if you like. Is that right?

5 A. No, it's a proposal. This is a document going back to
6 the directors -- I don't want to sort of -- but in
7 a sense, this is the small group of Jack's delivering,
8 in a sense, their thoughts, that we need to do
9 a look-back, and that is absolutely what it was and
10 totally correct in terms of -- but I don't think it
11 was -- I don't think we can say, "This is now policy".

12 Q. No, I'm not saying that.

13 A. This is Jack's group advising the directors that in the
14 context of counselling donors -- this and this was an
15 item, and I think a little later I write to him and say,
16 "Could you take that bit out?"

17 Q. We are going to come to that.

18 A. Because, "Just at the moment, Jack ..."

19 Q. In the context he has been asked to provide suggested
20 information to give to a donor in this situation?

21 A. Absolutely.

22 Q. And one of the bits of information that he is suggesting
23 should be communicated is that the recipients of
24 previous donations will be traced but in order to be
25 able to say that, the SNBTS have to have a policy that

1 that's what they are going to do.

2 A. Absolutely. This is a proposal for a policy.

3 Q. Yes, okay. Thank you. So may I take it that when you

4 read that, you realised that Dr Gillon was advocating

5 a look-back policy?

6 A. Yes. If you go down to the question of, "could I be

7 sued if anyone was infected?" that became a major court

8 case in Edinburgh, that concept. No, I completely

9 accept -- and as you already signalled, that was an

10 issue that we needed to think about carefully.

11 Q. Yes. Could we look at [\[SNB0053646\]](#)? This is a letter

12 of 4 October 1990 from your personal assistant to the

13 directors, circulating the report that we have just

14 looked at. And in that letter you are saying that this

15 will appear on the agenda of the MSC discussion on

16 6 November?

17 A. That's right, sir.

18 Q. Yes. And Dr Gillon will be there?

19 A. Yes.

20 Q. If we could have a look at [\[SNB0044388\]](#).

21 A. They never got round to spelling "Metters" correctly.

22 Q. Yes. So this is a letter to Dr Metters, and who was

23 Dr Metters, just to remind us?

24 A. He was the chairman of either the ACVSB or its

25 successor, but that ...

1 Q. Yes. What has happened? Are you able to say what has
2 happened between the letter that we just looked at,
3 4 October, and this letter, in terms of discussions
4 about look-back and so on? Are you able to remember?

5 A. I can't -- I imagine what happened was we had had the
6 recommendations from Jack's group with a vast amount of
7 very important practical stuff, and embedded in this
8 vast amount was the very question that you pulled out,
9 which in effect was look-back.

10 We had -- whether it was because of discussions with
11 Harold Gunson, I honestly can't know, but I must have
12 come to the conclusion, either myself or my colleagues,
13 that this might be a matter that we ought to touch base
14 with, with the advisory committee. So there was me
15 touching base really.

16 Yes, I mean, I'm sure that's right. The Scottish
17 directors asked me to write to Jeremy Metters to just --
18 yes, to feel as to how the notion of look-back was
19 developing at a UK level.

20 Q. Yes.

21 A. It's important to me -- or it was -- that
22 Dr Archibald McIntyre, in the Scottish Office, was
23 copied into this because he sat on Metters' committee,
24 as did Ruthven and Bob Perry, and they are copied in
25 there too, but they were briefed -- that they knew that

1 the Scottish directors were very keen that this was
2 discussed.

3 Q. Yes. I mean, by this stage you had had Dr Gillon's --

4 A. Yes, absolutely.

5 Q. -- recommendations. What was your attitude to look-back
6 at this point?

7 A. I can't remember. It's easy now in retrospect to answer
8 that but my recollections, as best they are, I was
9 enthusiastic about look-back but I stuck with the
10 issue -- and we will come to this later. This is a very
11 interesting philosophical issue that I have fought with
12 with my two children, who are doctors as well, that if
13 you haven't got some good news for the patient, ie, "We
14 have got some treatment here that can be of serious
15 benefit to you," that loading a lot of innocent people
16 with bad news, unnecessarily, is not a good thing to do.

17 I certainly discovered when my two children
18 graduated that that was not necessarily the view that
19 they took -- that they took. Particularly one of them,
20 who is a GP, that we should unload all the news for
21 patients, so that it's up to them to decide -- and I had
22 been brought up in a different era, in which doctors
23 should do their best, as part of their caring, to filter
24 in some way stuff that really they didn't feel the
25 patient needed to know. My son used to describe, "You

1 are the God almighty syndrome doctors", and I'm pleased
2 to say that 20 years later he is drifting in my
3 direction, but that's a philosophical issue. So I was
4 a strong supporter of look-back.

5 Q. At this point?

6 A. Yes, but when people are saying -- yes, but the idea of
7 look-back I was very warmly in favour, but I wasn't
8 prepared to push it until I had some good evidence that
9 there was at the time -- and I remember this very
10 clearly -- that there was a treatment option, and that
11 raised a whole succession of things which no doubt we
12 will see later.

13 Q. Yes, we will come to that. So you were enthusiastic, in
14 favour, but you still had that concern at that time that
15 you would be giving the donor bad news?

16 A. Not the donor, the patient.

17 Q. The patient?

18 A. Who had received that blood, yes.

19 Q. Yes, the patient bad news?

20 A. Yes, yes.

21 Q. Did that not make you unenthusiastic?

22 A. No -- well, yes, I was not enthusiastic unless we could
23 say to that patient, and indeed the donor, but the
24 patient -- because this is where we were going from
25 look-back, "We can offer you some treatment, so let's

1 get you to a specialist hepatologist", and so on and so
2 forth.

3 Q. So this was why you were slightly hesitant at that time
4 because there was no treatment and you would be
5 giving --

6 A. There were other causes but -- that people said, but for
7 me, the big one throughout was the question of
8 treatment.

9 Q. Yes. So --

10 A. Rightly or wrongly.

11 Q. I'm just trying to understand your position. So you are
12 broadly enthusiastic but you have got this reservation
13 about giving bad news without treatment?

14 A. Yes. If in fact we had known in 1990 -- and I am now
15 aware of Hoofnagle's paper -- but if we had known in
16 1990 that there was a superb treatment regime for
17 Hepatitis C, I would have been extremely anxious that as
18 soon as we possibly can, however difficult it was going
19 to be, we introduced a look-back programme.

20 Q. Yes, but at that point -- if you just let me finish the
21 question -- because there wasn't any treatment option,
22 as far as you knew, you had a reservation about
23 implementing look-back?

24 A. It is correct.

25 Q. A reservation but you were still enthusiastic?

1 A. Oh, yes; and -- we will come to later how enthusiastic
2 I was in the sense that I wouldn't go away on this and
3 kept -- in 1993. It was very important.

4 Q. Yes. Why were you asking Dr Metters' committee, the
5 ACVSB, to look at this question?

6 A. Because I believed, setting aside the treatment thing,
7 that if all that was on, ie there was treatment -- and
8 I was not to know that this was emerging at the time --
9 but if we wanted to go, I was of the view -- and this, I
10 think, proved to be right -- that this would require to
11 launch this, a CMO message to the regional health
12 authorities and in Scotland to the health boards,
13 because it would have required -- and we saw this very
14 clearly in the West of Scotland, that ran into serious
15 difficulties. It required active collaboration of
16 clinicians, of peripheral laboratories doing blood and
17 so on and so forth, all in the control, in Scotland, of
18 health boards.

19 Q. Yes. So you thought, to make it happen, it would have
20 to be UK --

21 A. No, not even UK -- at some point -- I mean,
22 Archie McIntyre, from the Scottish Office, was batting
23 for us on the Metters committee. So he would be in at
24 the front edge of the discussions going on, but I had
25 taken the view -- and I know it's easy now -- I had

1 always taken the view that ultimately this would be
2 a CMO and therefore that required ministerial support
3 and approval, and the only route we had at that time,
4 that I was aware of, to get into ministerial approval
5 was the Metters committee.

6 A great criticism is made, including from me, about
7 the Metters committee, but it seemed to me that Scottish
8 ministers, and certainly civil servants, were very
9 conscious throughout the whole -- this whole period of
10 Hepatitis C, that they wished at least to be briefed as
11 to what this committee thought about whatever.

12 Q. Yes. Just thinking back to the Lord Fraser letter, did
13 you not think that this was ultimately a question for
14 the MSC?

15 A. MSC?

16 Q. The SNBTS committee?

17 A. The SNBTS --

18 Q. The committee that advised the SNBTS?

19 A. No, I would vehemently -- we could -- on 18 May 1993,
20 was it, we had had enough, that committee, and declared,
21 with Scottish Office colleagues that were with us --
22 that was Dr Aileen Keel -- that we felt we really had to
23 do it now. It was absolutely imperative, and in
24 a sense, reading Lord Fraser's letter, which came after
25 that, is very interesting.

1 Q. Okay. Could we have a look at the next document, which
2 is [\[SNB0018934\]](#)? These are the minutes of Dr Metters'
3 committee, the Advisory Committee on the Virological
4 Safety of Blood, ACVSB. And we see observers, as you
5 told us, Dr McIntyre from Scotland, and we see names
6 that we are familiar with: Dr Mitchell, Dr Mortimer,
7 Dr Perry, Professor Tedder, Professor Zuckerman. The
8 date is 25 February 1991. Could we go to 8939,
9 paragraph 14. It says:

10 "The committee discussed the problems of look-back
11 and recommended that it should not be undertaken as
12 a service, leaving the option for those carrying out
13 research. However, all cases of post-transfusion
14 hepatitis should continue to be investigated."

15 A. That's almost a pick-up, you remember, of the letter
16 I had from Harold Gunson.

17 Q. Yes. What do you understand by that, "not undertaken as
18 a service"?

19 A. Oh. It would not be routine as part of the -- of our
20 service delivery, which is what we wanted. That's when
21 it gets really serious, yes.

22 Q. So all blood transfusion services throughout the UK?

23 A. We are into this -- my impression was that this
24 committee advised ministers and maybe you need to ask
25 the question: who are the ministers it advises?

1 My understanding had always been that the ministers
2 in that reference included Scottish ministers as well.
3 That doesn't prevent the Scots doing their own thing,
4 and we see this developing here, which is marvellous,
5 but my understanding was that there had been agreement
6 that this committee, when it was established, the lead
7 would be DHSS. There would be Scottish observers and
8 Scottish members, but its deliberations would be
9 included in the advice to Scottish ministers.

10 That has always been -- that was always my
11 understanding.

12 Q. Yes. Okay. Well, let's have a look at the next
13 document, which is [\[SNB0095668\]](#). This is going
14 backwards a few days but this is the medical and
15 scientific committee of SNBTS, and we see present
16 yourself, Dr Brookes, Dr McClelland, Dr Perry,
17 Dr Mitchell. If we could go to 5671, under the heading
18 "Donor Counselling: HCV donation testing":

19 "The committee examined Dr Gillon's final draft
20 document, which had been previously circulated, and
21 agreed it was excellent. The committee proposed and
22 agreed that the latter pages be used as guidelines in
23 leaflet form for use by the RTCs."

24 Then:

25 "In the light of national events, it was agreed no

1 look-back should be introduced at present."

2 So I just wanted to ask you, what are the "national
3 events" that are being referred to there, do you think?

4 A. I can't recall, to be honest. I think you have already
5 indicated to me this meeting was before the advisory
6 committee. Whether -- I honestly don't know. Whether
7 signals had been made through Harold Gunson to me, that
8 I reported to my colleagues, I honestly don't know and
9 regret the minute isn't more helpful.

10 Q. Yes. Well, we know that it's a long time ago,
11 Professor Cash, but is that your best estimate of what
12 that refers to, that you have had discussions with
13 Dr Gunson and Dr Gunson has said to you, "We are against
14 the idea of" --

15 A. No --

16 Q. If you just let me finish the question, "We are against
17 a systematic look-back", and you had taken that on board
18 and at this meeting you had reported that to the
19 directors?

20 A. That's possible. It's also possible Harold said
21 something different, that "It's coming up the advisory
22 committee, John, I can tell you that", because I knew
23 nothing about the agendas, and he said, "It's not going
24 to run", and we were very anxious to get these
25 guidelines up and running as soon as possible.

1 Q. Yes.

2 A. I mean, I can't remember but I would imagine that it had
3 something to do with the dialogue that was going on, but
4 I suspect Harold and I have just already said, the
5 minute of that committee meeting is almost a pullout
6 from Harold Gunson's letter of much earlier.

7 Q. Yes. But the dialogue has been between yourself and
8 Dr Gunson?

9 A. Yes, yes, which was, I like to think, perfectly normal,
10 and I would be drawing attention to my colleagues, when
11 we met, you know, what I felt -- the way it was all
12 going at the present time.

13 Q. Yes. Can you recall whether there was much discussion
14 about the advisability of proceeding with look-back or
15 not at this meeting?

16 A. I can't recall, to be honest, it would be a -- it would
17 be speculation. I honestly can't recall.

18 Q. Would we be wrong to get the impression that you had
19 come to the meeting and said to your directors, "I have
20 had a conversation with Dr Gunson and it looks like
21 look-back is not going to be proceeded with down south
22 and therefore I don't think we can do it either."

23 A. No, no. We are on to an old theme of this Inquiry.
24 Much more likely is it's not going to be a runner at
25 that advisory committee, which advises our ministers as

1 well. So at the moment we need to wait and get more
2 ammunition and that eventually emerged. Much more
3 likely that. But I really -- I need to be careful. I'm
4 sure that's speculation. You are asking me details of
5 conversations.

6 Q. I understand.

7 A. But I would like to reiterate -- because I am aware that
8 David McIntosh is going to appear again -- that the
9 notion that England can't do it and therefore we can't
10 do it, it had never -- I was never ever prepared to
11 accept that at its face value. By all means I saw great
12 advantages in us all doing all sorts of things together,
13 but that alone -- it was up to Scottish ministers in my
14 view to make decision.

15 Q. Yes. But based on the advice that they were getting
16 from you?

17 A. The advice that -- Scottish ministers weren't getting
18 directly any advice from me.

19 Q. Well, from the SNBTS?

20 A. From the SNBTS. I can't be sure that that was
21 transmitted to them. I have no idea. That was somebody
22 else's job. All I do know is that people sitting on
23 the -- the advisory committee down in London -- there
24 were two Scots, there was a third Scot, who was
25 a senior, very respected civil servant, Archie McIntyre.

1 So there was a sense in which we as individuals --
2 we were engaged in a process that ultimately would
3 advise Scottish ministers. And there is no doubt that
4 Ruthven Mitchell, Archie McIntyre, Bob Perry, as they
5 went, knew, because I copied them in, of my letter to
6 Metters, in which I had said to him, "The directors of
7 Scotland wish this to be given serious consideration".
8 I think we tried to cover all -- as best we can.

9 Q. Just to return to the minutes, the next few lines record
10 a comment by Dr Galea. If we go back to 5668, please,
11 the first page, he is not listed as being present on the
12 first pages. Do you think he would have just joined the
13 meeting later?

14 A. I have no idea. George became director of the centre in
15 Dundee, I think it was. He was a very active worker in
16 this area. He wasn't a director at that time. Whether
17 he was sitting in for Jack for this discussion, I don't
18 know. But from what is recorded, that he was either
19 there or he had communicated to us that if we made that
20 decision, "At the moment hang off," then if we were
21 going to say, "Carry on, get these guidelines for donor
22 counselling out," we would have to adjust. Presumably
23 the item 9 is the very one, which I can't remember.

24 Q. That's right, let's go back to --

25 A. This obviously, it's recorded, was agreed.

1 Q. So he says --

2 A. It sounds as though he was there.

3 Q. Yes:

4 "The wording of the last question on page 9 would
5 need to be altered accordingly and this was agreed."

6 So we should see that as Dr Gillon has recommended
7 look-back. You have discussed it and you have agreed
8 not to go ahead with it at this point.

9 A. Hold fire, yes.

10 Q. And as a result, that alteration has to be made?

11 A. So that we can get the rest out. Absolutely right.

12 Q. So SNBTS policy at that point was not to have look-back?

13 A. Yes, I think that would be a moment, yes.

14 MR GARDINER: Okay.

15 Sir, I'm about to move on to another document,
16 perhaps it would be a good time for a break.

17 (11.02 am)

18 (Short break)

19 (11.25 am)

20 MR GARDINER: Thank you, sir. Before the break,
21 Professor Cash, and earlier, I asked you about what had
22 gone on before your letter to Dr Metters on
23 22 November 1990, and I should have shown you the
24 minutes of the MSC meeting from 6 November, which are
25 now on the screen in front of you.

1 So this is obviously before you write to Dr Metters?

2 A. Yes.

3 Q. So you see you are present, Dr Brookes, McClelland,
4 Mitchell, Perry and so on. And if we could go to --

5 THE CHAIRMAN: Could we record a number before you --

6 MR GARDINER: [\[SNB0095513\]](#).

7 THE CHAIRMAN: Thank you.

8 MR GARDINER: If we can go to 5516, at the bottom of the
9 page, 5(ii). "Donor counselling: HCV":

10 "Dr Gillon's report, which had been previously
11 circulated, was discussed.

12 "Dr Mitchell pointed out that Dr Gunson was anxious
13 to take this Gillon document to the national advisory
14 committee in the near future."

15 If we could go over the page, we see at the top:

16 "... Dr Gillon joined the meeting ... welcomed by
17 the chairman. He gave a brief resume of the content of
18 the paper and a lengthy discussion took place thereafter
19 when details were clarified.

20 "Dr Gillon pointed out that there were additional
21 data which were not available when the report was
22 written."

23 And the third paragraph:

24 "The committee concluded that a draft standard
25 operating procedure based on this report should be

1 prepared by Dr Gillon by 30 November 1990 and submitted
2 to the members of the MSC for their consideration. This
3 he agreed to do."

4 I just wonder if you can remember whether there was
5 any discussion about that question 9 and the
6 implications of a look-back policy?

7 A. I regret, sir --

8 Q. You can't?

9 A. -- you are exceeding my memory capacity.

10 Q. Yes. What about putting the Metters letter together
11 with that document? I mean, does the Metters letter not
12 suggest that it was discussed?

13 A. Oh, yes, you are asking for details. I honestly can't
14 remember but, yes, I'm absolutely certain that, you
15 know, the committee concluded -- they would have
16 discussed this beforehand -- discussed around the topic
17 in detail. And my understanding is -- because it
18 certainly was my practice -- that I was asked by the
19 committee to write to Dr Metters, and I convey that to
20 him when I wrote to him.

21 Q. Right. If we go --

22 THE CHAIRMAN: There seems to be a strengthening of the
23 documents role at this stage. It has gone from being
24 guidelines up to an SOP.

25 A. That's correct, sir.

1 THE CHAIRMAN: Was that a significant change?

2 A. Wow. I think the quality specialists may -- I mean, the
3 guidelines -- in my book -- and I did something on
4 quality -- when you move from guideline to SOP, yes, you
5 are into procedural -- it's like protocols, yes.

6 MR GARDINER: If we look at 5519 in fact, this is under the
7 heading "HCV, 10(i), look-back". So there we have it.

8 A. Thank you, that's helpful.

9 Q. So that confirms your recollection that there was
10 discussion, and that's the genesis of the Metters letter
11 in fact.

12 Would you agree?

13 A. Yes, sorry, I was looking at the other box, I beg your
14 pardon.

15 Q. Okay. So that's a missing bit of the jigsaw. So we can
16 put that away now. Can we now have a look at
17 [\[SNB0051689\]](#)? This is a letter dated 12 March 1991 from
18 yourself to Dr Gillon and you are informing him that the
19 committee agreed to the proposal that the latter pages
20 be used nationally as guidelines in leaflet form but the
21 section at page 9 -- "What about my previous
22 donations" -- is not to be included, and this is again
23 in light of national events.

24 What do you think Dr Gillon would have understood by
25 that reference to "national events"?

1 A. I can't speak for him to be honest. Whether I called
2 him and chatted with him -- he is coming to see you very
3 soon, so Jack may be able to brief you. I can't --
4 I honestly don't think I should speak on his behalf in
5 that context.

6 Q. Right. What were you intending to convey by those words
7 "national events"?

8 A. That's a very good question too. I think by then I had
9 received information -- I don't know who from, whether
10 it was Ruthven, Bob Perry or even Archie McIntyre --
11 because I didn't get minutes of the advisory
12 committee -- that we knew, I assume, when we talk about
13 "national events" it was about the national committee,
14 and I suspect that Harold had been in touch and talked
15 and so on, and clearly I felt -- and I think my
16 colleagues would have agreed -- at that moment of time
17 we weren't -- look-back was not a runner at the moment.
18 We needed to wait for fresh developments and therefore
19 that small component in an otherwise critically
20 important document, we were suggesting, look, in the
21 meantime take that out. Jack may be able to give you
22 much more useful information.

23 Q. Yes, but that was because of the attitude of the Metters
24 committee?

25 A. I would think so, yes. If I have got my dates right.

1 Q. Okay.

2 A. I mean, I wrote to Metters in late 1990. But

3 the Metters committee, as I recall, for my money, met

4 very infrequently and I can't remember -- you have just

5 shown us a minute of that meeting -- when it was. But

6 here is me getting back to Jack on 12 March. It seems a

7 long time, but presumably I was wanting to first touch

8 base with the medical/scientific committee, the Scottish

9 group, before I communicated to Jack and I think that's

10 what happened.

11 Q. Yes. Okay. Let's go to [\[SNB0045590\]](#). These are the

12 minutes of the UK Advisory Committee On

13 Transfusion-transmitted Diseases?

14 A. Yes.

15 Q. We see Dr Gunson in the chair, yourself, Dr Mitchell.

16 A. Mr Archie Barr, I should mention, sir, a distinguished

17 laboratory scientific officer from the West of Scotland.

18 Q. Yes.

19 A. Blood transfusion centre.

20 Q. Can you just remind us, how was this committee operating

21 in relation to the Metters committee at this point?

22 A. I think we have touched on this in C4. The relationship

23 at times was a little strained. The people controlling

24 the Metters committee membership didn't control this

25 committee's membership and there were occasions when the

1 advice they received from this committee was not
2 welcome, and Harold Gunson knew it wouldn't be welcome.
3 So -- I think Jeremy Metters, if he is with us these
4 days, would say that this was an advisory committee to
5 them but it actually wasn't a committee that they
6 control, if you understand.

7 Q. Yes.

8 A. Indeed, a terrible thing developed when the chairman of
9 the committee, a Fereydoun Ala from Birmingham at one
10 stage, requested that he as chairman of this committee
11 sat on, even as an observer, the Metters committee, and
12 this was hotly rejected and there was an awful crisis
13 that developed as a result of that.

14 It's a rather long-winded response to your simple
15 question, I apologise.

16 Q. But this committee, which you were on and Dr Gunson was
17 on, did consider the question of look-back. If we go to
18 5594, at paragraph 4.4.1, we see:

19 "The appropriate sections of Dr Gillon's paper on
20 counselling were agreed with amendments."

21 Then there is a reference to appendix 3. If we go
22 to appendix 3, which is at SGF0012014 --

23 A. While the search is being made, sir, 4.4.2 does touch on
24 the notion of guidance from which you prepare standard
25 operating procedures.

1 Q. Yes, I'll give you another reference. SNB0051673. Just
2 bear with me. (Pause)

3 I am afraid we have another IT glitch here but,
4 Professor Cash, if you just take it from me -- and I'll
5 show you this later -- appendix 3, which is referred to
6 in the minutes, is Dr Gillon's recommendations and they
7 include, question 9:

8 "What about my previous donations?"

9 So, on the face of it, that committee appears to be
10 supporting a policy of look-back on that basis. But
11 that wasn't the position, was it?

12 A. No, no. I'm very interested.

13 Q. Okay. We will arrange for that to be put into court
14 book.

15 Sir, that should be [\[SNB0051763\]](#).

16 Right. My apologies. There we go.

17 THE CHAIRMAN: We see this is the July 1991 version. It has
18 actually got its date on it.

19 A. Thank you, chairman. I suspect it's the copy that
20 Harold Gunson was sent by Jack, as he had been asked to
21 do, and was way out of date.

22 MR GARDINER: If we could go to page 4 of that, we see
23 there:

24 "What about my previous donations?"

25 So it's still in there --

1 A. Can I just -- this is clearly a very early draft and
2 I suspect that what we are looking at is a document that
3 wasn't looked at carefully enough on the day,
4 particularly by the Scots, which includes myself, to see
5 whether 9 had gone. You know, I regret that. It's very
6 interesting.

7 THE CHAIRMAN: Perhaps one would be unlikely to be able to
8 tell from the minutes whether it was discussed at all,
9 given their rather brief form.

10 A. It's true, sir, but nonetheless, as the Scottish
11 directors had in fact themselves come to the conclusion
12 that 9 should go out for a while, in retrospect you
13 could have said that on the day that Ruthven and
14 myself -- I don't think Archie Barr could be
15 incriminated; he was a wizard technologist. But we
16 should have picked up that.

17 Q. Thank you. We can put that away for now and I would
18 like to show you a Scottish Office memo from around
19 about this time. That's at [\[SGF0012163\]](#). We see this
20 is July 1991 and is a memo from Dr McIntyre to
21 Mr Panton, and we see the heading is:

22 "Recommendations for counselling of HCV seropositive
23 donors. Informing the donor".

24 He makes reference to a copy of the recommendations,
25 concerned about, paragraph 3.4:

1 "In the case of regular donors, the fate of previous
2 donations is determined and 'look-back' initiated in
3 accordance with SNBTS policy."

4 Just jumping down to the paragraph where he has put
5 "1A" next to it:

6 "In the present state of knowledge, donors who are
7 only HCV seropositive donors without evidence of antigen
8 may not be infectious. What purpose is to be served by
9 going back? Will it cause the recipient of the blood
10 (the 50 per cent who are still alive after two years)
11 unnecessary worry and possibly distress? In certain
12 circumstances it could also give rise to litigation and
13 it may be that you would wish to discuss this particular
14 point with our solicitors before this policy is put into
15 effect."

16 Now, were you conscious, Professor Cash of that
17 concern around about this time?

18 A. Within the Scottish Office?

19 Q. Yes.

20 A. I have no memory of that, sir. I'm fairly certain that
21 I wouldn't have been.

22 Q. So that's not a consideration as far as you are
23 concerned, about implementing look-back?

24 A. Sorry, when you say "consideration" ...?

25 Q. A factor that was taken into account.

1 A. What, the potential for litigation?

2 Q. Yes.

3 A. I think we have just touched on this before, sir. In
4 the course of discussions, yes, you showed me
5 a Ruthven Mitchell letter, way back a hour or so ago, in
6 which he is saying -- so, yes in the course of our
7 deliberations, that must have been touched on.

8 Q. Yes. If we could have a look at --

9 A. You notice that Archie is dialoguing with Metters about
10 all this, which is good.

11 Q. If we could have a look at [\[SNB0018845\]](#).

12 THE CHAIRMAN: There is nothing of any interest in the
13 manuscript footnote to the last letter, is there? It
14 looks as if SNBTS was asked specifically about
15 litigation risk.

16 MR GARDINER: Yes. Do you have any recollection of that,
17 Professor Cash?

18 A. No, I don't, sir, to be honest.

19 Q. [\[SNB0018845\]](#). Are you familiar with this document,
20 Professor Cash?

21 A. I am but only since the Inquiry.

22 Q. Yes.

23 A. I don't remember it in detail. I think I know what it
24 was, if I can get over the first page.

25 Q. Yes. So if we go to the next page, please, we see

1 "Introduction":

2 "There has been a considerable debate about the
3 introduction of anti-HCV testing of blood donations,
4 which has occupied many months.

5 "The UK Advisory Committee On
6 Transfusion-transmitted Diseases has discussed, in
7 detail, all aspects of this additional test to be
8 applied to blood donations and the subsequent handling
9 of donors thought to carry HCV infection."

10 It talks about the status of the recommendations.
11 This is by Dr Gunson and it's dated August 1991. He was
12 the chairman, was he not?

13 A. He was indeed, yes.

14 Q. If we could go to 8857, we see at the bottom of the page
15 again the old question 9:

16 "What about my previous donations?"

17 So again, in the recommendations document we have
18 still apparently got this policy about look-back?

19 A. The error has been perpetuated, yes. It's very
20 interesting, absolutely fascinating. I was not aware of
21 that, sir.

22 Q. Is it an error?

23 A. Well, it's an error in the context of the Scots decided
24 they would take it out. Is it an error? We decided to
25 take it out but clearly that has not been communicated

1 well to Dr Gunson, which I'm very surprised, because we
2 would have been very pleased. I can't -- I have
3 difficulty in commenting, sir, on that. Very
4 interesting.

5 Q. If we could have a look at [\[SNB0019148\]](#). These are the
6 minutes of the Advisory Committee on the Virological
7 Safety of Blood, ACVSB. So this is the Metters
8 committee. I'm calling it the "Metters committee".

9 These are the minutes from 29 October 1991 and the
10 members are Dr Gunson. At this point had Dr Gunson just
11 become a member of this committee? We have not seen his
12 name featuring before?

13 A. No, oh, no, no. This is the Metters committee and
14 Harold was there from the very beginning.

15 Q. Okay. If we could go to 9149, we see there is
16 a discussion of Hepatitis C:

17 "The chairman thanked Dr Gunson for the hard work
18 put into compiling the compendium of recommendations
19 made by the UK Advisory Committee on
20 Transfusion-transmitted Diseases which had been
21 circulated."

22 Then there is discussion of the first HCV test
23 trials.

24 A. You see Dr Gunson said no decision had been taken for
25 look-back.

1 Q. Sorry, I didn't catch that?

2 A. I was just saying that 4.2 at the bottom, it says there
3 in the minute that Dr Gunson said:
4 "No decision had been taken as regards look-back."
5 And I see the word "study", which is quite
6 interesting.

7 Q. Yes. So he is reporting that the other committee has
8 not taken a decision about look-back?

9 A. I presume so, or he may be saying he understood that
10 there was -- I don't know. But that's a possibility.

11 Q. Okay. So at this point, which of the two committees is
12 looking at that question of whether to implement
13 look-back or not? Do you know?

14 A. I don't but, I mean, I think the key thing is the
15 committee that really counted -- because it advised
16 ministers, and I think we all agreed that that was
17 required -- was the ACVSB.

18 Q. Yes.

19 A. What the other committee might have done, if moved so to
20 do, was to have established a study in England, much in
21 the way that we liked to think that Jack Gillon was
22 doing in Scotland.

23 Q. We are going to come to that?

24 A. That would have been an option for --

25 Q. Yes. What was your reaction to what was going on in

1 these two committees about the question of look-back?
2 Were you waiting for a decision to be made or ... what
3 was your attitude?

4 A. I need to -- it's very easy to now say things that
5 may -- but my recollection is that I had no idea what
6 was going on in this advisory committee. That was one
7 of the fundamental problems that I and David McIntosh
8 had. In terms of the Advisory Committee on
9 Transfusion-transmitted Diseases -- and we made
10 available minutes widely to all my colleagues -- I had
11 the impression that our friends south of the border, who
12 were on that committee, were not at all enthusiastic
13 about the development of a look-back programme or even
14 doing studies. But that's my best recollection.

15 In fact I get confused. I did get the impression
16 once that -- reading some of these papers recently --
17 that there was a moment when they might have been moved
18 and then the next meeting, we were back to, "Oh, this is
19 all too complicated and too difficult," which actually
20 may have been true.

21 Q. Yes. But at this point the SNBTS policy was not to
22 recommend that look-back be pursued in Scotland?

23 A. That's correct. Our recommendations -- our policy was
24 the introduction of those guidelines for the
25 treatment -- for the looking after of donors. But the

1 little bit about look-back we had put on ice.

2 Q. Yes.

3 A. That's the way I saw it. I was sure -- I had enough
4 clinical experience to know that antivirals were
5 actively being developed in that period and sooner or
6 later they would go for Hepatitis C.

7 Q. Okay. I would like to show you a section from
8 Dr Gillon's witness statement. So could we have a look
9 at [\[PEN0180410\]](#). The Inquiry is going to hear from
10 Dr Gillon tomorrow but this is his witness statement on
11 this topic. Could we go down to the bottom of the page
12 where we see he says:

13 "In June 1990 when SNBTS was planning the
14 introduction of testing for anti-HCV, I was asked by
15 Dr Cash and the SNBTS directors to chair a working party
16 to provide recommendations for the counselling and
17 management of blood donors found positive once testing
18 was underway. One of the key recommendations of this
19 group was that look-back should be part of this process.
20 The report produced by the working party was shared with
21 the other UK transfusion services, who accepted the
22 recommendations on donor counselling, but rejected the
23 proposal that look-back should be initiated from the
24 commencement of testing. This decision was communicated
25 to me by Dr Cash in a letter dated 12 March 1991."

1 That's what we have just looked at.

2 A. Yes.

3 Q. In the next paragraph Dr Gillon says:

4 "I strongly disagreed with this stance, and, with
5 the agreement of the director of SEBTS,
6 Dr Brian McClelland, I undertook look-back on all
7 anti-HCV-positive donors with previous donations in SE
8 Scotland as a routine from the onset of testing in
9 19 September 1991. The national medical and scientific
10 director, Dr Cash, was aware of this and it was later
11 agreed that this should be seen as a 'pilot study'. In
12 1994 SNBTS senior management was made aware that I and
13 my colleagues had submitted a paper on our experience of
14 look-back for publication (Ayob et al ...). Our
15 conclusion, stated in the paper, was that look-back was
16 feasible with little in the way of extra resource, and
17 justified in terms of outcome."

18 Then he refers to the preliminary report.

19 Professor Cash, is it correct that SEBTS started
20 look-back without reference to you or the MSC?

21 A. I honestly don't recall, to be precise. What I do know
22 is that the inference that the Inquiry has had, that
23 this was being done throughout in some clandestine way,
24 in which nobody was -- knew about it, is absolute
25 nonsense.

1 Indeed, there came a point when the directors were
2 aware of this. They had been persuaded, rightly or
3 wrongly, that this was a feasibility study. It was not
4 part of routine but it was a feasibility study but much
5 like the HCV donation testing that Glasgow were caught
6 up into, funded by London.

7 So they took the view that that was a feasibility
8 study and there came a moment in time -- and I think
9 it's minuted somewhere -- where the doctors asked,
10 "Could we have some information then?" -- I think they
11 asked for a pre-publication copy of this article of Ayob
12 et al.

13 So it wasn't secret, it was known and a vehicle --
14 a method of making this okay so it didn't ruffle any
15 feathers was my suggestion that we called it
16 a "pilot/feasibility study". And this was agreed, Jack
17 says -- I don't know who agreed it but I remember
18 vividly suggesting that this was -- this would be a good
19 idea in the circumstances we were in.

20 Q. Yes. HCV testing started in September 1991?

21 A. Yes.

22 Q. And Dr Gillon started the look-back programme in SEBTS
23 from September 1991. That's right, isn't it?

24 A. I don't know. I think you would need to ask him because
25 you could easily, in December 1991, bring out donations

1 that had been given since then and check them.

2 Q. Let's proceed on the basis that he did?

3 A. Fine, they did.

4 Q. When did you first find out that he was pursuing

5 look-back?

6 A. I have no idea. Are there any records for this?

7 I don't recall. He tells us that I was aware of this.

8 Q. I'm asking you, Professor Cash, and you can't remember

9 when you first became aware --

10 A. No, I don't.

11 Q. Okay. Let's have a look at the paper, which is

12 [\[LIT0013802\]](#). Do you recognise that?

13 A. Yes, I have seen it recently -- yes, yes.

14 Q. So this is the report on the look-back that was done in

15 S --

16 A. It's the publication of a limited amount of work that

17 they had done at that stage.

18 Q. Yes; okay, thank you. If we look at the summary, second

19 paragraph:

20 "In the first six months of routine testing, 42,697

21 donors were tested."

22 Then:

23 "Of 20 confirmed to be HCV-positive, 15 were regular

24 donors."

25 Could we go to the next page? We see the first

1 column, and at the bottom of the first column under the
2 heading "Results":

3 "Between 1 September 1991 and 29 February 1992,
4 42,697 donors were screened routinely."

5 Do you think that you would have been aware by the
6 end of that first period of screening that Dr Gillon was
7 pursuing a look-back? So by the end of February 1992.

8 A. I'm repeating myself: I don't recall but I trust Jack.
9 If his memory is that he came to see me -- or Brian --
10 I wouldn't hesitate to deny. I have honestly no
11 recollection.

12 Q. I understand. It's a long time ago. On the first page
13 of that report, we see that it was -- we can see it was
14 accepted for publication on 21 July 1994. Surely you
15 would have known before the date of publication at
16 least?

17 A. Oh, yes, I'm quite certain. And I think I have already
18 said that the directors asked in their deliberations,
19 they were that there was a publication coming up, and
20 the directors -- it's minuted -- actually asked, "Could
21 we actually have sight of that?" And all this was
22 leading up to the May, I think. This was received,
23 I think, on 23 November 1993. It must have been well in
24 preparation because I think you will discover that one
25 of the MSC meetings in 1993, the directors were aware of

1 this and asked could they see pre-publication copies.

2 Q. Yes.

3 A. So, yes.

4 Q. Yes. So at the very latest it would be 1993 that you

5 would become aware of this?

6 A. Yes, absolutely. I'm fairly sure that I would have

7 known -- if Jack claims that I proposed that it was

8 a pilot/feasibility study, I'm sure I wouldn't have

9 delayed that suggestion until 1993. I'm sure of that.

10 Q. So your best estimate is some time between 1992 and mid

11 1993?

12 A. Yes, I mean, I may have known even before that. I'm

13 sorry, you are trying very hard and I honestly can't

14 remember.

15 Q. I understand. What was your reaction when you did hear

16 about this look-back scheme?

17 A. You mean the publication?

18 Q. No, about the fact that Dr Gillon was doing it?

19 A. Well, again, this is entire memory but I'm sure I must

20 have been aware that the notion of developing look-back

21 had been rejected by the Metters committee at their

22 first run in at it. I knew that Harold was very

23 uncomfortable with it and I must say, the more I saw of

24 what was going on in Edinburgh, it gave me reasons to

25 have some sympathy for Harold because of the nature of

1 the way they ran their transfusion service.

2 I cannot recall, to be absolutely honest, that I was
3 aware there was any hostility to look-back from our
4 colleagues in the Scottish Office. I can't recall that.
5 But I was aware of Harold. He wasn't hostile, he was
6 just very nervous about it, and we knew that the Metters
7 committee had done (inaudible), I've just said. And as
8 a result, we had suggested that the 9 question came out
9 of the -- so we had done all that, probably latterly,
10 some of it not very well, and so I would presume that
11 was the reason why I suggested feasibility/pilot study.

12 Q. Can you remember what your reaction was when you heard
13 that Dr Gillon was pursuing this?

14 A. No, but I have just said, I can only assume that I was
15 a little nervous because what was taking place -- I was
16 absolutely certain in my mind and I am to this day, that
17 this could not have been translated into the
18 West of Scotland, for instance.

19 Q. We are going to come on to that. So your reaction, when
20 you first heard about this, was that you were a little
21 nervous?

22 A. A little nervous because I knew that there were elements
23 in central government that were a little nervous about
24 this and so why don't we actually use this as a pilot
25 study to gather data that might be valuable when the

1 debate started again.

2 Q. Yes. What was the sequence? Can you remember? Your
3 reaction was that you were a little nervous about it
4 because you knew what the attitude was down south and
5 what happened next? Who did you suggest the pilot
6 scheme idea to?

7 A. That's where -- I mean, Jack may say it was to him or to
8 Brian. I can't remember. But clearly, from the
9 document you have showed us, he claims that I suggested
10 it. To whom, I'm not entirely certain.

11 Q. Does that accord with your recollection, that you
12 suggested --

13 A. I have no recollection but I'm perfectly prepared to
14 accept responsibility. It was highly probable that it
15 was me and I wouldn't wish in any way to deny that.

16 Q. Right. What was the reason for that? What was the
17 reason for calling it a "pilot scheme"?

18 A. I thought I had made that clear, if there was vast
19 amounts of sensitivity lurking around in government
20 circles about this and if in fact we wanted to translate
21 what was going on in Edinburgh, if we could, to other
22 parts of Scotland, and notably the West of Scotland, we
23 needed the support of ministers/CMOs or whatever, and it
24 seemed therefore that the best approach to what was
25 going on in Edinburgh was to label it "pilot," for those

1 very reasons. I should add, David McIntosh was very
2 much involved in all this because he was general manager
3 at the time.

4 Q. So you didn't regret this independent approach?

5 A. No, to be honest, I didn't, no. That may sound very
6 strange but, as I think I have said earlier today,
7 I actually believed in some form or other we had a duty
8 of care to get to the patients that had been infected,
9 and it was just the timing of this, the method by which
10 it was done, that were the issues for me.

11 Q. Did you see any parallels with what happened in
12 Newcastle with screening?

13 A. No, no. I'm not aware of, no. But I am aware that
14 David McIntosh in his statement has implied some
15 extraordinary things, in the context that this was done
16 very secretly for fear of criticism and so on. None of
17 that rings a bell with me.

18 Q. Okay. What did you tell Mr McIntosh about this
19 programme when you found out about it, Dr Gillon's
20 programme.

21 A. I can't remember but I think I have already said in this
22 Inquiry, David McIntosh and I had very regular briefing
23 meetings, usually every week, and these were all part of
24 things -- whatever was happening, precisely -- one of
25 the great problems with those briefing meetings -- and

1 I raised this, as I think I told you in C4 -- there were
2 never any notes taken or minutes, so they remain very
3 much left to memory and so on. But what I'm absolutely
4 certain is, because there is a record of this, we had
5 very regular briefing meetings. By this time in 1994,
6 not 1991, we had other members of the headquarters unit
7 that joined us in these weekly briefing meetings.

8 Q. Yes.

9 A. And anything that was on the go, we chatted about.

10 Q. Just to be absolutely clear, Professor Cash, when it
11 started, this wasn't a pilot scheme, was it?

12 A. No, looking back, I think the real question, you could
13 argue, was this all discussed in advance of 1 September,
14 and my best memory is, no, it wasn't, but I mean, Jack
15 would -- I would rely on Jack and Brian in terms of --
16 particularly Jack.

17 Q. But you would agree, when it started, it wasn't a pilot
18 scheme?

19 A. That's right.

20 Q. That's right?

21 A. I agree.

22 Q. And did you ever tell Mr McIntosh that?

23 A. I must have done. I mean -- I must have -- I mean, you
24 have spoken to him and so on but this would be part of
25 the briefing session. I'll just have to say, I must

1 have done, yes.

2 Q. It's just that when he came and gave evidence recently,
3 he seemed to have only discovered that this wasn't
4 a pilot scheme fairly recently. Is that surprising to
5 you?

6 A. Yes.

7 Q. Okay. Chronologically we have now got to about the end
8 of 1991, so could you maybe just look back and tell us
9 what your attitude was to implementing look-back at the
10 end of 1991, just summarise it for us?

11 A. Very briefly, when I became aware -- and I don't know
12 when this was -- that the advisory committee,
13 the Metters committee, had rejected the notion at that
14 point -- they had proposed something positive, that
15 there would be some form of research, although they
16 didn't delineate. I think I said this in my
17 statement -- one of the things that concerned me was it
18 became evident when I spoke to very close friends who --
19 personal friends, who were hepatologists, that the
20 notion that we really had to move because treatments
21 were coming in was not something that I sensed the
22 advisory committee had, you know, asked a particular
23 member of the committee to keep a watching brief on
24 publications in that line. It's not my field.

25 Slowly but surely -- and so I was on the lookout for

1 any evidence that there was a developing programme of
2 clinical trials in relation to virus inhibiting drugs in
3 the context of Hepatitis C. That in fact led me, as you
4 know, to the symposium in 1993.

5 Q. Yes. So what was your attitude to implementing
6 look-back at that point? What were your reasons for not
7 doing it?

8 A. I think I have told you that. It was primarily at that
9 point that I was worried about the concept of treatment.

10 Q. Right.

11 A. That may have been a misguided conclusion and that was
12 the area that I pursued pretty relentlessly.

13 Q. Yes. So I don't want to put words in your mouth but you
14 didn't think it was a good idea to trace patients back,
15 test them and counsel them when there was no treatment
16 to offer them?

17 A. That was the main basis and I think it was apparent and
18 is apparent that Jack Gillon -- and I'm not sure about
19 Brian -- I don't have any -- but Jack Gillon didn't
20 agree with that approach and I respected that.

21 Q. Okay. Can I just show you a paper that Dr Hay referred
22 us to recently, which is [\[PEN0181384\]](#)? That's on the
23 screen there. The heading is:

24 "A randomised controlled trial of recombinant
25 interferon A in chronic Hepatitis C in haemophiliacs."

1 Makris, Preston, Triger. We see that at the end of
2 the entry, it's copyright 1991 by the American Society
3 of Haematology. You won't have seen this before?

4 A. No.

5 Q. No. If we just look at the summary there:

6 "Chronic liver disease associated with Hepatitis C
7 virus ... is an important cause of morbidity and
8 mortality in haemophilia. We have used recombinant
9 interferon A in a randomised controlled liver biopsy
10 trial to treat haemophiliacs with chronic hepatitis. 18
11 patients entered the study, 16 of whom were subsequently
12 shown to have antibodies to HCV. All underwent liver
13 biopsy at entry and were randomised to either treatment
14 or self-administered interferon."

15 Just reading that short, if we just go to the last
16 paragraph of the summary, the conclusion:

17 "We conclude that low dose recombinant interferon is
18 effective in normalising transaminase and improving the
19 histologic appearances in at least 50 per cent of
20 haemophiliacs with chronic Hepatitis C."

21 So Dr Hay referred us to this as a paper, which
22 showed at this time that some success was being had with
23 HCV sufferers by treating patients with interferon.

24 I take it that you weren't aware of this paper at the
25 end of 1991 or in 1992; is that right?

1 A. Yes, that's correct. Is this Professor Hay from
2 Edinburgh?

3 Q. Dr Hay from Manchester now.

4 A. Sorry. Yes. I see, I recognise some of the authors in
5 this paper. So, I was not aware of it and was, to be
6 honest, relying on my two very distinguished
7 hepatologist friends to keep me posted if they thought
8 anything interesting -- and you are aware of the
9 symposium in 1993. I was to discover that at that time,
10 even in 1993, the value of interferon was controversial.

11 Q. Yes.

12 A. And indeed, Jack Gillon in a paper he prepared for the
13 SNBTS, position paper -- this is not his statement --
14 declared not many months ago that at that time
15 interferon was regarded very -- as something very
16 experimental and had got a long way to go before its
17 toxicity and efficacy were understood sufficiently that
18 one could say, "We really have something of great
19 value".

20 Q. We had some evidence from Professor Nathanson recently
21 and we asked her about this question: tracing donors and
22 the merits of counselling and offering testing in
23 a situation where no treatment was available.

24 One of the things that she said was that an
25 indication that it was a good idea was that if you

1 didn't do that when you could, fairly early on, there
2 was the risk that you would lose those patients. Even
3 if there wasn't treatment at that time or not very well
4 developed treatment, then the risk was that you would
5 lose -- you wouldn't be able to trace the patients. Do
6 you have any comment on that approach?

7 A. It depends -- I would need to ask her a little bit more
8 about losing. You could argue -- you could go right up
9 to the point in -- but I'm pre-supposing that we all
10 think that the model that Jack had for doing the job was
11 the best model, which I think is a fundamental issue
12 actually. But if you take Jack's model and you go
13 looking back and looking back but you stop short -- you
14 have identified the patient, you know the patient is
15 alive still, you could have stopped short at that point
16 and said, "Well, if and when treatment comes, we could
17 quickly get in there". I think that's a fair point.

18 I think what I was unhappy with -- and this may be
19 entirely inappropriate -- was moving into that patient
20 and the family and said, "You have been infected."
21 unless we could say, "Don't worry, we have got some
22 treatment". But I take Professor Nathanson's point. It
23 might have shortened the -- dare I say it, the most
24 effective way, and I made this point years ago, is why
25 don't you go on the telly and say to people, "If you

1 have had a transfusion ever before, give us a shout".

2 And that might have actually been hugely more successful

3 than this long, complex, rolling programme. But I mean,

4 I take Professor Nathanson's point.

5 Q. Yes. We have very little documentation about look-back

6 during 1992.

7 A. Yes.

8 Q. But can we take it that your attitude to the

9 advisability of look-back remained as it was at the end

10 of 1991, throughout 1992, that you had these concerns

11 about giving bad news to patients when there was no

12 treatment?

13 A. Yes, I must have. I mean, getting a -- Professor James

14 would say getting a symposium accepted in the

15 Royal College of Physicians anywhere is quite a big

16 undertaking, actually getting the council to agree to

17 this, and I must have been, throughout 1992, tracking

18 the notion that maybe treatment was coming along, and

19 from that came the symposium. And after the symposium,

20 rightly or wrongly, I was a source of great trouble to

21 people who I believed were responsible.

22 Q. Yes.

23 A. So in 1992 I imagine -- I imagine I was collecting

24 information as best I can, largely through my

25 colleagues.

1 Q. Yes.

2 A. Could we break this treatment and then we go?

3 Q. Collecting information about possible treatment?

4 A. Yes.

5 Q. Did you receive any information from Dr Gillon about how
6 his look-back was going?

7 A. I don't recall. I can't imagine I didn't, knowing Jack
8 and Brian, but I don't recall that.

9 Q. Yes, okay. Let's have a look at the symposium.
10 [\[PEN0180553\]](#). We have got on the screen -- I take it
11 that's the first page of a flyer for the symposium. Is
12 that right?

13 A. I think so, yes.

14 Q. Could you tell us what this was, please? The symposium?

15 A. Yes, it was bringing together as many people who might
16 be interested, some we actually targeted, saying, "We
17 think you should be there, this could be very
18 important". And it was a workshop, symposium. The
19 workshop tended to be much smaller. In fact it required
20 the full lecture theatre in the
21 Royal College of Physicians here. So it turned out to
22 be very well attended.

23 As I recall, as far as I was concerned --
24 I contributed to the organising of it -- the main
25 central attraction was the clinical bit, which -- and

1 the rest was my local friends giving background on
2 various things.

3 Q. This is the Royal College of Physicians of Edinburgh?

4 A. Yes.

5 Q. And at that point what was your relationship --

6 A. I must have been vice-president. So I had a leverage.

7 Q. Right. Was this organised by you, Professor Cash?

8 A. I'm almost certain it was. I can't be -- but I'm sure
9 I would have consulted with a lot of people.

10 Q. Okay. Could we just go to the next page, please?

11 A. Looking at the speakers, it looks as though I organised
12 it.

13 Q. Yes. So just looking down the page there at the
14 speakers, we see Dr Follett. The Inquiry has heard of
15 him, he was a virologist in Glasgow.

16 A. Indeed.

17 Q. Dr Peter Simmonds, Dr Gillon. Do you remember what
18 Dr Gillon talked about?

19 A. No, I don't but I'm sure Jack will.

20 Q. Do you remember if he talked about the look-back that he
21 was pursuing?

22 A. I can't remember. But I'm sure Jack would know that.

23 Q. Okay. Then if we go to the afternoon session,
24 "Treatment of HCV infection".

25 A. Yes, that was the big ...

1 Q. That's Dr GM Dusheiko?

2 A. Yes. I shall add that my hepatologist friend was the
3 now Reverend Professor Peter Brunt from Glasgow, a close
4 friend, and the other one was a wonderful guy called
5 Niall Finlayson here in Edinburgh. And I'm pretty sure
6 that either both or one of them, as I was thinking about
7 this, they alerted me to the fact that this guy has been
8 heavily involved and would have the very latest
9 information. And he was British, so the department
10 people would have been able to cross-check.

11 Q. Latest information about what?

12 A. About the treatment.

13 Q. Treatment for HCV?

14 A. Yes.

15 Q. Okay. Do you remember what he said in that address
16 broadly?

17 A. No, I don't but I have this memory, which may be purely
18 spurious and something that is thought up for my
19 convenience: I think he harangued us. He said,
20 "Listen" -- I since learned that this may have been an
21 exaggeration. He said, "Listen, there are now some good
22 treatments for this condition". And I am almost certain
23 in my mind -- I don't have any records of this -- he
24 actually said, "You should be look-backing".

25 Q. So he was an advocate for look-back?

1 A. He was an advocate of being a good hepatologist.
2 I don't think he was -- I don't think he -- he was just
3 simply saying -- I'm pretty sure I must have briefed him
4 and said, "Look, the reason you are here is, if there is
5 any good treatment, plug the whole look-back."

6 I have no idea whether he was involved -- the Royal
7 Free -- in any look-back programmes later on, I honestly
8 don't know.

9 PROFESSOR JAMES: Could I just comment. Dr Dusheiko
10 actually came from South Africa. He was a tremendous
11 early proponent, as you have implied, Professor Cash, of
12 treatment, as was Janice Main, who worked from
13 St Mary's, who worked for Howard Thomas at that time.
14 And I think Professor Thomas told us, when he was here,
15 that to some extent the Hepatitis C-interested liver
16 doctors throughout the world -- of whom certainly
17 Dusheiko, Thomas and Main were among their members --
18 were sort of proselytising at that time for treatment
19 with interferon, and to be honest were probably claiming
20 cure rates that I think Professor Thomas himself has
21 said turned out subsequently perhaps to be a little on
22 the optimistic side.

23 MR GARDINER: Thank you.

24 A. Certainly that last statement is something I picked up
25 later.

1 MR GARDINER: And so is it your recollection that
2 Dr Dusheiko was recommending look-back?
3 A. It is my recollection, yes, thank you.
4 Q. Thank you. Professor Cash, was this the point at which
5 you changed your mind about look-back?
6 A. Yes. I now took the view that we had a reason to run
7 it. You know, I was enthusiastic from the start but
8 I now felt -- and Professor Nathanson may get a little
9 upset -- I felt ethically we could now really pursue
10 this very hard.
11 Q. Yes. This is October 1993?
12 A. It is indeed, sir.
13 Q. Okay. Could we look at the next page, please? Just in
14 another context, Professor Cash, we are just noticing
15 that this symposium is supported by Abbott Laboratories
16 Limited and the Wellcome Foundation Limited. Do you
17 know anything about that?
18 A. No, I suspect you would need to ask a charming lady
19 called Mrs Margaret Farquhar in the college. She would
20 have said to me or to whoever, "Are there any companies
21 that we can get a bob or two that are in this game?"
22 And it's very interesting -- I hadn't noticed this. Old
23 Wellcome are in and we haven't heard a word from them in
24 the context of HCV, but I can assure you they were very
25 much there.

1 Yes, I can put my hand up and say I didn't get
2 a fiver from either of them and I wasn't involved in --
3 vice-presidents don't do that sort of thing.

4 Q. Okay. Next document is [\[SNB0052107\]](#). The symposium was
5 on 8 October and this is a letter by you on 15 October
6 to SNBTS directors. Do you remember this letter?

7 A. Yes, I'm seeing it in detail again but I'm sure I saw it
8 as part of the papers, yes.

9 Q. And you are referring to the symposium in the first
10 paragraph and you are expressing the view that you do
11 believe:

12 "This places an obligation on the BTS to use its
13 best endeavours to advise clinical colleagues
14 accordingly, when we have evidence that a recipient may
15 have acquired HCV."

16 So are you there advocating a review of look-back?

17 A. Yes. And I think in those debates the whole question,
18 as I said, of a television thing versus the long -- was
19 brought up. But, yes, yes.

20 Q. Okay. And that's consistent with your --

21 A. And this culminated in May 1994.

22 Q. Yes. But that's consistent with you changing your mind
23 at the symposium effectively about look-back?

24 A. I'm not changing my mind; I'm being told that if your
25 concern and your inhibitions about treatment, about the

1 existence of treatment, the message was from Dusheiko:
2 "Treatment is here now; it's worth running it".
3 I simply said "wonderful".
4 Q. Yes.
5 A. It was not for me to decide that treatment was not
6 available. That information was brought to us by an
7 expert.
8 Q. Yes. Okay. Let's have a look at [\[SNB0099176\]](#). This is
9 a meeting of the MSC on 9 and 10 November.
10 A. Yes.
11 Q. You are present. Dr Mitchell, Dr McClelland, Dr Perry.
12 Could we just go to 918 --
13 A. Can I just say, very importantly Dr Keel is present.
14 Q. And Dr Keel is present, thank you.
15 A. Scottish Office.
16 Q. Why is that so important?
17 A. Because if you want -- I'm repeating myself again: if
18 you want to take this look-back really forward
19 effectively, it was very important that we engaged our
20 mates in the Scottish Office, who would be advising
21 ministers. And as you know from Lord Fraser's letter
22 that was to come in due course, they did.
23 Q. Yes. So had you specifically asked Dr Keel to attend
24 this meeting?
25 A. I must have done. Because she is not a member of the --

1 the days of dear old Bert Bell from the Scottish Office
2 regularly attending -- and she attended this and I think
3 the next one where she played a very -- the May 18th
4 one -- very critical.

5 Q. So why did you arrange for Dr Keel to be present at this
6 meeting?

7 A. I don't recall. I mean, if we look down -- I noticed
8 items 4 -- look at the items in her brackets, it must
9 have been that I was keen that she knew what was going
10 on in those areas.

11 Q. And what areas were those?

12 A. 4.4.4 -- it's there.

13 Q. It's look-back, isn't it?

14 A. Yes, yes, sure.

15 Q. So do you think --

16 A. So this was part of me upping the ante.

17 Q. Yes.

18 A. And my colleagues -- you know, I can take ...

19 Q. Yes. I'm just wondering about that, Professor Cash.
20 How much of your new attitude to look-back, if I can put
21 it that way, had been affected by discussions with your
22 colleagues? I mean, your colleagues on the SNBTS.

23 A. Well, I wrote to them. The answer must have been --
24 must have had also some effect. It must have added on.
25 But I wrote to them -- you have just shown me -- saying,

1 "Listen, that conference, that workshop that we were
2 at" -- and we were all there. So was David McIntosh and
3 so was Aileen Keel at that meeting. And a lot of
4 friends and colleagues from England were there and
5 I wrote to them, which you have just shown us, saying,
6 "Listen, we are going to have to really start winding
7 this thing up because treatment now appears to be
8 a reality."

9 And I think -- you have just shown me. I said to
10 them in that letter, "I'm going to bring it up at the
11 MSC", and presumably this is it, this is the MSC
12 meeting. Is that right? I haven't checked the dates.

13 Q. These are the minutes of the MSC meeting, yes, that's
14 right.

15 A. Yes, so we are delivering on promises.

16 Q. Yes. Okay. So just to summarise: you arranged for
17 Dr Keel to attend this meeting because you knew that
18 look-back would be discussed and you thought it was
19 important for her to be present in order to make
20 progress with it?

21 A. That is my best recollection, sir, yes.

22 Q. We see Dr Keel present for items 4.1, 4.2, 4.3, 4.6
23 only, and if we could go to 9185, we will see, under the
24 heading of 4.6, "New items", which she was present for,
25 we have "Look-back":

1 "After a full discussion in which the principles of
2 look-back of HCV PCR-positive donor archive samples and
3 appropriate communication with recipients' GPs were
4 agreed, it was felt that the position concerning PFC
5 products required further consideration. The committee
6 felt it would be inappropriate to make a policy decision
7 at this time and that further discussion was required."

8 Then Dr McClelland to circulate look-back
9 information.

10 A. Yes, I think that -- I refer to that. They asked
11 Dr McClelland if he would do that.

12 Q. Can you remember how the discussion went at this
13 meeting?

14 A. No, I can't, honestly. With hand on heart, I can't.

15 Q. Do you remember what you were advocating?

16 A. Oh, I was advocating, as is the letter before the
17 meeting, that the position had changed and that we
18 really needed to begin to think about this very much
19 more seriously. I say that, it's not minuted, but
20 I can't imagine it was any other than that.

21 Q. Right. So you were advocating the position that SNBTS
22 should think about implementing HCV look-back?

23 A. Yes, really right across the board, rather than just the
24 Edinburgh feasibility study.

25 Q. Think about but not actually making a policy decision

1 that they should do it.

2 A. These are nuances. If we had thought about it and
3 discussed it, and decided at that point, now is the time
4 to come up with a firm policy proposal, I have no doubt
5 we would have done it, but it looks as though, after
6 great discussion it was decided it wasn't quite
7 appropriate. If you ask me what was not appropriate, I
8 cannot honestly recall.

9 Q. I am curious. Why? Why was it not thought appropriate
10 to make a policy decision at that point?

11 A. I can't recall. I can give you a guess but I would
12 hesitate to do that.

13 Q. I don't know if you would like, Professor Cash, to
14 speculate about that, sir.

15 THE CHAIRMAN: Does it involve the West of Scotland?

16 A. Yes. You knew that.

17 THE CHAIRMAN: I don't think there is much damage in asking
18 for speculation that we could all fill in for ourselves.

19 A. Yes.

20 MR GARDINER: Could you, please, speculate?

21 A. The fact that Brian was asked, "Look, can we then
22 actually see the nuts and bolts of what has been going
23 on now in the southeast" and so on, I suspect that the
24 difficulties facing the West of Scotland, which I have
25 no doubt we will come to, the difficulties which faced

1 the whole of England and Wales, that in the context of
2 the Scottish family, the call was from the West --
3 I should also say from Aberdeen and Dundee as well in
4 particular -- "Could we actually see the details, then,
5 of the pre-publication thing that was going to come
6 out?" And I think that's my guess as to the way that
7 the discussions went.

8 Q. So this would be directed at getting further material as
9 to the feasibility and probability of look-back?

10 A. Yes, yes. What have you done? Where should we be
11 targeting our resources? I haven't said this but I'm
12 sure you are aware, Edinburgh was hugely well resourced.
13 They had a post-doc, a Malayan, cost them not a penny
14 because he had come there -- I was the director of that
15 centre for about six years and we built a reputation
16 such that people were very keen to come. So he had --

17 Jack had somebody, not a young lad, this was an
18 experienced doctor, Dr Ayob. They got that for free.
19 They had got a superb IT programme in the blood bank
20 area, not just the other areas, which some of our
21 colleagues in the eastern seaboard didn't have. Ruthven
22 didn't have a thing such as a blood bank. That was the
23 West of Scotland. And he was going to have to rely on
24 all the information, the first trigger information, to
25 be generated from the -- widely, from Oban to

1 Fort William to Ayrshire, central Glasgow, he had
2 absolutely no control of.

3 McClelland and Gillon had control of a little over,
4 I would think, 70 per cent of all the clinical
5 crossmatching in the Southeast of Scotland. It was
6 huge. And I ran this show, it was fantastic.

7 So at the press of a button, they also had a superb
8 IT man, so did Glasgow, but they had no blood banking IT
9 at all because they didn't do it. And all these things
10 I'm sure, even the eastern seaboard, that did much the
11 same as Brian, they were very concerned that they
12 managed to get their clinical colleagues to collaborate.
13 The one that we knew would, would be the Professor in
14 Aberdeen, Peter Brunt. That was for sure.

15 So there was great anxiety about, you know, rushing
16 to a policy. Until now we were all saying, "We have got
17 to think about this; are we going to go?" I don't know
18 whether that's any help.

19 Q. I'm surprised at the word "rushing" I must say, given
20 that screening had started in September 1991.

21 A. I would say, to a lawyer, I can well understand that but
22 I tell you for those on the ground, having to face up to
23 these problems, I can only say I don't think they would
24 have regarded this as rushing. This was the first time,
25 because I had run the thing after the Edinburgh college,

1 "Look, we are going to have to get serious, boys".
2 Before, they had clearly not looked at this really very
3 carefully at all, with the exception of Bob Crawford.
4 And Bob had determined in his own head, they couldn't do
5 it. Now they were going to have to face it.

6 With respect, I can understand one saying, "Hey, you
7 started this in November 1990 and here you are in
8 1991" -- I can understand that. But in operational
9 terms, this was suddenly, "We are going to have to do
10 this".

11 Q. Yes. Professor Cash, just for clarification, I think in
12 an answer you just gave you said that Ruthven didn't
13 have such a thing as a blood bank. What did you mean by
14 that exactly?

15 A. Oh, that's very, very important. If you asked Ruthven
16 when did he last crossmatch, we were talking about blood
17 banks where you actually crossmatch donations or
18 platelet or whatever for patients in the wards. Has
19 nobody sort of sat you down and just taken you through
20 that? Because that is a whole technology. It's what we
21 call, if you like, the clinical interface with blood
22 transfusion. If you went to Glasgow for instance, to
23 the Royal Infirmary, to the Western, to Stobhill, you
24 would find a department of haematology with a blood bank
25 there that was supplied by just supplies of blood from

1 Ruthven but weren't attached to patients at that point
2 at all.

3 So the requests for blood in Stobhill,
4 Royal Infirmary, Ayrshire, Fort William, were coming in
5 from clinical units to the local blood bank and in the
6 Southeast of Scotland, in Dundee, in Aberdeen, and
7 Inverness, the regional transfusion centres themselves
8 dominated that what we called "clinical interface". The
9 West didn't do it at all. So their blood bank -- this
10 is practice really, forgive me -- was in fact
11 a warehouse, a chilled warehouse in the West of
12 Scotland. In Edinburgh or the others, it was a very
13 busy, very busy area, where they were getting a request
14 in to get the right group for the right patient and so
15 on and so forth. So they had all the patient records
16 there.

17 Q. Yes.

18 A. I don't know whether that helps.

19 Q. What you have just been telling us about the
20 discussions, the concerns, about implementing look-back,
21 particularly in the west and so on, do you think that
22 those concerns were fully ventilated at this meeting by
23 the respective people, people like Dr Mitchell and so
24 on?

25 A. I can't, hand on my heart, say "yes" because it's not

1 minuted, and I've spent most of this Inquiry regretting
2 the quality of minutes. But I can't escape knowing my
3 colleagues, yes, that would have been ventilated very
4 effectively.

5 Q. Okay. I just see that there is a note there:

6 "Dr McClelland to circulate look-back information."

7 No doubt that will be information about the
8 look-back programme that is being followed in SNBTS [sic
9 - SEBTS] Does that suggest that you yourself wouldn't
10 have seen that information before this meeting?

11 A. It may have, yes. I mean, Jack will be a better judge
12 than me but I think what they were actually referring
13 to, I think, was Brian had -- in a sense they were quite
14 heated debates going on, on this general area, and Brian
15 had signalled that in fact the experiences, however
16 limited they were, of the Edinburgh feasibility study
17 were about to be sent off for publication or whatever,
18 and that he would be delighted to let his colleagues
19 have a copy of this, to let them get a feel as to what
20 was involved, yes.

21 Q. Am I right in thinking, Professor Cash, that that aspect
22 of it, the feasibility aspect of it, wasn't something
23 that overly concerned you?

24 A. No, sorry, I'm a little lost. No, I mean, we have
25 talked about the feasibility -- I mean, any information

1 in my view that helped my colleagues face up to making
2 this decision, if they said, "Look, we wish to see
3 what's been going on in Edinburgh then" -- and some of
4 the real data and -- I should add that I'm fairly sure
5 that Jack Gillon in his publication produced a logarithm
6 or chart of the way you actually did it ... they would
7 have wanted to see that sort of thing.

8 Q. I mean, by the end of this meeting what was your
9 attitude to look-back? You didn't have the treatment
10 concern any more but did you still have a concern about
11 feasibility?

12 A. Yes, keep going, keep going, keep going. The lads had
13 said -- I imagine I said, "Can we have more
14 information?" Can we begin to think of it, take the
15 Edinburgh document back home to the West of Scotland,
16 read it and talk to the team there, the real folk in the
17 West of Scotland and Aberdeen, and so on and begin to
18 put together a picture? I'm sure this triggered off
19 what was later to emerge, that they began to look at
20 that. And my view was, I'm sure -- and it's not
21 minuted -- that we are going to do this. It's just
22 a matter of keeping going, keeping going, keeping going.

23 Q. So you thought that the feasibility problem would be
24 resolved in such a way that you would ultimately go
25 ahead with look-back?

1 A. Yes, I mean, I thought as night follows day, I'm sure at
2 that point, when there was treatment, I wouldn't wish to
3 ascribe Lord Fraser's comment -- I think we were
4 reaching a point where we had a total moral obligation.
5 We had to do this. The question was: how were we going
6 to do it and what was the best way? At the back of my
7 mind all along here was the Edinburgh way might not be
8 the best for the likes of the West of Scotland.

9 Q. Yes. And how did that attitude that you had at that
10 time affect your thinking vis a vis Dr Gunson? I mean,
11 you knew that Dr Gunson wasn't enthusiastic. So did you
12 think that that was going to create a problem?

13 A. It might have created a problem but I can tell you,
14 because he stayed with us, Harold was at the workshop.
15 He stayed overnight with us and we had talked and he was
16 extremely anxious by the position taken up by
17 Dr Dusheiko. And we talked about it and I either said
18 to Harold, or certainly in my mind, "We are just going
19 to press on ourselves and see where it takes us and I'll
20 keep Harold informed but you are on your own, Harold".

21 Q. Right. When did you tell Dr Gunson that he was on his
22 own?

23 A. I suspect the evening of the symposium that he stayed
24 overnight with us. We were pretty social, he and I, and
25 chatted.

1 Q. So the symposium was a real watershed for you,
2 Professor Cash?

3 A. Absolutely. Absolutely. I can still see myself
4 standing at the bottom of the lecture theatre by the
5 lectern with Dusheiko. I can still see myself shouting
6 to Harold, "Come over here", and getting some people --
7 and getting a bit passionate about it.

8 Q. Did you know what Dr Gunson's attitude was, having been
9 at the symposium?

10 A. I can't -- I wouldn't wish to go -- I can vaguely
11 remember the body language wasn't happy. As things
12 turned out -- I hope we get to that at some point -- as
13 things turned out, I'm not surprised he wasn't happy.
14 I don't think -- I think he knew in his heart they
15 couldn't deliver.

16 PROFESSOR JAMES: Could I ask one question? By this time,
17 actually in the West of Scotland, like everywhere else,
18 they had been screening blood for two years for HCV?

19 A. That's correct, sir.

20 PROFESSOR JAMES: Do you remember if you or Dr Mitchell or
21 anybody else had an idea of the sort of size of the
22 problem that might confront them in terms of actually
23 the number of patients, you know, whom they were turning
24 up positive? Because I think it would be fair to say
25 that probably Dr Gillon's famous 0.088 per cent, that we

1 will no doubt discuss with him subsequently, had been in
2 a way a "pleasant surprise" in the sense there weren't
3 as many people as perhaps people had anticipated. Do
4 you have any feeling for what Dr Mitchell thought he
5 might be facing in Scotland, not in the logistics of
6 going out to Oban and all that, just the numbers?

7 A. I don't have a recollection, but I do know -- and Jack
8 knows this -- that Bob Crawford, who represented the
9 West of Scotland in Jack Gillon's wonderful working
10 party, was extremely anxious at the size and the nature,
11 which is what -- the nature of the problem.

12 PROFESSOR JAMES: Thank you. Thank you.

13 MR GARDINER: So after the MSC meeting, which Dr Keel
14 attended, the main issue to be resolved was feasibility
15 of having a look-back programme in Scotland.

16 A. Yes, I think that's correct, sir.

17 Q. Right. Okay. Let's have a look at [\[SNB0055560\]](#),
18 please. So does this look familiar?

19 A. Yes, but it's interesting. It implies -- my memory is
20 obviously wrong -- that Harold wasn't there, at the
21 symposium.

22 Q. Well --

23 A. That's interesting.

24 Q. Is that because you would have put "as you know", or
25 something? Why do you say it implies that?

1 A. It's the way:
2 "At a recent symposium ... a distinguished speaker
3 ..."
4 I would have thought I would have written, "Do you
5 remember Harold ..." and so on and so forth. So it's
6 that that makes me -- but I think the message is still
7 there.
8 Q. It is a letter that you are copying to Dr Keel and to --
9 A. Oh, yes.
10 Q. Who are the other people that you were copying --
11 A. I can't see, sir. Ruthven Mitchell and Bob Perry, the
12 two people on the advisory committee, the Metters
13 committee. And silent copies. "MB", that would be
14 Martin Bruce.
15 Q. The point I'm making is that you are copying it to other
16 people who have an interest in this letter.
17 A. Maybe. Mitchell and Bob Perry were on the Metters
18 committee. So if we came again, they would hopefully
19 beat the drum. And Aileen Keel because she was part of
20 a team advising Scottish ministers.
21 Q. Yes. In any event, we see that in the letter you are
22 referring to the symposium, you are referring to the
23 view discussed at the MSC meeting and that:
24 "... colleagues stepped back from introducing
25 a look-back policy until such time as further (UK)

1 deliberations had taken place."

2 Is that right? UK deliberations? Because I thought
3 we had agreed that the issue was feasibility in
4 Scotland, as opposed to --

5 A. Yes, we had, but feasibility in Scotland -- and we may
6 have proved to be wrong -- would require the Scottish
7 ministers to say yes and the CMO to write to the --
8 particularly the West of Scotland -- but not just the
9 West of Scotland but to the Lothian, Grampian and so on
10 health boards to say, "This is what we are going to do".
11 This is what eventually emerged. So the feasibility was
12 all part of getting the Scottish Office -- us getting
13 them on side, yes.

14 Q. Is that because you didn't think it could be done in
15 Scotland without --

16 A. No, I have not made myself clear at all, I am afraid.
17 Actually delivering this or getting near to delivering
18 it -- and to the best of my knowledge, they never
19 delivered it in England properly -- required the CMO or
20 the department or ministers to say, "We are announcing
21 to you, the health board chaps, to work very closely --
22 if we are going to take Jack Gillon's model -- very
23 closely with your local transfusion service to actually
24 undertake this look-back." And it required, in my
25 view -- and I think it's a view that was widely

1 shared -- that level of authority so that -- as in fact
2 happened -- and I don't know whether anybody has told
3 you this yet -- there were clinicians that were not very
4 collaborative.

5 There were in blood banking, the hospital blood
6 banks, people who claimed they were far too busy. There
7 were people who weren't prepared to go down to the
8 bowels of the hospital and try and find records of
9 transfusion practice because it was a lot of extra work
10 and so on.

11 It required a CMO or whoever, ministers, to say,
12 "I'm instructing, in the name of the minister, that you
13 go and do it." Even then, south of the border, it
14 didn't work.

15 Q. Yes. And that's why you thought further UK
16 deliberations were necessary?

17 A. Yes, I felt that if -- the easy way for us would be MSBT
18 saying, "We think the time has come, let's go". That
19 would have been immediately flashed to the
20 Scottish Office and something could have happened.

21 Q. And that's what we see in the next paragraph --

22 A. That would have brought great comfort to
23 Ruthven Mitchell's team, I can assure you.

24 Q. Yes. The next paragraph:

25 "It occurred to me that it might be appropriate for

1 the item to be researched for, and discussed by, the
2 MSBT. I would value your comments and support."

3 So that seems to be suggesting that before Scotland
4 can take forward this possibility of look-back --

5 A. No --

6 Q. Let me ask the question, please.

7 A. Yes.

8 Q. That it needs to be looked at by the MSBT, which is
9 the Metters committee. Is that not right?

10 A. No, I'm simply saying that one way we could speed things
11 up would be -- I have just said it -- would be if the
12 MSBT in fact advised ministers accordingly. I'm not
13 saying that nothing can happen in Scotland without the
14 MSBT. It's not my position or privilege to be in that
15 position. To checking that, I made sure that
16 Aileen Keel in the Scottish Office was in fact in the
17 loop, so that if she felt the Scots should move without
18 the advice of the advisory committee, then fine.

19 Q. Yes.

20 A. But it's not for me to take it upon myself -- and this
21 is a recurring theme, I have felt. I wasn't in
22 a position -- and quite rightly in a position -- to
23 insist that without the MSBT, we can't do X, Y and Z.
24 It was ministers that made that decision. If we could
25 get MSBT on board, that might expedite decisions in our

1 favour.

2 MR GARDINER: Sir, I think that might be a good point.

3 THE CHAIRMAN: Yes. Thank you.

4 We will break at that stage.

5 (1.03 pm)

6 (The short adjournment)

7 (2.00 pm)

8 THE CHAIRMAN: Yes, Mr Gardiner.

9 MR GARDINER: Thank you, sir.

10 Professor Cash, in the interests of getting through

11 the next bit of the story a bit quicker, I'm going to

12 take the next two committee meetings as read but if

13 I could just refer you to a schedule, which is at page 4

14 of [\[PEN0172511\]](#).

15 THE CHAIRMAN: Could you give us a reference at some stage

16 to the documents you are taking as read?

17 MR GARDINER: We will see that from the schedule, sir.

18 THE CHAIRMAN: We will.

19 MR GARDINER: So this is a schedule that was attached to

20 a letter to one of our other witnesses, Dr Keel. Just

21 before lunch, I had taken you up to about the end of

22 1993. Could we go to 1993 on the schedule. You see

23 paragraph 8; I'm just going to read this through:

24 "On 18 November 1993, Dr Cash wrote to Dr Gunson

25 informing him of the discussions at the recent meeting

1 of the SNBTS MSC. He suggested that the issue of HCV
2 look-back should be discussed by the ACMSBT. Dr Gunson
3 suggested that the topic be put on the agenda of the
4 next ACTTI".

5 At the meeting. Next paragraph:

6 "The ACTTI ... met on 18 January 1994. The minutes
7 note support for the concept of look-back."

8 Could we just go over the page:

9 "Various members of the committee were to look into
10 the issue further and report back at the next meeting.
11 The next meeting of the ACTTI was held on
12 19 April 1994."

13 So, Professor Cash, could I just ask you to take
14 that as read?

15 A. Yes, I think that was the moment where I thought we were
16 off, so far as the ACT. I think the next meeting -- it
17 goes back a bit, I sense. Okay, yes, certainly.

18 Q. The next meeting on the schedule is the one on
19 16 May 1994 and I would like you to have a look at these
20 minutes. It's [\[SGH0040847\]](#). So this is headed up
21 "Minutes of SNBTS issues meeting ..."

22 What's an issues meeting?

23 A. Do you know, I'm struggling a bit. I couldn't recall
24 this meeting because in this format, it was extremely
25 rare. But I am aware that if you go back to

1 Duncan Macniven's time, rather than George Tucker, there
2 were occasions, I remember vividly, in terms of the
3 Medicines Act, where we had an issues meeting. But they
4 were very infrequent as far as I was concerned, sir.
5 I presume that David McIntosh on the other hand was in
6 regular contact with colleagues in the department.

7 Q. Yes. we see that --

8 A. It's interesting, Dr McClelland is there... yes, it's
9 interesting.

10 Q. So the SNBTS personnel: Mr McIntosh, yourself, Dr Perry,
11 Dr McClelland and we see Dr Keel, Dr Young, Mr Tucker.
12 If we could go to 0849, paragraphs 11, we see that
13 Hepatitis C look-back is discussed:

14 "Mr McIntosh indicated that when Hep C testing of
15 donations was introduced in 1991 it was not thought
16 appropriate to look back over previous donations.
17 Mr Panton confirmed that any claims for compensation
18 following infection with Hepatitis C should be refuted."

19 Just to ask there, Professor Cash: again, is that
20 a link that you saw being made between the look-back
21 programme and compensation?

22 A. Oh, it was chronically there, as I think I said earlier
23 this morning. That's pretty bold stuff. Rab Panton was
24 a very mild, kind bloke. I can't imagine him being --
25 but there you go. But, yes, the whole concept of

1 liability and compensation lurked around in my memory
2 all the time.

3 Q. Yes. Reading on there, we see:

4 "After discussion it was agreed that Mr McIntosh
5 would send a draft policy statement about look-back to
6 the department for clearance."

7 What would the policy statement have been saying at
8 that stage?

9 A. I don't know but I think you have a copy of it. At
10 least I have, somewhere. On the 19th -- there is
11 a series of strange occurrences here. On 19 May --
12 I think that meeting was, when, on the 16th? On the
13 19th I have a document, which looks like a statement
14 from David McIntosh.

15 Q. There is another document before then.

16 A. I'm sure I got the papers from yourselves.

17 Q. Yes. That's [\[SNE0099331\]](#).

18 A. This is it. Yes. 18 May.

19 Q. So this is the minutes of the MSC meeting on
20 18 May 1994.

21 A. Yes.

22 Q. We see you are present and Dr Gillon is present and
23 Dr Keel is there as well.

24 A. Very important.

25 Q. So is this another example of Dr Keel being invited to

1 come along specifically?

2 A. Specifically for the look-back, and in the end she
3 played a very critical role in the discussions as
4 minuted.

5 Q. If we go to 9335, at the bottom of the page, we see
6 under "Any other competent business", "HCV look-back":
7 "This very complex and extremely important issue was
8 discussed at length. The committee unanimously agreed
9 that on finding a known (or regular) donor who was now
10 anti-HCV-positive, the SNBTS should ..."

11 If we go over the page. Then we have (i), (ii),
12 (iii) and (iv), a list of all the things that have to be
13 done, and that is effectively -- if you just take
14 a chance to look at that.

15 A. Yes, it's the Jack Gillon protocol.

16 Q. So that's look-back?

17 A. Absolutely, game, set and match, we thought.

18 Q. Yes. So this is an important meeting?

19 A. Hugely important. Because Aileen Keel, as you will see
20 in item (v), expressed a view that SHHD may not have
21 a locus in this matter. I think at that point most of
22 us fell off our seats, and that the SNBTS should make
23 a decision on look-back based on their professional
24 judgment. I mean, we had never heard those sort of
25 words before.

1 "However," she said, "before you do anything, we
2 ought to touch base with the Scottish Office."

3 Q. Yes.

4 A. And we agreed, okay -- we had to no option. All right.

5 So this was a very, very important meeting. One,
6 the directors in a sense were saying, "We have had
7 enough of procrastination, it's go for it time". The
8 Scottish department representative who was there saying,
9 "That's okay but, please, before you do anything, let
10 the department have just some consultation in any way
11 they wish".

12 Q. Why were you so surprised about the statement that SHHD
13 may not have a locus in this matter?

14 A. Because we had gone through pretty painful, as I'm sure
15 you know, the process of Hepatitis C donation testing,
16 in which it was made absolutely clear to us that this
17 was not a matter in which the professionals could decide
18 themselves whether they would start testing and when
19 they would start testing. We had -- I had assumed that
20 the same was going to apply to HCV look-back, that
21 ultimately -- and indeed this is what happened --
22 ultimately it would be ministers that would say to the
23 Scottish Transfusion Service, "You can go ahead and do
24 it now".

25 Now, I don't know whether we are going to look --

1 and David McIntosh jumped the gun and did something and
2 we were hauled over the coals for doing that, and in
3 a sense were told, "You will wait until a appropriate
4 decision is made". So, yes, we were surprised.

5 Q. Surprised to learn that it was effectively your
6 decision?

7 A. That it may be left to us, to be fair to Dr Keel.

8 Q. Yes. I understand. If we just read on on that page,
9 paragraph 6:

10 "Once AK had communicated the SHHD position to JDC
11 and provided SHHD were in agreement that the SNBTS
12 should implement this policy, JDC would write to
13 David McIntosh to provide details of the SNBTS policy,
14 thereby allowing a decision to be taken on a starting
15 date for the process. JDC would also formally advise
16 NBA, NIBTS, SACTTI and MSBT of the SNBTS policy."

17 A. They are all laughing. I'm delighted to join in with
18 the laughter. That's the number of committees that one
19 way and another we were ball and chained to.

20 Q. Yes. I suppose what's surprising about what's written
21 there is the way that it's put, that you will simply
22 advise these committees, whereas for quite a while now
23 SNBTS have been waiting for indications from them about
24 what to do about look-back?

25 A. That's a very good point and it's easily responded to

1 because in (vi) we are making an assumption that in due
2 course Dr Keel, Archie McIntyre, or the CMO or the
3 minister, Lord Fraser, would come back and say, "You,
4 SNBTS, get on with it". When we were in that mode we
5 would advise anybody that that's what we were doing
6 because our masters had spoken.

7 Q. Your masters in Scotland?

8 A. Absolutely.

9 Q. Yes.

10 A. I did not have any masters elsewhere, sir.

11 Q. Paragraph (vii):

12 "If SHHD agreed that SNBTS should develop and
13 implement a look-back policy for HCV, AK subsequently
14 would communicate this to DOH."

15 I'm going to leave those minutes now, sir, unless
16 you ...

17 If we could have a look at [\[SNB0084777\]](#), that's
18 dated 19 May from Mairi Thornton. Who was she?

19 A. Mairi Thornton was the national director for the donor
20 management services.

21 Q. Yes. This is a memo to the board. And she is noting
22 there was media interest and she is referring to a paper
23 that sets out an agreed position. If we could have
24 a look at that, [\[SNB0084776\]](#).

25 A. That's the policy position, sir, that you referred to.

1 Q. Yes.

2 A. Produced by David McIntosh.

3 Q. Yes. So on 18 May 1994; that represents the policy of
4 the SNBTS?

5 A. I think it's dated the 19th, actually, sir. I beg your
6 pardon.

7 Q. Thank you. If we could go to [\[SNB0084779\]](#).

8 A. Could we just scroll this one, sir, just for a second,
9 please? Okay, thanks very much. I have got something
10 that's slightly different.

11 Q. [\[SNB0084779\]](#). This is a fax from David McIntosh to
12 Mr Panton at SHHD, dated 19 May 1994, paragraph 1:

13 "The MSC ... has now formally recommended to me that
14 the service should implement a look-back policy without
15 delay."

16 Paragraph 3:

17 "I would therefore intend to give colleagues in
18 England, Wales and Northern Ireland, prior warning of
19 our intentions and to activate look-back with effect
20 from 1 June 1994."

21 That's from, as we see, David McIntosh. I think you
22 said that that was, in your view, premature?

23 A. Yes, it is actually fascinating. It was dictated and
24 faxed from the donor management centre in Glasgow the
25 day after the MSC had met. It was never clear to me

1 (a), the communication that David has said there, that
2 the MSC had now formally recommended, but this was all
3 caged and conditioned by we needed to wait and be sure
4 the department would go along with this, the Scottish
5 department.

6 This, I think, was very strange to some of us, that
7 David had not only picked up half the message but
8 astonishingly had given a date for June 1st, and
9 I haven't the remotest idea how that date was arrived
10 at. David in his statement has said it was always in
11 the back of his mind to start on June 1st and, I mean,
12 that predicates heavily on what might or might not have
13 happened on the MSC committee meeting. So we got into
14 a little confusion here in which eventually -- I think
15 you are going to remind me -- the Scottish Office said,
16 "Look here, we want to talk to you", and that took
17 place.

18 Q. And that was on 24 May?

19 A. That is correct, 24th and 25th, yes.

20 Q. Okay, we can see that from [\[SNB0084783\]](#). This is a fax
21 from Mairi Thornton to SNBTS management board:

22 "David has asked me to let you know that he,
23 John Cash, Brian McClelland, Jack Gillon and I attended
24 a meeting at SOHHD yesterday where the SNBTS proposal
25 for Hepatitis C look-back got a sympathetic hearing.

1 "SOHHD are to consult with the Department of Health
2 in London before a final decision is reached ..."

3 Is that an accurate description of what was
4 discussed at the meeting, so far as you can remember?

5 A. So far as I can remember, sir, yes.

6 Q. So there has still got to be a final consultation with
7 the Department of Health before --

8 A. So it would appear.

9 Q. Okay. Then, if we could go to [\[SNB0084784\]](#), this is
10 a fax from David McIntosh dated 30 May 1994 to SNBTS
11 regional directors, copied to other management board
12 members. He is saying:

13 "Following our meeting in the Scottish Office on
14 24 May, this is to confirm that official moves are now
15 afoot to follow up the recent MSC discussions with
16 active consideration of the steps necessary to put an
17 appropriate look-back programme into effect.

18 "No final decision has yet been taken."

19 So just to be clear, Professor Cash, this seems to
20 be a step backwards from what Mr McIntosh was saying
21 before. Why was that?

22 A. Oh, I'm not sure whether there was a minute taken of
23 that 24 May meeting but my best recollection of it is
24 that the Department of Health officials that we saw made
25 it very clear to us that the MSC meeting deliberations

1 that David refers to in his letter saying, "As
2 a consequence, June 4 we are off," they made it very
3 clear to us that the MSC committee members had agreed
4 that Dr Keel would come back to them after she had done
5 whatever consultations. And this did not seem to have
6 been taken on board in David McIntosh's letter to
7 Rab Panton.

8 And in a sense they were saying, you know, "You will
9 not go ahead until we give you the instructions so to
10 do". And my view is that -- in fact I'm quite certain,
11 that David as a consequence -- that that letter of
12 30 May, he was advising his colleagues that the June
13 date -- there was 24 hours to go -- was not on and that
14 we were going to await further instructions.

15 Q. Okay. Could we look at [\[SNB0099571\]](#)? This is a letter
16 dated 21 June 1994 from yourself to the directors.

17 A. Yes.

18 Q. "I thought it might be helpful to clarify the
19 position -- at 20 June 1994 -- after the unusual events
20 following our last MSC meeting."

21 What were you referring to, when you referred to the
22 "unusual events"?

23 A. Of David issuing a promulgation that didn't in fact fit
24 with the understanding of the directors who had been
25 party to the discussions of the MSC.

1 Q. Yes. You say:

2 "There are three evolving approaches designed to

3 provide the now necessary SOHHD approval for the SNBTS

4 to commence a formal 'nationwide' HCV look-back

5 programme."

6 "nationwide", is that Scotland?

7 A. Yes, I can only presume, "Look, chaps, we are in a bind

8 here. We have had a meeting at the department and this

9 is the best understanding."

10 Yes.

11 Q. Yes. And the approaches are, number 1:

12 "Advisory Committee on Transfusion-transmitted

13 Diseases."

14 Then over the page:

15 "... donor consultants ..."

16 And 3:

17 "Consultation with ... hepatologists."

18 Are you saying here, Professor Cash, that the next

19 step will have to involve consultation with these

20 bodies?

21 A. I think 2 and 3 are -- begin to prepare, get in there,

22 talk to your local hepatologist and so on. And for

23 people like Ruthven Mitchell, this was a big, big task.

24 Edinburgh easy. Jack Gillon had come out of a

25 hepatology department. Easy. For others it was

1 a little more difficult. It was really tough for
2 Ruthven.

3 And similarly, the donor consultants group would
4 begin to in fact look very critically at across the
5 board, begin to prepare, to introduce Jack Gillon's
6 guidelines. The first one was, I'm sure, an
7 interpretation of a message we had got in the department
8 when we had attended on the 25th, or whatever, that the
9 Department of Health in London wanted to get the advice
10 of the ACTTI, and so in a sense we were just slightly
11 scuppered there just for a short period of time.

12 Q. Yes, okay. Then if we look at page 2 of [\[SNB0099512\]](#),
13 these are the recommendations. If we could just quickly
14 go to 9515, we see at the bottom:

15 "The SACTTI feels that there is a serious case for
16 considering a look-back policy for HCV."

17 So that doesn't seem to be taking it forward
18 particularly quickly. Would you agree?

19 A. Yes. It's about a reluctant horse being dragged to the
20 water. As I said before, I had a great deal of sympathy
21 with our colleagues south of the border.

22 Q. And [\[SGH0040803\]](#), please. This is a conference and we
23 see in attendance members of the Common Services Agency
24 and from SOHHD various people, including Dr Keel. If we
25 could go to 0805, paragraph 11, it's the last sentence:

1 "Dr Keel and Dr Perry awaited the decision but
2 pointed out that MSBT had no real locus in this since it
3 was not a matter of blood safety."

4 Again, this is under the Hepatitis C look-back. Are
5 you surprised to see that?

6 A. I am in a way, yes, but I'm not sure I would be inclined
7 to make a major issue of it. My impression was that the
8 MSBT, with its broadened terms of reference, there was
9 no major conflict here but it's a nice point actually.
10 It would have been nice to have known that the advisory
11 committee were a total irrelevance, and that was
12 something that the Department of Health in Scotland were
13 content with. But I wouldn't wish to pursue that, sir,
14 unless you wish.

15 Q. I'm just asking for your comment. Just moving quickly
16 on, if we could go to [\[SNB0084820\]](#), we see that these
17 are the minutes of the advisory committee on the
18 Microbiological Safety of Blood and Tissues for
19 Transplantation, MSBT. So that is the Metters
20 committee.

21 A. I think it's interesting that Archie McIntyre has gone,
22 probably retired, I think.

23 Q. This is 15 December 1994. We see observers: Dr Keel.
24 If we could go to 4824. I'm not going to go through it
25 all but we see paragraph 7.1, 7.2, there are discussions

1 about look-back. If we go over the page, these are more
2 discussions about look-back and down at the bottom, we
3 see a comment from Professor Zuckerman:

4 "Professor Zuckerman shared the view expressed by
5 Dr Mortimer that the question of look-back was driven by
6 lawyers. It was important to distinguish between those
7 infected with HCV through NHS treatment and by other
8 means."

9 So again, this hint of concern about liability.
10 Would you agree?

11 A. I'm not sure, and it wouldn't have been the first
12 occasion that I would agree with Harry Zuckerman.

13 Q. Over the page, we can see that there is continuing
14 discussion about look-back and at paragraph 7.10:

15 "Dr Keel said that the view in Scotland was that the
16 Secretary of State was vulnerable as look-back was
17 feasible, since donors could be identified and traced,
18 and advice from Scottish Office lawyers was that
19 look-back should start immediately. The Chairman
20 stressed the need for maintaining uniformity in the UK
21 but said that it was for the Secretaries of State and
22 not for the committee to decide on whether Scotland
23 should go ahead early."

24 Then down at the bottom, 7.12:

25 "Following the discussion the committee agreed its

1 advice to ministers as:

2 "i. In the committee's view there is a duty of care
3 towards those infected with HCV as a result of NHS
4 treatment. It follows that procedures should be put in
5 place to identify those patients at risks;

6 "ii. Whatever is done should be done equally and
7 uniformly throughout the UK;

8 "iii. Guidance should be drawn up as soon as
9 possible."

10 And 7.13:

11 "The committee agreed that these conclusions would
12 be passed on to the Secretaries of State of all four
13 health departments."

14 What's your interpretation of what has gone on there
15 at that meeting, Professor Cash?

16 A. Well, I look really to right at the end, and it seems to
17 me they have decided they have no option, that the
18 ministers should be advised to press the button and
19 commence some form of look-back.

20 Q. Yes.

21 A. The reasons for this -- I was about to say "change in
22 attitude". I wouldn't wish to put that too far. But
23 the reasons for this were clearly multifactorial. One
24 of them was the question of legal liability. There was
25 no mention of treatment, but I think that may be

1 incorporated into the whole concept of legal liability
2 anyway. So I don't think we need to discuss that.

3 Q. Yes. But we know that in the event, although all the
4 ships seem to be sailing in the same line, Lord Fraser's
5 letter comes out saying that Scotland has got to go
6 whatever happens.

7 A. Yes, I would suggest you got Sir Graham Hart to come and
8 sit in this seat and ask him a few questions on this.
9 They could well say that, "Typical Scots, they are
10 pushing it a bit before the others," and so on and so
11 forth, to make a point. I don't know. But, yes, you
12 could argue very simply that Lord Fraser of Carmyllie
13 was briefed on this by either Aileen Keel or her
14 superior, a senior adviser, and he picked it up with the
15 lawyers and just ran and kept running. But I don't
16 know. There is no detail of the briefing he got, just
17 his letter, which is an excellent letter. But that's
18 what he came to and it could have emanated from this
19 meeting.

20 Q. Just bear with me. (Pause)

21 Thank you very much, Professor Cash.

22 A. Thank you.

23 THE CHAIRMAN: Professor Cash, over this long period, were
24 the numbers of individuals who might have been
25 identified diminishing?

1 A. Yes.

2 THE CHAIRMAN: A number of reasons for that would include
3 what?

4 A. I think the data that Jack Gillon presented was
5 mirrored -- other smaller studies, similar smaller
6 studies -- that the big attrition in terms of success,
7 of actually getting live patients to treat, was natural
8 death. When I say "natural death", the original
9 pathology, no doubt, that had taken them to surgery,
10 poor things. And that number -- and I don't have it
11 with me but Jack produces a good table of the number of
12 donors and so on and so forth, and the number of
13 patients that they finally said, "It's Mr Bloggs", and
14 then finally, "He is dead". And there is no doubt, as
15 the time went by, that must have increased.

16 THE CHAIRMAN: So that's one factor.

17 Would another factor be that as screening became
18 more effective in excluding potentially infective
19 donations, the scope for look-back that had its trigger
20 in identifying an infected donation would fall?

21 A. I would have thought that the improved technology would
22 have meant, as they were screening populations --
23 I think Brian McClelland and/or Jack has made the point,
24 as you rescreen the same populations, even with improved
25 technology, your hit rate in fact, in terms of old

1 donors, regular donors, diminishes. So in that context,
2 sir, you are right. Whether and to what extent that
3 would have been offset a little by your improved -- by
4 your third and fourth generation tests, I really do not
5 know, but, yes, that would be relevant. What happens to
6 new donors? You have still got the fundamental point.

7 THE CHAIRMAN: What I was thinking of is that if you have
8 excluded a significant proportion of people with your
9 HIV testing and incidentally taken out potentially
10 infected HCV people --

11 A. That too.

12 THE CHAIRMAN: -- they don't come back, so that the
13 increasing number of steps that reduce your potentially
14 infected population must mean that at the end of the
15 day, fewer and fewer people are going to be traced
16 through that.

17 A. Yes, that's right, and if you look at the brilliant
18 paper that McClelland and Marcela Contreras wrote on NAT
19 testing for Hepatitis C, that they had reached
20 a point -- I can't remember, 2000 and something or
21 other -- where -- I'm exaggerating -- only five or six
22 positives appeared in a year from the whole of the UK,
23 so effective had been the serological screening. So all
24 that, I think, adds weight to what you are saying, sir.

25 THE CHAIRMAN: So that natural cynicism that develops over

1 nearly 50 years as a lawyer, one might think that the
2 longer you could postpone it, the less likely it is to
3 throw up people with problems.

4 A. Yes, I would have thought the lawyers win 2-nil again,
5 sir.

6 THE CHAIRMAN: That's a very low score.

7 Do you want to follow that in any way?

8 MR GARDINER: There is just one point, sir.

9 I am conscious, Professor Cash, that you prepared
10 a witness statement for us for this topic, and I have
11 not gone to it yet but it's [\[PEN0180353\]](#). That's
12 a statement that you kindly provided for us, and
13 actually I have covered things that are in it but in
14 a bit more detail, so I'm not going to go through it,
15 but that's your statement, is it not?

16 A. It is, sir, yes, thank you.

17 Q. Sir, I'm not sure how much questioning --

18 THE CHAIRMAN: I'm just about to ask, if you have finished?

19 Mr Di Rollo?

20 MR DI ROLLO: Sir, I don't wish to ask any questions.

21 MR ANDERSON: Nor I, sir.

22 MR JOHNSTON: I have no questions, either, sir.

23 THE CHAIRMAN: Thank you very much. I wasn't assuming that
24 was the end. I merely want to see if --

25 MR GARDINER: It's just we are a bit short of time for

1 Dr Alexander.

2 THE CHAIRMAN: We can pick up the references, I think, in
3 the minutes that we did just skim over, to the
4 probability of finding people.

5 Dr Cash, thank you very much.

6 What do you want to do about a break? Is it easier
7 to break now and have a short break or is it easier to
8 get started?

9 MR GARDINER: It might be worth just having a very quick
10 break, just a ten-minute break, if possible.

11 THE CHAIRMAN: Please keep it to ten minutes, just to try
12 and keep things under control.

13 (2.49 pm)

14 (Short break)

15 (3.00 pm)

16 DR GRAEME ALEXANDER (continued)

17 THE CHAIRMAN: Mr Gardiner, I think that I must emphasise
18 the need to allow Dr Alexander to get away, having had
19 a bad experience on Friday indirectly, since it was my
20 wife rather than I, getting out to the airport is not
21 the easiest thing in the world these days and he mustn't
22 be held up.

23 MR GARDINER: I understand that, sir.

24 THE CHAIRMAN: Sorry, I have just been holding everybody up,
25 but let's see how we get on.

1 Questions by MR GARDINER

2 MR GARDINER: Good afternoon, Dr Alexander. You have
3 previously given evidence before the Inquiry and we had
4 a look at your CV at that point. But just to remind us,
5 you are a consultant hepatologist in Addenbrookes in
6 Cambridge?

7 A. Indeed, yes.

8 Q. And the Inquiry wrote to you and asked you certain
9 questions about this topic, which is really about
10 tracing and testing patients and information to
11 patients, and if we could just have a look at that.

12 It's [\[PEN0181241\]](#). And that's the letter that we sent
13 you, is it not?

14 A. Indeed.

15 Q. And if we look at 1243, this is a schedule that we sent
16 you to set out the context of the questions. And if we
17 look at "Snapshots and Landmarks", it says:

18 "The Inquiry has identified the following years as
19 landmark dates in the story of non-A non-B ... 1974,
20 1985, 1991 and 1995."

21 The schedule talks about what was happening in the
22 early 1970s. It refers to the 1974 Prince et al paper,
23 the 1985 Hay et al paper, the Sheffield study. If we
24 could go over the page, we referred to September 1991,
25 the screening test and then, April 1995, the HCV

1 look-back exercise.

2 The first question that we asked you is set out
3 under "Matters to be included in the statement":

4 "Anti-HCV testing.

5 "We know that an anti-HCV screening test for blood
6 donors was introduced UK wide in September 1991 and that
7 anti-HCV tests had been available for some time prior to
8 this.

9 "When was the first anti-HCV test used in the UK?
10 What type of test was used initially? Who carried out
11 the early tests? Who would have had access those early
12 tests? What was the correct approach to using the first
13 generation tests?"

14 Could we have a look at your statement, which is
15 [\[PEN0181360\]](#), and I think the first page is an answer to
16 that first question. Is that right?

17 A. Yes.

18 Q. And perhaps I could just ask you to answer the question
19 in your own way?

20 A. Okay. I think the antibody testing was available late
21 in 1990, and I think most of us who were interested in
22 this new disease, as it appeared to us, were performing
23 tests using kits that we knew weren't very satisfactory,
24 but they gave us a feel for what was going on. And then
25 the testing was introduced on a more formal basis in the

1 autumn of 1991, when we started to use the test on
2 a more logical basis in diagnosis and managing patients
3 already under our care.

4 The testing at that stage was, in retrospect, very
5 poor, both in terms of its sensitivity and its
6 specificity. So it missed people who were positive and
7 it told us people were positive who we found out later
8 weren't. And it left a large number of people in
9 between, not knowing whether they carried the virus or
10 not.

11 Q. Yes. How did you resolve those poor results?

12 A. Well, I think the important point to make was that you
13 had to look at a test -- it's true of all medicine -- in
14 context. So if a patient was likely to be at risk of
15 catching Hepatitis C, then the test was probably more
16 valuable than in a patient who was picked randomly from
17 the street who wasn't at risk, the test was less
18 valuable. I think you always had to interpret the test
19 with caution, and we were all expectation that there
20 would be better tests coming along shortly, which
21 happened, of course.

22 Q. You say that the false positive rate was between 50 and
23 70 per cent?

24 A. That would depend upon which population of patients you
25 were testing. So if you take a group of people who are

1 at high risk of Hepatitis C, your false positive rate
2 would be low. If you took a large population of healthy
3 people, unlikely to have it, your false positive rate
4 would be high. So it depends on which population you
5 start with.

6 Q. Could you explain why that happens?

7 A. Well, if you take 100 people, 90 of whom have got
8 Hepatitis C, even if the test is wrong, you are likely
9 to get the right result. If you take 100 people who
10 have not got Hepatitis C and you test them all, you will
11 get some that are wrong; it's very simple.

12 Q. Okay. In your answer here, you mention the second RIBA
13 test. You say:

14 "It was generally agreed that the second test was
15 needed."

16 Was that a confirmatory test, that one?

17 A. It was called a "confirmatory test" but actually it
18 isn't. It's exactly the same test, using the same
19 proteins, but performed using a different approach. So
20 one was done with an ELISA, where you stick proteins on
21 a plastic plate, and the other one is done in a gel,
22 where you stick proteins in a gel and get them to move.
23 You are testing exactly the same phenomenon but by two
24 different methods. So it gave us a group of patients
25 who were positive by both tests, which made us more

1 confident. It was called "confirmatory" but actually it
2 really wasn't; it was just another way of doing the test
3 by a second method.

4 Q. What difference did the introduction of that test make
5 to your management of patients?

6 A. That second group of tests were based on using different
7 proteins. They were based on the core protein of the
8 Hepatitis C virus, so these two tests made it much
9 easier to be confident that the diagnosis was right. We
10 were still left with a large group of patients who had
11 equivocal results by both tests.

12 Q. Yes.

13 A. Or sometimes positive on one and negative on the other.

14 Q. Yes. Who would have had access to these tests?

15 A. Well, I suspect everyone who needed access would have
16 got it but by and large, tests were performed by people
17 who had a specialist interest in Hepatitis C. So that
18 would be hepatologists, transport physicians, those
19 working in transfusion medicine, and gastroenterologists
20 who had an interest in hepatology.

21 Q. Yes. What would you tell your patients about these
22 tests? The early tests.

23 A. At the time we met the patient and they were found to be
24 positive, we would explain that we weren't confident
25 these tests were as accurate as we would like them to

1 be, and a lot of the patients that we saw in those early
2 years, the 1990s, came back to the clinic, in
3 retrospect, needlessly, because they turned out to be
4 negative in reality. And I suspect we missed a few
5 patients that were positive and were called "negative".

6 Q. So you had a lot of false positives?

7 A. Yes.

8 Q. When did you find that out?

9 A. Four or five years later.

10 Q. Oh, right, I see. Is that with the PCR testing?

11 A. The PCR made a big difference, yes. That made sense of
12 the results we had had up to that point and allowed us
13 to understand the natural history better. But the
14 antibody tests were improving all the time. And when we
15 were confident we had got sensible results, we were able
16 to discharge some patients and manage the others better.

17 Q. I think you said that you had to interpret the early
18 tests?

19 A. Yes.

20 Q. And how would you do that?

21 A. When a test doesn't make sense, you always go back to
22 the laboratory and ask for further help. So you might
23 go back to the virologist and say, "This patient has got
24 a Hepatitis C test that's positive. I can't find
25 a reason why they might be positive. How close to the

1 cut-off point was this test?" And if it's on the
2 cut-off, you might think that it doesn't make sense and
3 tell the patient accordingly.

4 Q. Yes. So the cut-off for these early tests, I mean,
5 could you visualise it for us? Could you describe it?

6 A. When you are doing a laboratory test you have to define
7 a normal range, and that's normally defined as a median
8 plus a stand deviation, or a mean plus a standard
9 deviation. So you give yourself limits wherein the test
10 is positive and outwith the test is negative. And it
11 might be that the particular test was right on the cusp,
12 in which case the sensible thing to do is tell your
13 patient, "Your test is right on the cusp," and don't
14 make a comment about whether it's positive or negative.
15 And we followed 200 of those for a long, long time.

16 Q. So when you were discussing the results of tests with
17 patients, would you go into that amount of detail to
18 explain the results?

19 A. Not in every circumstance. I mean, you are guided by
20 the patients, how much the patient wants to know. But
21 I think you can't tell a patient the test is positive or
22 negative unless you think it is one or the other. And
23 if it's in the equivocal area, I think you have to be
24 clear about it, yes.

25 Q. So it would be positive, negative or equivocal?

1 A. Or "I don't know".

2 Q. Okay. At the bottom of that first page, when asked
3 about the correct approach to using the first generation
4 test, you say that was with circumspection and careful
5 review.

6 A. Yes.

7 Q. Could you amplify that?

8 A. I think many of these clinic sessions with patients were
9 couched in exactly those terms: "We have a test that has
10 come back positive. I'm not sure it makes sense to me.
11 Your liver tests are normal. I'm going to follow you in
12 the clinic and see how things evolve," or, "The test is
13 negative but I think you are at high risk of
14 Hepatitis C. We are going to follow you carefully in
15 the clinic for a few months and see how things resolve."
16 And each time you saw the patient in clinic, you would
17 know a bit more about the disease because we were
18 learning very quickly, and the tests were improving fast
19 too.

20 Q. What sort of patient would you be telling that, "We
21 think you have got a high risk of Hepatitis C", even if
22 you had a negative test?

23 A. Because we would have had, at that stage, for example,
24 transplant patients -- 50 per cent of our transplant
25 patients at that stage turned out to be

1 Hepatitis C-positive. We had a lot of haemophiliacs,
2 who were well aware they were likely to have
3 Hepatitis C. We had people who had acquired hepatitis
4 post-transfusion, who were aware they were likely to
5 have Hepatitis C. So there were a lot of people who
6 were very likely to be positive, who weren't always
7 positive on testing.

8 Q. Yes. Okay. Right. Well, could we go back to the
9 schedule, page 4 of [\[PEN0181241\]](#)? We see that the next
10 question which we asked you was about look-back:

11 "What was your involvement in the HCV look-back
12 exercise?

13 "How useful do you think the look-back exercise was?

14 "What do you think was achieved?

15 "Would you have done anything differently in
16 hindsight?

17 "A screening test for anti-HCV in blood donors was
18 introduced in 1991, but the formal UK look-back
19 programme did not begin until 1995. Could you explain
20 why the look-back exercise did not commence earlier."

21 If we could go back to your statement, page 2 of
22 [\[PEN0181360\]](#), under the heading "Hepatitis C virus
23 look-back", I think over the next two pages you address
24 these questions. Is that right?

25 A. Yes.

1 Q. Okay. Perhaps I could just ask you to tell us about
2 look-back, please, doctor?

3 A. Look-back was something that was discussed by the
4 transfusion services over a period of one, two, possibly
5 even three years before it was actually introduced in
6 1995, and you might want to come back to the reasons
7 that it was or wasn't introduced at a later date.

8 When it was set up, there was a project funded by
9 the Government, run through the Colindale service, HPA
10 now, to look to see how many people had acquired
11 Hepatitis C from transfusion and what their natural
12 history was. And a multi-disciplinary group was set up
13 of which I was the chairman.

14 Since 1995, we met very frequently in the first few
15 years and now once or twice a year to review the data,
16 and it was set up as a resource for research purposes as
17 well as to help the patients. And my role was to make
18 sure that the service was efficient and run within
19 appropriate hepatological guidelines.

20 Q. Yes. I see that you say:

21 "There are a number of important points to make when
22 discussing the success or likely success of an HCV
23 look-back exercise."

24 Could you just go through those with us, please?

25 A. Yes, one of the reasons that the transfusion services

1 were keen to do this was that they had done the similar
2 exercise for HIV infection, and it had been quite
3 successful. But I think the epidemiology and the nature
4 of the disease is very different, and I think the
5 "assume that one would work because the fist had worked"
6 was not a correct assumption to make in retrospect. The
7 numbers of HIV were very much smaller, a much clearer
8 homogeneous group of patients who were affected. That
9 was the first point.

10 The reason we didn't push on with it in 1991 was
11 that we didn't know what to tell patients. You have
12 already asked questions along these lines already. We
13 didn't know what to tell patients the natural history
14 was. So hauling back people in 1991 to tell them that
15 they had got a disease that we didn't understand and
16 didn't know the natural history, and for which there was
17 no treatment, didn't seem entirely rational at that
18 point. But that was easier to implement in 1995.

19 Q. I suppose there was more of a concern about the
20 infectivity of HIV as well?

21 A. Yes, I mean, Hepatitis C is much harder to acquire than
22 HIV by many different routes.

23 Q. Then on that page you also explain a little bit about
24 the English experience and samples from blood donors
25 only being stored for three years. How did that impact

1 on the process?

2 A. Well, the question really arises of what other
3 approaches to look-back could you have had. So the
4 approach that was adopted nationally was to identify
5 infected blood donors. But to do that, we had to wait
6 until they came back to the clinic, to the blood
7 transfusion service, to represent for the next donation.

8 Simultaneously with that people were being
9 discouraged from coming back to give blood if they had a
10 history of drug addiction. So although we wanted to see
11 Hepatitis C-positive blood donors, we were telling them
12 not to come. So there was a contradiction in our
13 approach, if you like. We didn't want them to be blood
14 donors but we did want them to come become. And as time
15 went on from 1985, because of HIV, right through, the
16 number of people coming back who had injected drugs in
17 the distant past was falling each year. So our approach
18 was flawed from the very beginning.

19 So the alternative approach would have been to go
20 back through the backlog of samples that were stored,
21 and in England that would have been 6 million samples
22 over the previous three years. And we processed at that
23 stage, at that time, 2.5 million donors a year, so that
24 would have been 3 years' worth of work needing doing
25 immediately by a service that was already under

1 pressure. So the decision was made that that was
2 inappropriate. So those samples were never screened.

3 The Scottish situation was different in that they
4 had been storing samples for a long time and at that
5 point weren't discarding them. So the potential to look
6 back at more potentially infected donors was much
7 greater but again, the logistics were frightening.

8 Q. You say that:

9 "Matching an HCV infected donor with the correct
10 recipient was more difficult than one might imagine."

11 Why was that?

12 A. Well, because the transfusion service would have been
13 asked for blood for a particular patient at a particular
14 time on a particular ward at a particular hospital, and
15 that's probably all they would have known at that point.
16 So to track the recipient of that blood down, they would
17 have had to have had the hospital records to ensure that
18 they had been transfused. They would have had to know
19 where that patient now lived. This might be 15, 20 or
20 30 years ago. That's actually quite difficult; not
21 knowing who the GP is. Not knowing the current address
22 of the patient. Not knowing even if the hospital
23 records are available. And even now we continue to
24 destroy hospital records not long after the patients
25 have been in hospital. So it's difficult to do even

1 now.

2 Q. Yes. Earlier on, when Professor Cash was giving
3 evidence, he suggested that one possibility or one
4 possible approach might have been to have had a TV
5 campaign, where you said, "If you had a transfusion
6 between these years, then please come and be tested".
7 What's your reaction to that suggestion?

8 A. That is one of the things that we discussed at the time,
9 and in fact what happened, most of the people in my
10 profession throughout the UK were invited on to local
11 radio programmes, maybe two or three times over a period
12 of a year or two, often local television programmes, and
13 we would get up and say, "If you have had a transfusion
14 come forward and be tested," and a small number of
15 people did do that. More often with radio than with
16 television. So it was done.

17 The alternative approach was to ask GPs to haul back
18 everybody who had been transfused from their practice
19 and to refer the patients on. But it transpired that
20 GPs don't have a clear record of who has been
21 transfused. They don't always know that a patient has
22 been transfused. Nor, indeed, do patients. They might
23 have had to have an anaesthetic, been transfused while
24 they were asleep, and not known that they have had
25 a transfusion during the operation.

1 Q. So that's not routinely reported by the hospital back to
2 the GP?

3 A. No, not as a routine. It might be mentioned, it might
4 not.

5 Q. That would probably be a good idea, would it not?

6 A. I think keeping a record of being transfused in
7 retrospect, with hindsight, would have been an excellent
8 idea, yes.

9 Q. Okay. If we could go over the page, please, the second
10 paragraph, you say that:

11 "Perhaps the main issue in the early 1990s was that
12 we weren't fully aware of the natural history of the
13 disease."

14 A. Yes.

15 Q. Why was that the main issue?

16 A. Well, I think when you start out with what appears to be
17 a new disease, you start off seeing the severe end of
18 the spectrum. You see the people who are dying of it.
19 You make a diagnosis. You think it has got
20 a catastrophic outcome. And then you work backwards and
21 eventually find people who have had the virus, in this
22 case for 30/40 years who remain healthy.

23 And it transpires that they were very often the very
24 people who were our blood donors, who have been coming
25 for 20 or 30 years, who knew they had used drugs in the

1 past, knew they perhaps shouldn't have been there, but
2 had not had a problem doing so and continued to come
3 forward. And it was not until we were able to tell
4 people that they were actually at risk of transmitting
5 the virus that they stopped coming properly.

6 Many of those still came in the early 1990s, which
7 is the base of the look-back. They knew they had used
8 drugs in the past but it was a long way back and they
9 had been donors for many years.

10 Q. At that point you didn't realise the implications of the
11 very short history of injecting drug use?

12 A. No, I don't think anybody did. I think our experience
13 was based on people who had got post-transfusion
14 hepatitis, defined as abnormal liver tests. So the
15 group of people with normal liver tests were excluded
16 from our definition.

17 Q. Yes. Later on on that page you say that the points
18 that you have just mentioned really determined how the
19 look-back exercise was undertaken, and donors were
20 tested prospectively. Could you explain what you mean
21 by that?

22 A. The only donors that were tested were those that came
23 back to donate blood once more after 1991.

24 Q. Right.

25 A. So if people had decided to no longer donate at that

1 point because they knew they might be at risk of
2 infection, those people didn't come forward.

3 Q. You just told us that on the other hand, those are the
4 sort of donors that you are trying to persuade not to
5 come back.

6 A. The transfusion service didn't want them back.

7 Q. Yes.

8 A. The look-back did, yes.

9 Q. I see.

10 A. But they met in the transfusion centre unfortunately.

11 Q. Okay.

12 A. It might have been easier if the look-back exercise had
13 been conducted outside the transfusion centre, but that
14 wouldn't have been possible.

15 Q. Yes.

16 PROFESSOR JAMES: Can I just very briefly.

17 Graeme, I'm just not quite clear. Did the look-back
18 actually not start looking back -- obviously it didn't
19 start looking back until 1995, but actually you didn't
20 look at the people who had been HCV-positive on
21 screening and screened out the donors in the end of
22 1991, 1992, 1993, 1994, you just started with people who
23 were coming through the door for the first time in 1995.
24 Is that right?

25 A. No, no. From 1991, all people who were positive for

1 Hepatitis C were recorded, prospectively from 1991.

2 PROFESSOR JAMES: Were they included in the look-back

3 though?

4 A. Yes, so the look-back refers to any blood donor who was

5 Hepatitis C-positive from 1991, September onwards.

6 PROFESSOR JAMES: Although, actually, the first six months'

7 lot, there were probably no stored samples because they

8 were only stored for three years.

9 A. Exactly.

10 PROFESSOR JAMES: Thank you. I misunderstood.

11 A. But a record of that was kept, Professor James. So if

12 they were recorded as positive, they could have been

13 contacted, and there would have been addresses for those

14 donors.

15 PROFESSOR JAMES: And retested --

16 A. They would have been invited back.

17 PROFESSOR JAMES: Fine, thank you. So everybody positive

18 from the inception of testing in England.

19 A. In 1991.

20 PROFESSOR JAMES: In 1991, was actually invited back?

21 A. Yes.

22 PROFESSOR JAMES: Thank you; thank you. Sorry.

23 MR GARDINER: Thank you.

24 So that's the first thing that you would do, get in

25 touch with the donor. But when look-back was introduced

1 in 1995, there would be the further step: you would go
2 back and look at previous donations and see what had
3 happened to them. Is that right?

4 A. So when a donor was found to be positive, they were
5 invited back because they now become a patient. So they
6 have to be dealt with as a patient not as an infected
7 donor, and that happened in every case. But then the
8 transfusion service had the task of finding every single
9 recipient of every single unit of the blood that that
10 donor had given, going back sometimes many, many years.

11 Q. But that wouldn't have started until 1995?

12 A. Exactly.

13 Q. I mean, is that what you would call "targeted
14 look-back"?

15 A. Yes. Poorly targeted, but targeted.

16 Q. If we could go over the page, you explain at the top:
17 "Where a recipient was identified of a blood donor
18 who was found to be HCV-positive, a letter was then sent
19 to their general practitioner."
20 You talk about the discussion that there was. Can
21 you just tell us a little bit about that?

22 A. Yes, I mean, the premise here is that people who have
23 been transfused by and large are not healthy; might have
24 had an operation for a cancer, for example, and it was
25 felt inappropriate that the transfusion service or

1 a liver doctor would write to a recipient of blood, not
2 knowing whether that patient was moribund or perhaps had
3 even died. And we felt the only person who would
4 provide the appropriate link for that sort of study
5 would be the GP. And we left the responsibility of
6 pursuing the issue with the GPs. They would know if the
7 patient was appropriate for referral on to a liver
8 doctor or not. And we were aware that some GPs might
9 not feel the need to refer such patients on, so the
10 letters were termed in such ways that would encourage
11 transferral on to a local doctor, and we provided names
12 wherever possible.

13 Q. Yes. A bit further down the page, you talk about what
14 other countries have done. Have most countries followed
15 the same procedure?

16 A. Yes, I think they have, and largely for the same sort of
17 reasons: logistics.

18 Q. And you mentioned France there. What was the approach
19 taken in France?

20 A. They approached it in a different way by actually trying
21 to target everyone they possibly could. They had better
22 records about who their infected donors were. So they
23 were more successful, not very successful but more
24 successful than we were.

25 Q. And that was because they had better records?

1 A. Yes.

2 Q. Okay. And I think in the next paragraph you are talking
3 about campaigns to inform people who have been
4 transfused. That's what we have just been discussing
5 beforehand.

6 A. Yes.

7 Q. And similar programmes have been targeted at injecting
8 drug users. So these are campaigns directed at
9 different areas of the community?

10 A. Yes.

11 Q. And if we could go over the page, in the second
12 paragraph, you talk about your involvement in the
13 look-back exercise as chairman of the Hepatitis C virus
14 steering group. Could you tell us a little bit about
15 your experience of that?

16 A. We met on a regular basis. There was a pathologist
17 present, some of the transfusion service people
18 represented, paediatricians because paediatric liver
19 disease with Hepatitis C was also well reported. So a
20 multidisciplinary group. And we would meet on a regular
21 basis, backing up the team who worked based in
22 Colindale, whose job it was to track down the individual
23 patients. And we communicated with, sometimes the GP,
24 but more often the local hepatologist, to find out what
25 had happened to those patients.

1 So we took a large amount of demographic details
2 about the patients. We wanted to know what had happened
3 to them. Whether they got liver disease, whether they
4 had had a liver biopsy, what their results were, their
5 blood tests, as much as we could get. And we went back
6 every three years to ask for more and more information,
7 and we continued to do that. So we have been able to
8 define the natural history, and from an academic point
9 of view this was valuable because we knew from these
10 studies exactly which date they acquired the
11 Hepatitis C. So academically it was useful and I think
12 by doing the study, by doing research, you often
13 reinforce good clinical practice.

14 Q. Yes. From a patient's point of view, has that been
15 a positive programme?

16 A. I think it has. I think for the patients who were
17 identified, we have done them a service, in that they
18 were probably promptly referred on to a Hepatitis C
19 specialist in the area who would have been up-to-date
20 with their management and treatment and would have
21 treated them at the earliest possibility. I think the
22 look-back has been less successful because the number of
23 people identified was small relative to the number of
24 people who must have been infected.

25 Q. Yes. I see in the next paragraph you refer to Soldan

1 et al, who estimated that just 5 per cent of the total
2 number of HCV infections had been identified. In your
3 experience, does that sound reasonable?

4 A. Those are data based on the look-back exercise, and the
5 data that was coming out of that married up with data on
6 the likely frequency of Hepatitis C at that stage, and I
7 think it's a very fair assessment.

8 Q. What's the reason for that? Why is it such a small
9 percentage?

10 A. Because the donors stopped coming back, so if the whole
11 programme is based on a donor coming back and being
12 found to be positive and they don't come back, you are
13 stuck.

14 Q. Right. Okay. You say:

15 "In retrospect, one could argue that it would have
16 been more effective to screen all plasma samples that
17 were available from donors ..."

18 How would that have been done?

19 A. With an enormous amount of funding.

20 Q. Right. Okay. In practical, operational terms, how
21 could that have been organised?

22 A. Put it this way, my laboratory lab does 20 Hepatitis C
23 tests twice or three times a week. You are asking the
24 transfusion services to do 6 million tests in England
25 and many more in Scotland, not more but going back for

1 many more years. That would have been an enormously
2 difficult exercise, followed by then marrying up all the
3 positive results with the recipients who would have been
4 even further back. Remember, the further back you go,
5 the harder it is to track the recipients.

6 Q. Yes. I suppose, how long that would have taken would
7 have depended how much resource would have been put into
8 it?

9 A. Absolutely, yes.

10 Q. Okay. At the bottom of the page you talk a little bit
11 about the delay in screening testing being introduced in
12 1991.

13 A. Yes.

14 Q. And the introduction of the look-back. Could you talk
15 a little bit about that delay?

16 A. Yes. That was a response to your very specific
17 question. Screening as a medical concept makes an
18 assumption that you can do something about the disease
19 when you find it. And I think there were concerns that
20 in 1991 we couldn't tell patients what was going to
21 happen to them with any degree of confidence. We didn't
22 have real confidence of the tests that were available to
23 us and we had no treatment. So you can imagine how much
24 distress that might have caused people, to be called
25 back to be told they might have Hepatitis C but they

1 might not. We do not know what's going to happen to
2 them, and "No, we can't treat you". I can't see that
3 would have been successful.

4 By 1995 it's clear that we did have a feeling for
5 the natural history. The testing was reliable and there
6 were the beginnings of treatment. So I think the
7 situation had changed. And one might argue that you
8 could perhaps have started it a few months earlier, but
9 I think April 1995 was not a bad time to start. And we
10 didn't lose the 1991 to 1995 patients as Professor James
11 has alluded to, they were still picked up.

12 Q. Yes. I suppose, because the disease is slow moving,
13 there might not --

14 A. It's not in everybody.

15 Q. Yes, indeed. If we could go back to the schedule, the
16 next question is:

17 "Communication of results and implications of
18 diagnosis.

19 "What was your practice in relation to telling your
20 patients the results of anti-HCV-positive tests in (a)
21 the early days of anti-HCV testing, and (b) from 1995
22 onwards? Did your practice change over the period? If
23 so, why did it change?

24 "What should clinicians have been telling their
25 patients about the disease and the implications of

1 a positive diagnosis in (a) 1974; (b) 1985; (c) 1991 and
2 (d) 1995?"

3 If we could go back to your statement, under the
4 heading "Communication of results and implications of
5 diagnosis", you start off by saying:

6 "In the early 1990s, patients found to be positive
7 for HCV were warned that we didn't understand fully the
8 implications of the test and as a consequence, patients
9 underwent regular testing for HCV, and in our own centre
10 all the patients were offered the opportunity of a liver
11 biopsy."

12 What would you have said to a patient before you
13 gave them a test? One of the first generation tests.

14 A. I wasn't in that position very often because by and
15 large I work in the tertiary referral centre, so I'm in
16 an easier position of having the test done before
17 patients get to me. But any patient, for example,
18 undergoing a major haemorrhage being admitted as an
19 emergency, we would test on a regular basis. We would
20 say, "We are going to test you for all causes of liver
21 disease. That includes a test for Hepatitis B, which is
22 standard," and we would say, "We have now got a test for
23 Hepatitis C, which we have less confidence in, but it's
24 a useful investigation".

25 Q. Would you have told a patient a little bit about

1 Hepatitis C and what you knew about the disease and so
2 on?

3 A. Again, that depends on the circumstances and the nature
4 of the patient but, yes, if possible, at all times, yes.

5 Q. Yes. You say:

6 "The introduction of testing for HCV RNA was a major
7 step forward ..."

8 A. Yes.

9 Q. Could you explain why that was?

10 A. It divided our patients who were genuinely exposed to
11 Hepatitis C into two groups: those who were carriers of
12 the virus and remained at risk so long as they had the
13 virus in their blood and liver, and the group who had
14 cleared the virus and clearly had a better prognosis,
15 not normal but a good prognosis.

16 Q. Yes. Okay. In the next section you go through the
17 different periods, and I think in the first paragraph
18 you are talking about the period between 1974 and 1985?

19 A. Yes.

20 Q. And I think you are explaining what should have been
21 done in terms of communications with patients. Could
22 you just tell us what you think should have been done
23 during that 1974/1985 period?

24 A. Should have been done? I don't know. We were aware
25 from 1974 onwards that there was a disease called

1 "post-transfusion hepatitis", and the investigations in
2 the first decade after that discovery suggested the
3 disease was benign. So I think it would have been
4 reasonable to say to people, "You have acquired a virus
5 infection from transfusion but by and large such
6 patients do well."

7 And there are plenty of studies from that period
8 which suggest that the mortality of patients who were
9 transfused and acquired Hepatitis C was comparable to
10 those who were transfused and did not.

11 Q. Yes.

12 A. And it wasn't really until 1985 when that very
13 first study looking at haemophiliacs with Hepatitis C
14 showed that this was not the benign disease we thought.
15 We used to label them very often at that stage -- "we",
16 my predecessors, used to call this disease "chronic
17 persistent hepatitis" and that was associated in lots of
18 circumstances with a benign prognosis, which we know now
19 is not the case. But that's the nature of following
20 people longitudinally and learning about the disease.

21 Q. So after 1985 what would a patient have been told about
22 the disease?

23 A. They should have been told that they had a disease
24 acquired from a transfusion which was likely to be
25 a virus infection and carried a prognosis that was more

1 guarded than that previously, such that some patients,
2 maybe as many as a fifth, would go on to get serious
3 liver disease.

4 Q. Yes, okay. Then from 1991 was there a change in the
5 message to the patients?

6 A. Yes, I think the situation changed in 1991 because we
7 suddenly realised that injecting drug use was probably
8 the major risk factor -- is the major risk factor -- but
9 it was 1991 when we first recognised that, and we
10 recognised in 1993/1994 that co-factors such as your
11 weight, your diabetes, age, your alcohol consumption,
12 were major co-factors in determining whether you got
13 liver disease or not.

14 So we were learning between 1991 and 1994. But
15 there is other information that became available. For
16 example, in 1991 I would have warned a patient that
17 sexual transmission was a risk. We now know that it is
18 a risk but it's a very small risk. So we no longer, for
19 example, test spouses of Hepatitis C-positive patients
20 because there is no point. But we tested them all in
21 1991. We tested all the children at that stage and we
22 now know that risk of transmission mother to child was
23 6 per cent. So we were behaving differently through
24 ignorance.

25 Q. So vertical transmission?

1 A. Is about 6 per cent.

2 Q. Sexual transmission?

3 A. Hardly ever see it in heterosexual couples.

4 Q. So from 1991 what would you be telling patients about

5 the disease.

6 A. In 1991 we would have told patients that we thought they

7 had Hepatitis C but that the test wasn't reliable, that

8 they faced a chance of liver disease, which we couldn't

9 quantify, and we were going to follow them very

10 carefully. If they wanted their partner to be tested,

11 we would test them and if they wanted their children to

12 be tested, we would test them. But we wouldn't know the

13 implications of that test result, either for the partner

14 or for the children, at that point.

15 Q. But by 1993 would you also be discussing the co-factors

16 that you have mentioned?

17 A. Yes. I mean, our first study of co-factors, I think,

18 was finished in 1994 and published about two years

19 later. So we were aware of the age, gender and obesity

20 issue in 1994.

21 Q. Yes.

22 A. And alcohol had always been known about, from the

23 post-transfusion studies.

24 Q. Okay. If we just go over the page, you say:

25 "The advice that [you were] giving in 1991 -- and

1 I suspect many others in a similar position -- was very
2 cautious."

3 Is that because you didn't have confidence in the
4 tests that you were doing?

5 A. I think that was the most fundamental issue, yes; we
6 were aware that the test was unreliable under many
7 circumstances.

8 Q. Yes.

9 A. Yes.

10 Q. Okay. Just moving away from your statement, I would
11 just like to ask you whether you have any more
12 up-to-date information about this cohort of patients?

13 A. The steering group?

14 Q. Yes.

15 A. The transfusion -- yes, I mean, surprisingly, to me
16 anyway, the mortality of the group of patients
17 transfused and Hepatitis C-positive as a consequence is
18 exactly the same, or pretty close, to matched people
19 transfused at the same time for a similar sort of
20 disease.

21 The difference between the two cohorts is that we
22 have more liver disease, death from liver disease, in
23 our Hepatitis C-related group. We have also shown very
24 clearly that the age at which you acquire the
25 Hepatitis C virus infection is perhaps the strongest

1 determinant of what happens to you. So the older you
2 are, the worse you do, and we have shown that, with each
3 decade that passes, your response to treatment falls, so
4 that by the time you reach 60-ish, your treatment
5 response is very low, based on current therapies.

6 So that's a study going right through from children
7 in their first few years through to adults in their 70s
8 and 80s.

9 Q. Okay.

10 PROFESSOR JAMES: Is there anything new since 2007, I think,
11 what you last wrote this up?

12 A. The only new thing, Professor James, is the treatment
13 responses -- falls with each decade. So I think we are
14 beholden to see patients as soon as possible.

15 PROFESSOR JAMES: Thank you.

16 MR GARDINER: Do you have a reference for that study that
17 you just mentioned there? Is there --

18 A. I can provide them for you afterwards.

19 PROFESSOR JAMES: That would be very helpful.

20 A. Harris H is the first author on most of our studies.

21 PROFESSOR JAMES: It's in the preliminary report.

22 A. Yes.

23 MR GARDINER: My final question, Dr Alexander, is about
24 something that we noticed last time you were here and
25 that was that patients identified by look-back seemed to

1 have a better experience of counselling and receiving
2 appropriate information than a patient who has been
3 discovered to be positive just in the normal course of
4 things, not having been identified by look-back. Can
5 you think of a way that that situation could be
6 improved? Is there a programme that ...

7 A. I'm pleased to hear that is the case. I'm not sure
8 there is evidence to support it but it's reassuring that
9 is the case. I think the reason that might be true, if
10 it is true, is that people were focused on this
11 particular population and the patients were referred on
12 to a group of physicians who were highly interested in
13 the disease.

14 Q. Right. I mean, specifically what I'm referring to is,
15 if we think of the example of two patients who have both
16 acquired Hepatitis C through a transfusion and
17 one patient is picked up by look-back and the other one
18 is picked up by developing liver disease, the evidence
19 that we have seen does seem to suggest that the patient
20 who's picked up in Scotland by a look-back has had
21 a better experience.

22 A. Yes, well, I think presenting with liver disease is
23 going to make you fairly resentful in the
24 first instance. I think it's not unusual to be hostile
25 to the medical profession in that context. You have got

1 a disease, acquired because of medical issues, that has
2 been missed for maybe, 10, 15, 20, 25 years, so
3 I imagine that people don't cope with that well.

4 And remember, if you are presenting with liver
5 disease, you are presenting with liver disease, whereas
6 most look-back patients are not presenting with liver
7 disease, they are presenting with a test that's found to
8 be positive and they prove not to have liver disease,
9 which makes it easier to cope with.

10 I think, if you diagnose anything late when you
11 could have diagnosed it early, it's not going to be
12 satisfactory.

13 Q. I suppose I'm wondering would there be a way to, you
14 know, organise things so that the patient who doesn't
15 present until he or she has got liver disease gets
16 tested earlier?

17 A. You are looking for a better look-back? I think that
18 opportunity has been missed.

19 Q. So we are back to publicity campaigns or something like
20 that?

21 A. Yes: "If you have been transfused, come forward, get
22 tested."

23 THE CHAIRMAN: You say you think the opportunity has been
24 missed?

25 A. I do, Lord Penrose. I think -- you know, we are

1 21 years down the line now. I think the people who are
2 going to get liver disease in that 21-year period have
3 probably got it by now.

4 MR GARDINER: Thank you very much.

5 Thank you, sir.

6 THE CHAIRMAN: Mr Di Rollo?

7 MR DI ROLLO: No, thank you, sir.

8 THE CHAIRMAN: Mr Anderson?

9 MR ANDERSON: No, thank you.

10 MR JOHNSTON: No questions, sir, thank you.

11 THE CHAIRMAN: Dr Alexander, thank you very much indeed.

12 A. Thank you.

13 MR GARDINER: Sir, we have no more witnesses today,
14 Dr Gillon and Dr Keel tomorrow.

15 THE CHAIRMAN: Thank you very much.

16 (3.46 pm)

17 (The Inquiry adjourned until 9.30 am the following day)

18

19 I N D E X

20

21 PROFESSOR JOHN CASH (continued)1

22 Questions by MR GARDINER1

23 DR GRAEME ALEXANDER (continued)113

24 Questions by MR GARDINER114

25

