

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Wednesday, 28 September 2011

(9.30 am)

(Proceedings delayed)

(10.03 am)

PROFESSOR RICHARD TEDDER (sworn)

Questions by MS DUNLOP

THE CHAIRMAN: Yes, Ms Dunlop?

MS DUNLOP: Thank you, sir. I'm grateful to you, sir, for allowing us a bit of extra time. It has enabled me to talk to Professor Tedder briefly about some of the more technical aspects of this morning's evidence.

It has also enabled us to dig out a very large white board which Professor Tedder may want to use at some point to explain some of the science.

We don't, I think, have a CV for you, professor. I hope that we might be able to receive one, if you could perhaps send one to us in due course. I see that you are a consultant medical virologist and you actually have sent your letter from Colindale, but could you please just tell us your current position or positions?

A. Resolved by a contract being confirmed for the next three years yesterday.

I'm on the faculty of University College as a professor of medical virology and I retain that position on the faculty.

1 I am an external consultant virologist, contracted
2 to or paid for -- I have an honorary contract with the
3 National Health Service Blood and Transplant, which is
4 essentially NHSBT, the transfusion organisation in
5 England.

6 I also am an honorary medical clinical virologist to
7 the Health Protection Agency at Colindale in London,
8 where I head up the blood-borne virus unit, which is one
9 of the small number of units contained within the virus
10 reference department.

11 Q. Thank you.

12 We wrote to you posing certain questions in
13 connection with our topic B4, which concerns the
14 screening of donated blood for what was to become known
15 as the HIV virus. You have provided a response. It's
16 my intention to work through the questions and answers
17 this morning, asking some supplementary questions as we
18 go.

19 We will need to have open both the schedule
20 containing the questions, which is [\[PEN0170523\]](#), and
21 your response, which is [\[PEN0171831\]](#).

22 It might be helpful if we look at the questions
23 document, just to see the first two of the questions.
24 If we could look at the questions document and if we go
25 to page 3 of that, it consists of a letter and then

1 a schedule which actually contains the questions.

2 In fact the first numbered paragraph isn't a
3 question, it's a statement. I don't propose to ask you
4 anything particular about that, Professor Tedder. We
5 are very conscious of controversy in the whole area of
6 credit for the identification of the virus and we had
7 some discussion about that with Professor Weiss
8 yesterday. It's very, very interesting but I suspect,
9 if we took too much time over it, we might not have time
10 left for other things.

11 In paragraph 2 we noted that American virus --
12 I think actually an isolate labelled "HTLV-III B" -- was
13 provided by Dr Gallo to Professor Weiss and used by the
14 two of you. We go on to say that:

15 "When the DHSS asked if the isolate could be used to
16 assist in developing a test for the UK market, indeed
17 for the NHS, permission was refused."

18 And we asked how much of a set-back this was to you
19 in your work.

20 Can we go, please, to the answers? Thank you. Just
21 passing over paragraph 1 and moving to numbered
22 paragraph 2, you say:

23 "In May Dr Gallo made available HTLV-III to
24 Professor Weiss at the Chester Beatty laboratories."

25 You had already worked on developing an assay,

1 a test, for HTLV-I, which was an earlier virus that
2 Dr Gallo had isolated. Is that correct?

3 A. HTLV-I was the first of the genre of retroviruses known
4 to infect humans.

5 Q. Yes.

6 A. Originally described by -- actually Japanese groups,
7 where it causes disease in that country. In the
8 previous year the first time I met Professor Weiss --
9 Robin Weiss, if I may call him that, as he is a personal
10 friend of mine now -- was going down myself as a medical
11 virologist going to him as an expert in retroviruses,
12 saying, "I want to know more about this virus, HTLV,"
13 because I had heard Bob Gallo talking at, I think it
14 was, the Institute of Child Health in 1983 about this
15 virus and this set up a collaboration with Robin to
16 develop serology, which was already well underway when
17 the HTLV-III B isolate was produced.

18 Q. Without moving back into the territory covered by
19 paragraph 1 too much, is it correct to understand that
20 for a while Dr Gallo was trying to prove that HTLV-I was
21 the cause of AIDS?

22 A. Yes. There was a meeting in, it may have been, 1982 or
23 early 1983 in Washington, which was the first -- we
24 didn't call it "AIDS" in those days but it was the first
25 retrovirus meeting and he was putting forward the idea

1 that HTLV-I was more commonly found in people with the
2 various diseases, the pneumocystis pneumonia and the
3 Kaposi's sarcoma, and that was probably because of the
4 risk groups actually harbouring the drug abusers in
5 North America. The recreational drug users would have
6 harboured a sister virus of HTLV-I -- I don't want to go
7 into too much virology -- HTLV-II. The gay men who had
8 the pneumocystis pneumonia would have had HTLV-I and at
9 the time the Americans were unable to differentiate
10 serologically between that. So this was HTLV
11 reactivity.

12 I already had a brush with Gallo in that meeting in
13 1983 because I said the data that we have in the UK does
14 not support this at all because we found the prevalence
15 of 1 or 2 per cent in amongst people who have various
16 illnesses, and certainly not enough to be aetiological,
17 not enough to be causative of the disease.

18 Q. Right.

19 A. Does that answer your question, sorry?

20 Q. Yes, thank you.

21 You do explain that you had been involved in
22 developing an assay for HTLV-I, which then, I suppose,
23 led naturally into a similar sort of work with the Gallo
24 isolate.

25 A. I think you should ask Robin about our first meeting.

1 I think he felt that I was a keen clinical virologist
2 and was going to be a nuisance. He gave me a big
3 advantage in that he gave me a serum, and it was quite
4 amusing going back about six or eight weeks later
5 saying, "I have got a prototype test, let's do some
6 epidemiology," and that was in 1983 and that carried
7 through into 1984. We refined the tests. And of
8 course, having shown him that we were capable of
9 developing assays, once HTLV-III B -- access to that was
10 granted -- it was really not difficult to rework the
11 system but using HTLV-III B and sera from people with
12 AIDS and making a test.

13 Q. We are going to go on and look at some of the
14 technicalities shortly, but just staying with your
15 numbered paragraph 2, you do say that Luc Montagnier had
16 offered CBL access to the French virus, IDAV, and
17 arranged for a courier to bring the material to London
18 in the autumn of 1983, but that didn't work. I think we
19 have established from Professor Weiss that he did get
20 some LAV also from Montagnier in February 1984.

21 A. That was four, five, six months after where we could
22 have been if we had -- there were two viruses, LAV1 and
23 IDAV. They are both AIDS viruses, both HIV-1.

24 It was just rather galling that the flask had been
25 brought over. It was actually left in an overnight

1 security locker on, I think, Waterloo Station and picked
2 up on Monday morning. Of course, by that time I am
3 afraid the concentrate had died and it couldn't be
4 resuscitated.

5 Q. Right. Professor Tedder, I'm already off piste here and
6 I shouldn't be because it's dangerous.

7 A. That's a dangerous place to go.

8 Q. Yes. You are talking about there being two French
9 viruses. I think we are more familiar with the
10 description of LAV as the French virus but you said the
11 second virus, IDAV, was also --

12 A. Immunodeficiency Associated Virus. It was the name
13 given to the first isolate.

14 Q. But it's not the same as LAV?

15 A. Well, I would need to see the molecular sequences to say
16 it's not the same. I mean, LAV1 and HTLV-III B were
17 very, very similar.

18 Q. Yes.

19 A. They were epidemic HIV-1.

20 Q. Right. You say in your letter that you can't comment on
21 the refusal of the National Cancer Institute -- that's
22 where Dr Gallo worked -- to grant commercial access to
23 HTLV-III. In fact, the letter that was sent was sent to
24 the Department of Health and Human Services, so part of
25 the American Government, I suppose, because by that

1 point it was the American Government which was licensing
2 commercial companies to prepare test kits from the
3 virus. We know that the request for your kit to be used
4 within the NHS was ultimately denied.

5 I wanted just to look at a contemporaneous resume of
6 the position, which is contained in a Department of
7 Health document. There are twin documents. The first
8 one gives us the date. So could we look, first, please,
9 at [\[DHF0020430\]](#)?

10 This is an AIDS position paper from the end of 1984.
11 I think it's probably written by Dr Alison Smithies. It
12 sets out the current position with regard to AIDS, as
13 requested by the chief medical officer. The actual
14 paper is [\[DHF0020431\]](#). We can see that there is
15 a resume of the current position, and then in section 3,
16 "Development of Tests", the author reports that the
17 study reported by the team, led by -- and I think this
18 is, obviously -- Robin Weiss and yourself, using
19 a competitive radioimmunoassay, is of major interest.
20 We know that this is a study which was reported in the
21 Lancet in September 1984.

22 Can we go on to the next page, please?

23 This is really the little piece of narrative about
24 what had happened in relation to the contacts with the
25 United States. In order to obtain sufficient test

1 reagents for the National Blood Transfusion Service,
2 someone, possibly Dr Walford, wrote in August to the
3 assistant secretary for health at the Department of
4 Health and Human Services in Washington, asking for his
5 help in allowing the use of this isolate to develop
6 tests for the NBTS. We have that letter but we don't
7 have annex 3 for some reason, or if we do, I can't find
8 it:

9 "An unhelpful reply to this request was finally
10 received on 14 November 1984. By the time the response
11 from ..."

12 That should be understood as "the United States":

13 "... was received ..."

14 Presumably the next blank will be "Dr Weiss":

15 "... had succeeded in isolating the virus from a
16 British patient. A holding reply had been sent."

17 Then narrating that there had already been
18 negotiations with Wellcome to use the British isolate to
19 develop a UK test.

20 I think what we were interested in was whether this
21 delayed your research, and in the first place is it
22 correct to understand that a lot of virus is necessary
23 in order to make test kits? The test kits have to be
24 made from virus as one of the raw materials?

25 A. Correct.

1 Q. Yes.

2 A. But the manufacturer of the American style of assay uses
3 large vessels to grow virus in cells and then merely
4 takes the soup in which the cells are growing and
5 purifies the virus from that, and that is quite a lot of
6 hard work because the amount of virus which is extruded
7 into what we call the supernatant fluid, the fluid
8 around the cell, in tissue culture is usually not
9 a terribly high yield.

10 You then have to purify the virus, remove all the
11 proteins from the tissue culture fluid that were around
12 the cells, pellet the viruses and then probably clean
13 them up physically by putting them through a density
14 gradient so that they band in a tube as a purified
15 virus, take that and use that.

16 So that's quite a lot of hard work. We didn't go
17 down that pathway. Pragmatically, from previous
18 experience with the HTLV-I, which actually is a virus
19 which is very, very unlikely to be passed into the
20 supernatant, so we didn't know how well HIV, as we would
21 call it now -- and if I can use that -- translate
22 HTLV-III B which is a mouthful -- we didn't know how
23 well HIV at that stage was going to grow in the
24 supernatant. So we used a different approach, the same
25 as we had used with the HTLV assay, which is to take the

1 virus from within the cell, and because of the format of
2 the test that we were using, it didn't matter if there
3 was a lot of other cellular material there.

4 This was not an option open to the American protocol
5 because the American protocol has to have pure virus,
6 "pure" in inverted commas. Our protocol was smash and
7 grab cells, take the antigen from the cells and use that
8 in an assay, and we could do that with our format, which
9 the Americans couldn't do. I might have to use the
10 white board in a minute.

11 Q. Yes. As part of the development of the test, which
12 became the Wellcozyme test, the process of generating
13 large amounts of virus was carried out at Porton Down.
14 Is that correct?

15 A. Yes and no. The -- our work in -- really from
16 probably May -- probably June/July onwards, we were
17 using five litre stirrer vessels and growing our own
18 antigen. We continued doing that for the whole of that
19 year, initially using the HTLV-III B isolate, which we
20 had adapted to grow in the cells, which I suspect
21 Robin Weiss would have told you about yesterday, the CEM
22 cells.

23 Q. Yes.

24 A. Which produced both better virus in the supernatant,
25 which we used for passing the infection, but also a very

1 high level of viral antigens trapped in the cells; and
2 that was ideal for our purposes.

3 So we were using the cells, passing them into more
4 stirrer cultures. And we did that, as I say, really up
5 until spring 1985, because although Wellcome had
6 contracted with CAMR, the first few months of CAMR's
7 antigen really did not work -- were not fit for purpose
8 in our assay, and we had to ensure that they used our
9 protocol for expanding the cell cultures rather than
10 their approach.

11 Q. Right. You actually deal with this further on in your
12 response.

13 A. Indeed.

14 Q. So to come back to whether the unhelpful response from
15 the United States delayed you, would your answer to that
16 be, not really?

17 A. Yes.

18 Q. Because you were already working with the British
19 isolate?

20 A. Well, we were working -- from an experimental purpose,
21 we were working with HTLV-III B and then, as the British
22 isolate became available at the end of autumn/beginning
23 of winter 1984, it was very easy, because that had
24 already been adapted into CEM cells, to just change the
25 cultures that we were doing.

1 Q. Right.

2 A. And there was little to choose between HTLV-III B and
3 CBL1.

4 Q. At one level this is a fatuous question because I'm
5 asking you to get inside the mind of the letter writer
6 in August 1984.

7 A. Which letter writer?

8 Q. The British letter writer from the Department of Health
9 and Social Security, who may have been Dr Diana Walford.
10 It doesn't really matter. If there wasn't really
11 a problem in not using the American isolate, then why
12 did the DHSS think it was important to try to get
13 permission to do so?

14 A. I think because at the time -- I mean, the difficulty
15 that not having at the stage in the end of autumn
16 1984 -- not having an isolate which you could take to
17 a commercial manufacturer in the UK posed a problem that
18 they had -- Wellcome would have had -- or whoever we
19 went to -- Northumbria Biologicals we talked to,
20 Wellcome we talked to -- we eventually went with
21 Wellcome. The same would have been true for BPL.

22 The assay substrate, the important antigen component
23 was not available at the time that the negotiations were
24 being conducted in autumn 1984 -- end of 1984. It was
25 only once the Chester Beatty isolate number 1 became

1 available that that could be put on the side and it no
2 longer mattered whether we had an American isolate or a
3 UK isolate.

4 As a research worker at the bench, it made no
5 difference to us because we were growing antigen and we
6 had a lot of antigen and we had plenty to work with. So
7 we were never deflected. It was only the second order,
8 trying to say, "Where are we going to go with this? Are
9 we going to go with the Blood Products Laboratory? Are
10 we going to go with Northumbria Biologicals? Anybody
11 else we could work with, including Wellcome Diagnostics?
12 We can't talk to those people because we don't have free
13 access to an antigen for NHS use."

14 And whoever wrote that letter I think would have
15 been pretty irritated by the terms of reference which
16 would have been used from NCI and the US Government.

17 Q. Yes. So I think we understand that when the time came
18 for the handover to Wellcome or to CAMR of an isolate
19 with which to work, there was one available?

20 A. That is my recollection. And I think that's borne out
21 by what the time-course that's laid out in the various
22 letters.

23 Q. Right. Thank you.

24 Can we move back to Professor Tedder's letter,
25 please, and go on to the next page? Our question 3,

1 I'll just paraphrase: we were asking about this very
2 topic, the development of the British isolate, and
3 access to French virus and so on. I think you have
4 really dealt with the basics of that. But you go on to
5 talk about having a prototype test in the summer of 1984
6 and you tell us that actually the assay was considered
7 to be working by the end of the first week in July.
8 I think perhaps somewhat ironically in the context of
9 this discussion, you told me earlier it was 4 July.

10 A. Yes, it was.

11 Q. Yes. What breakthrough did you recognise as having been
12 made on 4 July?

13 A. Well, I can provide for the Inquiry an actual photograph
14 of the first entry in my colleague's book, which shows
15 titrations of people with serum from people with AIDS,
16 titrating to 1,000 and 1 in 10,000 reactivity in a test
17 and blood donors being unreactive.

18 It wasn't really a breakthrough, and I'm not trying
19 to be falsely modest in any sense at all. It was so
20 easy and we were so lucky. We had plenty of antigen, we
21 had people with easily identifiable disease, who have,
22 as we now know, massively high levels of antibody in
23 their plasma. It's a really driven immuno-response in
24 the HIV-infected person. An ideal reagent, now we
25 know -- because then we had to select -- to make

1 components of a competitive assay. And having done that
2 with HTLV-I, the four weeks it actually took us was to
3 select the best samples that we could find from
4 individuals. We honed down from 100 seropositive
5 samples -- we honed down on two, who gave us the best
6 samples in terms of their performance as reagents in the
7 competitive assay.

8 That's what took the time. And the 4 July, when we
9 said, "Okay, we have done it," we knew that we had
10 agreement from individuals to give us plasma, through
11 the transfusion service, they would bleed these people.
12 We knew we had enough plasma for perhaps two or three
13 years' supply of reagents. We had a months' worth of
14 antigen and we had an assay which worked. It wasn't
15 a sort of eureka moment. It was, "Thank heavens we are
16 where we are. Look, it works. Here are the titrations.
17 We have banked the plasma. We have banked the antigens.
18 We can now start doing some seroepidemiology." That was
19 4 July.

20 In fact it was within a week of getting the antigen
21 we had an assay that differentiated between positives
22 and negatives, but not good enough. A threefold
23 difference between your negative and positive was pretty
24 impressive first time round but we wanted to stretch
25 that full-scale.

1 Q. I have already mentioned about the paper in the Lancet
2 in September 1984; there is a description of the
3 radioimmunoassay in that paper. I think we should ask
4 some more technical questions about the different kinds
5 of assay. You have told me that you are going to help
6 us to understand what those are, at least to gain the
7 understanding that we might need, which perhaps is quite
8 basic.

9 Can we look at the papers. [\[LIT0010417\]](#).

10 A. God, that takes one back in time, doesn't it?

11 Q. Yes. Quite a lot of contributors. But certainly
12 Professor Weiss there and yourself as well. This paper,
13 I suppose, achieved a number of different objects.
14 Well, at least three, and please correct me if this is
15 wrong, but it assisted in an understanding of the
16 prevalence of the AIDS virus, if we can put it like
17 that. It also provided an explanation of the test which
18 had been devised in London, and actually along the way
19 it showed that LAV and HTLV-III B were, for practical
20 purposes, the same thing.

21 Is that correct about this paper?

22 A. Correct. I had forgotten we had made that statement,
23 yes.

24 Q. That's a controversial area as well. We are not going
25 to go off down that track. But if we look at page 2, we

1 see there the description of the competitive
2 radioimmunoassay for antibodies to HTLV-III. Some of
3 our questioning has concerned the difference between
4 radioimmunoassay and ELISA, and we will come on to that
5 but I think we have been persuaded already by
6 Professor Weiss that that is a less important difference
7 when one is talking about the effectiveness of a test
8 than the difference between the different kind of
9 formats, particularly a competitive format and,
10 I suppose, a non-competitive format, although you tell
11 me there are basically four different kinds of assays.

12 I think it would be helpful if you could explain to
13 us what type of assay the five American companies were
14 all using, before we go on to look at the difference to
15 be found in a competitive format. You call it a type 1
16 assay. Is that right?

17 A. Yes, I suppose the human mind likes to categorise
18 things. Four types of assays. I think, with the
19 agreement of the company this morning, I would probably
20 just talk about one and two.

21 Q. I think that's fine by us.

22 A. Bear in mind we also used 3 and 4 in -- a horrible
23 phrase -- an algorithm, which means if you test a sample
24 by type 1, type 2, type 3 and type 4 assay, if it's
25 a genuine positive, it will come up in all four assays.

1 And one of the big arguments we had, which rattled on
2 with the WHO for about five years -- or beyond that --
3 was that it's much better to have an algorithm of two or
4 three different ELISAs than it is to have one ELISA plus
5 a Western Blot, because a Western Blot was so incredibly
6 expensive.

7 The whole world was spending fortunes of money on
8 confirming HIV with Western Blots, in spite of the Scots
9 amongst us telling them to cut the Western blot into
10 strips, longitudinally, of course, not across, and that
11 would save money but that was not popular.

12 Can I come back to type 1 and type 2 assays?

13 Q. Confirmatory testing is interesting too, and I think
14 again at a general level and a logical level, we
15 understand that confirmatory testing is very important
16 because when the test was rolled out in the blood donor
17 population, there were false positives and obviously you
18 have to have some kind of mechanism for deciding whether
19 a screen positive is a true positive?

20 A. Yes, I mean, a sort of ballpark figure, 99 out of 100
21 antiglobulin positives in blood donors would be false.
22 50 per cent of the -- 25 to 50 per cent of the
23 competitive EIA samples would be false. That's a very
24 great difference in the amount of testing and
25 confirmatory work that you need to do, depending on your

1 screening test.

2 Q. Yes.

3 A. That's why I felt, for whatever purpose, a competitive
4 test is preferred over an antiglobulin test; a type 2
5 competitive test is preferred over a type 1 antiglobulin
6 test.

7 Q. In fact in this paper, in the group of people who were
8 unselected blood donors, there were actually no
9 positives at all.

10 A. Correct. It was something like one in 178,000 repeat
11 reactives by competitive ELISA, of which half would
12 be -- or one third would be genuine. So that would be
13 one in 10 to 20,000 blood donors might be seropositive.

14 Q. Right.

15 A. Something of that sort of order.

16 Q. All right. So it was just this particular thousand. If
17 you had kept going --

18 A. If one had kept going -- and that was indeed the
19 question, that we wanted to keep going but we were
20 constrained by other -- which I shall come back to --
21 constrained by other anxieties of not keeping going
22 through the whole of the transfusion service. So if we
23 had been doing it in one centre and word had got round,
24 it might have had a very detrimental effect on the donor
25 make-up in the centres who did not have a test. That

1 was a real anxiety.

2 Q. I think another basic insight, which we need to have --

3 and we will need it when we come to look at the story of

4 Hepatitis C screening as well -- is ways of talking

5 about the number of false positives, because I think

6 I have seen this expressed in different ways.

7 Professor Weiss yesterday explained to us that a false

8 positive rate of 300 per cent would mean that for every

9 true positive, there were three false positives. Do you

10 agree with that?

11 A. Yes, it's not the way one would normally put it.

12 Q. That's what I'm seeking. What is the way in which one

13 would normally give the statistic for false positives?

14 A. Well, a false positive -- okay, you test a sample. It

15 reacts. That's IR, initially reactive. The first way

16 of getting rid of false reactions is to repeat that, and

17 generally you repeat it in duplicate. Because if you do

18 one positive and one negative, you would never know

19 which god you pray to, and which is real. So you do it

20 in duplicate the second time round. So you test first.

21 Q. So it's the best of three?

22 A. The best of three, yes. If it is negative, repeatedly

23 negative second time round, that was the false reaction,

24 initially reactive, false reaction, forget about it.

25 You might want the manufacturer of a kit to address the

1 initial reactive rate. So what we normally do, in
2 a kit, in any situation, you say, "What's the initial
3 reactivity? What is the repeat reactivity?" And a good
4 test -- no, that's a value judgment -- a robust test,
5 which is reproducible, your repeat reactive rate should
6 be very similar to your initial reactive rate.

7 Q. Yes.

8 A. Your repeat reactive rate is another parameter of the
9 test. So you have got your initial reactive rate, your
10 repeat reactive rate and then the proportion of the
11 repeat reactive rate which are confirmed.

12 Q. Right.

13 A. In a low prevalence -- that's a population that you are
14 testing where there is only a small number of people
15 infected and an awfully large number of people not
16 infected, and I would say the best model of that is
17 probably a UK donor panel, blood donor panel -- most of
18 your repeat reactives are going to be not confirmed,
19 false reactivity. And the false reactivity rate is
20 going to be much higher in the antiglobulin test than in
21 the competitive test.

22 In the competitive test, in a low prevalence
23 situation, it depends how reactive but at least half of
24 those are going to be real. In an antiglobulin test,
25 it's a fraction of those. It's about 1 per cent or less

1 will be real, confirmed. Confirmed positive.

2 Shall I just put that on the board at the top?

3 Q. Yes, absolutely.

4 A. So that we remember.

5 Q. Yes.

6 A. I'll put it in black. Your initial reactive, you retest
7 and that gives you a repeat reactive, and those can be
8 positive confirmed, negative, not confirmed. And it's
9 the ratio of the IR to the RR to this outcome -- do you
10 want me to -- it's the difference between initial
11 reactive, repeat reactive, which are really parameters
12 of the test from the operator, and then the readout of
13 the test of the repeat reactives is confirmed and
14 unconfirmed.

15 The more specific the test is, the higher the
16 proportion of the confirmed than the not confirmed.
17 And, in my experience, the competitive test is much more
18 likely to go that way and the antiglobulin test is much
19 more likely to go that way. Just proportionally.

20 Q. Right. So among the testing community, as it were, when
21 people are speaking in shorthand about how good
22 a particular test is -- I have seen a number of
23 different percentages used -- what would be the most
24 likely language they would use? I have a test kit and
25 the --

1 A. Repeat reactive rate in a low prevalence situation
2 should be 0.05 per cent.

3 Q. Right.

4 THE CHAIRMAN: Ms Dunlop, can I remind you that if one has
5 to go back and look at this later, the professor's
6 indication that a certain proportion goes "that way" and
7 a certain proportion goes "that way", it will not
8 communicate very much.

9 A. Should I rephrase that?

10 THE CHAIRMAN: Yes, simply to ensure that we have got all
11 the words in, rather than gestures. Gestures don't come
12 through terribly well in a transcript.

13 A. One of the best ways of defining the performance of
14 a kit, it doesn't matter what it is, a kit for testing
15 for something, is to ascribe it first the initial
16 reactive rate. That's putting samples through and
17 something signals.

18 Repeat testing of the IR, the initial reactive, will
19 then give you the second parameter you measure, which is
20 the repeat reactive rate, and for a test to be
21 acceptable nowadays in transfusion screening or donor
22 screening, the repeat reactive rate should be no more
23 than 0.05 per cent. That's one every 1,000 or one every
24 couple of thousand is going to be repeat reactives.

25 Q. Right.

1 A. You then have to say that the next parameter of the test
2 is to define what is the outcome of confirmatory testing
3 on the repeat reactive, and that's in a low prevalence
4 situation.

5 Q. Yes. I'm sorry, I'm interrupting but just to be sure
6 that we understand, that means that people are living
7 with a difference between the first position, which you
8 have drawn, which is initially reactive, and repeatedly
9 reactive, which is quite significant but which can be
10 explained by operator error or some sort of basic
11 glitch, which doesn't manifest itself the second time
12 the test is done.

13 A. Yes, it may be operator error, it may be something
14 inherent in the fragility of the test, it may be the
15 washing of the test, it may even be the signalling of
16 the test, all of which you can say, I don't like this
17 sample, go away and repeat it. Oh, it hasn't repeated,
18 that was initial reactive. Or it has repeated, now we
19 have to go into confirmatory testing.

20 Q. Right.

21 THE CHAIRMAN: The very low repeat reactive rate refers to
22 this scope for operator error and other matters of that
23 kind being more significant than the test itself and its
24 sensitivity or what? Why is it 0.05 per cent?

25 A. The 0.05 per cent is actually going to be a parameter of

1 the test itself and the reactivity of human plasma -- or
2 whatever you are testing, Lord Penrose, in the assay.
3 The IR, the initial reactive, is going to be the
4 parameter of the individual who is setting the test up
5 and the equipment that's used. That's the parameter
6 which is most susceptible to human inexactitude. By the
7 time you have got to the repeat reactive, it's
8 a parameter of the test.

9 THE CHAIRMAN: How is it that the human dimension, as it
10 were, has been removed at the repeat reactive stage?
11 Just because greater care is taken? Or a different
12 approach is adopted, or what?

13 A. In this day and age, mechanisation, robotic sample
14 processing -- use of the appropriate sample, robotic
15 sample processing and designing assays where washing is
16 again instrument, robotic-controlled, rather than human
17 hand-controlled, that has reduced the reactivity rates
18 induced by human activity to a bare minimum.

19 THE CHAIRMAN: Right.

20 A. Of course, we are talking back 25 years, when robotic
21 sample processing wasn't there.

22 THE CHAIRMAN: Well, indeed.

23 A. I think, I mean --

24 THE CHAIRMAN: But greater care must have been taken then at
25 the second stage.

1 A. We trained people. I don't think we do nowadays but
2 that's a different question.

3 MS DUNLOP: Just to go back, let's imagine a convention of
4 testing kit manufacturers and the person who is going
5 round looking at the different stalls and looking at
6 which one he is going to buy, is looking, I think you
7 said, for a kit that has a repeat reactive rate of about
8 1 per 1,000 of those tested. Is that right?

9 A. Yes, that is today.

10 Q. Right.

11 A. Yesterday or yesteryear one was probably more worried
12 about what's the sensitivity of this test on the first
13 hand, because we didn't know where the virus was and
14 secondly, what is the outcome of confirmatory testing
15 and how much confirmatory testing do you need, which is
16 not dissimilar from saying: we want as low repeat
17 reactive as possible but not so low that we don't detect
18 the real positives.

19 Q. Yes. Everything so far has been about the journey from
20 the left-hand side of your drawing to the mid point and
21 then, as the chairman says, we have to be sure that when
22 we read this again we can understand it and we are
23 going, I think, to have a photograph, but we need then
24 to move from the mid point of the diagram to the right,
25 and we can see we have a choice of directions to take.

1 We can go north, east, or southeast.

2 A. Well, we also can go in the middle, which is a horrible
3 phrase, which -- I mean, as we are going back a long
4 time. Philip Mortimer and I would not let anybody use
5 the word "equivocal". He said it was a disease that was
6 as important -- an infection that was as important as
7 HIV. "You are not allowed to use the word 'equivocal'.
8 You have to make a value judgment."

9 The reason for that was it's too easy to say,
10 "I don't know what it means," equivocal, and that
11 doesn't help the patient or the donor. So we tried to
12 force people -- I certainly would not ever in my unit
13 allow anybody to put "equivocal". I don't let people
14 put "equivocal" on anything. You have to make
15 a judgment.

16 THE CHAIRMAN: I know the problem.

17 MS DUNLOP: Yes. Please don't draw any equivocal because we
18 are content to accept your explanation for why that's
19 unacceptable. But if you could take us to confirmed or
20 non-confirmed and tell us what it is the purchaser of
21 the test kit is looking for.

22 A. Well, in an ideal world, which we don't live in, but
23 were we to postulate an ideal world, if a kit gives you
24 a positive result, you would want that to be confirmed
25 in by way and far the majority of the repeat reactive

1 samples.

2 Q. Yes.

3 A. And you would want it to be confirmed by an assay which
4 is objective, if possible, not a subjective assay,
5 something where you can say, "Okay, I have measured it
6 here, I have measured it here, that gives me
7 confirmation," or, "I have done something different."
8 Nowadays we use molecular tests -- to try and sort out
9 serology, we use a molecular test. That helps; it's not
10 perfect. That would give you confirmation that a person
11 is infected by or carries this marker, whatever this
12 marker is, that this marker is specific, and if it's not
13 confirmed, then you have the false positive camp -- the
14 southeast camp, which is the false positive,
15 unconfirmed, and the northeast, which is the confirmed.

16 Q. Yes.

17 A. And that is essential to do no harm when you introduce
18 a new test. The last thing you want to do is tell
19 somebody, "Oh, well, you have got a reaction for this
20 marker. It might mean you are going to be dead in
21 five years' time, it might be nothing and we don't
22 really know. We can't help, you, sorry, it's an
23 equivocal result."

24 That's the one thing you do not want. People don't
25 like uncertainty. It's better to have bad news than

1 live with massive uncertainty; it's even better to have
2 good news. And whichever the test is working, whether
3 it's a test for good news, a test for bad news --
4 uncertainty is a bad principle and you don't want to
5 have too much uncertainty. Back in 1984 everything was
6 uncertain.

7 Q. Yes.

8 A. But we wanted to remove as much uncertainty as possible.

9 Q. Yes. So, ideally, if, after a period of carrying out
10 tests, one has N , which is the number of repeat reactive
11 tests, the absolute number, then you would want the
12 number in the northeast corner to be as close to N as
13 possible?

14 A. Correct.

15 Q. Yes.

16 A. Taking the words that you said and turning them round
17 a bit, you said after a certain amount of time the
18 testing -- of course, back in 1984/1985 one of the best
19 ways of knowing what you were dealing was retesting the
20 patient because if the patient was in the not quite
21 negative zone and you retested them two or three weeks
22 later, if it was a real marker of an infection, they
23 would have moved into the reactive zone, and that was an
24 absolutely crucial feature. It's one of the benchmarks
25 that we have in serology, seroconversion, going from

1 being negative to being positive. That is a hallmark of
2 seroconversion and it is, if you like, a benchmark
3 standard, saying, "This person is now seropositive.
4 They were seronegative." And these repeat reactives at
5 the time -- and this was the substance of wanting to be
6 able to retest, if you like, as a reference laboratory,
7 to have access to bring people back, retest them and see
8 how many of these repeat reactives become seropositive.

9 Q. Yes.

10 A. So time gives you an answer as well as clever testing at
11 the first bite, the first time you have the sample.

12 Q. Right.

13 THE CHAIRMAN: That strikes me as being quite difficult
14 because it's a different kind of variable coming into
15 the question of the effectiveness of the initial test.
16 It doesn't relate to the efficiency of the test itself
17 so much as to the state of development of the condition
18 of the patient.

19 A. Well, Lord Penrose, I think you are right there but
20 I would plead my case in the following way: the only way
21 that you are going to put a value judgment on the repeat
22 reactive is either be extremely clever and
23 sophisticated, which we certainly weren't in those
24 days -- we didn't have the tools -- or allowing
25 a retest, what we did in the transfusion service in the

1 mid-1980s. We couldn't afford to lose many people on
2 these initial reactives. There were too many of them
3 with those people who were using the DuPont test. It
4 was a nightmare.

5 We actually engineered the way that the donor could
6 come back after six months and testing them in an
7 alternative assay, and if they were seronegative in the
8 alternative assay, (a) we knew that the first repeat
9 reactive was incorrect, and that fed back and told us
10 a lot about the repeat reactives, and also that the
11 donor was recoverable and could be readmitted to the
12 donor panel, which was desperately important for us but
13 under a different testing --

14 MS DUNLOP: Right. Suppose you have a test kit. Let's say
15 it's a type 1 test kit and there is a confirmatory test
16 applied, which is something like Western Blot --

17 A. Yes, I am listening, I can do two things at once.
18 I know I'm a boy.

19 Q. To go back to what it is the purchaser of
20 a three months' supply of test kits is looking for, say,
21 and the concept of N -- using the not particularly
22 efficient test kit, there is a big difference between N
23 for the number of tests and the number that, on
24 Western Blot checking, turn out to be confirmed. How
25 would that be expressed? How would the dissatisfied

1 purchaser go back to the manufacturer? He would say,
2 "I am finding ..."
3 A. " ... that most of your samples are -- you want the real
4 answer?
5 Q. Preferably.
6 A. I tell you what actually happened: they all went on to
7 Western Blot and what answer do you think we got then?
8 Q. I think you had better tell me. I don't want to
9 speculate.
10 A. "Equivocal."
11 Q. All right.
12 A. P24, P55 lines on Western Blot, two lines on
13 Western Blot, WHO recommendation, perhaps equivocal,
14 don't know. That's what happened and that caused
15 immense problems. Half of the DuPont repeat
16 reactives -- two thirds of the DuPont repeat reactives
17 threw up a P25, P55 and sometimes a P59, a duplex of
18 core high molecular weight and core low molecular weight
19 lines, and of course -- in fact in Western Blot there
20 are only two types of Western Blot that were any use:
21 multiple lines, all blue or completely white. It's
22 a lovely test but it's not a good confirmatory test.
23 Q. Right.
24 A. So if you bought a test from a manufacturer of the
25 antiglobulin format and even using Wellcozyme, any of

1 the manufacturers would have said, "You need
2 a confirmatory test, go and buy Western Blot."

3 In fact ourselves and Philip Mortimer and the PHLS
4 as a whole managed to get the UK out of the Western blot
5 mindset because we said, "The Western blot is nothing
6 other than an antiglobulin test." I will have to
7 explain that in a minute.

8 Q. Western Blot is expensive as well.

9 A. That's why we told people to cut them longitudinally, as
10 long as you validated that. You can get three
11 Western Blot strips out of a commercial one. If you are
12 Scottish, you might get four. I'm a Celt myself. So we
13 were cutting Western Blots, if only just to know what
14 was going on. We didn't use them in anger; we used
15 an algorithm of different assays.

16 Q. The reason, Professor Tedder, that I'm asking about the
17 language is that around the turn of the year 1984 to
18 1985 there are quite a lot of papers which rather
19 blithely talk about such and such a test having a false
20 positive rate of -- and I'm not sure whether all these
21 people who made these statements (a) were using
22 consistent language and (b) understood what they were
23 saying.

24 A. I think probably not. You actually need to go back into
25 the paper and you need to think about initial reactive,

1 repeat reactive and the confirmatory outcome. One of
2 the things which an epidemiologist will say is, "What is
3 the positive predictive value? Okay? We haven't
4 (inaudible) about this, the positive predictive value of
5 this test, and that is: the positive predictive value
6 is, you take a population, you test it, you get the
7 repeat reactives. What proportion of those repeat
8 reactive signals are actually predicting that this
9 person is infective? So that's a positive predictive
10 value, and I don't think people were using
11 necessarily -- you would have to go through the
12 literature and retranslate it into IR, RR, confirmed,
13 and then work out the positive predictive value to get
14 everything right, because the positive predictive value
15 of the anti-globulin test was low, the positive
16 predictive value of a competitive test was high.

17 THE CHAIRMAN: We have got the terrible problem, of course,
18 that not all the authors had the same professional
19 background. We have got people writing from different
20 points of view at about the same time and not
21 necessarily understanding each other's disciplines.

22 A. Serology is a dark art even now and people don't use the
23 same terminology. In our paper I don't think we use the
24 term "positive predictive value". It is certainly
25 nowadays what an epidemiologist would talk about,

1 a marker. What is the predictive value of that
2 actually, telling you that it is real? Depending how
3 you are using the test, what's the negative predictive
4 value of it, you know, telling you that something
5 actually isn't there, and what's the sensitivity. The
6 sensitivity is if you take a group of people who have
7 the disease, you put the test on to it, our sensitivity
8 was 97 per cent, 32 out of 33.

9 Q. Yes.

10 A. Something like that. It would be about 97 per cent.
11 Then, of course, you have got the question, was that
12 actually an AIDS patient who genuinely had AIDS or was
13 it some other condition in the risk group who was
14 seronegative? I don't know. I suspect it was probably
15 that.

16 Q. To go back to the concepts of N , being the number in the
17 middle, and then the number in the northeast corner, if
18 the number in the northeast corner is the same as N ,
19 which is the number in the middle, then your positive
20 predictive value is 100 per cent, is it?

21 A. Correct, and the best is N equals C equals 100 per cent.

22 Q. Yes.

23 A. Life is never like that but that would be nice, wouldn't
24 it?

25 Q. Yes. With that digression into terminology, you were

1 going to tell us at a pretty basic level, if you would,
2 please, how --

3 THE CHAIRMAN: By "basic", you mean "simple", rather than
4 "basic".

5 MS DUNLOP: Thank you. It seems I can't even get the
6 adjective right.

7 At a pretty simple level how the test kits developed
8 in the United States worked, what the technology was,
9 and then we will go on and look at the difference
10 between that technology and your technology, the
11 competitive technology.

12 A. Okay. We have in any of these assays a solid phase, and
13 the solid phase is usually plastic, a polystyrene well,
14 a polystyrene bead, polystyrene microparticles,
15 a plastic solid phase which has been extruded, which
16 will absorb protein on to it.

17 Q. Right. So it's a piece of kit, it's in the serologist's
18 tool kit and it's generally a piece of plastic or a lot
19 of small beads of plastic, something in that form?

20 A. Or a 6-millimetre bead, if it's the Abbott test.

21 Q. And that's what we should understand by "solid phase"?

22 A. Yes.

23 Q. Good.

24 A. In the American-style assay you absorb on to the solid
25 phase viral antigen.

1 Q. Yes.

2 A. You have a solid phase coated with viral antigen. You
3 make an assumption. The first assumption that's made is
4 that this is pure and that the only stuff that sticks on
5 the solid phase is virus antigen. Okay?

6 Q. Yes.

7 A. You then have a first incubation and you put over that
8 test serum. Okay? In the antiglobulin test it's test
9 serum probably diluted 1 in 10 to 1 in 100. If you put
10 it on too strong, you get too much non-specific sticking
11 because the serum proteins will stick on other sites in
12 the plastic. If you make it too weak, the signal will
13 be too small. So you are on a little bit of an edge
14 with getting enough on there to detect the positives but
15 not so much that you get --

16 Q. Right. And for our little worked example test serum is
17 a sample from patient X in San Francisco, let's say?

18 A. Yes, can we have "a patient X from San Francisco and
19 a blood donor from North London," because that gives you
20 your two extremes. That gives you somebody you suspect
21 to be positive and somebody you suspect to be negative.

22 Q. Let's start with patient X in San Francisco then.

23 A. Okay, your test serum is incubated and then washed, so
24 you now have the solid phase with the virus antigen. We
25 are now talking about the San Francisco patient. The

1 San Francisco situation is this: solid phase, virus
2 antigen, and we have lots of antibody stuck on there.
3 Okay? You don't know it because you haven't asked the
4 bead or the solid phase what has happened to it, but
5 I can tell you that the virus antigen is now coated with
6 antibody.

7 Q. And that's because the sample has been poured in the
8 laboratory over the solid phase?

9 A. Incubated over the solid phase at a dilution. Given
10 time for the antibody to stick, the antibody has stuck
11 to the virus antigen. We then have a second incubation,
12 which interrogates this mixture and says, is there
13 antibody on there? And the second incubation is now
14 with a marker called "antiglobulin", which in this case
15 is probably a rabbit or a guinea-pig that has been
16 immunised with human immunoglobulin, human antibody
17 protein, made a very high titre reactive sample and if
18 the antiglobulin then binds -- I'm going to use the
19 antiglobulin and I'm going to mark it in red because
20 that is the signal -- it will stick on there and carry
21 with it the marker.

22 So when you wash everything on the second
23 incubation, you are left now with a complex in the well
24 of the plastic surface with the virus, on top of the
25 virus is the patient's serum from San Francisco, on top

1 of the patient's serum antibody, which is bound, is the
2 rabbit antihuman, which is either glowing in the dark,
3 if it's chemofluorescence, producing colour if it's an
4 ELISA, or producing radioactivity if it's
5 a radioimmunoassay.

6 The difference between the radioimmunoassay, the
7 chemiluminescence assay or conventional ELISA is trivial
8 in one sense. All it is at that revealing agent which
9 tells you that the antiglobulin has bound on the solid
10 phase. That is the American assay that the five
11 companies ran with, purified virus antigen -- "purified"
12 in invert commas -- on the solid phase, first incubation
13 of a diluted serum for testing, second incubation of the
14 solid phase now with an antiglobulin, and if there is
15 antibody bound, the antibody binds and gives you
16 a signal.

17 Q. I think it's that last bit that certainly I could do
18 with a little bit more explanation of. Why does the
19 serum from the rabbit in this example stick to the combo
20 of the patient's serum and the virus?

21 A. Because the rabbit has been injected repeatedly with
22 human immunoglobulin.

23 Q. Right.

24 A. That is the immunoglobulin fraction. This is the
25 antibodies against anything fraction from you, from me,

1 from anybody in this room, put into a rabbit,
2 repeatedly. The rabbit produces its own antibody, which
3 will recognise human immunoglobulin.

4 Q. Okay.

5 A. So where the human immunoglobulin binds to the virus on
6 the solid phase, that will pull down the rabbit antibody
7 and that will signal.

8 Q. Yes, okay. So the rabbit immunoglobulin is sending out
9 a signal that it has found the human antibody bound to
10 the virus?

11 A. Correct.

12 Q. Right. That signal can be a radioactive signal?

13 A. Correct.

14 Q. In which case you have an RIA, a radioimmunoassay test?

15 A. Correct.

16 Q. Or it can be a dye, which is what's used in the ELISA?

17 A. No, it's an enzyme.

18 Q. Sorry, an enzyme.

19 A. It's actually horseradish. Horseradish produces a very
20 high level of enzyme, horseradish peroxidase, and that
21 will generate colour.

22 Q. I have seen the references to horseradish, and of course
23 that's the attraction of the familiar in an otherwise
24 unfamiliar world. But I suspect that it's false
25 comfort. It is not what I have with my roast beef.

1 A. It is but it's highly purified, it won't taste very
2 good.

3 PROFESSOR JAMES: Abbott lab's genius was to introduce
4 a touch of garlic into the horseradish.

5 MS DUNLOP: In an ELISA, the signal is coming from the use
6 of an enzyme which might be from horseradish.

7 A. It is usually from horseradish, it can be alkaline
8 phosphatase as well.

9 Q. How does the enzyme send its signal?

10 A. If the enzyme is captured on to the solid phase, because
11 it's linked to the rabbit, the enzyme will then do one
12 of two things, depending on how -- if you say to the
13 enzyme, are you there, the enzyme will say, yes, and you
14 are asking if it is there by giving it something to
15 chew, which goes coloured. That's the most
16 conventional.

17 The slightly less conventional is if you give it
18 something to chew, like the back end of a firefly, you
19 use luciferase or something like that. You use
20 a light-emitting assay, and it glows. So it either
21 glows or it makes something go brown or something go
22 blue or something go yellow, depending which way you
23 ask.

24 Q. Before we have our morning break, I think you should
25 explain to us now the same process but using the London

1 blood donor. We could perhaps have an Edinburgh blood
2 donor, since that's where we are.

3 A. I don't mind, a British blood donor. Let's be
4 politically correct.

5 Q. A British blood donor, fine.

6 A. Can I, just before I do that, I'm just going to put down
7 here what doesn't happen if you put the British blood
8 donor in. The antibody doesn't stick and when you put
9 the antiglobulin in -- sorry -- that doesn't stick
10 either. So the difference here is, if it's positive,
11 your well goes dark. If it's negative, your well goes
12 colourless. Antiglobulin gives you a signal, you get
13 a dark well, no binding of the antiglobulin, no binding
14 of the rabbit on the human on the virus, it's
15 colourless.

16 THE CHAIRMAN: One slight concern I have about that is that
17 in the second of the two situations you say, "Both the
18 antibody doesn't stick", and I think I can follow that.
19 You also said, "And the antiglobulin doesn't stick
20 either". Why should it if there is no antibody there?

21 A. No, it doesn't. But it does in the first.

22 THE CHAIRMAN: It cannot stick independently, in other
23 words?

24 A. Well, if you make a good test, it doesn't stick
25 independently. That's the addition of the garlic, which

1 is so important.

2 THE CHAIRMAN: Are we taking the garlic seriously for this
3 purpose? An additional element of some kind, then?

4 A. It's not garlic but there are a whole series of
5 proprietary materials which are put into these labels,
6 saponin is a plant extract, for example, which is
7 a biological extract, which is extremely difficult to QC
8 but is absolutely essential in some of these assays to
9 get the background, to stop non-specific sticking. Not
10 quite garlic. Sorry, we digress.

11 MS DUNLOP: I think this is a logical extension of where we
12 have got to. We are not yet looking at competition
13 formats but in this form, if we think of the -- this is
14 just a quote from the Crewdson book, it is not
15 particularly attractive but the staid German matrons,
16 the group of people who had a high rate of positives,
17 any group of people who had a high rate of positives,
18 who were not in fact HIV positive, can you explain to us
19 what had gone wrong in the sequence?

20 A. Okay, I think the best group that I would use as an
21 example was a publication by Carl Saxinger and Bob Gallo
22 in 1985, which purportedly showed that 85 per cent of
23 young children who had been bled during a malarial
24 epidemiological survey on the west bank of the Nile,
25 Ugandan children who had been bled, were seropositive

1 for HTLV-III B. Arrant nonsense, and has never been
2 retracted, which is an awful shame because those of us
3 who then went and worked with colleagues in countries in
4 Africa, we were continually being asked, "Why should we
5 trust you, given what has happened and you got it wrong
6 with the Ugandan children?"

7 I can explain what happened. I'm not going to draw
8 it on here but I will use the illustrations, bearing in
9 mind that we have got to get the sense on to the record.

10 If we come to the assumption which I said about the
11 solid phase, which is that the only proteins on the
12 solid phase are virus-driven, that was an assumption
13 which was obviously incorrect. The H9 cell is
14 a lymphoblastoid tumour line, which supports HIV
15 replication very efficiently, but it has a lot of
16 signalling proteins in the surface of the cell and when
17 the virus pushes through that cell membrane to get out
18 of the cell, which these retroviruses do -- it is what
19 we call "budding". So the virus buds through the
20 membrane and becomes nipped off. It carries into its
21 membrane, as an integral part of its membrane, a whole
22 series of cellular proteins.

23 So on a priori evidence, we know that the viral
24 antigen on the solid phase is not only viral antigen, it
25 has lymphoid cell antigens in it as well. It will also

1 have components of the cell culture, probably absorbed
2 on the envelope. It will probably have a bit of bovine
3 serum albumin in there. It may have lipoidal antigens
4 in there. If you have a bacterium or a microplasma,
5 let's say you had one of these very small microbial
6 elements in your culture, it would get on there as well.

7 So you have a false assumption that everything on
8 there is real. So that's the first problem.

9 Q. So the virus is not pure. You are not coating the solid
10 phase with pure virus?

11 A. You are coating it with pure virus plus a lot of other
12 stuff --

13 Q. I should have said: only pure virus, yes?

14 A. We have got gubbins, whatever the gubbins is. You have
15 got a lot of other material on the solid phase.

16 The second assumption you make is that the
17 interaction between the test serum antibody and the
18 virus is specific. I have already said that you have to
19 do this at a dilution, which prevents too much of the
20 antibody being trapped on the solid phase through
21 a non-specific interaction.

22 Serum is sticky and some antibodies in some
23 situations, the family of antibodies that you have in
24 your plasma is more non-specifically sticky than others.
25 Post-surgery, post-acute infections, post-malaria,

1 antibodies become non-specifically, as a phenomenon in
2 the plasma, more sticky. So you have two reasons for
3 materials sticking on to the solid phase. Firstly that
4 the viral antigen isn't pure, there is lots of other
5 material in there, and secondly that the test sample
6 itself may be inherently more sticky than others.

7 Q. Yes.

8 A. So when you -- depending on where your test sera come
9 from, if it's an antenatal woman, or a multiparous
10 female, a woman who has had many children, she will have
11 HLA antibodies defined by what her conceptors, the HLA
12 mapping of her conceptors, which is half her husband's
13 HLA genes. So she will have a whole range of
14 antilymphocyte antibodies, which is actually one reason
15 that we don't use female donors to make immunoglobulin
16 production.

17 Q. Because pregnant women have to manufacture antibodies
18 against the part of the child --

19 A. They do, yes.

20 Q. -- which comes from the man in order to sustain the
21 pregnancy.

22 A. And her HLA epitope profile can damage the recipient of
23 her blood donation. Blood donation -- we take most of
24 the plasma away nowadays, but if you are making a plasma
25 product, you tend not to use female donors because they

1 have these antibodies.

2 So if you go into a population of multiparous women
3 in an African country, you will get a lot of false
4 positive signalling, and if you don't do your
5 Western Blots properly -- and in that original paper
6 I don't think they did Western Blots -- you would say,
7 "There is a lot of seropositivity, it must be real".

8 If you go into a group of children who have had
9 malaria with sticky plasma, you will end up saying that
10 85 per cent of young children in 1965 in Uganda were HIV
11 infective, which is arrant rubbish.

12 With the competitive RNIA we did a population of
13 Zairean mothers, taken in the late 1960s, early 1970s,
14 and we got one in 2,000 or 2 in 20,000 seropositive, and
15 everybody else was claiming 50 or 60 per cent
16 seropositive. So we were able to differentiate very,
17 very quickly, the real reactives from the false
18 positives.

19 Q. Right.

20 A. Do you want me to move to the competitive and then you
21 have your coffee break? I don't want to lead counsel.

22 Q. I obviously have to defer to the chairman.

23 Should we stop now?

24 THE CHAIRMAN: I think we should probably stop at this point
25 because -- I'm not quite sure now how to express it but

1 THE CHAIRMAN: That's fine. I don't think I need to know
2 more. It's just at my very simple, if other than basic,
3 level, I think the important thing is that you have
4 a degree of variation within the testing protocol that
5 gives you the extra assurance that you are not simply
6 doing the same thing over again.

7 Ms Dunlop, I'll leave it to you to decide whether to
8 follow it.

9 MS DUNLOP: Thank you.

10 We were going to move straight to the idea of the
11 competitive assay, if we could, please, professor, and
12 you were going to explain that to us in similar fashion.

13 A. My microphone will follow me.

14 All right. If one looks at the September 1st paper,
15 I will actually take you through how we did it according
16 to the recipe on the paper.

17 Q. I think we have all got that in front of us. Yes, we
18 have.

19 A. Okay. The method here differed from the American
20 antiglobulin assay in a number of respects. They
21 purified the antigen and let it stick on the solid
22 phase. We actually used a high titre sample from
23 somebody who was infected, to coat the solid phase. So
24 we put their antibody on the solid phase, knowing that
25 their antibody would then pull down virus antigen. So

1 we used an indirect coat on the solid phase for virus
2 antigen onto the plastic. Do you follow me so far?

3 Q. Yes.

4 A. That gave us an advantage in the sense that we didn't
5 have to have highly purified virus, we could just use
6 the material from the cells, where there was an awful
7 lot of antigen which was yet to bud out of the cells.
8 We could take a culture at the time that the virus had
9 grown in the cells, spin the cells down, fracture them,
10 spin out all the cell debris and you get left with an
11 extract, and that is what we used to put over the
12 antibody, to put the antigen on the solid phase, and
13 that's the method that we used.

14 Q. Right.

15 A. Now, we then used the same antibody as on the solid
16 phase. We used that as a labelled ligand. So here is
17 anti-HTLV-III, same as on here, and we used that as
18 a label.

19 Now, I'll explain what I mean. This is where your
20 horseradish peroxidase was put on, and this is the
21 antibody, which in some of the papers is the antiserum
22 which Wellcome were working with. We originally used it
23 as a radio label. So I'll put a different -- instead of
24 putting "horseradish peroxidase" we put "125 iodine" on
25 there.

1 So that was the radioimmunoassay version but the
2 commercial firms wanted an ELISA because it's safer to
3 manufacture, it's more stable, it doesn't have the shelf
4 life problems of 125 iodine. So the same antibody was
5 conjugated by our colleagues in Wellcome with
6 horseradish peroxidase.

7 Q. You have just answered a question, professor, which
8 arose from the paper and makes me feel very dense
9 because the "125" is shown in superscript, and of course
10 you look in vain for a footnote with some sort of
11 reference "125", but that's the significance of the
12 "125I"?

13 A. Yes.

14 Q. Yes.

15 A. Radioisotope 125.

16 Q. So that's radioactive iodine, which you are attaching to
17 the antibody?

18 A. Correct. So it carries with it its own revealing agent
19 which you measure in the gamma counter.

20 Q. Right.

21 A. Okay. This all happens in one and only one incubation.
22 So whereas we have in the antiglobulin a first
23 incubation and a second incubation, in this there is
24 only incubation. And it is a mixture of your labelled
25 ligand and your test serum.

1 Operationally, that has two advantages: the volume
2 that goes into here is a single addition of undiluted
3 plasma or serum. You don't have to pre-dilute. And the
4 incubation is simultaneous. So after a set period of
5 time -- and I would have to defer to how we did it in
6 1984 and look at the method -- I can't remember but
7 I should think it was probably a couple of hours at room
8 temperature.

9 I'm hoping counsel will tell me.

10 Q. I'm hoping I can find it. (Pause)

11 You placed your antigen -- you incubated it for two
12 to three days at room temperature.

13 A. The last paragraph, the mixture was incubated overnight
14 in the wells. So we did a long incubation. We
15 subsequently, in the enzyme immunoassay, we could cut
16 the incubation down to 30 minutes to one hour at an
17 elevated temperature. So it gave you tremendous
18 compaction of the assay.

19 What happens in the competitive assay? Shall we go
20 to the UK blood donor first?

21 Q. Yes, before we do -- this is probably a defect in my
22 English rather than my science, but the concept of
23 a ligand; what is a ligand?

24 A. It is something which interacts with a third party.

25 Q. Right.

1 A. Usually one talks about a ligand in an immunoassay as
2 something which has a detector on it which gives you
3 a signal.

4 Q. Okay, thank you.

5 A. If we come to --

6 THE CHAIRMAN: Sorry, is that doing the same job then as the
7 antiglobulin going in?

8 A. Yes.

9 THE CHAIRMAN: It is.

10 A. Yes. That is your -- "revealing ligand" would be the
11 technical term. The revealing ligand here is the
12 horseradish peroxidase or the 125 labelled
13 antiviral/antibody.

14 If we move first of all to the blood donor, who is
15 the negative, there is no competition between the test
16 serum and the horseradish peroxidase or the radio label.
17 So here a lot of ligand binds on to the antigen and you
18 get colour. So in this case your negative --

19 Q. Or radioactivity?

20 A. Or radioactive. Yes, it glows in the dark.

21 Q. Yes.

22 A. If on the other hand the San Francisco sample is put in
23 here, if the San Francisco sample is put in here, the
24 high amount of unlabelled antibody binds and your well
25 is coloured. So you have a complete reverse of the

1 signalling.

2 In the antiglobulin assay, if the ligand binds, you
3 have colour and you are antibody positive.

4 Q. Yes.

5 A. In the competitive assay, if the ligand binds, you are
6 coloured but you are antibody negative because you have
7 no blocking antibodies to prevent the ligand binding.

8 Q. Right.

9 A. It's turning the signalling round the other way. To go
10 from negative to positive in the antiglobulin, you go
11 from colourless to coloured. In the competitive,
12 single-step assay, to go from negative, which is
13 coloured, positive is colourless.

14 Q. Yes.

15 A. Now, the control which you can bring to the interaction
16 between the ligand and the viral antigen is open to all
17 sorts of manipulations with reagents, which are very
18 difficult to achieve here in the antiglobulin test
19 because each serum has its own characteristics.
20 A competitive test is inherently more specific.

21 The criticism that was levelled against us in the
22 1980s was competitive tests are not sensitive, but you
23 get round that by putting neat plasma into here. There
24 is much more plasma or serum goes into a competitive
25 test than goes into an anti-globulin test. So you

1 trade-off the reputed lower sensitivity by putting more
2 serum in, which doesn't alter the specificity of the
3 signal. If you put more serum into the antiglobulin
4 assay, you have higher backgrounds and a higher rate of
5 false positivity.

6 Q. Just to see if I'm following this, the perceived problem
7 with sensitivity of the competition format was that for
8 someone who was weakly positive, perhaps, it might not
9 work, and you are saying that the response to that is
10 a quantitative one; you can put more serum in, which
11 increases the chances of a positive result?

12 A. That is correct.

13 Q. Yes.

14 A. And I think this was one of the reasons that none of the
15 American firms were interested in taking the risk.

16 The video -- their view was, "You won't make it
17 work," and our view was, "Well, we know it works for
18 HTLV. We predict it will work for HIV, HTLV-III B,
19 HIV," whatever we called it in those days. And it did
20 indeed work and it still is, paradoxically, a very good
21 test. The reason it is not used any more is we have
22 a sister virus out there. We have HIV-2. And the
23 specificity that you get with a competitive test is so
24 great that it's not terribly good at recognising HIV-2,
25 which is an awful nuisance, but such is life.

1 Q. Right.

2 A. At that time we knew not about HIV-2 and we were just
3 concerned with the pandemic HIV.

4 Q. Yes. So Professor Weiss yesterday was saying he wasn't
5 completely sure if it was correct to use the verb
6 "dislodge" in relation to the competition assay, but it
7 sounds from your description as though "dislodge" is the
8 correct verb?

9 A. Well, "dislodge" would imply that it had already bound
10 and was being kicked off.

11 Q. Right. So it's preferential binding, as it were?

12 A. It's --

13 Q. One binds and the other doesn't?

14 A. It's competition with.

15 THE CHAIRMAN: Differential binding?

16 A. Yes, it's because there is a lot of cold antibody in
17 people who are infected and you reduce the amount of
18 labelled antibody. Your stoichiometry is that you have
19 a thousand-fold or ten thousand-fold excess of cold
20 antibody over hot antibody. So the hot antibody does
21 not get a chance to bind. So it's competition with, and
22 that's why we --

23 THE CHAIRMAN: I think stoichiometric modelling is a bit
24 much for us this morning but I would like to understand
25 it, as I think Ms Dunlop would.

1 So if we go back to the right-hand column, you have
2 introduced the ligand as part of your general soup, your
3 general mixture, going in and at that point what is
4 adhering to the solid phase is the viral antigen that
5 has adhered to the antibodies originally inserted. You
6 have now introduced a sample from the target patient, or
7 whatever it is, and something added to it, which would
8 either be the radioactive or the chemical factor or
9 whatever one cares to call it, and those two things are
10 confronting the virus antibody?

11 A. The viral antigen.

12 THE CHAIRMAN: The viral antigen --

13 A. They are competing amongst themselves to get onto the
14 viral antigen.

15 THE CHAIRMAN: To get onto it.

16 A. That's why I say "competition" rather than
17 "displacement".

18 PROFESSOR JAMES: Can I draw you an example of a football
19 ground with five entrances. In the negative example,
20 the blood donor, there are five people who have got the
21 label on them, each of whom, in a timely fashion, can
22 get through one of the entrances to get into the ground.

23 Now, in the positive person it's equivalent to
24 introducing 10,000 people to the five, so the odds of
25 those five getting through the turnstiles, that will

1 only take one person at a time, become much, much lower,
2 and they are left outside the ground with the other
3 people.

4 That would be a way of describing it, wouldn't it?

5 A. Yes, and if you make it even more graphic than that,
6 let's say there are only 100 seats. Your chances of
7 getting one of your signalling individuals, if they have
8 to compete with 1,000 to get onto the 100 seats, is ten
9 to one against.

10 THE CHAIRMAN: I'm never good with football analogies.

11 A. Well, a test match, you know, trying to get into Lords.
12 The Olympics, maybe, is an even better one.

13 MS DUNLOP: I must say, I'm thinking of Total Wipeout and
14 people struggling to get onto inflated wet devices, and
15 one gets on and another one doesn't. That's my image.
16 Perhaps we have all got our different mental pictures.

17 A. I like the term "competition".

18 THE CHAIRMAN: Coming back to competition, you have two
19 bodies of competitors, trying to make a connection with
20 what is there already. If you have an infected sample,
21 it's going to make the connection and give you
22 a colourless outcome.

23 A. Yes.

24 THE CHAIRMAN: If there is no infection in the sample, your
25 radio, or whatever element, will make the connection and

1 you get a discoloured result. Is that too simple?

2 A. That is correct. And that's true for many different
3 antibodies to many different viruses and it's a jolly
4 good way of making assays.

5 MS DUNLOP: Yes.

6 THE CHAIRMAN: Except that unfortunately you can't get HIV-1
7 and 2 on your solid phase at the same time.

8 A. You can do.

9 THE CHAIRMAN: Oh, you can do.

10 A. But it's rather clever. You have to have an enzymatic
11 cascade where you need both components to give you
12 a signal and if you knock off the HIV-1 component or the
13 HIV-2 component, you can make a competitive assay which
14 will detect both moieties but --

15 THE CHAIRMAN: Have you got a patent specification in for
16 that yet?

17 A. We discussed it and we felt it was -- is this an open
18 meeting by the way?

19 THE CHAIRMAN: You mustn't go too far. It is an open
20 meeting but I think we know that there was a certain
21 amount of sensitivity at an earlier stage so far as this
22 was concerned?

23 A. Yes. Too many things are said can't be done but can be
24 done if you --

25 THE CHAIRMAN: We don't want any prior publication here of

1 matters that might disadvantage you.

2 MS DUNLOP: Right. So we have the explanation that's in the
3 paper of how a competitive assay works and we also now
4 have your explanation in the transcript, and we will
5 have the diagram as well. Perhaps using a combination
6 of all of these, or whichever one appeals to any
7 individual person the most, we will be able to retain
8 the information.

9 I would like, if I may, to go back to the question
10 and answer papers, and I think we have covered most of
11 your answer 3. So can we go back to [\[PEN0171831\]](#),
12 please? I think in the second paragraph you explain how
13 to make a competition assay, the highly selected plasma
14 from infected individuals.

15 Lysis is the breaking down of cells. Is that
16 correct?

17 A. Splitting and opening of cells.

18 Q. Yes. You have clarified the offer by the French group.
19 I think this was because we were asking about the access
20 to the French virus early in 1984, and Professor Weiss
21 explained to us that there wasn't really any particular
22 reason why in June and very early July 1984, you were
23 using the HTLV-III B rather than LAV, which was also
24 present.

25 A. It makes -- it makes little difference.

1 Q. Yes. I think we had wondered at an earlier stage
2 whether use of the French virus would have avoided the
3 problems with the American Department of Health and
4 Human Services, but since you have told us that that
5 didn't result in a delay anyway, the question is
6 probably academic.

7 Just before moving on, I think I should have picked
8 up your comment on page 1 that things might have been
9 different if you had had access to the French culture in
10 1983. Are you simply meaning by that that everything
11 would have been more advanced time-wise?

12 A. I mean two things. Yes, we would have been six months
13 ahead of where we were in September 1984 in terms of the
14 early epidemiology. We might have had a British
15 isolate, a UK isolate, much earlier. We might have been
16 able to work with commerce much earlier.

17 As a scientist, it grieves me that we lost six to
18 nine months on the field. Had we been publishing the
19 1984 September paper in January 1984/February 1984, we
20 would have presaged the entire Gallo and Montagnier
21 disclosure in the Science paper of May 4th. We would
22 have not only demonstrated the virus, in reality we
23 would have had the break on epidemiology. And
24 I really -- I look back and some things happen and some
25 things don't. This young man carrying a bottle of LAV1

1 in his hand, nobody to meet him, leaving it in a lock-up
2 on Waterloo Station, such are things fairy stories are
3 written about, you know? Such is life.

4 Q. Right.

5 A. I still weep about it. But, you know, we didn't do
6 badly in the end.

7 Q. You do explain at the end of your answer 3 that you made
8 contact with the five firms which were licensed in the
9 United States. I think actually licensed by the
10 American Government to develop tests. But none of them
11 was prepared to work with you and that was exasperating
12 because they were discarding large amounts of -- well,
13 antigen, which you could have used.

14 A. All the cellular components, which is what we worked
15 with, were autoclaved and poured down the drain, and
16 they were dealing with fermenters of 1,000 litres at
17 a time. About six months to a years' worth of antigen
18 for the whole of the UK in the assays that we were
19 using. Again --

20 Q. Why, if you are able to tell us, were the reactions so
21 negative?

22 A. I believe that their terms of engagement with NCI
23 through the US Government were such that it was an
24 exclusive arrangement to access and use that material,
25 and to have a third party attached to that agreement

1 would have been at the very best difficult. And I think
2 there was also, as I have said, the comment, "You can't
3 be serious doing this with a competitive assay, it won't
4 work".

5 Q. Yes. So scepticism and contractual fetters really?

6 A. I think the other -- I would say contractual features
7 and scepticism. I would put it the other way round.

8 Q. Going on to paragraph 4, I think we recognise the
9 information that you are communicating there about
10 timing, and you did allude earlier to some -- perhaps
11 calling it "difficulty" would be putting it too high but
12 there was dialogue between yourselves and Porton Down
13 about how exactly they were going to work. Is that
14 correct?

15 A. Yes, it was -- I mean, I think to be fair, they were
16 scaling up on a large-scale. We had a protocol of using
17 a mixture -- a large volume of infected cells with
18 a moderate but high density of uninfected cells,
19 incubating that for three or four days, taking the
20 material from the cell pellet. And I think they -- as
21 far as I can recall -- I know that a number of batches
22 came up which were singularly ineffectual in the assay
23 that we used.

24 I think, looking back on it now, the conditions of
25 culture which they used encouraged the virus to come out

1 into the supernatant, whereas the protocol of high
2 density pass that we used, got a lot of virus
3 replicating in the cells but before it was passed out,
4 and that was ideal for us and we -- you know, in
5 retrospect now all we knew was we had a protocol that
6 worked, and if you didn't follow our protocol, virus
7 presumably was shed by the cells and wasn't retained in
8 the cell pellet. And there were some early, fairly
9 frank discussions in the beginning of 1985 as to why on
10 earth was another batch of antigen not working.

11 Q. Right. I think we also understand from other
12 information that there was a change from using radio
13 signalling to the ELISA form of test in your process as
14 well, and perhaps if you could just encapsulate for
15 us -- a number of others have done this -- why at this
16 time people were moving from RIA to ELISA?

17 A. Radioimmunoassays have a biological risk; there is no
18 safe amount of additional radiation you can give
19 a human. They also have a problem. The half-life --
20 and that is the amount of radioactivity on your
21 ligand -- drops from 125 to -- I think the half-life is
22 about 31 days/30 days. So every month your efficacy in
23 terms of signal generation by your label drops by
24 50 per cent.

25 So a radioactive label, although it's terribly easy

1 to make and it's very sparing of the protein that you
2 iodinate -- that's putting the iodine on. One can do it
3 in a laboratory, it's very easy -- it's not a good idea
4 for a widespread proselytization of assays into the
5 community.

6 We were heavily involved -- when I say "we" that's
7 generically, the virus department at the Middlesex
8 Hospital. We supported the Blood Products Laboratory,
9 radioimmunoassay for Hepatitis B antigen, and all the
10 technology that BPL had for making those reagents came
11 from my colleague Dr Cameron, in our department. And
12 it's very easy to do that.

13 Q. Yes.

14 A. Because of the concerns and the global move to enzyme
15 immunoassay which was occurring at the same time, it
16 seemed to be -- once we had elected to work with the
17 British diagnostic industry, or indeed the global
18 diagnostic industry, it would have been very difficult
19 to run against the global move away from
20 radioimmunoassays.

21 There were already questions at this time of what
22 was going to be the long-term future for the BPL RIA.
23 And as I think I say somewhere, I discussed this at some
24 length with John Patterson -- Sir John, who was then my
25 dean at the medical school, and trying to work out what

1 was the best way of moving things forward quickly. It
2 seemed to be to espouse collaboration with industry and
3 also to move away from radioimmunoassay.

4 Frankly, I was quite glad to get away from
5 radioimmunoassay because at the time I was having to
6 make all the radio ligands.

7 Q. You do mention this at a couple of points in your
8 response and I think we have picked up from our
9 references that there was, within the National Blood
10 Transfusion Service, certainly in the second half of
11 1984, a wish to have an RIA. I suppose because that was
12 what they were familiar with, and indeed also, in some
13 minds, a hope that BPL could make the test kits. And of
14 course, neither of these things came to pass. Do you
15 remember that being people's hope or expectation?

16 A. Well, I do. I mean, they had a radioimmunoassay.
17 Having said that, it was a much more robust
18 radioimmunoassay than our radioimmunoassay, and the only
19 way we could make the radioimmunoassay signal well, as
20 we said in the September paper, was an overnight
21 incubation and that was a constraint which wouldn't have
22 fitted terribly well with rapid donor screening.

23 Q. Yes.

24 A. And the advantage of the EIA, there is no biological
25 hazard in bumping up your ligand concentration to get

1 your signal quickly. And in fact if you drive the
2 reaction in an EIA, you do not have the hazard of
3 everybody glowing in the dark because there is too much
4 radioactivity around.

5 So we preferred to move from radioimmunoassay to the
6 EIA, to the ELISA, because we had already seen, towards
7 the end of that year, working with -- the end of the
8 year and the beginning of 1985, working with
9 Julian Duncan and Charles Corker's laboratory at
10 Wellcome.

11 He was preternaturally able to stick enzymes on to
12 any protein and he was brilliant at making these enzyme
13 ligands, and when we started experimenting with that, we
14 took a rather frail radioimmunoassay -- although, a good
15 immunoassay as you saw from the paper -- and made it
16 into something which worked very quickly in
17 a simultaneous incubation and gave us very tight, clean
18 results. And just technically, it was easier to make
19 the test into a good performer by EIA rather than
20 radioimmunoassay.

21 And if we were going to go down an EIA pathway, the
22 only way we could do that, with the best will in the
23 world -- neither we at the Middlesex, nor BPL had the
24 technology to make excellent horseradish peroxidase
25 ligands. There is a lot of infrastructure you need to

1 get the coupling between those two proteins.

2 Q. There has been reference to a meeting -- I suppose
3 termed by some a "secret meeting". Let's just call it
4 a "confidential meeting" -- around the turn of the year,
5 I think it must have been, 1984/1985, involving the
6 Department of Health and Social Security, yourself,
7 Professor Weiss and representatives of Wellcome. Do you
8 have any recollection of a particular meeting and was it
9 to address these very issues?

10 A. No, I don't. I would have been slightly surprised.
11 I have no recollection of that. I do recall having two
12 or three meetings with Richard Lane and CBLA and BPL,
13 talking about the radioimmunoassay and then eventually
14 having to let them down and say, "We don't want to do
15 a radioimmunoassay, we are going to run with Wellcome".
16 Unless there are papers to the contrary -- and they
17 may well correct me -- I don't remember even
18 a tripartite meeting like that. It would have been
19 a little bit strange to have a manufacturer who is going
20 to take an assay from a research department, sitting
21 with the DHSS.

22 Q. Yes.

23 A. There certainly was no conspiracy.

24 Q. No. Thank you.

25 A. I am afraid I have thought and unfortunately I don't

1 have the papers. There would have been many discussions
2 involving various combinations of those parties, but
3 essentially my relationship with DHSS was not exactly
4 good, for reasons that can be explored some time, and my
5 cri de coeur in December was one of the extreme
6 frustration of having a small team at the Middlesex
7 Hospital doing good things, where everybody was working
8 until 7/8/9 o'clock in the evening -- in fact
9 Rachanee Cheingsong-Popov, who was one of the authors,
10 one of the top three authors on that paper -- I think
11 she was principal author -- actually came out of the
12 labour ward, when she was in early labour, to finish
13 washing a radioimmunoassay, to get results, two hours
14 before she produced her first son.

15 That was the sort of pressure that we were under at
16 the time and I deeply resented being told MRC is funding
17 all this. Not a penny of MRC money went into that at
18 the time and we had no funding from the DHSS, and that
19 really rankled. You are getting me on a pedestal and
20 I will climb off it humbly and say at the end of the day
21 it all worked out right but it was jolly uncomfortable
22 -- incredibly uncomfortable.

23 Q. It may be that some of the documents we are going to
24 look at will trigger these memories further and I'm
25 sorry about that.

1 Can we move, please, on to the next page of your
2 response? You said a moment ago that you had to let
3 Richard Lane and others at BPL down. I think that's
4 what you are meaning when you say that you realised in
5 retrospect that there was a disappointment for
6 colleagues in BPL.

7 Then question 5. We asked about the development of
8 the radioimmunoassay and the proposals to extend it.
9 I think in the summer of 1984 there were plans to try
10 out the RIA in various different transfusion centres,
11 different demographic groups being represented in the
12 centres chosen. So I suppose what was involved here was
13 some sort of notion of evaluation of your test?

14 A. I think there were two reasons behind that. I'm not
15 sure that I'm correct in my response where I say a total
16 of 2,000 blood donors; I think it was less than that.
17 But that's a terribly small number in relation to the
18 1 million to 2 million donations taken every year.

19 Q. I think it was 1,042?

20 A. Oh, well.

21 Q. That's the number that appears in the table.

22 A. A twofold error. I apologise for that. My response was
23 without going back to the September paper.

24 Whichever way you look at it, it was a tiny snapshot
25 of the blood donor population in this country.

1 Q. Right.

2 A. In the UK.

3 There wasn't so much a field trial of the assay, it
4 was more a desperation to know what the prevalence was
5 in blood donors. Suspecting it to be low, therefore the
6 denominator has to be much larger than the 1042 or
7 2,000.

8 Q. I see. Just moving on through your numbered answer 5,
9 you say:

10 "At the end of 1984 there was an understandable
11 reluctance in the National Blood Transfusion Service to
12 institute screening in part of the service, even if only
13 for a zero prevalence survey and for a limited time,
14 since this could be anticipated to draw into donation
15 individuals who were curious to know their own status."

16 And I think we can understand that point. We have
17 seen suggestions in other documents and from other
18 witnesses that some sort of limited screening of blood
19 donors could have been introduced, for example selecting
20 men between the ages of 18 and 30 or something like
21 that.

22 But the point you are making is that that could then
23 have been a magnet for people who were anxious?

24 A. Even if one had done a targeted subset of the donors,
25 the concept, I think, was entirely understandable, that

1 the word would get out. You can't contain doing
2 something like that in any covert sense. Somebody would
3 say something. It would be picked up by either the
4 press or a lobby group. "Oh, we are doing AIDS testing
5 in the transfusion service," and then the amount of
6 damage you could do -- because, remember, at that
7 particular time we did not have the strict deferral of
8 men who have sex with men, which is the current
9 politically correct terminology. We didn't have the MSM
10 deferral at that particular time in anything like the
11 strict sense that we lived with later on in the 1980s,
12 1990s and through until now.

13 Q. Yes.

14 A. So the potential for recruitment -- and you have to be
15 terribly careful. I mean, there are examples of where
16 we have tried to enrich donor panels for HLA or rare
17 blood group purposes, only, suddenly, to rue the day
18 because we are bringing in populations who carry other
19 viruses. I think I was disappointed that we couldn't do
20 a bigger survey, but knowing, even then, as much as then
21 I knew about donors, I could concede that it was just
22 not a risk worth taking. I mean, even you go one step
23 beyond that, even if you had had HIV testing in the
24 whole of the transfusion service, the one thing you
25 didn't want was people who had recently been exposed

1 coming in because -- and I gather you have been

2 inculcated into the window phenomenon.

3 Q. Yes.

4 A. So I needn't go over that. But the real risk would be
5 bringing a lot of window donors in, who are exquisitely
6 infectious, and for the blood component issue that's bad
7 news but for blood product that could be devastating.

8 Q. Yes. I think we understand that, really from quite an
9 early point in the story of the introduction of
10 screening, there was an appreciation of the need to
11 provide alternative testing facilities and to make these
12 as user-friendly as possible.

13 A. In very real quick time, to enable those people who felt
14 under epidemiological pressure to be investigated to go
15 to the appropriate health service providers, have
16 testing, have it freely available, and with appropriate
17 confirmatory testing.

18 Q. Yes. We asked you about a statement in a DHSS memo from
19 the summer of 1984 to the effect that if these surveys
20 went ahead in North London Transfusion Centre and
21 another two regional centres, it would enable
22 decision-makers to be in a strong position to decide
23 about the need to buy from one of the five American
24 pharmaceutical companies. I think we were probing what
25 was meant by that because it does seem to have a whiff

1 of a policy goal, to try to avoid buying the American
2 kits. But you say you are not in a position to explain
3 this statement? Reasonably enough, since you didn't
4 make it, I'm sure.

5 A. I don't really know that I can understand it, other than
6 take the words at face value.

7 Q. Yes. You say that your recollection is that any test
8 considered fit for purpose would be subjected to
9 scrutiny in the UK and that all tests suitable and
10 available would undergo investigation. You go on to
11 comment that there was no intention to delay in order to
12 favour the Wellcome assay kit. You were particularly
13 concerned, as an independent scientist, that no favours
14 should be given to your assay in view of the very real
15 potential conflict of interest:

16 " ... since both my institution and myself stood to
17 benefit from inventor's rights."

18 If we just read on to the end of that paragraph, you
19 suggest that we look at a letter in the New Scientist,
20 which we do have. Just to let everyone see that, it's
21 [\[DHF0017755\]](#). This is actually a letter that appeared
22 in the New Scientist in the summer of 1985. We do deal
23 with this whole episode in the preliminary report but
24 there was a suggestion that Abbott were saying that the
25 whole process was being delayed to benefit Wellcome and

1 then Abbott themselves denied that they had ever said
2 that.

3 All of that was in the New Scientist. Just for
4 reference, it's paragraph 8.135 of the preliminary
5 report. I think the story started on 8 August with the
6 report in the New Scientist that Abbott were accusing
7 the government of delaying approval until a British test
8 was available and Abbott then wrote to the New Scientist
9 to say that they hadn't said that.

10 Anyway, you have drawn our attention to the letter,
11 which is now on the screen, from Dr Barbara and
12 Dr Hewitt refuting any such suggestion. Perhaps we can
13 just read it for ourselves. (Pause)

14 So you agree with the views in the letter plainly.
15 Is that right?

16 A. Yes. Over the years one has had experience of assays
17 being introduced into the transfusion setting, in fact
18 into diagnostic use, which have not been tried on the
19 population of humans from which the sera are derived
20 which are going to be tested. You must do some degree
21 of field trial testing, to know how your country's sera
22 and your target populations behave in an assay because,
23 without that, you are running the risk of finding
24 devastatingly high levels of false positivity, not so
25 much in European situations, but it's a principle that

1 should be adhered to.

2 You conduct a field trial to make sure that assays
3 are giving you useful and as accurate as possible
4 results and, of course, without having your repeat
5 reactive panel from your donors, you do not know what
6 form of confirmatory testing you need. So, until you
7 have got the substrate for your confirmatory testing,
8 which is your repeat reactive donors, you can't define
9 what's going to be the best algorithm or the best
10 protocol for confirmation. You really don't want to be
11 screening donors and developing a large panel of repeat
12 reactors without knowing how to deal with them. That
13 would be very damaging to transfusion practice.

14 Q. So that is another essential prerequisite for the
15 introduction of the screening programme, that you have
16 to have your confirmatory testing in place. So that
17 goes along with alternative testing facilities in this
18 instance as something which has to have been organised
19 in advance of a screening programme starting.

20 I suppose it's not then ever going to be good enough
21 for the manufacturer of a test kit to say, "Well, I have
22 tested this on 5,000 citizens in Orange County," because
23 that, being a different demographic group, will not be
24 results that can necessarily be extrapolated to the
25 British population?

1 A. Not necessarily to the British and certainly not to
2 other global populations.

3 Q. Yes. Can we move to question 6? We asked actually
4 about the meeting on 27 November 1984. That's the
5 meeting of the working group of the advisory committee
6 on the National Blood Transfusion Service. You said you
7 don't remember the meeting. At the time an awful lot of
8 work was ongoing. You were actually on the working
9 group. I think you were there.

10 A. I'm sure I was but I have -- I recall meetings after
11 meetings. I don't recall that particular one.

12 Q. No. I think we know from other blocks of hearings that
13 in the second half of 1984 you were doing a lot of
14 clinical testing, I think in particular for various
15 haemophilia centre directors around Britain. Is that
16 correct?

17 A. Going back to the September paper, the data in there
18 were available to relevant healthcare professionals in
19 each area, whether it was GUM physicians, haematologists
20 who were looking after haemophiliacs, or people
21 providing care for intravenous drug users, each of which
22 had a higher prevalence in the risk group, and each of
23 those risk groups was knocking on our door and on
24 Philip Mortimer's door saying, "Can you help us? Can
25 you delineate the size of the problem in our community?"

1 It was an incredibly difficult and busy time.

2 Q. Yes.

3 A. And as I have already said, I got strung out, myself and
4 my colleagues -- my colleagues bore the brunt of this.
5 We were strung out almost to breaking point and that's
6 why my letter was fairly forthright in December to our
7 colleagues in DHSS.

8 Q. Yes. So in that part of 1984 I imagine you had more
9 work than you could handle in the form of testing for
10 these different constituencies. Is that right?

11 A. Yes, it was very difficult because we had a shrewd idea
12 we knew what we were doing. I think in retrospect we
13 didn't do anything wrong, but certainly nowadays you
14 wouldn't be able to do that again. We would be
15 constrained by governance, we would be constrained by
16 legality, we would be constrained by everything under
17 the sun. It was hard work, really hard work.

18 Q. You have mentioned your interactions with DHSS. We
19 actually have a little string of letters that I would
20 like to show you. Can we go first to [\[DHF0018856\]](#),
21 please? This is you writing to Dr Alison Smithies at
22 DHSS on 18 December 1984 and you are pointing to the
23 need to scale up the RIA and your related need for more
24 staff.

25 Can we look at the next page, please?

1 A. It seems an awfully small sum of money in comparison to
2 today, doesn't it?

3 Q. Yes. Professor Pattison, is that your dean?

4 A. That's my dean. That's Sir John.

5 Q. Yes.

6 A. Yes, a pretentious phrase, isn't it:
7 "Necessary UK commitment in this problem increasing
8 over the next few years."
9 It reads oddly, doesn't it?

10 Q. I suppose you didn't have a lot of time for your
11 correspondence. Can we look next at [\[DHF0019040\]](#),
12 please? This is again Dr Alison Smithies. She has done
13 a draft paper to go to, I think, the
14 Research Liaison Group? It may be the correct
15 translation of "RLG":
16 "I also attach a copy of Dr Tedder's letter of
17 application. I hope the proposal will meet with
18 approval."
19 Can we go to [\[DHF0019036\]](#)? This is, I think, the
20 first of several minutes from around this time. So your
21 letter is going forward as an application for funding,
22 and this is, we think, possibly the final version of
23 Dr Smithies' draft, which was sent in its final form on
24 4 January. If we scroll down through the narrative, we
25 see again the mention of the development of the RIA and

1 the wish that it be suitable for routine use in blood
2 transfusion centres.

3 A little bit further, please. Go right down:

4 "The Middlesex Hospital-Chester Beatty RIA is thus a
5 product of the cooperation of British science and
6 British industry ... general agreement that it is the
7 most sensitive RIA for HTLV-III presently available."

8 A. Can I just make a comment on there?

9 Q. Yes.

10 A. Because if this is January 1985, Alison is already
11 referring to antiserum being produced by Wellcome
12 Reagents Limited. That's interesting because they never
13 got -- they were specifically unwilling to work with
14 radioactivity. So the implication of that is that we
15 were -- and I'm sorry, unfortunately all the records got
16 chucked out by UCL some months ago and the Windeyer
17 Building no longer exists, so we can't go back on this,
18 but I think we would probably have been doing enzyme
19 immunoassay from October or November.

20 There is a slight disparity, that we are talking
21 about a radioimmunoassay and the implications of this,
22 we were already working with materials from
23 Wellcome Diagnostics, which would have been EIA not RIA.
24 So we were clearly already beginning to move to
25 a different ligand, although the assay in format would

1 have been entirely compatible with the 96-well format
2 that the Blood Transfusion Service used.

3 Q. Yes.

4 A. I suppose I'm going to be accused of slightly egging the
5 case because I was saying, "Give us the reagents to the
6 RIA because we have got that running," and I suspect
7 that I already knew that we were going to be moving into
8 an EIA format because that's what the writing on the
9 wall said: radioimmunoassays are not going to continue
10 much longer.

11 This wasn't the first time that I had been trying to
12 get funding from the DHSS.

13 Q. So in as much as there are comments around this time
14 about the benefits of the Wellcome test, if we can call
15 it that for shorthand, including the fact that it's
16 an RIA, which British Blood Transfusion Services know
17 and understand, that possibly was inaccurate because
18 those who were saying those sort of things had failed to
19 appreciate that you were either about to move or had
20 already moved moved to the EIA format.

21 A. I think so, and of course I didn't really make that
22 terribly clear in my letter of December.

23 Q. Right. Can we just scroll through this, please?

24 A. It is actually the only RIA for the HTLV-III antibody.

25 Q. Can we go on to the next page?

1 We can see the further discussion. Yes, this is the
2 proposal, and there has been some discussion with you to
3 clarify aspects. Then we can see what was being sought.
4 I think the sums of money have gone up slightly.

5 Can we just finish this document, please, by looking
6 at the final aspect, which I think is on the next page.

7 Yes:

8 "Finally there is an opportunity to assess
9 commercial products, which will be inevitably be
10 introduced to capitalise on an established need."

11 So at this point there does seem to have been
12 a perception that you would also be doing the work to
13 look at the test kits which would be coming from
14 commercial manufacturers and decide how efficient and
15 effective they were, but I think we will see that that
16 actually didn't happen. Perhaps we can just trace the
17 audit trail forward.

18 Can we look next at [\[DHF0027106\]](#)? This is actually
19 Wellcome writing because they have received their letter
20 about the evaluation exercise, and they say they are
21 very happy to submit their product for the evaluation
22 but their main priority is to make available a test for
23 use in the BTS as quickly as possible.

24 It did strike us that it looked as though Wellcome
25 were under the impression that evaluation might trundle

1 along but testing might be introduced before the
2 evaluation had concluded. So they are saying they want
3 to get on with making available the test for the BTS as
4 soon as possible.

5 A. I take a different interpretation of that. You can read
6 it the way it's written. I don't think it was. As
7 I have said in my reply, I think manufacturers normally
8 like to have a detailed portfolio of performance of the
9 assays on positive samples, negative samples, to give
10 you predictive value, positive predictive value for a
11 reaction and so on, and I think all they are saying
12 here -- and I suspect this would have been -- judging by
13 the smallness of the signature, I should think it might
14 have been Kit Madden but I'm not certain -- saying, "We
15 are running with this test. When it comes to an
16 evaluation, fine, but we won't have the normal portfolio
17 of manufacturers' claims that you would have expected
18 with something as important as this." That's my
19 interpretation of this. And knowing how hard they were
20 working at that, my interpretation is saying, "Okay,
21 fine. Evaluation, fine. We are not going to have all
22 the data that you would want before it goes into an
23 evaluation because there just isn't time."

24 Q. Yes.

25 A. Not that we don't think it's going to be evaluated.

1 Q. Right. I suspect you are right about the identity of
2 the letter writer because the reference at the top is
3 "CJFM".

4 A. I didn't see that.

5 Q. What was the first name?

6 A. Kit.

7 Q. Short for "Catherine"?

8 A. It's a he. I don't know why he was called "Kit". It
9 was always Kit Madden.

10 Q. Short for "Christopher", probably. And in fact you have
11 recorded your interpretation of the letter in your
12 numbered paragraph 13 in your answer.

13 Can we look next at [\[DHF0019175\]](#), please?

14 This letter makes a point about the
15 commercialisation of the BTS test being quite separate
16 from the evaluation programme, and actually I think,
17 looking to erect something of a Chinese wall within
18 DHSS. Or is that not an appropriate analogy? It looks
19 as though there are to be two different streams of
20 communication.

21 A. Yes. You know, I tore my hair out with our colleagues
22 in DHSS over these early years. I think it's actually
23 correct to have some form of Chinese walls because
24 otherwise there is a conflict of interest, and I can't
25 see how you can have a commercialisation of a test being

1 carried out under the same umbrella as the evaluation
2 programme. I think you do need to separate them because
3 they are different issues.

4 I mean, they are intertwined in the sense that if
5 the commercialisation doesn't work and there isn't a kit
6 to evaluate, the evaluation doesn't go ahead, but the
7 terms of engagement have to be different. And I don't
8 know if there were terms of engagement in
9 commercialisation. That was not in my remit.

10 My collaboration with Robin through Chester Beatty
11 Laboratories was directly through Wellcome Diagnostics.

12 Q. Can we look next at [\[DHF0019212\]](#)? This is
13 13 February 1985 from within the DHSS, concerning what
14 actually your project is to comprise. In the third
15 paragraph this minute narrates that:

16 "The proposal included evaluation of all the kits on
17 the market by the Middlesex Hospital. This is no longer
18 part of the proposal since it would not be proper for
19 Dr Tedder to be evaluating commercial kits when he is in
20 the process of developing and commercialising one of his
21 own."

22 Which I think is what you have just said.

23 A. I think that, for me, would have been inappropriate
24 because you can't be collaborating with one sector in
25 the -- one independent component of the diagnostic

1 sector and then be expected to be judging other
2 components of the sector for the performance of the kit.
3 So it would have been inappropriate.

4 I mean, I think what we would have wanted to do, we
5 would have wanted to look at the performance of tests in
6 order to define the best algorithm. And that would have
7 been a different purpose for wanting to have extensive
8 access to assays.

9 Q. I think Professor Weiss had a recollection of how it was
10 that that part of the proposal was tacked on in the
11 first place. Do you have any memory of how that came to
12 be included in your application?

13 A. No, I don't actually, other than it was a low-hanging
14 fruit to try and get some resources.

15 Q. Right.

16 A. I haven't talked -- Robin and I have not talked around
17 this. We have both been talking to you so perhaps I can
18 find out what his recollection was. I don't remember.

19 Q. Yes. Just on the topic of the notion of the evaluation
20 exercise, could we go, please, to [\[DHF0019097\]](#)?

21 This is a memo about going back to 16 January, about
22 the evaluation programme and attaching a draft letter
23 about it, and that's [\[DHF0019098\]](#).

24 Just so that we know that that's the evaluation
25 programme being considered in the middle of January 1985

1 and the letter that was to go out to the companies about
2 it. Can we just look at the second page, please?

3 I think looking for some initial preliminary
4 information. We did ask you about what you knew about
5 this period, I think in our question 10. You say you
6 understand the reason to have a properly funded
7 investigation of both sensitivity and specificity, and
8 I don't want to go back over that.

9 And you say:

10 "It was entirely natural that the Central Public
11 Health Laboratory of the PHLS should undertake this
12 work."

13 And obviously that's the answer to what would have
14 been a conflict of interest.

15 A. We were already working with Philip Mortimer at the
16 time. He was a close collaborator and had been for many
17 years.

18 Q. Perhaps we could go back to our questions document,
19 please, could we? It's [\[PEN0170523\]](#). I don't know that
20 we need to look at the particular documents concerned
21 because we have quoted the key passages in our question
22 11. So can we go on, please, to page 530? Particularly
23 the second one:

24 "It would be wise to establish X as an evaluation
25 centre."

1 You think "X" might have been you?

2 A. I'm not sure. Either myself or -- it's difficult. This
3 is 21 January.

4 Q. Yes.

5 A. It's funny because it's sort of slightly counter to what
6 we have really heard as reservations about trying to do
7 two things -- trying to do both.

8 Q. Yes.

9 A. I mean, I think probably by then Phil and I were
10 working, Philip and I had been involved in thinking
11 about -- when HIV -- well, it wasn't HIV -- when AIDS
12 first came round in the risk groups, those of us who had
13 worked in Hepatitis B, it was pretty obvious following
14 on from the MMWR paper, whenever that was, 1981,
15 beginning of 1982, the first description of the cases,
16 it felt so much like Hepatitis B under another cause.
17 So Philip and I were continually talking about this and
18 thinking about that and once the isolates were around,
19 he gained access very quickly and we talked about
20 algorithms for confirmatory testing.

21 So even if I tried to blag some money to fill the
22 shortfall of resources, it would have been so much more
23 sensible to have CPHL and Philip doing that because
24 there would have been no conflict.

25 Q. Yes.

1 A. I suspect, because of the context in which these letters
2 are written, that I am actually "X". But it is
3 difficult to know.

4 Q. If you bear with me more a moment, I think we actually
5 have the answer.

6 Yes, we have had an unredacted copy back from the
7 Department of Health, and it is you.

8 A. Oh, well, there we are.

9 Q. But I take your point that it's slightly at odds with
10 some of the other developments around this time.

11 I think certainly Mr Rogers, a civil servant who wrote
12 the memo that we just looked at in February, he seemed
13 to have been uncomfortable about the conflict of
14 interest, but maybe other people thought this was
15 something that would work --

16 A. I think that's entirely understandable and I think, as
17 long as it didn't take away from the very slender
18 resources we were being promised, I would have had no
19 qualms about saying to Philip, "Over to you."

20 Q. Right.

21 We also asked you about another memo, Dr Smithies'
22 memo of 21 January, where she said it had been
23 discussed:

24 "... whether or not any reference should be made to
25 tests not being accepted in the UK unless they had FDA

1 approval, and decided that such a stipulation might not
2 act in Wellcome's best interests in the short-term."

3 You thought that was slightly strange.

4 A. I think the concept of using validation, to me there is
5 little -- some people will carp about what I'm about to
6 say. There is little difference in having an American
7 manufacturer or the FDA pontificating on the performance
8 of a test and then accepting matters as gospel in this
9 country. That would run completely counter to
10 everything that we had ever done in the transfusion
11 service in the UK and anything that we do nowadays. And
12 indeed, if we had been tied to FDA as I said earlier
13 over coffee, we would have been in a position in this
14 country to have an HIV test which has a P24 component,
15 because it's only in the last six to 12 months that the
16 FDA have now agreed to license what we call the "fourth
17 generation assay". So we would have been locked into an
18 antediluvian regulatory system.

19 Q. I suppose we are coming back to the point you made
20 earlier about the need for "local" evaluation or
21 validation of a test performance.

22 Perhaps I should put to you what I think is
23 a related point, that it would have been difficult to
24 know what to do with a test kit which had actually been
25 denied FDA approval.

1 A. Or not been proposed to have FDA approval and indeed, it
2 always amused me that Wellcome did not go for FDA
3 approval for Wellcozyme or any of the competitive
4 assays, because frankly it would have been refused
5 almost certainly, either from a political grounds,
6 because American industry has a strong lobby in the FDA,
7 or because FDA couldn't perceive how you could make
8 a reliable reagent having human components.

9 It was always a source of amusement and some
10 disappointment that we could never take the battle to
11 our colleagues in America with an assay that was
12 infinity better than anything they had access to.

13 Q. So we are not really in a position to say exactly what
14 was in Dr Smithies' mind when she made that comment.
15 I think the only point we were trying to make in our
16 question was -- and you say this -- that it is perhaps
17 not so much that the memos are at odds with each other,
18 it's just that they are setting up the conflict of
19 interest we have been discussing. You know, that if one
20 is proposing that someone be both a candidate in an
21 assessment exercise and the assessor, then there is
22 going to be a difficulty.

23 Going on through the questions, we have covered 12
24 and we have also looked at the letter that's mentioned
25 in number 13, and you have given us your interpretation

1 of that letter. And then question 14, we have also
2 looked, in fact, at that letter. Question 15, you have
3 spoken about your collaboration with Dr Mortimer. 16,
4 I think we have covered and that's the reference to the
5 secret meeting, then 17 also. Then we asked you some
6 questions about your role in relation to the Department
7 of Health and the National Blood Transfusion Service in
8 1984/85, which you have answered.

9 Just to go back briefly to the whole concept of the
10 evaluation exercise, could we look, please, at
11 [\[SNB0010170\]](#)?

12 This is a note of a meeting of the screening test
13 subgroup of EAGA, the expert advisory group on AIDS,
14 that meeting having taken place on 15 February 1985.
15 You were on the screening test subgroup of EAGA and
16 Dr Smithies was the chairman.

17 By my reckoning there were at least three groups who
18 were monitoring or in some other way connected with the
19 evaluation exercise and this is one of them. The
20 regional transfusion directors also had a working party,
21 which was looking at the evaluation of the tests and the
22 introduction of screening, and if we look at item 4 in
23 this minute, we can see the reference to what I would
24 call the third group:

25 "The DHSS had invited companies developing test kits

1 to take part in a departmental evaluation; an ad hoc
2 panel of experts with DHSS officers would agree
3 a protocol and arrange for a PHLs virologist to carry
4 out the evaluation."

5 Were you a member of the ad hoc panel?

6 A. Sorry, which ad hoc panel?

7 Q. That ad hoc panel mentioned in paragraph 4, an ad hoc
8 panel of experts who, with DHSS officers, were going to
9 agree a protocol.

10 A. I frankly can't remember. I know that I would have
11 had -- I know the PHLs virologist would have been
12 Philip Mortimer, supported by John Parry, both of whom
13 I have known for a very long time.

14 I mean, there was a multiplicity of groups. The
15 EAGA group -- the expert advisory group was involved
16 with Tony Pinching. This was for GUM and diagnostic
17 practices, which was a slightly different portfolio of
18 people and expertise and drivers than was the BTS, and
19 you needed people to deal with the confirmatory testing.

20 I should think I probably would have been -- or
21 I might have said, "I have got too much on but keep me
22 in touch with Philip". There was a lot of discussion
23 about how to confirm and then -- a fairly resolute
24 unwillingness to go down the Western Blot pathway.

25 There was a need to have secure confirmatory

1 testing, obviously, for patient welfare. Certainly Tony
2 Pinching was inherently of the view that the test should
3 not be widely available and we had a lot of disagreement
4 at about the time I knew Don Francis, who had been at
5 CDC and moved to San Francisco, and was talking with him
6 about what he would do in San Francisco if he had a good
7 reliable test. And he said, "I would use it tomorrow,
8 every day of the week." And Tony was saying, "You can't
9 do it, it is very special. Put it on a pedestal." And
10 I was very uneasy with that, very uneasy.

11 Q. Professor Tedder, there is actually only one more thing
12 I need to ask you about, but it's ten past one and
13 I need to find a particular document so I can ask you
14 about it.

15 I think, sir, if possible, can we stop at that?

16 THE CHAIRMAN: Yes, after lunch.

17 (1.13 pm)

18 (The short adjournment)

19 (2.00 pm)

20 MS DUNLOP: Thank you, sir.

21 Professor Tedder, there was really just one other
22 thing. I think we had finished looking at the questions
23 and answers document and I just wanted to ask you
24 a little bit about personnel.

25 Can we look at a document, [\[SGH0070734\]](#), please?

1 It's the third meeting of the CBLA, Central Committee
2 for Research and Development in Blood Transfusion, BPL,
3 on 28 February, 1984.

4 It has been clear to us from the documentation that
5 an awful lot of the events surrounding the introduction
6 of screening were managed in -- at least in the
7 Department of Health and Social Security -- by
8 Dr Alison Smithies and Dr Smithies hasn't been able to
9 assist us but just looking at the personnel, we can see
10 from this that Dr Smithies, by February 1984, had taken
11 over Dr Walford's duties. That then made her a senior
12 medical officer in DHSS, I think.

13 You knew both Dr Smithies and Dr Walford. Is that
14 right?

15 A. Yes, I mean, obviously, I was more in contact with
16 Alison because of her position, once we were actually
17 hands-on involved with HIV testing. But I had met
18 Dr Walford on one or two occasions prior to that.

19 Q. Had you met her in connection with the whole AIDS
20 problem?

21 A. Yes, I had. I had been -- I think I mentioned the NIH
22 meeting in Washington, where there was discussion of the
23 aetiology of the infection and the disease which was
24 presented in the MMWR first paper. After that and after
25 the meeting, the NIH meeting, discussing this, it must

1 have been early 1983, Philip and I went to DHSS to ask
2 what the plans were for -- what was ready -- what was
3 going to be the plans for readiness to deal with what,
4 I think I alluded to earlier this morning, was a disease
5 or infection which sounded awfully like Hepatitis B in
6 terms of affecting the same group, having the same sort
7 of transmissions. And the moment we heard, in early
8 1983, end of 1982, about haemophiliacs also being
9 involved, that gave one -- there were two reasons people
10 put forward for the involvement of the haemophiliacs:
11 either David Parillo(?), the American physician,
12 immunologist, was saying it was antigen overload which
13 was damaging the immune system, or there was the
14 virology camp, in which Philip and I were deeply
15 embedded, saying, "This sounds awfully like
16 a transmissible virus infection. It's going in blood
17 products, it's going in gay men, it's going in people
18 who we know get Hepatitis B."

19 So we felt empowered to go and ask the DHSS what
20 could we do to explore this, and it was as cold
21 a meeting inside the room as it was outside. It was
22 a sort of cold spring morning up in one of the DHSS
23 towers and we were told this was really not any of our
24 business and it was not going to be a problem and go
25 away and stop rocking the boat.

1 Both Philip and I -- well, I can't speak for Philip.
2 You would need to ask him. But I was somewhat taken
3 aback and pretty irritated.

4 Q. Right. Thank you, Professor Tedder. I don't want to
5 ask you any more questions about the whole screening
6 topic?

7 THE CHAIRMAN: Mr Di Rollo?

8 MR DI ROLLO: Sir, I don't have any questions to ask about
9 this topic.

10 MR ANDERSON: Neither do I.

11 MR JOHNSTON: Neither do I.

12 THE CHAIRMAN: There is no scope for you to ask anything
13 more in these circumstances.

14 MS DUNLOP: No.

15 THE CHAIRMAN: Professor Tedder, thank you very much.

16 A. Obviously, you know where I am.

17 THE CHAIRMAN: Knowing where you are makes you more
18 vulnerable.

19 Thank you very much.

20 MS DUNLOP: Sir, we have, as our next witness,
21 Dr Graham Scott.

22 THE CHAIRMAN: It did occur to me there were some questions
23 that might have been asked of Dr Tedder not on the
24 immediate project. Is there going to be an opportunity
25 at some other time to find out about them, about his

1 relationship with Edinburgh testing and so on?

2 MS DUNLOP: Sir, we did send questions and he did send
3 a response in June, which we looked at at the time. It
4 was pretty brief but I think he said he had difficulty
5 in recalling much of the detail, and I think a lot of
6 his correspondence has gone.

7 THE CHAIRMAN: Yes, he told me how it had gone.

8 DR GRAHAM SCOTT (continued)

9 Questions by MS DUNLOP (continued)

10 MS DUNLOP: Good afternoon, Dr Scott.

11 A. Good afternoon.

12 Q. I think we should just remind ourselves, because it is
13 some time since you were last here, that you were deputy
14 chief medical officer in Scotland from 1975, I think it
15 was, onwards.

16 A. Yes.

17 Q. Yes. And you actually were going to retire in 1987 but
18 Kenneth Calman became the chief medical officer and he
19 asked that you stay on for a couple of years.

20 A. Yes, that's correct.

21 Q. So you in fact retired in 1989.

22 A. Yes, I did.

23 Q. And I think we certainly appreciate that we are asking
24 you questions about events that are now a very long time
25 ago.

1 A. A very long time.

2 Q. We certainly take that on board. You have provided us
3 with a statement, which we should have in front of us.
4 It's [\[PEN0170513\]](#).

5 A. Yes.

6 Q. I think that will come up on the screen. I should also
7 mention, in case we need to look at the questions, that
8 there is a questions document, [\[PEN0170481\]](#), which
9 perhaps we could open but we don't need to look at it at
10 the moment.

11 Dr Scott, you make an introductory point along the
12 lines of what I have just been saying, that it is all
13 a long time ago and we appreciate that, and you have
14 been retired for some time and you have been doing a lot
15 of other things that are not connected with medicine.

16 We asked you about a statement that had been
17 puzzling us in a DHSS memo. The statement is from the
18 summer of 1984 and it records that Dr Smithies thought
19 that it would be good to pilot or evaluate the British
20 RIA test in different blood transfusion centres, and
21 that the material obtained from such an exercise would
22 assist with decision-making, particularly because -- and
23 this is the quote:

24 "We would therefore be in a strong position to make
25 decisions about the need to buy from one of the five US

1 pharmaceutical companies."

2 And you said you don't really know what she meant
3 and you do not think that it was necessarily intended
4 that commercial tests from the USA would only be brought
5 into the UK in the event that the Middlesex/Wellcome
6 test proved unsatisfactory.

7 We then asked you about the meeting on
8 27 November 1984 and whether that had been the first
9 forum in which the introduction of donor screening was
10 discussed. I think we actually understand from other
11 material that we have seen since then that it really
12 probably wasn't, and you drew our attention in fact to
13 a document we have just looked at, [\[SGH0070734\]](#), which
14 is a CBLA meeting at which surrogate testing for
15 HTLV-III was discussed and indeed an earlier, similar
16 meeting on 9 November 1983, and that was [\[SGH0070761\]](#).

17 We do understand that there was some mention of the
18 possibility of surrogate testing in connection with
19 AIDS, I think particularly using the Hepatitis B core
20 antigen, but it's not a topic which we have decided that
21 we need to investigate specifically in our hearings.

22 You then dealt with our paragraph 8 in which we
23 asked about various discussions. These were some of the
24 discussions, I think, between Dr Smithies and Dr Tedder,
25 and you say perfectly reasonably that you do not recall

1 having been involved.

2 You talk about the assessment, which would have been
3 intended to test the efficacy of the tests being
4 developed, and then can we go on to the next page,
5 please? You say:

6 "An evaluation process such as this is completely
7 standard in circumstances where a new testing process is
8 being introduced. There is no point in using tests
9 which have high rates of false positives or false
10 negatives. To use such a test would distort the true
11 picture and would, in any event, simply be dangerous."

12 We have certainly heard it said that it's necessary
13 to evaluate a possible new screening test in the
14 particular local population concerned because a test may
15 perform very differently in one population, perhaps
16 a group of people in America, from how it would perform
17 in the United Kingdom. Is that right?

18 A. I believe so.

19 Q. Right. Then we asked you about the details of the
20 assessment, and again that's not something in which you
21 personally were involved.

22 Paragraph 10. We asked a little bit about the
23 dissemination of information on the evaluation programme
24 and we asked about a meeting, and I think this is
25 actually a meeting that was going to be happening in

1 Scotland, and you are not actually sure at this juncture
2 if it took place.

3 Could we look, please, at [\[SGH0027302\]](#). That's the
4 correspondence referring to the proposed meeting. I'm
5 going to show you some documents which all go together.

6 A. I see, right.

7 Q. This one, a handwritten letter to Mr Murray at SHHD from
8 Alun Williams at DHSS dated 17 January 1985. Can we
9 just glance at the bottom so we can see the signature
10 there? Thank you.

11 Do you remember Sandy Murray?

12 A. Yes.

13 Q. Right. He was a non-medical member of staff. Is that
14 right?

15 A. Yes.

16 Q. Yes. Within SHHD. And what Mr Williams is doing is
17 sending to Mr Murray a copy of a submission which
18 Dr Alison Smithies has prepared. The submission deals
19 with the need to introduce into the NBTS an HTLV-III
20 antibody screening test for all blood donations, and
21 Mr Williams is telling Mr Murray that, "It has been
22 endorsed by the CMO and put to our ministers but I have
23 not yet had their decision," and obviously it's
24 promoting liaison between the two departments to this
25 general issue, which I think you would have seen at the

1 time as entirely appropriate, would you?

2 A. Yes.

3 Q. Right. Mr Williams is saying:

4 "Perhaps we could discuss with you [that is Mr
5 Murray] and Dr Bell when Dr Smithies and I come up to
6 Edinburgh shortly."

7 That's the meeting you say you do not know if it
8 happened and you do not remember being there.

9 Can we look at [\[SGH0027302\]](#), please? This is the
10 enclosure that came with the handwritten letter. It's
11 the minute, Dr Smithies' minute that goes with her
12 submission, and it gives a little bit of information for
13 the CMO.

14 This is a submission which has been prepared by
15 Dr Smithies with administrative colleagues and it's
16 looking for approval in principle for the introduction
17 of a screening test for AIDS antibodies into the
18 National Blood Transfusion Service, so England and
19 Wales:

20 "The UK test is currently being used at the
21 Middlesex Hospital and at the Central Public Health
22 Laboratory in Colindale to detect antibody carriers."

23 Then:

24 "Scale-up of production of the reagent is necessary
25 before the test can be applied more widely."

1 Then the actual submission, which I think we have
2 seen before too, but [\[SGH0027304\]](#). Can we look firstly
3 at the bottom of the first page? That is about current
4 action. So there has been a working group, the NBTS
5 AIDS working group. There is going to be an expert
6 advisory group, meeting at the end of the month,
7 that's January 1985:

8 "The advisory committee on dangerous pathogens."

9 Whose remit, as I understand it, was more to do with
10 health and safety at work, and it had prepared
11 guidelines for hospital staff and then there is
12 a revised leaflet coming.

13 If we look at page 2. The need for a screening
14 test. Dr Smithies is saying that there has been
15 a campaign to dissuade higher risk groups from donating
16 blood but it's not enough, and she is pointing to some
17 of the reasons why a screening test is thought to be
18 necessary.

19 Then going on to talk a little more about the
20 screening test. She does say in this section on the
21 screening test, which is section 5, only about
22 10 per cent of those infected with the virus apparently
23 develop the disease, which I think we now know to have
24 been incorrect, but certainly understand that around
25 that time there was a lot of confused information.

1 She says:

2 "Certain blood products made from large pools of
3 plasma can be heat-treated but heat treatment cannot be
4 applied to blood itself."

5 Then if we just look down that page, she goes on to
6 talk about the financial implications. We have seen
7 a range of different estimates, Dr Scott. This one is
8 saying that the likely cost will be between 75p and £2
9 for each donation. Then details of the tests are in an
10 annex. Can we look at page 3, please?

11 The decision which the ministers are going to be
12 required to make is whether or not to agree in principle
13 to the introduction of a screening test for AIDS
14 antibody for all blood donations, and indeed to make an
15 announcement to this effect indicating that the
16 development of a test was being backed by the DHSS.

17 Then if we just perhaps look briefly at the
18 remaining pages, which represent the annex, this is the
19 explanation of the testing. Some results already
20 obtained, the significance of the test, and the
21 development of the test.

22 Then on to the next page, please. Blood transfusion
23 and AIDS. A reference to the infection in Scotland of
24 the group of people who came to be known as the
25 "Edinburgh cohort". That's at the end of that section,

1 section 4.

2 Then section 5, the introduction of a screening
3 test. Then on to the final page, if we can, please.
4 The directors will probably introduce tests initially
5 from the USA, then later from Wellcome.

6 I suppose it must have been very helpful that
7 officials in the DHSS were willing to send their
8 submissions of this type to you in SHHD?

9 A. Oh, yes, to see whether that would be approved or not
10 was another matter. But, yes, it was interesting to see
11 their submission.

12 Q. Yes. We look, I think, in a little more detail at what
13 then happened as far as the decision-making process in
14 Scotland is concerned.

15 A. Yes.

16 Q. [\[SGH0027295\]](#), please. This is a minute to you from
17 Mr John Davies. Do you remember him?

18 A. Yes.

19 Q. He is another non-medical member of the department. Is
20 that right?

21 A. Yes, more senior than Murray.

22 Q. I see. He is corresponding with you and copying to
23 Mr Macpherson, Dr McIntyre and Mr Robertson. We can see
24 the information he is imparting, that:

25 "DHSS ministers have now agreed, apparently with

1 great reluctance, that all donations of blood in England
2 should be tested for the presence of antibodies to
3 HTLV-III. We now have to decide whether we have any
4 alternative to advising our ministers that it is
5 necessary to follow suit in Scotland."

6 Mr Davies is saying:

7 "Only one donation to date has contained antibodies
8 to HTLV-III."

9 He thinks. Pointing out at the end of the second
10 paragraph:

11 "Haemophiliacs in Scotland are now not at risk as
12 all Factor VIII is heat-treated. The situation in
13 England is different. In any case, only a proportion of
14 those with antibodies develop AIDS. I have seen figures
15 ranging from 10 per cent down to one in several
16 hundred."

17 Then pointing out:

18 "It will be necessary to arrange follow-up for all
19 individuals whose blood gives a positive result. It's
20 not clear whose responsibility that would be or what the
21 cost implications are."

22 He talks about false positives and false negatives.
23 And then he says:

24 "As you yourself have said, there is a considerable
25 danger that people considering themselves at risk may

1 attend blood donor sessions specifically for the purpose
2 of having their blood tested."

3 Then talking about financial implications. I think
4 the tone of this minute, as far as the possibility of
5 introducing screening is concerned, is quite negative,
6 isn't it?

7 A. Yes, it was generally recognised it wasn't very good
8 tests.

9 Q. The tests that were then available, you think, weren't
10 very good?

11 A. Weren't very good.

12 Q. Right.

13 A. Nevertheless, they would have to be used.

14 Q. Yes. Can we then look at [\[SGH0027294\]](#)?

15 A. Yes.

16 Q. Because this is from you.

17 A. Yes.

18 Q. I'm sure you do not particularly recognise it, do you,
19 other than from having seen it recently?

20 A. No, I don't recognise it but I accept that it was by me
21 and what I said. I stand by that, yes.

22 Q. Yes. So you are responding to Mr Davies and you are
23 copying to Drs McIntyre and Bell and Mr Macpherson and
24 Mr Robertson? Is Mr Robertson a financial person?

25 A. Yes.

1 Q. And Mr Macpherson, what's his role, if you can remember?

2 A. He would be an assistant secretary involved in these

3 issues.

4 Q. Right. And you are drawing a distinction between a test

5 which looks for antibodies and a test which identifies

6 the virus itself, and you thought that the case for

7 introduction of the test was not clearcut but obviously

8 the fact that the DHSS ministers had agreed was a factor

9 that bore some weight in the decision-making process in

10 Scotland. Is that right?

11 A. We would take it into account.

12 Q. Yes. You are actually hoping to have an office meeting

13 and wondering if Dr Cash could be there. By this time

14 Dr Cash is the consultant adviser on transfusion matters

15 to SHHD. Is that right?

16 A. Yes.

17 Q. I think you are recognising that there will have to be

18 a submission to ministers in Scotland as well.

19 A. Yes. Correct.

20 Q. Then can we look at the next document in this series?

21 THE CHAIRMAN: Before we leave it, in the paragraph that's

22 second from the top of the page, as we see it at the

23 moment, you express the view that testing for HTLV-III

24 antibodies is technically different from testing for

25 HBV. You say:

1 "In addition, the test is much more expensive, as
2 well as being seriously unreliable."
3 Was that your own view, Dr Scott? Can you hear me?
4 A. It wouldn't be my view but it would be a view depending
5 on what I had seen and been told elsewhere.
6 THE CHAIRMAN: Where would you get the advice that led you
7 to express that view?
8 A. From Dr McIntyre and Dr Bell and Dr Cash. I don't know
9 whether all together but these were the kind of people
10 that would have told me.
11 THE CHAIRMAN: Substantially the people you are writing to,
12 I suppose. So were you meeting these people and
13 discussing this issue with them?
14 A. I would see them from time to time. We wouldn't have --
15 there would be no need for formal meetings. We would be
16 seeing each other on a day-to-day basis as required.
17 THE CHAIRMAN: Yes, thank you.
18 MS DUNLOP: I suppose you might have read things in the
19 general media or specialist medical journals, other
20 journals.
21 A. Perhaps, I can't remember.
22 Q. Well, in general terms, did you try to keep in touch
23 with what was in the BMJ and the Lancet?
24 A. If I didn't, other people would have drawn my attention
25 to it.

1 Q. Yes. Can we look at [\[SGH0027293\]](#), please?

2 A. Yes.

3 Q. This is another reply to Mr Davies' minute of 7 February
4 but this time from Mr Macpherson, who I think was an
5 assistant secretary. I'm sure I have that information
6 somewhere.

7 A. Yes.

8 Q. Perhaps he is taking more of a policy line because he is
9 saying that it may be that everything said is valid but
10 it would be very difficult for Scotland not to introduce
11 screening when England was going to introduce screening,
12 which I suppose at a common sense level must have been
13 right.

14 A. Yes.

15 Q. Yes. But Mr Macpherson is also thinking that a talk
16 about it would be a good idea. Can we go a little
17 further forward, please, and look at [\[SGH0027226\]](#)?

18 You refer to this in your statement, Dr Scott.
19 I think this is 21 March now. Can we just check the
20 date of this so that we are -- I think the date's at the
21 end. Yes, 21 March, from Mr Macpherson, sorry. Can we
22 go back to the beginning?

23 This, I think, is the submission or the briefing
24 paper that was going to -- it has the ministers in
25 Scotland. We can see it is going via their private

1 secretaries to Mr MacKay, he will have been the health
2 minister, is that right?

3 A. Yes.

4 Q. And the Secretary of State, who I think at that point
5 will have been George Younger?

6 A. I can't recall.

7 Q. In fact it's going to quite a range of people. It's
8 going to Mr Ancram and the Under Secretary of State as
9 well. Perhaps if we just have a look at the minute,
10 please. It really deals with two issues, this document.
11 It deals firstly with the question of whether or not
12 AIDS should be made a notifiable disease, which we don't
13 really need to spend any time on, and with the topic of
14 screening.

15 So could we go on to the next page, please? There
16 we are, "Blood Transfusion", section 6.

17 We can see that this minute actually carried with it
18 a copy of a letter in the Lancet. I think we know that
19 letter because we looked at it yesterday, more than
20 once. A very recent publication in the Lancet. As the
21 minute says:

22 "Strongly supporting the screening of all blood
23 donors but advising that such a screening programme
24 should be delayed until the available test systems have
25 been evaluated and until alternative testing facilities

1 are made available to individuals who may be at high
2 risk of transmitting AIDS."

3 So this minute is recognising the same point about
4 the need to prevent people who simply want an AIDS test
5 from coming to give blood, and I think we understand
6 that that was a perceived risk.

7 Then on to the next page, if we could, please.

8 Some unanimity between individuals in the department
9 and the transfusion directors. Is this an example of
10 a document, Dr Scott, in which a percentage figure is
11 given for a rate of false positive results?

12 I don't think I'm going to ask you anything about
13 it, Dr Scott, because we understand from our discussions
14 with Professor Tedder this morning that assessing, as it
15 were, the success rate of a test -- or discussing the
16 success rate of a test in picking out true positives
17 requires its own special language and I'm not sure --
18 I mean, the 4 per cent figure that has been given here
19 seems just to be probably 4 per cent of 280,000
20 donations, I think, with a small discount.

21 Anyway, the real point, I think, is that if false
22 positive results are obtained from test kits, then that
23 will give rise to a group of people who will be
24 understandably very anxious and who will require
25 additional healthcare and support, and I expect that's

1 just common sense, is it?

2 A. Yes, no doubt Professor Tedder commented on this high
3 rate in America, which I don't think -- he probably
4 didn't agree with.

5 Q. Well, yes, he has explained to us in some detail about
6 the different ways in which American tests and the
7 Wellcome test worked?

8 A. Yes.

9 Q. And that there were various features actually inherent
10 in the whole structure of the American tests which gave
11 rise to a risk of false positives, that were not present
12 in the Wellcome test.

13 Then can we just go down through the minute? Thank
14 you.

15 There is a mention of cost, which we would perhaps
16 expect, then this difficulty of people coming really
17 just for a test, and then the recommendation at the end,
18 a phased policy. You see that? That's paragraph 12.

19 So currently available tests have limitations,
20 a high rate of false positives is going to cause
21 significant difficulty, there is a practical need to
22 provide alternative screening facilities and asking what
23 ministers think.

24 Can we look then at [\[SGH0027225\]](#)? Dr Scott, I think
25 this is a telex?

1 A. I didn't know we were as advanced as that by then.
2 Maybe it was.

3 Q. I think probably only dinosaurs can recognise telexes --
4 and I can. But it looks like a telex to me and it's
5 coming from the private secretary to Mr Mackay. It's
6 going to the private secretary -- to the Secretary of
7 State. Why would telex have been used? I mean, is
8 somebody in London and somebody in Edinburgh?

9 A. Yes, from this MacKay must have been down in
10 Edinburgh -- DH -- that's probably where he was at the
11 time, in the Scottish office, and the Secretary of State
12 was perhaps in St Andrew's House, just as things worked
13 out.

14 Q. I don't think we have given this a date but actually
15 it's 22 March 1985 because we can see that in the line.

16 A. Yes.

17 Q. Do you think "DH" is Dover House?

18 A. Probably, yes.

19 Q. Right, thank you.

20 So Dover House in London and then New St Andrew's
21 House for NSAH?

22 A. Yes.

23 Q. It's all falling into place. It refers to
24 Mr Macpherson's minute of 21 March. Mr MacKay has
25 commented:

1 "I fully appreciate the logic of this advice,
2 especially the danger that at-risk men may use the
3 transfusion service as a screen, and as the test is not
4 absolutely reliable some blood may enter the system,
5 which is infected. Whatever we do on the BTS,
6 recommendation 12(c) is essential."

7 That was the one that we saw in the minute, related
8 to the provision of alternative testing facilities:

9 "Also we do have to keep in line, or ahead of,
10 England, otherwise we would be subject to very severe
11 criticism."

12 That's Mr Mackay. Then can we look at [\[SGH0027224\]](#)?
13 This is Dover House and this is 26 March 1985. This is
14 coming from the Secretary of State, and we can see that
15 the Secretary of State has seen the minute of 21 March
16 and has agreed the recommendation.

17 So whatever risks there might have been about the
18 introduction of screening and the need for it, perhaps,
19 as anticipated, a decision at least in principle to go
20 ahead has been reached by this point in March 1985. Is
21 that right?

22 A. Yes.

23 Q. Right.

24 Can we go on, please, and look at another document,
25 [\[PEN0170565\]](#)? This is just to pick up the reference to

1 the need for alternative testing facilities. The
2 Inquiry team has been doing some investigation on what
3 steps were taken in Scotland to ensure that such
4 facilities were available and I thought it would be
5 helpful if we just looked at a letter of response that
6 we have had from the Scottish Government in August, then
7 we will look at the actual documents referred to.

8 Can we go down a little bit? Thank you.

9 We can see that what has been found is a letter from
10 you to chief administrative medical officers dated
11 6 July 1985, in which they were asked to tell SHHD what
12 arrangements they had made for alternative testing
13 facilities. The chief administrative medical officers,
14 were they found in each health board?

15 A. Yes.

16 Q. Is that right? Right.

17 This is, in fact, the letter, sir, which gives
18 a little bit of information about Dr Covell.

19 Dr Covell -- am I pronouncing that correctly or should
20 it be "Covell"?

21 A. Covell.

22 Q. Do you remember Dr Covell?

23 A. Yes.

24 Q. I suppose he has had some involvement in this area
25 because of his particular areas of expertise in

1 communicable and sexually transmitted diseases?

2 A. Yes.

3 Q. Yes, because we are dealing with both issues of blood
4 transfusion, but also issues, obviously, of sexually
5 transmitted infections, and otherwise communicable
6 infections.

7 Then can we just look at the end of the letter,
8 please? Actually Dr Covell has been contacted but was
9 unable to respond to any of the questions.

10 It's pointed out that there perhaps was no written
11 guidance on alternative facilities to Scottish regional
12 transfusion directors, but perhaps also relevant to bear
13 in mind that this will have been the responsibility of
14 the health boards to provide anyway. And we know too
15 that Dr Cash wrote to the Common Services Agency on this
16 topic in February 1985 and actually sent a draft letter,
17 which he thought ought to be sent, suggesting liaison in
18 connection with this issue.

19 So can we move then, please, to look at
20 [\[PEN0170567\]](#)?

21 This is the first of those letters referred to.
22 Dated 8 July 1985 and it's, I think, from you, is it?
23 Yes, there we are.

24 Dr Scott, you seem to have been responsible for
25 a lot of this correspondence, rather than the chief

1 medical officer.

2 A. He was probably away at the time.

3 Q. Yes, I think he was away a lot, was he?

4 A. He was away -- I shouldn't refer to him, but he was an
5 absentee landlord. He spent most of his time on WHO
6 business elsewhere and I had to act on his behalf.

7 Q. This is a warning that routine screening of blood
8 donors -- it's probably going to begin before the end of
9 the year. The provision of alternative screening
10 facilities is described in your letter as "essential"
11 and people have to get back to the department to explain
12 how they propose to provide the facility.

13 THE CHAIRMAN: Who was the CMO at this time?

14 A. Dr John Reid, deceased.

15 THE CHAIRMAN: Yes.

16 MS DUNLOP: Then the next letter is actually [\[SGH0026982\]](#).
17 This is on a slightly different topic but I think also
18 from you, is it? Yes. 6 August 1985. You are writing
19 to chief administrative and medical officers again, and
20 you are also writing to, I suppose, the director of
21 Scottish Blood Transfusion Services, Dr Cash, is it?

22 A. Yes.

23 Q. And then regional directors at SNBTS?

24 A. Yes.

25 Q. I think to inform them about the results of the first

1 phase of the evaluation exercise. So saying that the
2 first phase of the evaluation exercise has been
3 completed and also pointing out that confirmatory
4 testing is going to be available at the department of
5 bacteriology in Edinburgh and at the Regional Virus
6 Laboratory at Ruchill in Glasgow.

7 Convenient for us just to look at the attached
8 report. Can we look at [\[SGH0026968\]](#)? If we keep that
9 open for a moment and also look at the document
10 immediately before, [\[SGH0026967\]](#). This is just to
11 orientate ourselves, because I think this is the
12 covering memo, at least for England, 1 August 1985. And
13 we can see that this again refers to the completion of
14 the first stage of the evaluation. It says a summary of
15 the recommendations is attached. A more detailed
16 account of the PHLS evaluation is to be available later
17 that month.

18 Can we then go back to 6968, please? We can just
19 see that this is the resume of the results. It looks as
20 though you have just sent it out with your own covering
21 memo and we can see that the memo lists the different
22 kits which have been evaluated. There has been an
23 evaluation protocol and the kits most suitable for use
24 in diagnostic laboratories are thought to be those of
25 Organon, Ortho Diagnostic Systems Limited and Wellcome.

1 Sir, I think this may be the document Professor Cash
2 had in mind. I may be wrong but in the light of what he
3 had said yesterday, I did notice in this paragraph under
4 the heading "Kits most suitable for use in diagnostic
5 laboratories", that Abbott had emphasised that heat
6 treatment of sera before testing was not part of the
7 company's standard operating procedure.

8 So possibly one of the documents that he had in mind
9 when he said that heat treatment, which was employed in
10 phase 1 of the evaluation exercise, was something that
11 may have complicated the picture.

12 Anyway, that's really just something to note in
13 passing.

14 Then there is to be this second stage evaluation in
15 blood transfusion centres. We can see that the list of
16 three has shrunk to two, if we go on to the next page.
17 So we are really talking about the kits from Organon and
18 Wellcome. So you must have felt, Dr Scott, that you
19 want to disseminate this information more widely, the
20 information about the evaluation exercise that had been
21 conducted under the auspices of the DHSS. Would that be
22 right?

23 A. Yes.

24 Q. Right.

25 THE CHAIRMAN: And you would have done that at this stage

1 without reference to Dr Reid?

2 A. I don't know whether he was there at the time. He
3 probably wasn't. If I signed the stuff, he probably
4 wasn't there.

5 THE CHAIRMAN: So really at that stage are you effectively
6 acting --

7 A. Yes.

8 THE CHAIRMAN: -- in his place?

9 A. Effectively.

10 THE CHAIRMAN: Right.

11 MS DUNLOP: Then can we look at [\[SGH0026995\]](#)?

12 This is the letter of August, a Dear Doctor letter,
13 going to the chief administrative medical officers
14 again, and dealing once more with the topic of
15 alternative testing facilities. By now it's anticipated
16 that the screening will commence in mid-October.

17 Can we read a little bit further down the letter,
18 please? We see, Dr Scott, that there is a mention of
19 genitourinary or sexually transmitted disease clinics,
20 who will be in a position to offer alternative testing
21 to patients, but it seems that there was also
22 a perceived need to offer facilities to those who didn't
23 want to go to a clinic of that nature. Is that right?

24 A. Yes.

25 Q. Yes. And making, I suppose, some essentially simple

1 points about the need to publicise the facilities, to
2 tell GPs, and then there has to be appropriate
3 counselling as well. And we can see that you are able
4 to take advantage of courses at St Mary's Hospital in
5 London. Actually this letter also contains information
6 about infection control, infection control guidelines,
7 which I don't think we need to look at.

8 So that deals with the question of the introduction
9 of alternative testing facilities, which we know were
10 perceived as necessary from quite early on in the story.
11 Can we just go back to the statement then, please?

12 [\[PEN0170513\]](#). Actually I have asked you all these
13 questions and put to you all these documents stemming
14 from the minutes that we looked at from the early part
15 of 1985. So we were really just at about paragraphs 10
16 or 11 but we then asked you a series of questions which
17 you really weren't able to answer. I think because you
18 weren't involved. Some of these are English minutes and
19 memoranda.

20 If we look on to the next page, please.

21 Although you didn't have any direct involvement,
22 again the decision to have an evaluation process seems
23 to you to have been something that was inevitable. It
24 was always going to have to be evaluation of tests and,
25 you say that in 17.

1 A. Yes.

2 Q. And then you point out also, in 19, about the difference
3 between commercialisation of the indigenous test, as it
4 were, versus evaluation of the commercial tests, and it
5 seems to you right that they should have been kept
6 apart. The secret meeting didn't ring any bells for
7 you?

8 A. No.

9 Q. And then you again reiterate the point in paragraph 22
10 about it not being correct to introduce a test which has
11 not been evaluated.

12 Can we go on to the next page, please? The only
13 DHSS person whose name you actually recall is
14 Dr Smithies. Did you have some contact yourself with
15 Dr Smithies?

16 A. No.

17 Q. No?

18 A. I recognise the name but ...

19 Q. Right.

20 A. I don't think I ever met her.

21 Q. And you weren't involved in any discussions which
22 resulted in SNBTS abandoning its own evaluation?

23 A. No.

24 Q. No. Then you cover in your answer 31 all the pieces of
25 advice that you issued, and I have added in the one

1 from July 1985 as well.

2 I think we should just look, Dr Scott, at a final
3 tranche of minutes and memoranda, showing the ministers
4 being kept up-to-date in the autumn of 1985. Can we
5 look at [\[SGF0010831\]](#), please?

6 This is going to Mr Mackay and it's updating him
7 since the Macpherson minute of 21 March and then another
8 minute, which we haven't actually looked at, from
9 Mr Davies in June. We can see that firstly there is
10 information about the incidence of AIDS. Statutory
11 powers. Education. And then various other publications
12 have been distributed. A paper entailed "AIDS: General
13 Information for Doctors". Then can we go over to the
14 next page, please? Thank you.

15 Then blood tests, arrangements have been made to
16 screen all blood donations as from mid-October.

17 I don't think anything in paragraph 6 is news to us.
18 Paragraph 8, a need for adequate publicity in connection
19 with the facilities available outside the Blood
20 Transfusion Service.

21 This is coming from SM Liddle. Do you remember him
22 or her?

23 A. Him.

24 Q. Him?

25 A. Yes.

1 Q. Yes. So another non-medical member of staff in SHHD.
2 Is that right?

3 A. Yes, I think he was a principal or something like that.

4 Q. Right.

5 A. Or an SEO. One or the other.

6 Q. And offering to the minister the opportunity to discuss
7 the matter with officials if he wishes. Then
8 into October, [\[SGH0027079\]](#). This actually is from
9 Dr Reid. And he is sending to chief administrative
10 medical officers, on 1 October 1985, a letter to go to
11 all doctors within the individual health board areas.
12 And there is also going to be a paper enclosed entitled
13 "Information for Doctors Concerning the Introduction of
14 HTLV-III Antibody Test. AIDS Booklet 2". Again,
15 Dr Covell is the contact for this.

16 Then the next document is [\[SGH0027080\]](#). That's the
17 enclosure, the dear doctor letter, that the CAMOs are to
18 send out, then another enclosure is the booklet, which
19 we shall just look at briefly too. It's [\[SGH0027081\]](#)
20 "AIDS Booklet 2". Then if we perhaps just have a look
21 at what it deals with. It covers quite a wide range of
22 different issues.

23 (Pause)

24 Procedure. We can see that there is to be repeat
25 testing of those donors who have an initially positive

1 screen test and then if they become repeat positive
2 donors, then the reference laboratory will get involved
3 and a protocol has been devised for the communication
4 that's to take place with the donor.

5 There is to be counselling about the significance of
6 test results. Then on to the next page, please.

7 Arrangements made for any donors in this position to
8 receive further medical help.

9 A mention is made in paragraph 4 of a potential
10 problem with false negative results. And a bit of
11 information in paragraph 5 as to what to expect in
12 patients who come to doctors by this route. Clinical
13 assessment is to determine whether or not a patient
14 should be referred for any further investigation and
15 treatment and how frequently follow-up is required.

16 Then alternative testing facilities. Advice for
17 GPs.

18 Then on to the next page, if we could, please.

19 So it was thought necessary, Dr Scott, to provide
20 with some care for how any individual having to cope
21 with a positive test result should be dealt with. Is
22 that right?

23 A. Yes.

24 Q. And we see considerations like their need for further
25 clinical examination, their need for information, and

1 then we can see a specific section dealing with
2 seropositive women of child-bearing age. There is
3 actually a passage underlined, in fact, at the end of 8:

4 "All HTLV-III positive individuals, whether or not
5 asymptomatic, must be regarded as capable of
6 transmitting infection through sexual contact or through
7 transfusion or inoculation of blood. Their counselling
8 should include the guidance given in appendix 2."

9 Appendix 2 is actually a set of guidelines for
10 individual patients. Then there is a reference to
11 employment matters. We can perhaps just read on through
12 this booklet "Lab Investigations", and precautions to be
13 taken then, and I think if we look on to appendix 2, we
14 will find the details for individuals. Here we are,
15 "Guidance to Individuals on Measures to Control the
16 Spread of HTLV-III."

17 So some quite detailed information for individuals
18 whose infection comes to light by this particular route.

19 Perhaps we can just read to the end. (Pause)

20 Can we just go on and look at the last page as well?

21 Thanks.

22 This is actually mentioning some possible contacts
23 for people with haemophilia, so whoever has put these
24 guidelines together has had in mind that some of those
25 who may be needing advice may have been infected by that

1 particular route. Right, thank you.

2 Dr Scott, that's an examination of the
3 decision-making process in Scotland, concerning the
4 introduction of screening and some of the practical
5 steps that had to be taken so that the screening could
6 be introduced and would operate as efficiently and
7 effectively as possible, and we have looked at your own
8 part in those decisions and the preparations.

9 I did just want to ask you one final question,
10 however. There was a lot of liaison between Scotland
11 and England over this period.

12 A. Yes.

13 Q. Particularly between SHHD and DHSS.

14 A. Yes.

15 Q. And from time to time we have seen that sort of contact
16 described in different ways. I suppose one could say
17 that the Scots delegated the decision-making to the
18 English and would just have done whatever was decided in
19 England, or the Scots were watching what was happening
20 in England or a decision was being reached jointly or
21 something of that sort. I just wondered how, as you
22 look back on it now, you describe the decision-making
23 process?

24 A. Well, we had liaison with the DHSS at all kinds of
25 levels. I would go down and attend the policy meetings

1 of the chief medical officer of the DHSS and I would
2 take -- listen to the discussions and then come back.
3 But there would also be contacts at all levels, going
4 backwards and forwards, talking to each other, what we
5 were doing, et cetera. That doesn't mean to say if DHSS
6 decided to do something, we would necessarily do it.

7 If they hadn't decided to do it, then we might well
8 have done it. In this case DHSS were very equivocal
9 about introducing tests and we decided that we would go
10 ahead whatever happened. As it happened, it worked out
11 and we went together at the same time. So there is no
12 simple answer to it.

13 Q. Right. What do you think would have happened if, say,
14 during 1985 it had become clear that Scotland was ready
15 to introduce screening whereas there had been a problem
16 in England and England wasn't ready?

17 A. It might have delayed it by a little but not by much.

18 Q. Right. So would it have been possible that Scotland
19 would have introduced screening ahead of England?

20 A. Yes.

21 Q. If circumstances had been different?

22 A. With the agreement of ministers.

23 Q. Scottish ministers?

24 A. Scottish ministers.

25 Q. Right. Okay. Thank you very much, Dr Scott.

1 Questions by MR DI ROLLO

2 MR DI ROLLO: I would just like to follow up on one or two
3 points, sir, if I may.

4 Dr Scott, can we have a look, please, at
5 [\[SGH0027295\]](#), which is the memo from Mr Davies, I think,
6 to you. Is that right?

7 A. Yes.

8 Q. It's fair to say that he is not terribly sympathetic to
9 the idea at this stage of introducing screening?

10 A. I beg your pardon?

11 Q. The author of this is not terribly sympathetic to the
12 idea of introducing screening at this stage.

13 A. No, he really wasn't very keen on it but if it had to go
14 ahead, finance was not going to be a problem. That had
15 been cleared with Mr Robertson. It was quite
16 a considerable cost but it wasn't a determining cost.

17 Q. If we look at the second paragraph there, there is one
18 statement in there which I would like to ask you about.

19 It says:

20 "Haemophiliacs in Scotland are now not at risk, as
21 all Factor VIII is heat-treated."

22 Do you know if that's accurate or not?

23 A. Well, I doubt we would have said it if it wasn't true.

24 Q. You see, I think our information is that haemophiliacs,
25 at least haemophiliac B patients, would be at risk still

1 at this time because Factor IX was not heat-treated.
2 Factor VIII was heat-treated but haemophiliacs in
3 Scotland -- or certain haemophiliacs in Scotland would
4 be at risk at this time. Were you aware at this time
5 that for instance Factor IX was not heat-treated?

6 A. I can't remember. I don't think so.

7 Q. If we go to the advice to ministers, [\[SGH0027226\]](#).
8 There is an earlier version of this draft but just
9 looking at this one, in the first paragraph there is
10 a sentence I want to ask you about. It says:

11 "The public health hazard does not therefore warrant
12 alarm on the scale manifested in the popular press."

13 Then it goes on to say:

14 "However, such alarm undoubtedly exists and it is
15 desirable to take visible steps to reduce it."

16 There is a possible ambiguity there. Is the
17 desirability to take visible steps to reduce the alarm
18 or to reduce the health hazard?

19 A. Reduce the alarm.

20 Q. Right. So the motivation may be about reducing alarm,
21 as opposed to reducing the perceived risk to health in
22 relation to this whole issue. Is that right?

23 A. No, I don't think so. I think everything would have
24 been done that could be done.

25 Q. We have heard from Professor Cash, who has told the

1 Inquiry, I think, that he wanted to go ahead and
2 evaluate in Scotland screening tests, and he was told by
3 SHHD that that wouldn't be possible, that he wasn't to
4 do that and that we were to wait for evaluations to take
5 place in England. Do you know anything about that?

6 A. No, I don't know why Dr Cash says what he says.

7 Q. Is he wrong to say that?

8 A. I would not presume to comment on Dr Cash's views.

9 Q. Right. So you are not in a position to say he is wrong
10 to say that?

11 A. I would say that Dr Cash is a first-class scientist of
12 the highest order. His views on SHHD, as you can see
13 from his evidence there, are not entirely always
14 favourable, shall we say?

15 Q. I think that is probably fair to say that. I think the
16 impression one gets is that there is a feeling that SHHD
17 in some way were holding him back in doing what he
18 wanted or would have liked to have done in terms of
19 progressing matters.

20 A. He may well have felt that way. As I say, I can't get
21 inside the mind of Dr Cash.

22 Q. Is he right to think that though, is what I'm asking
23 you?

24 A. I don't care to comment on any of Dr Cash's statements
25 about relations with SHHD and what they prevented him

1 from doing and that kind of area.

2 THE CHAIRMAN: I think it may be quite important in some
3 circumstances that I know what the relationships are,
4 Dr Scott. So can I prevail on you to apply your mind to
5 it please? If Mr Di Rollo asks you a question like
6 that, I think you should take it that there is some
7 significance in it.

8 A. Yes, I think there is significance to the effect that
9 Dr Cash was highly critical of SHHD in many aspects.
10 Whether he was justified in that, I don't know. But he
11 usually tended towards being critical of SHHD.

12 MR DI ROLLO: I think it probably would be helpful -- this
13 is an opportunity for you to give your side of it,
14 I suppose, or SHHD's side of it, if you are in
15 a position to do so, and that's what I'm really inviting
16 you to do.

17 A. Other than to say, if Dr Cash would find an opportunity
18 to criticise SHHD, then he would do so.

19 Q. The specific issue that I have asked you about is the
20 question of the delay in being in a position to evaluate
21 screening tests in Scotland. He has made a specific
22 criticism in relation to that. Is that criticism, in
23 your view, justified?

24 A. I think he decided that -- I think, as I recall, he
25 withdrew the idea of doing the evaluation tests under

1 his own free will.

2 Q. He was told, as he puts it, I think, in no uncertain
3 terms, that he wouldn't get the support of SHHD in
4 relation to this and that he had no option but to
5 withdraw it.

6 A. I can only comment that Dr Cash, where possible, would
7 be critical of SHHD, no matter what they did.

8 Q. Is it the case that SHHD did not support the idea that
9 Scotland should go it alone in relation to this
10 particular issue?

11 A. On what issue?

12 Q. In relation to the evaluation of screening tests?

13 A. I can't recall the exact words Dr Cash said over
14 evaluation. I thought he had first of all suggested it
15 and then withdrew it. The suggestion -- without any
16 pressure from SHHD to do so.

17 Q. My understanding of his evidence, both in his statement
18 and to us yesterday, was that as a result of
19 conversations he had with Dr McIntyre, he was told that
20 an evaluation in Scotland would not take place. It
21 wouldn't be permitted to take place because the
22 evaluation was to take place in England, and that's what
23 SHHD had decided to do. Now, is he right about that?

24 A. If Dr McIntyre says so, that would be right. He would
25 remember better than I do.

1 Q. I know the minister says in his response that he doesn't
2 want to be behind England, and perhaps suggests that
3 being in front of England would be quite a good thing
4 from his point of view, politically, but the civil
5 servants at least don't appear to be terribly keen to go
6 down the road of introducing screening tests, at least
7 initially, and even in the advice to ministers, the
8 concern seems to be more about alarm rather than health
9 issues. Do you see my point?

10 A. I think it was on both issues.

11 THE CHAIRMAN: Mr Di Rollo, we are going to have to have
12 a break for the benefit of the stenographer. We will
13 try and make it as brief as we can.

14 MR DI ROLLO: Very good.

15 (3.35 pm)

16 (Short break)

17 (3.54 pm)

18 THE CHAIRMAN: Yes, Mr Di Rollo?

19 MR DI ROLLO: Dr Scott, I was really just exploring this
20 issue about the decision-making in relation to the
21 introduction of screening tests and in particular the
22 question of carrying out an evaluation in Scotland.

23 I think we all know that Professor Cash can be critical
24 of SHHD.

25 A. Thank you for recognising that.

1 Q. I'm not sure that's necessarily the point that I want to
2 make. The question I want to look at really is the
3 merits of this particular criticism and whether it's
4 justified or not. In other words, leaving aside other
5 criticisms he may have made of SHHD over the years --
6 and no doubt there were one or two criticisms -- perhaps
7 more than one or two -- the question I want to get to is
8 your side of it in relation to whether this particular
9 criticism is justified.

10 Dr Cash, as I understand it, has told us that
11 essentially he was in a position to get an evaluation of
12 screening tests in place in January 1985, get that up
13 and running, and if that had happened, I think he has
14 also indicated that we might have got a screening test
15 in place earlier than we did. The question I'm asking
16 is whether you are aware that he was prevented from
17 doing that by SHHD. In other words, did SHHD or did
18 anyone from SHHD say to him, "You are going to have to
19 wait for the English test evaluation to take place"?

20 A. I can't recall the exact events but as I understood it,
21 he withdrew it on his own volition. Whether he was
22 advised to by someone in SHHD I do not know.

23 Q. Right.

24 THE CHAIRMAN: You see, the implications of the answer,
25 Dr Scott, include that he had such a proposal.

1 A. There was a proposal.

2 THE CHAIRMAN: That he had such a proposal for testing.

3 A. Yes.

4 THE CHAIRMAN: He said it was in Glasgow, using a really
5 well developed team there and that at some stage that
6 proposal was departed from.

7 If SHHD were involved in the process that led him to
8 depart from it, there could be all sorts of great
9 reasons why they did: economic, lack of confidence that
10 it was necessary to have a separate test, confidence in
11 the English test that the PHL service could produce, all
12 sorts of reasons, but if SHHD didn't take part in it,
13 the reasons are totally irrelevant. So really it is
14 quite important to follow Mr Di Rollo's line and see
15 whether you can help us.

16 Dr Cash may be unqualifiedly critical of SHHD for
17 their role. That's not necessarily where we would end
18 up, but it's important to know whether they had a part
19 to play.

20 Is that a reasonable way to put it, Mr Di Rollo?

21 MR DI ROLLO: Yes, indeed.

22 A. I think Dr McIntyre might well remember the
23 circumstances. I don't. I can't remember the
24 circumstances in which the evaluation was not carried
25 out. Dr McIntyre may have spoken to him, I don't know.

1 Q. We have a statement from Dr McIntyre, and I don't really
2 think it helps us very much to resolve this particular
3 question, because I think his recollection doesn't
4 assist on this particular issue.

5 It does seem surprising from my standpoint that
6 there is no documentation about this at all, of any
7 kind. This discussion, if it takes place, there is
8 nothing in writing, no memorandum or any information
9 which suggests what the SHHD position was about that.

10 A. I can't help you there, I'm sorry.

11 Q. Such material as does exist tends to support the view
12 that, leaving aside the issue of evaluation, SHHD
13 weren't terribly sympathetic to the idea of introducing
14 screening tests at all at this stage. That's what that
15 memorandum -- the original one that we saw this
16 afternoon and the one that we have on the screen just
17 now -- tends to suggest, that we are just simply going
18 to follow what the English are doing on this one. Isn't
19 that what the SHHD position seems to have been?

20 A. I think we were aware it wasn't really a very
21 satisfactory test. But if it had to go ahead for other
22 reasons, then it had to go ahead.

23 Q. Dr Scott, you say, "We were aware that it wasn't a very
24 satisfactory test," can you just explain how that
25 awareness came about?

1 A. Well, I think Professor Tedder would have been able to
2 answer that question better.

3 Q. No, it's not why it's unsatisfactory, it's not that.
4 You said, "We were aware that it wasn't satisfactory,"
5 what I want to know is: how were you aware that it was
6 unsatisfactory?

7 A. From all the information that was going around.

8 Q. Who gave you that information?

9 A. I beg your pardon?

10 Q. Who gave you that information, how did you get that
11 information?

12 A. I can't remember who gave that information, but we would
13 know what Tedder was thinking. We would know what the
14 general tenor of events were.

15 Q. Paragraph 12 of this memorandum, [\[SGH0027226\]](#), on the
16 third page, it says:

17 "No doubt there will be public pressure for routine
18 screening of blood donations once it is known that
19 commercial tests are readily available. However having
20 regard to:

21 "(a) The limitations of currently available tests;
22 "(b) The disproportionate effects of a high rate of
23 false positive findings; and
24 "(c) The need to provide alternative screening
25 facilities to divert 'at-risk' individuals from the

1 Blood Transfusion Service,

2 "We recommend the adoption of a phased policy
3 leading to the routine screening of blood donors, which
4 would take into account a comparative evaluation of the
5 tests available ..."

6 Et cetera. It does appear from that that the
7 urgency that one might have anticipated in relation to
8 this particular matter perhaps isn't there; in other
9 words, that we are dealing with a situation where we
10 know that there is HIV in the blood supply, we know that
11 haemophiliacs have already been infected as a result of
12 that. We know that anyone receiving a donation of blood
13 by transfusion could potentially be at risk. One would
14 have thought that the need to introduce screening tests
15 was very urgent at this stage, rather than this notion
16 of a phased introduction.

17 In other words, what I'm suggesting to you is that
18 the ministers are not being told the seriousness of the
19 situation and the need to press on with this at a much
20 greater speed. That's what I'm suggesting to you.

21 Do you have anything to say or do you have any
22 comment about that?

23 A. I thought ministers had reacted to that saying that --
24 12(c).

25 Q. I'm sorry, Dr Scott?

1 THE CHAIRMAN: Dr Scott is looking for the document on which
2 the minister's comment is sent back, generally accepting
3 the advice and drawing particular attention to
4 paragraph 12(c). I can't remember precisely the number.
5 A. Recommendation 12(c) is essential, the minister says,
6 and the Secretary of State agrees with it.
7 MS DUNLOP: It's the same as 7224.
8 MR DI ROLLO: We will maybe put that up on the screen.
9 MS DUNLOP: Sorry, 7225 is the one that has that comment in
10 it, 7225.
11 MR DI ROLLO: That's to do with introducing alternative
12 donor testing. That's what 12(c) is to do with, but
13 I don't think that detracts from a general point, it's
14 really a suggestion that there was a lack of urgency at
15 this time on the part of SHHD in respect of --
16 A. I don't accept that.
17 Q. I have no further questions, sir.
18 MR ANDERSON: I have no questions.
19 THE CHAIRMAN: Mr Johnston?
20 Questions by MR JOHNSTON
21 MR JOHNSTON: I just have one question, Dr Scott.
22 You have just been asked about technical issues such
23 as the reliability of tests and all I wanted to ask you
24 is, if you needed some guidance about a technical point
25 such as that, who would you ask?

1 THE CHAIRMAN: Dr Cash perhaps?

2 A. About the reliability of tests in general or ...? Or

3 all kinds of tests?

4 MR JOHNSTON: You gave some evidence a few moments ago about

5 how you absorbed the state of scientific knowledge or

6 that sort of thing, and you told us sometimes other

7 people looked at medical publications. I'm simply

8 trying to get a feel for where you gathered the

9 information that you felt was necessary to make

10 decisions, or advise on making decisions.

11 A. From around the department, from the medical press, from

12 whoever I was talking to at the time.

13 THE CHAIRMAN: I wasn't being facetious. Wasn't Dr Cash, in

14 relation to blood transfusion matters, your scientific

15 adviser?

16 A. Yes.

17 THE CHAIRMAN: Yes. Wouldn't you have gone to him?

18 A. About matters of both false positive in relation to --

19 blood transfusion matters, yes, but in general false

20 positives in a lot of other areas.

21 THE CHAIRMAN: We are talking at the moment, Dr Scott, about

22 a scientific factor that is central to the operation of

23 the Blood Transfusion Service, are we not?

24 A. Yes.

25 THE CHAIRMAN: Mr Johnston?

1 MR JOHNSTON: Thank you, sir.

2 Could I follow up perhaps by asking you to look at
3 one document that you have seen already, this is your
4 memo of 8 February 1985. [\[SGH0027294\]](#).

5 A. Yes.

6 Q. We see there in the first half of the memo, you are
7 talking about the scientific situation and then you make
8 reference to public interest and so forth and then you
9 suggest the office meeting. Can we see there in the
10 last two main paragraphs, you say:

11 "For consideration whether Dr Cash, as our
12 consultant, might also be invited to the office meeting.
13 He strongly advocated introducing the test despite its
14 limitations, as the minister would be open to criticism
15 if he did not agree."

16 Then the following paragraph, just at the end:

17 "If Dr Cash were to advise unequivocally against the
18 introduction of the test, that might be another matter."

19 Do you see those points?

20 A. Yes, I see them.

21 Q. Can you tell us, is that the sort of consideration that
22 cropped up only on this one occasion or is that
23 something you would routinely want to consider, the
24 involvement and the views of Dr Cash?

25 A. If it in any way affected SNBTS, yes, we would have

1 consulted him.

2 Q. All right, thank you very much.

3 THE CHAIRMAN: I'm still worried a little bit about the
4 reality of this.

5 We know that Dr Cash wanted a test, isn't that so?
6 There is a difference of emphasis perhaps, whether the
7 test should be evaluated in England or evaluated in
8 Scotland or evaluated in both, but that a test was
9 needed seems to be a matter of common opinion right
10 throughout.

11 A. Correct, yes.

12 THE CHAIRMAN: The issue that I think Mr Di Rollo was
13 raising was how Dr Cash came to be diverted, as it were,
14 from an initial view that the resources of the Blood
15 Transfusion Service in Glasgow, highly experienced in
16 evaluating tests, shouldn't be used on this occasion but
17 that the matter be left to be pursued by the Department
18 of Health in England, with the Public Health Laboratory
19 Service. I think that's what the real issue is,
20 Dr Scott. Can you not help us with that at all?

21 A. No, I don't know why they gave up the idea. They did
22 give it up.

23 THE CHAIRMAN: I think the sequence of documents shows that
24 he adopted a different line after a certain point.
25 Whether that can properly be called "giving it up" may

1 be an issue.

2 A. Well, they changed their mind, they weren't going to do
3 it. And I have no recollection of whether advice or
4 pressure was put on from SHHD. I cannot recall that.

5 THE CHAIRMAN: Of course, if Dr McIntyre can't help us and
6 you can't help us, and Dr Cash is the only source of
7 evidence I have got, then it might be that a certain
8 consequence follows. You understand that?

9 A. I don't know what Cash would say about why he gave up
10 doing the evaluation.

11 THE CHAIRMAN: I think we do know what Cash would say as to
12 why he gave up. Anyway, that's as far as I think it's
13 proper for me to take it.

14 Ms Dunlop, have you any further questions on this?

15 MS DUNLOP: No, I have no further questions, thank you, sir.

16 THE CHAIRMAN: Thank you very much Dr Scott.

17 Right, where do we go now?

18 MS DUNLOP: Dr McClelland is coming tomorrow morning and we
19 will, I think, be finishing around lunchtime.

20 THE CHAIRMAN: I certainly hope we are since I have to be at
21 Heriot-Watt University.

22 MS DUNLOP: Yes.

23 THE CHAIRMAN: Very well, thank you very much.

24 (4.10 pm)

25 (The Inquiry adjourned until 9.30 am the following day)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

PROFESSOR RICHARD TEDDER (sworn)1
 Questions by MS DUNLOP1
DR GRAHAM SCOTT (continued)99
 Questions by MS DUNLOP (continued)99
 Questions by MR DI ROLLO132
 Questions by MR JOHNSTON143

