

1 Wednesday, 4 May 2011

2 (9.30 am)

3 PROFESSOR CHRISTOPHER LUDLAM (continued)

4 Questions by MS DUNLOP (continued)

5 THE CHAIRMAN: Yes?

6 MS DUNLOP: Good morning, Professor Ludlam.

7 A. Good morning.

8 Q. I think before we go back to Koch's Postulates, a loose  
9 end I should tie up from yesterday is the article by Drs  
10 Barbara and Tedder, which we mentioned yesterday, and I  
11 did not have my hard copy at the time but I do now.

12 It's [\[LIT0013739\]](#). This is an article from Clinics  
13 in Haematology, October 1984. Drs Barbara and Tedder  
14 are both virologists. Is that correct?

15 A. Correct.

16 Q. Yes. In the article they rehearse a number of viral  
17 infections, transmitted by blood and its products. We  
18 can look at the introduction, in which they emphasise --  
19 and we can see this if we look at the bottom of the  
20 first page -- that:

21 "The characteristics of agents lending themselves to  
22 transmission by blood or blood products centre around  
23 their presence in blood or its components which has been  
24 taken from *[in italics]* apparently healthy donors. Thus  
25 these agents often will have a combination of a long

1 incubation period with a prolonged and high level of  
2 viremia."

3 I understand the point that they are making there to  
4 be that almost by definition these agents that are  
5 transmitted by blood and its products have some kind of  
6 silent period because the person appears healthy when  
7 they give blood?

8 A. That's correct, yes.

9 Q. If we move to the next page, there is a section headed  
10 "The nature of the viral agents", and there is a short  
11 list, at the bottom of which we see the agent of AIDS,  
12 HTLV-III. So given that this is the autumn of 1984,  
13 this is really quite a recent addition to the table.

14 Then moving through the article, we can see on the  
15 next page Hepatitis B, and if we go on, we will find,  
16 after sections included on Hepatitis A, non-A non-B, if  
17 we go on to HTLV, which is on 702, [\[LIT0013739\]](#), page  
18 10. I think we all understand that there are obviously  
19 HTLV I and II, as well as HTLV-III, and there is a short  
20 introduction there saying, at the bottom:

21 "There are three closely related viruses in the HTLV  
22 group. Two that are well characterised are the human  
23 T-cell leukaemia viruses, type 1 and 2 ..."

24 Then on to the following page, we find the  
25 discussion of HTLV-III:

1           "The implications of AIDS in blood transfusion,  
2           a topic that has overshadowed NANB, has been reviewed  
3           recently and the infectious complications have been  
4           considered elsewhere in this issue."

5           At that point they are saying:

6           "Two haemophiliacs with AIDS, one of whom has died,  
7           have been reported in the UK, and 21 haemophiliacs with  
8           AIDS have been identified in the USA up  
9           to November 1983."

10           I'm trying to work out exactly when this article was  
11           finalised. Sometimes you can get the date when it is  
12           submitted for publication or something like that but  
13           I couldn't see it:

14           "In addition, 18 American patients have been  
15           identified who are thought to have acquired AIDS  
16           following transfusion of whole blood, packed cells,  
17           fresh-frozen plasma or platelets ... most of the  
18           transfusion-associated cases occurred in those areas of  
19           the USA which had the highest incidence of AIDS in the  
20           population."

21           It was really the next paragraph I wanted to put to  
22           you:

23           "The transmission of AIDS by pooled clotting factor  
24           concentrates is less controversial. Since, as a group,  
25           haemophiliacs are well studied, it is unlikely that

1           there should have been an illness like AIDS unrecognized  
2           before 1980. Little significance should be attached to  
3           reports of abnormal lymphocyte profiles in  
4           haemophiliacs; nevertheless there is no doubt that there  
5           have been deaths of haemophiliacs due to AIDS in the  
6           absence of other established risk factors and that,  
7           unlike those associated with transfusion, these cases  
8           were scattered throughout the USA."

9           We saw yesterday, professor, that a lot of different  
10          individuals reported altered immunology in patients with  
11          haemophilia but Drs Tedder and Barbara are saying that  
12          little significance should be attached to those reports.  
13          Do you agree with that?

14        A. They are virologists and until the virus was identified  
15          and the antibody test developed, there was no other way  
16          of studying this condition other than by immune tests.  
17          These were patients who presented, when they developed  
18          AIDS, with profound immune deficiency and they were  
19          therefore investigated for immune deficiency with  
20          laboratory investigations.

21          It then only seemed reasonable to look at at-risk  
22          individuals initially in the gay community, and  
23          subsequently in people with haemophilia, to see whether  
24          they may have similar abnormalities to those who had  
25          AIDS as a surrogate marker. That is the best you can do

1 under these circumstances. Later on in this article,  
2 Professor Tedder and Dr Barbara actually go on to  
3 suggest the use of some immune tests for deciding  
4 whether, I think it is that patients may be infectious  
5 or HIV -- I'm sorry, I forget the exact details, but  
6 they recommend, because there aren't any other markers,  
7 that the best you have are immune tests. So we have to  
8 deal with what we have at the time.

9 Q. Yes, but I suppose the point they seemed to me to be  
10 making was that, firstly, this is plainly being written  
11 after the work by Gallo in the earlier part of 1984,  
12 which had linked AIDS and HTLV-III, and they seem to be  
13 saying, firstly, that, as far as they are concerned, the  
14 hunt is over, and the agent which is causing AIDS in  
15 people of homosexual orientation and also people with  
16 haemophilia, the hunt is over. Is that what they are  
17 saying?

18 A. I think by October 1984 there was little doubt that  
19 HTLV-III was the cause of AIDS.

20 Q. Yes.

21 A. I'm very happy to accept that. However, we don't know  
22 or we didn't know until the antibody test was produced,  
23 just how many people might have been infected. We don't  
24 know whether everyone was equally susceptible. It may  
25 be those who had abnormal immune tests were more

1           susceptible to the virus when exposed to it. So I'm  
2           happy -- very happy to agree. I have no difficulty that  
3           by this stage, this time, HTLV-III was almost certainly  
4           the cause but there were still a huge interest and  
5           a developing interest in the immunology for monitoring  
6           individuals. For example, patients who were  
7           anti-HTLV-III negative, we didn't know at this stage  
8           whether they were truly not infected with HTLV-III or  
9           whether it was in some latent form in them, not  
10          expressed, or whether the test, the antibody test, was  
11          just not sensitive to pick up low levels of antibody.  
12          So the false negatives.

13                 So one of the ways that we monitored these patients  
14          was to look at their immune function serially. As I'm  
15          sure you are well aware, those who were demonstrably  
16          infected with HTLV-III showed, over a period of time,  
17          declining immune function, whereas what we were able to  
18          demonstrate very clearly was the immune function did not  
19          change in those who were anti-HTLV-III negative, and  
20          that was important evidence that these individuals were  
21          not infected latently with HTLV-III.

22    Q. I can certainly understand, professor, the point you  
23          make, that there were many unanswered questions, and  
24          indeed even today there seem still to be unanswered  
25          questions, but your acceptance that you indicated a

1 moment ago that by the autumn of 1984 that this virus,  
2 HTLV-III, was the cause of AIDS, including in people  
3 with haemophilia; does your acceptance extend to that?

4 A. Yes.

5 Q. Right. The point that Drs Tedder and Barbara make in  
6 this paragraph however, about it being unlikely that  
7 there should have been an illness like AIDS in people  
8 with haemophilia caused by some other phenomena, that  
9 was a valid point even in 1983, was it not?

10 A. Yes.

11 Q. Yes.

12 A. Yes.

13 Q. Can we think about Koch's Postulates? Perhaps I should  
14 start by putting this in context, is that how do we get  
15 to Koch's Postulates in this Inquiry? Because a number  
16 of people perhaps who are here listening or reading the  
17 transcript may be wondering a bit about the background  
18 to this because it is threatening to become very  
19 complicated.

20 A number of doctors have mentioned Koch's Postulates  
21 to us in our preparations, in particular when we have  
22 looked, as we have done, at a government line about  
23 there being no conclusive evidence that there was  
24 a connection between AIDS and blood products. Dr Winter  
25 suggested to us that the thinking behind that line may

1           have been to do with Koch's Postulates, so we have  
2           sought some input on the postulates for that reason, and  
3           also indeed, we see them referred to in Dr Evatt's  
4           article, "A tragic history of AIDS in people with  
5           haemophilia". He mentions Koch's Postulates. So  
6           Dr Koch is around. But it may be, professor, that it  
7           threatens to distract us from what one might term the  
8           bigger picture.

9           So perhaps if we could bear that in mind, I should  
10          ask you, would you be able to explain for us, in terms  
11          that we can all follow as lay people, the essence of  
12          Koch's Postulates?

13         A. I did a --

14         THE CHAIRMAN: At what date?

15         MS DUNLOP: As originally formulated.

16         THE CHAIRMAN: I think that might be important.

17         A. I did a little homework last night.

18         MS DUNLOP: I expect we all did, professor.

19         A. My understanding is that Koch's Postulates have four  
20          components, and although they were originally laid out  
21          for bacteria, it is at a time when viruses -- this is  
22          1890, and viruses were really not on the agenda, but  
23          I think it really refers to an infectious agent. But  
24          his postulates were: the bacteria must be present in  
25          every case of the disease. The bacteria must be



1 isolated from the host with the disease and grown in  
2 pure culture. The specific disease must be reproduced  
3 when a pure culture of the bacteria is inoculated into  
4 a healthy, susceptible host. The bacteria must be  
5 recoverable from the experimentally-infected host.

6 Those are my understanding of the four conditions of  
7 Koch's Postulates.

8 Q. So certainly looking at that particular formula, which  
9 I imagine a number of us have been able to discover from  
10 various websites, looking at that formula, the first  
11 thing that's striking is that it would be very difficult  
12 to satisfy those postulates if the organism hadn't been  
13 isolated. That would be impossible, wouldn't it?

14 A. Yes.

15 THE CHAIRMAN: So we can't possibly say on this approach  
16 that Hepatitis C is caused by a virus?

17 PROFESSOR JAMES: We can't say that Hepatitis C infection  
18 satisfies Koch's Postulates.

19 THE CHAIRMAN: Yes. If this were the only test, we couldn't  
20 say it was caused.

21 PROFESSOR JAMES: Some of those postulates have now been  
22 abandoned?

23 A. Yes, I thought there were now culture methods for  
24 Hepatitis C.

25 MS DUNLOP: Well, as we understand it, professor --

1 Professor van Aken covered this with us, and it has not  
2 been possible to culture Hepatitis C, as we understand  
3 it.

4 THE CHAIRMAN: Of course there may be some lab somewhere  
5 where they are not quite ready to publish. But I only  
6 introduce it because I don't want us to get hung up on  
7 this.

8 In relation to maths there is an expression  
9 "spurious arithmetical accuracy", which was applied by a  
10 Cambridge professor, where data accurate to two decimal  
11 points was invariably worked out to n decimal points by  
12 people who didn't quite understand the start, and I'm  
13 beginning to wonder whether we have a case of spurious  
14 linguistic specificity in Koch's Postulates that is  
15 going to lead us down a similar avenue.

16 MS DUNLOP: I think with that in mind, professor, just some  
17 short propositions which I can put to you and you can  
18 tell me whether you agree or disagree. The first would  
19 be that this is really more in the territory of an  
20 infectious diseases physician or perhaps a virologist,  
21 is it?

22 A. Yes.

23 Q. So we may be able to ask Professor Lever about it as  
24 a professor of infectious diseases, and he will  
25 certainly be familiar with current thinking on

1 Koch's Postulates. The second is that they work better  
2 with bacteria than with viruses. They were originally  
3 devised in an era where people were talking about  
4 bacteria?

5 A. They were devised -- and viruses were very difficult to  
6 isolate and grow at the end of the 19th century, yes.

7 Q. Right. And Koch's Postulates work best where the  
8 organism has been isolated, cultured and that sort of  
9 forwards progression can be experimentally achieved. It  
10 is very much more difficult to see how they would work  
11 in the backwards direction, where you have somebody with  
12 a disease and you are trying to find out what is causing  
13 that disease. Is that a reasonable proposition as well?

14 A. Yes.

15 Q. Right. And the last one was a question: is it the case  
16 that in clinical medicine, when confronted with  
17 a disease they don't really understand, doctors would  
18 say, "Oh, well, we can't satisfy Koch's Postulates;  
19 therefore, we can't make any assumptions about what is  
20 or isn't causing the disease". That doesn't sound  
21 particularly realistic and I wondered if academically  
22 one might say that but in clinical medicine that sounds  
23 improbable?

24 A. In clinical medicine, one, the whole time, is working  
25 with incomplete data and information and you have to

1           make many assumptions that may not be backed up by  
2           scientific evidence.

3   Q.   Do you remember yourself around this time, 1983 in  
4           particular, Koch's Postulates featuring in the  
5           discussion?

6   A.   No.

7   Q.   Perhaps that says it all.

8           Professor, I wanted to ask you next about your own  
9           studies of altered immunology in patients with  
10          haemophilia, and to do that I would like to look at  
11          [\[PEN0150445\]](#) at page 4. I would like to look, please,  
12          in particular at the passage we see beginning with  
13          a bold section in brackets,  
14          "Schedule230910/Paranumberli". Where you say that you  
15          were:

16                 "... aware in 1982 of the first MMWR report of the  
17                 pneumocystis pneumonia in three haemophiliacs."

18                 In paragraph 5:

19                 "In the absence of any patient with an AIDS-defining  
20                 illness, the only way to potentially investigate  
21                 individuals to assess their possible susceptibility was  
22                 to assess their immune function by laboratory testing.  
23                 By 1983 it therefore seemed important, as it did to many  
24                 other haemophilia physicians, to investigate the immune  
25                 status of patients under my care. The historical

1 background to the assessment of immune dysfunction in  
2 haemophilia is set out in appendix 2."

3 Then paragraph 6:

4 "My studies of immune function were initiated in  
5 1983."

6 I just wondered, professor, if you can be slightly  
7 more specific. Can you remember when in 1983 it was?

8 A. I think it was quite early in 1983.

9 Q. Towards the --

10 A. Towards the beginning, sort of January/February/March.

11 Q. Right. You say you were:

12 "... surprised to observe that many patients had  
13 immune abnormalities very similar to those reported from  
14 homosexual men and haemophiliacs residing in North  
15 America. The preliminary results were published in the  
16 Lancet ... in response to a letter a month earlier which  
17 inquired if any studies had been undertaken in  
18 a non-AIDS endemic area of the world ..."

19 Can we look first at what I think was the trigger  
20 letter, if we can call it that, for your response?

21 That's [\[LIT0010911\]](#). Do you recognise this letter,  
22 Professor Ludlam?

23 A. Is this the one from Dr Gordon?

24 Q. Yes. I'm sorry, it's one of these situations where,  
25 because of the column structure of the page, it is

1           difficult to see the whole thing at one time. But, yes,  
2           it begins towards the foot of the left-hand column.  
3           Just to let everyone have a look at it, I think.

4           (Pause)

5           Remembering from yesterday, Professor Ludlam, your  
6           description in one of your statements -- it's actually,  
7           I think, in [\[PEN0150385\]](#) -- of the four possible causes  
8           or four principal causes, and number 1 was an incident  
9           of haemophilia, number 2 was liver disease and then  
10          number 3 was antigen overload, I think we were calling  
11          it for shorthand, and then number 4 was the virus.

12          It looks to me from the first paragraph as though  
13          Dr Gordon is making reference to numbers 3 and 4 as  
14          competing theories. Is that correct? Right.

15          Then he is going on to say in the last paragraph  
16          that:

17          "It would be very useful to know what is happening  
18          in a country where cases of AIDS have not yet been  
19          reported ..."

20          That, in essence, is what he is saying?

21         A. Yes.

22         Q. Did you read this at the time?

23         A. Yes.

24         Q. And what was your reaction when you read it?

25         A. Well, I thought that we were studying individuals with

1 haemophilia who were treated with blood products  
2 collected in what appeared to be an AIDS-free  
3 population, and therefore perhaps the results that I was  
4 beginning to gather might be able to address the  
5 question that Dr Gordon is posing.

6 Q. Right. In other words, you thought you had what he was  
7 looking for?

8 A. Yes.

9 Q. Right. So you wrote --

10 A. Yes.

11 Q. -- to the Lancet?

12 A. Yes.

13 Q. We have that letter too. That's [\[LIT0010416\]](#). Again,  
14 I think we need to give people a moment just to look at  
15 this. You and three other people in fact, who had been  
16 working with you in your research into altered  
17 immunology in people with haemophilia. Is that correct?

18 A. Yes.

19 Q. (Pause).

20 Professor Ludlam, the first question about this is  
21 that the timing of it is interesting because this  
22 publication is really almost exactly at the time when  
23 Dr Gallo was announcing in America that he had found  
24 a link between this virus, now known as HTLV-III, then  
25 known as HTLV-III, and AIDS. So given that you were

1           really -- sorry --

2   THE CHAIRMAN:  The data --

3   MS DUNLOP:  I'm a year out.  Yes, sorry.  I need to retract

4           that.

5   THE CHAIRMAN:  It is nearer to the time --

6   MS DUNLOP:  Yes, it is nearer to the time when in France the

7           LAV virus is being isolated.  But at that stage you were

8           particularly interested in possibility number 3, the

9           possibility of the antigen overload theory, rather than

10          the virus?

11  A.  That was the conclusion from these studies, or that it

12          is another ubiquitous virus that was in the population

13          of people with haemophilia.

14  Q.  So, rather than perhaps "a new virus", you were

15          favouring the antigen overload or an existing virus as

16          the cause.

17                I wanted to ask you: when the Gallo material came

18          out the following year, what was your response to that?

19          Were you surprised?  Sorry, before you answer, just to

20          flesh it out.  Why I was confusing myself earlier was

21          that you did have a further article on the same topic in

22          the Lancet in June 1984.  It was that one, actually,

23          that came out around about the time when Gallo had

24          published his results.  So perhaps in your answer, if

25          you could cover more your response in 1984, when you had



1 an article in the pipeline following theory number 3 and  
2 Gallo came out with his evidence that really the  
3 explanation was explanation number 4. What was your  
4 response?

5 A. I had no difficulty in accepting and it was very welcome  
6 news that a virus had been identified, absolutely. And  
7 what we learned as we went along in this area -- because  
8 I wasn't an immunologist by training -- these sort of  
9 tests had only been around for a relatively short  
10 time -- but the immune system has only a number of  
11 limited ways of responding to viral stimulation or  
12 provocation and so there are lots of possible reasons  
13 why you can get these immune changes. It's not just an  
14 AIDS virus.

15 Q. Can we go back, having looked at your letter in the  
16 Lancet in response to Dr Gordon, in which you explained  
17 the work you had been doing and, I suppose, what must  
18 have been at that stage preliminary results, were they?  
19 You say that, the preliminary results of the study of  
20 haemophiliacs in Southeast Scotland.

21 A. But if I may say, they cast doubt over the extent of  
22 infection with a putative virus in other patients with  
23 haemophilia elsewhere in the world. That was one of the  
24 inferences from this.

25 THE CHAIRMAN: I would like to understand that more clearly.

1           You were talking about absolute lymphocyte counts and  
2           within that context a disturbance of the  
3           helper/suppressor ratios. How did that cast doubt on  
4           the issue?

5    A. We make the assumption that in 1983 -- which we now know  
6           was true -- that the patients I had studied did not have  
7           HTLV-III, did not have AIDS, but the similar  
8           abnormalities were demonstrated and reported from  
9           North America in people with haemophilia; and the  
10          question was being raised: do all these people who have  
11          abnormal lymphocyte tests -- haemophiliacs with abnormal  
12          lymphocyte tests in North America -- are they latently  
13          or subclinically infected with an AIDS virus? And my  
14          data was suggesting they may not all be infected.

15   MS DUNLOP: Yes.

16   THE CHAIRMAN: On the assumption that there was no AIDS, as  
17          it were, around in your population?

18   A. Correct, yes. We now know that to be true at that time.

19   THE CHAIRMAN: Yes.

20   MS DUNLOP: We maybe need to look at that in a moment but  
21          one device which may be slightly easier for us to  
22          utilise in understanding this, Professor, is the device  
23          of a Venn diagram.

24                I think we understood yesterday that if you were  
25          drawing a circle to show all of those with altered

1 immunology -- that's the CD4/CD8 ratio, for shorthand --  
2 then people who went on to develop AIDS, almost all of  
3 them would be in that circle. They wouldn't occupy the  
4 whole of that circle because there would be some people  
5 with altered immunology who didn't go on to develop  
6 AIDS. But people with altered immunology, apart from  
7 those who go on to develop AIDS and who don't yet have  
8 altered immunology but who perhaps already have the  
9 virus -- so there would be a big circle with  
10 a significant overlap with another circle and only  
11 a small part of the other circle.

12 I'm probably not explaining that very well. I think  
13 I could draw it, but do you follow the picture I'm  
14 trying to paint?

15 A. I think I do, yes.

16 Q. Is it correct?

17 A. If I understand it correctly, you are saying that  
18 amongst the individuals with abnormal immune tests --  
19 there are two populations; there are those who have  
20 HTLV-III and there are those who don't.

21 Q. Yes, essentially, but I think you made the qualification  
22 yesterday that even some of those who have HTLV-III  
23 might not yet have the sort of altered immunology that  
24 you are studying here?

25 A. There is another group, if you like, that have normal

1 immune function.

2 Q. But for them it is presumably only a question of time  
3 before their immune function changes to become  
4 disordered in the way that you have been describing?

5 A. Yes.

6 Q. Right.

7 THE CHAIRMAN: Ms Dunlop, the reference to drawing it isn't  
8 just a cast-off that should be ignored. I'm conscious  
9 that Professor Lever's method of communication quite  
10 often requires a visual presentation too, and I rather  
11 think that there would be many people who don't know  
12 what a Venn diagram is. Perhaps we could think of that  
13 as a way of helping communicate. Flip charts are not my  
14 favourite means of communication.

15 I prefer an epidiascope and a printout from that, but  
16 one way or another we might be able to get there.

17 MS DUNLOP: Yes, it's challenging material and it is just  
18 that one is casting around for a number of different  
19 ways to present it. Some may be more helpful to some  
20 readers than others.

21 THE CHAIRMAN: We have a nice big white wall here, an  
22 epidiascope --

23 MS DUNLOP: Well, I don't know what an epidiascope is but  
24 there we are.

25 THE CHAIRMAN: It is a relatively primitive device for

1 showing pictures on walls and screens, but I think if we  
2 had it, it would be a very good means of describing  
3 these --

4 A. An overhead projector would be very useful.

5 MS DUNLOP: Yes, I think the notion of a Venn diagram is to  
6 draw a circle and in that circle are all the people you  
7 are talking about. Another group of people may be in  
8 another circle, and it is interesting to see whether the  
9 circles are apart or whether they overlap to any extent.  
10 It is also possible for the second circle to be  
11 completely within the first circle. These are really  
12 the possibilities.

13 A. Yes.

14 Q. Yes. And, if I'm understanding you correctly, the one  
15 that we would choose in this situation is one circle to  
16 include all of those with altered immunology, another  
17 circle to include those who are developing AIDS, and  
18 they would be overlapping but not totally.

19 A. Yes.

20 Q. Right. Thank you.

21 Can we go back to your statement, please, which is  
22 0445, and go back to where we were at paragraph 6. You  
23 do say that at that time -- and this is reading six  
24 lines from the end of the paragraph:

25 "I enquired extensively throughout Scotland of those

1           who might see individuals with AIDS, for example,  
2           genito-urinary medicine physicians, as to whether any  
3           such people had been encountered, and I did not receive  
4           any positive reports. I therefore concluded that at  
5           least in Edinburgh, patients' immune disturbances were  
6           due to a non-AIDS-causing agent, and subsequently this  
7           was confirmed when anti-HTLV-III testing became  
8           available in late 1984 and virtually all of the patients  
9           were found to be negative in 1982 and 1983."

10           The first point to put to you is that there does  
11           seem to be some information -- it is not very  
12           specific -- about the arrival of at least early symptoms  
13           of AIDS in Scotland in 1983, and I think you have  
14           recently seen that. For a start, if we look at  
15           [\[SGH0026698\]](#). We can just see if we look at the tiny  
16           letters on the bottom left-hand side of the page:

17           "Gay Scotland, July/August 1983".

18           Just to look at that, there is an introduction. We  
19           can perhaps go back up. Read the part in slightly  
20           larger font. (Pause)

21           We can all read that for ourselves but there is  
22           a specific quote from Dr Sandy Macmillan of Edinburgh  
23           Royal Infirmary. He says:

24           "It is only a matter of time before more AIDS cases  
25           are confirmed in Edinburgh and Glasgow."

1           Was Dr Macmillan one of those to whom you spoke  
2           around that time?

3   A.   He was indeed.

4   Q.   I think you have also seen a page from a PhD thesis,  
5           which is by Bennett and Pettigrew.  A thesis, I'm not  
6           quite sure; it has been rather difficult to get  
7           information about this work, but a particular page in  
8           it, page 32, [\[PEN0160457\]](#).

9   THE CHAIRMAN:  Which university was it?

10  MS DUNLOP:  It is an English university, from memory.  It  
11           belongs to Nottingham, and my recollection is that we  
12           tried to get some information recently about this but  
13           weren't very successful.  If you allow me a moment,  
14           I can confirm if that's right.

15  THE CHAIRMAN:  It is just to see whether there is an easy  
16           way of getting it.

17  MS DUNLOP:  We have the whole publication but it doesn't  
18           tell us very much about itself, and most importantly it  
19           doesn't name some of those who are quoted, and  
20           particularly it certainly doesn't name the person  
21           responsible for the words in the middle of the page that  
22           have actually been marked with an asterisk:

23           "We were aware of it as physicians because of  
24           medical literature but really we started seeing our  
25           first patients with clinical evidence of HIV infection

1 in 1983. When I felt these glands and saw some of the  
2 skin complaints, I realised what was going on and  
3 related it to HIV."

4 Obviously we know it wasn't called "HIV" at that  
5 time but the thrust of this is quite clear. So  
6 certainly, if you were making your enquiries, I suppose,  
7 before you wrote to the Lancet, people were telling you  
8 that there was nothing, that they hadn't come across  
9 anybody who might even possibly be developing AIDS, it  
10 looks as though that situation changed very, very  
11 quickly after your enquiries, doesn't it?

12 A. It does but what is difficult, and has been difficult in  
13 this whole area, is being able to identify people with  
14 early HIV infection. We dealt with some of this  
15 yesterday. For example, this quote in the middle  
16 describes feeling glands, lymph nodes. There are a lot  
17 of causes for enlarged lymph nodes in the neck, EB  
18 virus, for example, is one, lots of other causes. So  
19 you can't make the assumption that just because you feel  
20 enlarged lymph nodes in a gay man that he has prodromal  
21 symptoms of HIV.

22 It says "skin complaints". I'm not a dermatologist,  
23 but this is a very vague statement. What is a skin  
24 complaint? If we are talking about Kaposi sarcoma, then  
25 the patient has AIDS, and that should have been



1 reported. So what are the skin complaints? I find  
2 this -- when was this written? By whom? And what sort  
3 of experience did they have over a period of time?

4 Q. Right. I appreciate all the points you are making,  
5 professor, that it is vague, but it is not really  
6 possible to find any more information than this, and the  
7 report in the Gay News, which is slightly more specific  
8 about two men being ill, and that's a report  
9 from July/August 1983.

10 A. Could we go back to the report of the AIDS news?

11 Q. Certainly. That's [\[SGH0026698\]](#).

12 A. Again, in the large print on the first paragraph:  
13 "Highly suspected but not yet confirmed ..."  
14 What were the details? There were lots of gay men  
15 who fall ill from all sorts of other infections and  
16 subject to other diseases. If these were AIDS cases,  
17 then why weren't they reported? The first reported AIDS  
18 case to Ruchill, if I'm not mistaken, was  
19 in November 1984.

20 Q. Just for completeness, as lawyers tend to say, we did  
21 ask Dr Macmillan and we should look at his response,  
22 which is [\[PEN0140102\]](#). You can see there, professor,  
23 what he says. (Pause)

24 So we weren't much wiser when we received the  
25 information from Dr Macmillan because, as he points out,

1           it is very difficult to remember after the passage of  
2           such a huge amount of time, but he couldn't really pin  
3           down with any precision when he first saw a patient with  
4           an AIDS-defining illness.

5    A.   I don't want to give the impression that I wasn't well  
6           aware of the possibility of people being infected.  It  
7           was a judgment that had to be reviewed repeatedly and  
8           I did my best to keep my antennae out.

9    Q.   That's actually the point I was going to make,  
10           professor, that there is perhaps a danger of conflating  
11           two different things here.  The first is your response  
12           in the Lancet saying that you have a group of people  
13           from a country where, as at spring 1983, AIDS does not  
14           appear to have entered the donor population.  That's one  
15           point.  But the other question is: was there a sense of  
16           it coming.  And what we are looking at is perhaps more  
17           relevant to that aspect.  So would you say "yes" to  
18           that?  In the spring of 1983 given these -- and I accept  
19           these are very vague and there are quite slight  
20           mentions -- was there a sense that AIDS was going to  
21           arrive in Scotland?

22   A.   I think by that stage there was one case in England.  Am  
23           I correct?

24   Q.   Well, there had been the one reported in the Lancet in  
25           1981.  Certainly, yes.

1 A. Yes, there was a feeling that it was going to very  
2 likely come and we weren't quite sure when it was going  
3 to arrive because of the long incubation period.

4 Q. Yes.

5 A. So we were very mindful of that possibility.

6 Q. At a meeting on 22 March 1983, if we could just quickly  
7 look at the minutes of that, [\[SNB0015183\]](#). You can see  
8 it's a meeting of the working group chaired by Dr George  
9 McDonald, and you are there. There is also Dr Bell and  
10 Dr McIntyre from the Scottish Home and Health  
11 Department. Then on to the next page, you see after a  
12 discussion of heat-treated concentrate, we do come, in  
13 paragraph 3, to a discussion of AIDS and you are quoted.  
14 The letter and questionnaire been sent out to  
15 haemophilia directors. I'm not sure whether the last  
16 sentence also emanated from you but it certainly is  
17 recorded that:

18 "There was concern that AIDS might appear in the UK  
19 and the Haemophilia Society was attempting to reassure  
20 its members and put fears of infection from blood  
21 products into perspective."

22 It seems perhaps quite a low-key concern. There was  
23 concern that AIDS might appear in the UK as  
24 at March 1983. Strictly speaking of course, there had  
25 already been a case in 1981 reported in the Lancet.

1 I appreciate it is very difficult to try to recreate the  
2 atmosphere in 1983 but do you think that there was  
3 enough concern?

4 A. Yes, I do -- and bafflement.

5 Q. Right. Of course, we know from Dr McClelland, and  
6 I appreciate this is a different perspective but this is  
7 almost exactly the time when he started work on drafting  
8 a leaflet because of his concern about the blood donor  
9 risk?

10 A. Yes.

11 Q. And you would know at that time that he was doing that?

12 A. Oh, yes. It was clear that this was a possibility or  
13 probability that it would come into England and  
14 Scotland.

15 Q. Can we go back to your statement, please, to  
16 [\[PEN0150445\]](#), and pick it up at page 5 really,  
17 professor, we have already covered quite a bit of this  
18 so I'll just let everyone have a look to see what's on  
19 this page. This is still in a list of possible causes,  
20 which we have examined in one of the other documents.  
21 You have already mentioned, further down, the UKHCDO  
22 in September 1982 and then we go into 1983, and on to  
23 the next page, please. We have already trailed the fact  
24 that Professor Lever is going to explain to us the  
25 answer to the question of what caused Kaposi's sarcoma.

1 I don't think we need to go into that just now.

2 Then paragraph 13:

3 "It was argued it would have been inappropriate to  
4 ban import of clotting factor concentrates from the  
5 United States because of the harm that would have been  
6 experienced by patients."

7 Could we look back now at this point to paragraph 4  
8 of this same statement. So if we can go back, I think  
9 it is three pages, where you have a more general  
10 discussion of change of therapeutic policy as a topic.  
11 Just to look at that. We have already been over -- not  
12 just with you, professor, but with Dr Winter and  
13 Professor Forbes too -- the dangers of untreated, severe  
14 haemophilia.

15 On the following page, we can just see at the top  
16 you refer to the possibility of switching to  
17 cryoprecipitate and you say that:

18 "Where this was recommended in Cleveland [Cleveland,  
19 Ohio] it was not accepted by the patients."

20 So this is a reference, I take it, to Oscar Ratnoff?

21 A. Yes, out of his approximately 90 patients -- and he was  
22 a very forceful individual in making his opinions known,  
23 and he was very forceful that they should change from  
24 concentrate to cryo -- out of approximately 90 patients,  
25 as I understand it, in his subsequent publication, only

1 five changed.

2 Q. That's yet another thing I want to come back to,  
3 professor, because obviously it's relevant to our  
4 enquiries.

5 A. Perhaps I could add that in his paper, or the letter, he  
6 describes only five patients. He describes all the  
7 other morbidity and mortality there has been in relation  
8 to HIV in this group of 90 people, and despite a lot of  
9 them becoming ill, there was still a reluctance to  
10 change to cryo.

11 Q. Yes. Perhaps just to finish off this aspect of  
12 Dr Ratnoff's involvement at the moment, professor, it no  
13 doubt is another illustration of the dangers of the  
14 Internet, but it is possible to trace on the Internet  
15 a memorial lecture, the Oscar Ratnoff memorial lecture,  
16 in which the lecturer says that he changed his patients  
17 to cryoprecipitate and saved many lives. It is also  
18 possible to find academic articles recording the point  
19 that you make, that actually Cleveland was a city that  
20 had a very high incidence of HIV in patients with  
21 haemophilia, and the article that you quote is actually  
22 a publication in Annals of Internal Medicine, which we  
23 have tried and are trying to obtain, but thank you for  
24 paraphrasing it for us. You have it there?

25 A. I have it.

1 Q. I see you looking. Thank you. In essence you are  
2 telling us that although Dr Ratnoff took the view that  
3 switching to cryoprecipitate would be safer, and indeed  
4 we saw that in the contemporaneous article from Science  
5 that we looked at, in January 1983 that was his  
6 suggestion, but you are saying that very few of his  
7 patients accepted it.

8 A. I am.

9 Q. I think we will firm up the reference to that paper in  
10 due course, sir, because I think we need to get it into  
11 court book.

12 Right, can we go back to paragraph 14, please?

13 You were asked about the joint meeting  
14 in January 1983 and you thought, when you sent us this,  
15 that the letter and questionnaire which are mentioned at  
16 the meeting in January 1983, was material sent out by  
17 Professor Bloom:

18 "The result of the survey was published in the  
19 Lancet in June 1984."

20 I think perhaps just to clarify that, professor, I'm  
21 not sure that it can have been that survey, if we look  
22 at [\[LIT0010409\]](#), can we just check from the top that  
23 that is the Lancet, June 30th 1984. I think this is  
24 Professor Bloom's publication to which you refer. Is  
25 that right?

1 A. Yes.

2 Q. We can see that he narrates the sending of  
3 a questionnaire to directors of 201 European haemophilia  
4 centres, but if we move over to the next page, please,  
5 we can see on the left-hand column at the bottom that  
6 the questionnaire was dispatched at the beginning  
7 of December 1983. So actually that would be too late to  
8 be the survey that was being mentioned in January 1983,  
9 wouldn't it?

10 A. That reassures me because I thought it unlikely that  
11 Professor Bloom would have sent out a circular  
12 in January 1983 and not published the results  
13 until June 1984. It is possible he sent out two  
14 circulars.

15 Q. Right.

16 A. I think is probably the situation.

17 Q. Well --

18 A. But I agree that this one refers to -- as you describe.

19 Q. Yes. Well, certainly, professor, it's possible. It's  
20 not really possible for us to rule out that he sent some  
21 circular around other European centres in the spring of  
22 1983, but we haven't found any trace of it. I wondered  
23 perhaps if the questioning that's described at the joint  
24 meeting in January 1983 was actually Dr Craske. I think  
25 Dr Craske was always asking if anyone had any



1 information, and certainly this seems to have been  
2 a form prepared by him, circulating at that time. Is  
3 that also possible?

4 A. Could we go back and look at the minutes of the meeting?

5 Q. Yes, certainly.

6 A. Please.

7 Q. It's a very short passage. It is actually quoted in the  
8 preliminary report but I'm happy to look at the original  
9 document.

10 A. We had it up on the screen a moment ago.

11 Q. We didn't have 21 January 1983. If you will allow me  
12 a minute, I'll just get the reference for that. (Pause)

13 I wasn't intending, in fact, to go to this one,  
14 professor, but we can. Unfortunately the reference  
15 should be in the report and it's not. It's  
16 [\[SNB0015160\]](#). It's just a very short discussion towards  
17 the end of this meeting, 21 January 1983. Perhaps if we  
18 go to the last page and work back, we can see it. There  
19 it is. Paragraph 6. It doesn't sound like  
20 a pan-European survey?

21 A. No, no, this is different.

22 Q. Yes.

23 A. And the date of this meeting is ...?

24 Q. 21 January 1983.

25 A. 1983. I'm sorry, I can't remember what it ...

1 THE CHAIRMAN: It may not, at the end of the day, be  
2 terribly important. I suppose Dr Craske and  
3 Professor Bloom might not have been operating in  
4 completely hermetically sealed circles here and one  
5 could be influencing the other as a collection of  
6 information. Really if nothing turns on it ...?

7 MS DUNLOP: It's relevant to the whole question of  
8 Professor Bloom's letter as well.

9 THE CHAIRMAN: Indeed it is.

10 MS DUNLOP: I think Professor Ludlam was thinking of  
11 the March 1983 meeting, and actually the reference is in  
12 the same terms. It refers to a survey in the UK. So  
13 simply that the matter having been raised of whether  
14 there was a survey going on across Europe in spring of  
15 1983; at least provisionally it doesn't look as though  
16 we can find any evidence of that.

17 A. But this shows that there was concern in the UK.

18 Q. Indeed?

19 A. In the haemophilia community.

20 Q. Yes. Can we go back then to your statement,  
21 [\[PEN0150445\]](#), and just move through it, I think, quite  
22 quickly because much of this narrative we have covered  
23 in the context of other statements.

24 15 we have discussed, the New England Journal,  
25 Dr Desforges. 16 we have discussed, the meeting at

1 Heathrow Airport. 17, a very short paragraph.  
2 New Scientist, you say didn't add anything. 18,  
3 Margaret Ragni was mentioned as well. And 19 we know  
4 about because we have also discussed it with  
5 Dr McClelland in the context of topic B1. 20, the  
6 Lancet editorial of 2 April 1983. 21, Dr Galbraith's  
7 letter.

8 We haven't looked at that with you,  
9 Professor Ludlam, but in short you tell us that at the  
10 time you weren't aware of it?

11 A. That's correct.

12 Q. Yes. Then 22, you say that:

13 "Dr Galbraith's letter was not, so far as I recall  
14 and the minutes do not record, discussed or brought to  
15 the attention of the meeting."

16 That is the UKHCDO reference centres directors'  
17 meeting on 13 May. In fact, Dr Galbraith's letter is  
18 marked as confidential and our understanding is that the  
19 proceedings of the Committee On the Safety of Medicines,  
20 which would include its biological subcommittee, were  
21 really treated as confidential and the workings of the  
22 body were not discussed or disseminated?

23 A. Those meetings, as I understand it, are very  
24 confidential.

25 Q. Yes. Do you know what the rationale for that is?

1 A. Yes. My understanding is that they mostly are concerned  
2 with licensing medicines and so there may be information  
3 that's of commercial value being discussed in relation  
4 to new drugs.

5 Q. So it's really commercial sensitivity?

6 A. That's my understanding.

7 Q. Yes.

8 THE CHAIRMAN: Are the membership details widely publicised?

9 A. At that time I think not.

10 THE CHAIRMAN: I think another factor in some of these  
11 consultative committees is that the government is  
12 anxious that there should be no lobbying of any kind, no  
13 direct contact with people forming policy views.

14 A. I think that's absolutely true and one or two committees  
15 that were almost said not to exist.

16 THE CHAIRMAN: I have been a member of one.

17 MS DUNLOP: We have discovered, Professor Ludlam, that  
18 Mr Watt was on this committee. We didn't realise that  
19 at first. Did you know that at that time?

20 A. I didn't until a couple of days ago.

21 Q. Well, the secrecy was obviously successful.

22 Then can we move down through these paragraphs. I  
23 don't want to pick up anything specific but just to let  
24 people see what you are saying. You refer to a letter  
25 of 24 June being in fact a sort of circular letter,

1           which I think we didn't understand at first but we do  
2           now.

3           And then at the bottom, paragraph 26, a reference to  
4           desmopressin, or DDAVP. Again, we have mentioned that  
5           before but its ability to raise Factor VIII levels in  
6           mild haemophilia. Is there anything analogous for  
7           Factor IX? Is there any drug you can give that for  
8           a short time will raise the level of Factor IX?

9   A. No.

10 Q. Nothing like that?

11 A. No.

12 Q. Then on to the next page. You gave a talk on  
13       desmopressin at the meeting in Glasgow  
14       in September 1980, and we have the book on that as well,  
15       Professor Ludlam. "Unresolved problems in haemophilia",  
16       containing a paper by you on DDAVP. If anyone wants to  
17       read up on that, they can.

18       You say -- and I think we are familiar with this  
19       from the articles to which Professor Forbes referred  
20       us -- that there were drawbacks to DDAVP. You say:

21       "It had potential side effects, especially of water  
22       retention and toxicity, resulting in convulsions in  
23       children and fluid overload in adults."

24       Does that mean it was a drug you had to use with  
25       great care?

1 A. With a degree of circumspection, yes. Great care in  
2 small children, and particularly if you want to give  
3 repeated doses, because of the water retention. And  
4 also in patients who have atherosclerosis. There has  
5 been at least one heart attack in an individual who  
6 received desmopressin.

7 So, although it's a very useful drug, it is not  
8 without its contra-indications.

9 Q. Right. And what's the incidence of atherosclerosis in  
10 people with haemophilia? Is it the same as the general  
11 population?

12 A. That's a very interesting question.

13 Q. I sense a possible sidetracking coming in, professor.  
14 So in short do people with --

15 A. In short, it seems that patients with haemophilia have  
16 atherosclerosis, similarly to people without  
17 haemophilia. But their incidence of heart attacks is  
18 much lower.

19 Q. And that's because you need a clot to have a heart  
20 attack?

21 A. Yes.

22 Q. Right. If we look at paragraph 32. You were asked  
23 about the Haemophilia Society view about the use of  
24 commercial Factor VIII, and you referred in your answer  
25 to vigorous campaigning from people with haemophilia for

1 access to concentrate, and we have already discussed  
2 that.

3 You say:

4 "Because of the limited availability of SNBTS  
5 concentrate, I had preferred to delay home treatment  
6 rather than give commercial concentrate, especially to  
7 young individuals."

8 What was your thinking? I'm wondering what  
9 particular point you are making by referring to young  
10 individuals especially.

11 A. As you know, my philosophy was based on trying to avoid  
12 commercial concentrates for all patients, and  
13 particularly trying to avoid giving small children viral  
14 infections because they have got longer to live,  
15 hopefully. My clinical decision was to delay home  
16 treatment, rather than use commercial concentrates  
17 because of the different virological spectrum of the  
18 donors.

19 Q. We do have a spreadsheet from you, Professor Ludlam, and  
20 we looked at that when you came to the Inquiry in March.  
21 My reading of that is that, of the 23 people who are  
22 referred to in the spreadsheet, only two of them were in  
23 fact under 16 at the time of the first positive test for  
24 HIV. Is that correct?

25 A. That's correct, yes.

1 Q. I think actually, since we have mentioned the  
2 spreadsheet, just to confirm one other point -- I don't  
3 want to go back to Venn diagrams and attempts to paint  
4 them in the air, but the patients you were looking at in  
5 1983, you did say in the passage in your statement that  
6 virtually all of them were free of the virus. It is  
7 possible, I think, from the spreadsheet, that one or two  
8 of the patients who had altered immunology in 1983 were  
9 in fact going to go on to develop AIDS. Is that  
10 correct?

11 A. Yes. I'm sorry, one.

12 Q. One?

13 A. The other one died of bleeding.

14 Q. Can we move on to the next page, please? Again we have  
15 discussed all of this, professor. I do not want to take  
16 up time but just to let people see this particular text.  
17 (Pause)

18 Although you say at the top of the page that there  
19 were no AIDS cases reported in the Scottish population,  
20 you do go on to refer in the next section to the case of  
21 AIDS of African association, and again, without going to  
22 it because we have done that before, it does look from  
23 the report in 1984 as though that person died  
24 in December 1982. So there was somebody who had  
25 returned from Africa and become ill with AIDS and died



1           in Glasgow.

2    A.   But they would never have been accepted as a blood

3           donor.

4    Q.   Quite, but I suppose it makes a wider point about global

5           travel?

6    A.   Oh, indeed.

7    Q.   Yes.  We have already discussed the Bennett/Pettigrew

8           thesis.  And then in paragraph 36 you say:

9                 "In Edinburgh commercial Factor VIII concentrate use

10                was discontinued in May 1983."

11                So such limited use as you were making of commercial

12                concentrate you reduced further.  Is that right?

13   A.   Yes.

14   Q.   Yes.  And why was that?

15   A.   Because there was an increasing supply of SNBTS

16                Factor VIII concentrate and because of my concern about

17                American concentrates --

18   Q.   Right.

19   A.   -- from the point of view of AIDS.

20   Q.   At this point -- that is the middle of 1983 -- there

21                certainly seemed to have been some heat-treated

22                commercial concentrates starting to come through.  Can

23                we look first at paragraph 8.40 in the preliminary

24                report, please, which is page 199 in the hard copy,

25                a chapter begins at [\[LIT0012479\]](#).  So perhaps 2492.

1           Just that paragraph 8.40, Dr Craske preparing a note  
2           on:

3           "... factors to be considered in the selection of  
4           hepatitis reduced products for clinical trial."

5           I think we need to look briefly at the reference,  
6           which is [\[SNF0010948\]](#). Just to look at what was  
7           happening on the commercial scene at this point. This  
8           is Dr Craske's hepatitis working party. If we scroll  
9           on, I'm particularly wanting to look at page 3 onwards.

10          If we look at page 2, please, we see that this  
11          report is written on 28 September 1983, no doubt for the  
12          meeting in October 1983, but appended to it -- and this  
13          is where we need to go to page 3 -- is a document  
14          from July. We see that he is referring to the advent of  
15          heat-treated commercial products, describing what type  
16          of products there will be; category 1 includes  
17          Hemofil T. Then Factorate, which is coming. Then type  
18          2 is chemically treated product and type 3 is  
19          pasteurised product, Behringwerke.

20          Then on to the following page, please. I think the  
21          form of words which correctly describes the licensing  
22          background is that at the top of the page, is it, an  
23          exception for a clinical trial certificate? So the  
24          licensing authority, as I understand it, grants  
25          a certificate for the purposes of a clinical trial. So

1 that enables the product to be used for these limited  
2 purposes in Britain. Am I correct about that or is this  
3 not really your field?

4 A. It's not quite my field but it's always better to  
5 conduct a study under what's called a CTX, clinical  
6 trial exemption certificate, because that is registered  
7 with the CSM. There is a protocol, the manufacturer  
8 takes responsibility for the product, compared with  
9 a named-patient basis, in which the physician is much  
10 more liable for the product and any adverse effects.

11 You would need to ask someone from the CSM who knows  
12 more about licensing, but I think to get a CTX you have  
13 to put in your protocol and probably fill out a form,  
14 and if you don't get an adverse comment within something  
15 like six weeks, then you can proceed with the study.  
16 But I may be wrong about that. But CTX is really the  
17 way to conduct these studies in an organised way.

18 Q. Can we scroll down, please, to where we see the mention  
19 of AIDS? We can note that Dr Craske is saying:

20 "Infective theory for the causation of this disease  
21 is still the one that fits all the known facts."

22 He says:

23 "In light of this, consideration must therefore be  
24 given to the possibility that Factor VIII concentrate  
25 prepared from plasma donations obtained in the USA might

1           be contaminated with a putative infectious agent  
2           associated with the cause of AIDS."

3           I think he is going on to say that it can't be  
4           assumed that heat-treated products will render the virus  
5           inactive. The last sentence on that page:

6           "There is as yet no product which is not made from  
7           sources likely to carry a risk of a putative virus  
8           associated with AIDS being present in the plasma pool  
9           from which the Factor VIII is fractionated and which is  
10          heat-treated."

11          Then on to the following page:

12          "This will cause a problem when the criteria for  
13          clinical trials of these products in the UK have to be  
14          considered. Since the only way of ensuring  
15          the susceptibility to non-A non-B viruses is by using  
16          patients who have not previously received Factor VIII or  
17          IX concentrate, a choice will have to be made between  
18          using heat-treated products from commercial sources,  
19          which might carry a small risk of AIDS transmission, or  
20          using NHS concentrate, which appears to carry  
21          a 100 per cent chance of transmitting non-A non-B  
22          hepatitis ... there is a ... considerable ethical  
23          problem."

24          As I understand it, Professor Ludlam -- and you do  
25          say this elsewhere, I think we will notice it later in

1           your statement -- you were not interested in  
2           participating in any of the trials of these products at  
3           that time. Is that right?

4    A.   Of the commercial --

5    Q.   The commercial ones?

6    A.   -- derived from US plasma? No, I wasn't.

7    Q.   Yes. And what was your thinking?

8    A.   My thinking was that these concentrates might contain  
9           the putative virus, putative at that stage. This  
10           is September 1983. That the risk of my patients getting  
11           HIV from these might be greater than treating my  
12           patients with NHS Factor VIII manufactured from an  
13           AIDS -- if I can call it an AIDS free country, an AIDS  
14           reduced country, Scotland.

15                Also SNBTS was developing heat-treated concentrates  
16           and I thought those would carry a lower risk of  
17           a putative virus.

18   Q.   Right.

19   THE CHAIRMAN: Is that the end of --

20   MS DUNLOP: Given that it's 11 o'clock, that's probably  
21           a natural break.

22   THE CHAIRMAN: Professor Ludlam, Ms Dunlop passed over very  
23           quickly the general characteristics of haemophilia and  
24           we have heard quite a bit about it. But one general  
25           point I think is becoming of interest. When we visited

1 Newcastle, the clinician there clearly had a continuing  
2 involvement in Africa, and it's referred to in the  
3 preliminary report where he showed us photographs and  
4 gave us some description, and when Dr Winter came, he  
5 spoke of having an interest in Islamabad in particular,  
6 where there is a population largely untreated. Do you  
7 have any foreign interests of this kind that instruct  
8 one as to what's happening worldwide?

9 A. Not as specific as those. I have gained a lot of  
10 insight into Eastern Europe, and the difficulties there  
11 of using very small amounts of Factor VIII, in my  
12 capacity as president of the European Haemophilia  
13 Association.

14 THE CHAIRMAN: So you do have some broader base, as it were?

15 A. I go to World Federation Haemophilia meetings and meet  
16 people there who come from countries where there is very  
17 little Factor VIII, and I see some of the consequences,  
18 just from the people who come to these meetings, badly  
19 crippled.

20 THE CHAIRMAN: I think that if anyone wishes to follow it,  
21 to get the broader picture, that's a sort of  
22 introduction into it, if you care to follow that. We  
23 will have a break now.

24 (11.04 am)

25 (Short break)

1 (11.31 am)

2 THE CHAIRMAN: Yes?

3 MS DUNLOP: Thank you, sir.

4 Can we just go through 1984, Professor Ludlam. To  
5 do that, I think we can return to what I call the  
6 timeline. It's [\[PEN0150468\]](#), at page 4. Much of this  
7 has been mentioned already too, professor. Just so that  
8 we understand what you say in February 1984,  
9 particularly in the second paragraph, because it's  
10 slightly confusing, in this study it was thought that  
11 patients had antibodies to HTLV 1. In fact, they were  
12 anti-bodies to HTLV-III but they cross-reacted with HTLV  
13 1 virus.

14 A. That's my understanding.

15 Q. Right. I'm hoping that when we read that later, it will  
16 make sense. Then Dr Ratnoff is mentioned in May 1984,  
17 and we do have that publication. Actually I think  
18 that's a different reference there but we have the  
19 letter from the Annals of Internal Medicine, which you  
20 refer to elsewhere, the reference for which is  
21 volume 102, the Annals of Internal Medicine, page 412,  
22 which I think makes the same point as you make in  
23 brackets and we will arrange for that to go into court  
24 book. The interesting paragraph in it for our purposes  
25 is that at the end. I'll just read this for now

1           because, I'm sorry, we don't have it in court book.

2           I think there are copies around, sir. It's just  
3           a single page.

4   THE CHAIRMAN: Is that what arrived this morning?

5   MS DUNLOP: It is on the right-hand side and it is headed  
6           "Haemophilia and the Acquired Immunodeficiency  
7           Syndrome."

8   THE CHAIRMAN: Yes.

9   MS DUNLOP: I suppose again, professor, there are two  
10          different points here, which we shouldn't conflate. One  
11          is that those people who did make a policy change, or  
12          who did effect some shift in their treatment, in some  
13          instances unfortunately patients were already infected,  
14          so a change anywhere in the world could have been too  
15          late, at least for some patients. But the other point  
16          is whether patients were receptive to the suggestion  
17          that a change should be made. I think perhaps it's  
18          really the second aspect that these authors are  
19          commenting on in this letter, particularly in the final  
20          paragraph. I'll just read it out for the benefit of  
21          anybody who doesn't have it in front of them:

22                 "Curiously, this formidable morbidity and mortality  
23                 has done little to shift behaviour. Among the 84  
24                 survivors ..."

25                 That is of 91 patients who were in home therapy



1 programmes in northeast Ohio:

2 "... among the 84 survivors, only five have turned  
3 to the use of cryoprecipitated anti-haemophilic factor,  
4 although no cases of the syndrome have been reported in  
5 patients treated with this agent."

6 It looks a little more reliable than searches on the  
7 internet trying to find out what happened in Cleveland,  
8 and it looks that really very little was possible by way  
9 of change of treatment product.

10 A. I'm sorry, I haven't got my copy because I have  
11 distributed it --

12 Q. I'm sorry. I'm sure you will get it back, professor.

13 A. I just wanted to make the point that -- if I could just  
14 have a moment to ... (Pause)

15 Yes, it's not clear about the severity of the  
16 patients with haemophilia and it may be the five who  
17 opted for cryoprecipitate may have had a moderate or  
18 mild haemophilia and were prepared to switch because  
19 they didn't need very much treatment anyway. They might  
20 have only had three or four infusions a year and were  
21 happy to come up to hospital, compared with a patient  
22 with severe haemophilia who might bleed once or twice  
23 a week.

24 Q. I take your point, professor, and it would be  
25 interesting to know that, but again, I suppose we don't

1           want to get distracted into investigating HIV in  
2           Cleveland, Ohio instead of investigating it here.

3   THE CHAIRMAN:  They are all on home treatment but I don't  
4           suppose one can infer anything from that without knowing  
5           what the regime was.

6   MS DUNLOP:  I think, Professor Ludlam, we have talked, in  
7           the evidence we heard on this topic so far, particularly  
8           with the other two witnesses, about practice in Belgium,  
9           about Finland, these being countries where  
10           cryoprecipitate continued to be used quite widely.  As  
11           I understand it, in Belgium and in Finland American  
12           concentrates never really gained a foothold.  The  
13           patients really, I think, had to wait until the Finns  
14           had developed their own domestic concentrates.  Are you  
15           aware of anywhere in the world where concentrates were  
16           already widely used in the treatment of haemophilia and  
17           there was a large scale shift back to cryoprecipitate  
18           because of AIDS?  Do you understand the distinction  
19           between --

20   A.  Yes.

21   Q.  Countries where they were on cryoprecipitate because  
22           that was the status quo?

23   A.  Yes.

24   Q.  But other countries where the possibility of reverting  
25           to cryoprecipitate may have been mooted and actually was

1           successfully pursued as a policy.

2    A.   I can't recall anywhere.

3    Q.   Right, just to carry on and look over the page.  We see

4           you mention the Gallo report and the French research.

5           At the top of page 5 is the reference to

6           Professor Bloom's piece in the Lancet, which we have

7           already looked at.  I think at that point it was a total

8           of 11 because there had been three cases previously

9           reported from Spain and then his research uncovered

10          a further eight cases of AIDS, 179 with immune

11          abnormalities.  Then this is the other article, which

12          I referred to earlier, from your team in Edinburgh.

13   A.   Yes.

14   Q.   The following paragraph which begins with "AIDS" in

15          block capitals.  Just incidentally, I think there is

16          a typing error in the sentence beginning:

17                 "In 1982 ..."

18          My suggestion for that sentence would be that it

19          should read:

20                 "In 1982 haemorrhage was the major cause of death

21          amongst haemophiliacs."

22   A.   I suspect you are correct.  This was a document that is

23          headed as a draft.

24   Q.   Yes, I appreciate that.  I did look up the article,

25          professor, and it seems to give an incidence of AIDS

1 cases amongst patients attending haemophilia treatment  
2 centres of 0.6 per thousand in 1982 and 1983 but 5.4 per  
3 thousand in the first quarter of 1984. So a large rise,  
4 and that, I suppose is not surprising, is it?

5 In July, the Melbye article, which again we have  
6 referred to. Strictly speaking, I think this was  
7 a preliminary letter about the position in Denmark, then  
8 in the second half of 1984 the whole study was published  
9 comparing the position in Denmark and the position in  
10 Glasgow. Is that correct?

11 A. Yes.

12 Q. Just for reference, that's mentioned in the preliminary  
13 report, paragraph 8.90. Then August. September, that  
14 piece from the Lancet, also discussed in paragraph 7.92  
15 of the preliminary report -- if people are looking for  
16 a reference to it.

17 Then over the page we see your report starting to  
18 come through about commercial heat-treated products.  
19 MASAC recommendations in October. November 1984 and  
20 then December. And this is the publication I mentioned  
21 a moment ago about the Scotland/Denmark work.  
22 Professor Ludlam, in our preparation we have identified  
23 two groups of patients in Scotland who acquired HIV from  
24 treatment with blood products. One group is the group  
25 in Edinburgh, sometimes called the "Edinburgh cohort",

1 and the other group is the group at Yorkhill. But  
2 having looked at the spreadsheets provided, particularly  
3 the Glasgow Royal Infirmary spreadsheet, there do seem  
4 to be other people -- or there must be other people  
5 infected by NHS product, Scottish NHS product. I think  
6 you say that yourself, but of your own patients, and  
7 also other people infected by commercial product.

8 Can you explain to us why these seem to be single  
9 instances, rather than a third cluster of some sort?

10 A. Well, can I say that -- I don't want to get caught up in  
11 semantics, but the patients that I looked after and look  
12 after in Edinburgh are made up, in a sense, of -- who  
13 are HIV positive -- two groups. There are what are  
14 called the cohort patients, who are those who received  
15 what we think was the implicated batch.

16 Q. I should add that there is a member of that group who is  
17 one of the Aberdeen patients, which I think we hadn't  
18 appreciated until recently, at least insofar as one of  
19 the Aberdeen patients with HIV received the same batch.

20 A. Yes.

21 Q. You knew that?

22 A. I was aware of that, yes.

23 Q. Yes, right.

24 A. But then I have another small group of patients, five,  
25 I think, who we don't think were infected by the

1           implicated batch. So the Edinburgh group of patients is  
2           more than just those --

3   Q. I'm sorry if I didn't make that clear.

4   A. But they are a cohort of patients, if you like. But  
5           I think, so that we are don't get confused, those that  
6           got the implicated batch are the ones I refer to as the  
7           cohort, and then there are the other small number, about  
8           five, whom we don't think were infected by the  
9           implicated batch.

10   Q. If one, in a sense, saw these people as being more like  
11           the Glasgow Royal Infirmary report and said: why then  
12           are those people, who arguably are about 17 in number,  
13           why is there no common thread? Or may there be one and  
14           it has just not been discovered?

15   A. It's a very interesting question and we have wondered  
16           about it and I have wondered about it in preparing for  
17           this Inquiry and revisiting some of the data.

18           One or two of the Edinburgh patients who became  
19           infected with HIV, my recollection is, did receive some  
20           cryoprecipitate. So it's possible that individual  
21           donations of cryoprecipitate could have been infected  
22           and could have infected just that individual who  
23           received it.

24   Q. Right.

25   A. There are then, I think, just a small number of patients

1           who seem only to have had concentrate and it is very  
2           difficult actually to know how they came about their  
3           infection, assuming that they got it from the  
4           concentrate. It's possible -- and I could go back and  
5           look at the figures again -- they might have received  
6           a very large dose, as it were, of one batch, they might  
7           have had a bad bleed and got a lot of one batch. There  
8           is, we believe, quite a bit of individual susceptibility  
9           to infection with HIV, and it's possible that these  
10          individuals were particularly susceptible and therefore  
11          just a small amount of virus that wasn't enough, if you  
12          like, to infect other people, resulted in their  
13          infection.

14                 So it's a little bit of a puzzle. It was a lot of  
15          work going over all the transfusion records of just the  
16          patients in Edinburgh that I did with Dr McClelland as  
17          soon as this episode came to light, particularly when  
18          you have to do it with pen and pencil because the  
19          transfusion records weren't in those days computerised.

20                 I was aware that a small amount of the implicated  
21          batch had gone to Glasgow and that one person had  
22          seroconverted.

23          Q. In Glasgow?

24          A. Aberdeen.

25          Q. Aberdeen, thank you.

1 A. Aberdeen, I'm sorry. 50 bottles of the implicated batch  
2 went to Aberdeen and one individual received, I think it  
3 was, four bottles and was later found to be positive,  
4 anti-HTLV-III positive.

5 Q. I can't ask you about Glasgow Royal Infirmary because  
6 that's not your hospital, but have you looked at the  
7 spreadsheet from Glasgow Royal Infirmary?

8 A. The one --

9 Q. The 12 cases that they list?

10 A. I have, yes.

11 Q. Yes. Could you see any kind of pattern or common  
12 thread?

13 A. I'm sorry, I don't have it before me.

14 Q. No, it's all right. I'm not wanting to go into this in  
15 detail, I just wondered if anything had struck you as an  
16 expert that might not strike us?

17 A. I saw there were two or three patients who, it seemed,  
18 had been predominantly treated with NHS concentrate, but  
19 in my mind there was a hesitation as to whether they  
20 might have received commercial at some stage. I can't  
21 remember whether they had been treated in England or  
22 not.

23 Q. I think we accept that there are all sorts of things  
24 that may confound us, that people may have had  
25 a treatment that has not been documented and it is not



1           obvious when somebody became infected; all these  
2           factors. But I just wanted to confirm that there is not  
3           something that you think we are missing about the  
4           figures from Glasgow.

5   A. No.

6   Q. No.

7   THE CHAIRMAN: Could I ask a little about the documentation?

8           If one has general groups and then specific,  
9           apparently discrepant, examples, I suppose one thought  
10          what must occur is that the individual in this very  
11          mobile society might have been treated elsewhere. Are  
12          the records comprehensive enough to cover, let's say,  
13          casual holiday treatment abroad or in England or  
14          whatever?

15   A. Well, that's one of the advantages of having our UK  
16          national register, in that we try and pick up these  
17          extra treatments given when people are travelling. And  
18          on the whole and particularly now, I think it works  
19          pretty well.

20          The difficulty is that patients, if they are  
21          a visitor on holiday away from their usual centre, may  
22          well turn up out-of-hours, Saturday afternoon, they are  
23          seen by a relatively junior member of staff, who gives  
24          them some Factor VIII and sends them away. And that  
25          might not be recorded in the usual way because the usual

1 staff are not available.

2 We try and keep impeccable records but there is no  
3 other area of medicine where we try and keep such  
4 impeccable records. We can't guarantee that they are  
5 complete. Certainly if someone goes abroad, there isn't  
6 an automatic way in which their treatment will be  
7 relayed to the home haemophilia centre, although  
8 sometimes our patients attend haemophilia centres in  
9 this country and abroad and we get a letter to say that  
10 they have attended and they were treated with this  
11 product and here is the batch number and here is the  
12 amount they had.

13 Q. Yes. We do understand, professor, that for the purposes  
14 of the Inquiry, considerable efforts have been made to  
15 reconstruct events of the early 1980s but in many cases  
16 the clinicians will not be the same and unfortunately,  
17 of course, a lot of the patients are dead as well.  
18 That's certainly true of the Glasgow information and  
19 it's perhaps unsurprising that it's very difficult to  
20 get an accurate sense of what the explanation might be  
21 for infection in particularly that group of people.

22 Can we just look quickly at the next page, which is  
23 the end of 1984? Before going into 1985 I just wanted  
24 to look at a section headed "Treatment policy, 1982 to  
25 1984", which is in [\[PEN0150385\]](#). Again, professor, i

1 think we have covered most of this.

2 It's page 23. Thank you.

3 Professor Ludlam, this is your document that was  
4 drafted 20 years ago. I wondered if you would still  
5 say, having reflected on it further and having prepared  
6 other documents, what you say in the last sentence,  
7 that:

8 "There was much evidence to demonstrate that such  
9 changes were not related to a putative AIDS virus."

10 A. No, I think I stick -- I think that a lot of the immune  
11 changes that were demonstrated, the early ones may well  
12 not have been due to HIV.

13 Q. Really I just wondered, given that the paragraph begins  
14 by --

15 A. I can't see the top.

16 Q. I'm sorry, it begins in mid 1983.

17 A. Right.

18 Q. It's always difficult to know, when people are speaking,  
19 quite what timeframe they have in mind, but if we were  
20 to assume that this is meant to be the middle of 1983,  
21 do you still say that there was much evidence to  
22 demonstrate that such changes -- this is changes in  
23 people with haemophilia -- were not related to  
24 a putative AIDS virus?

25 A. In which population?

1 Q. Well, I'm just looking at a view you expressed.  
2 I suppose we can look a little higher up in the  
3 paragraph. The question you have posed is a rhetorical  
4 question:

5 "Was it then appropriate to change therapy  
6 throughout the UK because a few haemophiliacs had  
7 developed AIDS in the USA?"

8 You say:

9 "There was much evidence to demonstrate that such  
10 changes were not related to a putative AIDS virus."

11 We have spent quite a long time looking at it,  
12 professor, and it is very difficult to prove a negative.  
13 So I just wondered if that's perhaps in retrospect  
14 pitched a bit high.

15 A. Well, we didn't know at that time -- and in a sense  
16 didn't know for quite a long time after that -- what  
17 proportion of haemophiliacs in North America were  
18 infected. It could have been a very small number,  
19 a high percentage, as it were, who went on to get AIDS,  
20 or it could be a large number who very slowly, over  
21 a number of years, as has happened, went on to get AIDS.  
22 But at that stage it wasn't at all clear whether there  
23 was a small number in the States who were infected or  
24 a large number of people with haemophilia.

25 Q. So you don't want to change the wording of that?

1 THE CHAIRMAN: We are almost getting down to language here  
2 a bit. We do know that on your own studies, there were  
3 quite a lot of changes in the CD4/CD8 ratios in patients  
4 who did not develop AIDS. But of course, what we have  
5 is a much more general proposition, in the last two  
6 lines:

7 "There was much evidence to demonstrate that such  
8 changes were not ..."

9 That almost looks like a universal proposition,  
10 whereas we do know that some of your patients ...

11 A. Okay.

12 THE CHAIRMAN: So I just wondered whether a minor change in  
13 language would satisfy both you --

14 A. I think --

15 THE CHAIRMAN: Would you like to try that?

16 A. Yes.

17 PROFESSOR JAMES: Could you insert "necessarily" before  
18 "related"?

19 A. Yes.

20 THE CHAIRMAN: You are quite happy with Professor James'  
21 evidence in this matter?

22 A. I think that's a reasonable choice of word, thank you.

23 MS DUNLOP: We do have a lot of material from you,  
24 Professor Ludlam, which will inform our perspective on  
25 what was in your mind as a treater in 1983, and

1 obviously the whole of that evidence is available. So  
2 I don't want to create the impression that anything will  
3 turn particularly on this one sentence; it just rather  
4 caught my eye, that was all.

5 On the next page there is a quite a complex  
6 discussion of the possible viral aetiology and then you  
7 pose another rhetorical question, if we go slightly  
8 further down. We are back to the same material really.  
9 Perhaps it would be worth bearing in mind here, would  
10 it, that the preliminary results from Denmark were  
11 reported in July 1984 and that was that 14 out of 22  
12 patients appeared to be infected. It looks to have been  
13 possibly the first of a succession of reports coming  
14 through, certainly for Europe. They were, of course,  
15 infected with LAV and we understand that at that point  
16 there was a debate about was LAV the same as HTLV-III.  
17 This is discussed in our paragraph 8.90, and 14 of the  
18 22 had LAV.

19 A. Yes.

20 Q. On to the next page you have set out the options, and  
21 again we have discussed these possibilities -- well, we  
22 haven't discussed stop treatment because I don't imagine  
23 that was ever a realistic possibility.

24 Reverting to cryoprecipitate. On to the next page.  
25 Perhaps the only point to make on this page, page 26,

1 where you say that:

2 "The extent to which it ..."

3 That is cryoprecipitate:

4 "... does so [that is protecting the population of  
5 haemophiliacs from viral infection] depends upon the  
6 prevalence of the virus in the donor population. In  
7 some European countries, for example Sweden and Belgium,  
8 cryoprecipitate had been used extensively for many years  
9 prior to 1982 and in these countries prevalence of HIV  
10 infection in haemophiliacs is low."

11 I think we have noted that from a Council of Europe  
12 table, which has Belgium with an infection rate of  
13 7 per cent, but the overall prevalence of HIV in the  
14 Belgian population was actually quite high, was it not?

15 A. It was.

16 Q. So this is, in that sense, a remarkable outcome?

17 A. Yes.

18 Q. On to the next page. You go on to discuss option C:

19 "Stop importation of commercially manufactured  
20 Factor VIII, rely on NHS product."

21 Which would have involved using cryoprecipitate as  
22 well, I think, as you say. Then on to the following  
23 page. I understand, professor, that this is a draft  
24 document but I think at the top of that page, the part  
25 we can see on the screen, it might be that the years

1 need to be corrected. Is that right? For example, "the  
2 HIV outbreak in the summer of 19 ..." that should be  
3 "84", should it? It is just the parenthesis:

4 "The HIV outbreak in the summer of 1983 in Edinburgh  
5 was completely silent clinically and was only discovered  
6 ..."

7 Or is this in drug abusers?

8 A. This is in drug abusers. I'm sorry, I didn't make that  
9 clear. Yes, that only came to light in --

10 Q. In 1985?

11 A. -- early 1985.

12 Q. I understand, thank you.

13 You mention Australia also and we have also looked  
14 at an article which charts the eventual position as far  
15 as HIV infection in people with haemophilia in Australia  
16 is concerned, and Dr Winter spoke a bit about that.  
17 Just for the record, in case anyone wants to look back  
18 at that, the later Rickard article we have as  
19 [\[PEN0120255\]](#). Then:

20 "(d) develop virus-reduced Factor VIII and IX."

21 This is going to be examined in the Inquiry more in  
22 the context of topic B3, which is devoted to that whole  
23 area. Then option (e) about being more attentive to  
24 individuals in high risk groups as possible blood  
25 donors. I take it it is only because this is written



1 for a litigation in England that you don't mention the  
2 efforts made in Scotland. We do know that there were  
3 efforts made in Scotland as well. You say that:

4 "Efforts were made by the regional transfusion  
5 centres in England and Wales to persuade donors in  
6 higher risk groups to refrain from donating."

7 Dr McClelland told us about what happened in  
8 Scotland too.

9 A. I think Scotland was well abreast of other countries.

10 Q. Thank you. Then over the page.

11 Sir, there is quite a lengthy section in this  
12 particular statement, which I don't think really needs  
13 any examination. Perhaps we could just note for the  
14 records that going on to and including page 36 is  
15 narrative which is either, I think, uncontroversial or  
16 material we have already discussed. Perhaps the only  
17 qualification to that is that on page 31, professor, you  
18 do refer to the Lancet editorial but you put it  
19 as March 1983, but I think we have established it was  
20 actually April 1983. So just so that we don't get  
21 confused when we come to look at this in retrospect.  
22 You see that reference to the editorial in the Lancet?

23 A. Near the bottom?

24 Q. Yes. Where the writer had wondered whether the  
25 abnormalities in haemophiliacs were the submerged part

1 of a large viral iceberg. I think we know that that's a  
2 2 April 1983 editorial. I don't think there was another  
3 one.

4 A. It doesn't say -- does it say March here?

5 Q. Yes, it says:

6 "Also in March ..."

7 A. I apologise, yes.

8 Q. Yes, it is not a major issue.

9 The next section. If we can move then to 35. 35 on  
10 to 36 is, as I say, I think, sir, not controversial or  
11 already covered. 37, again, stemming from the fact that  
12 this is a draft document, it might be necessary to  
13 insert some words into the third line. Well, the whole  
14 sentence really. Although the initial article  
15 identifying a possible AIDS virus appeared in May 1983,  
16 it might be make more sense:

17 "It was not until the confirmatory report  
18 of May 1984 that the ..."

19 Perhaps that should be:

20 "... the extent of the infection in haemophiliacs  
21 became apparent."

22 Would that make sense?

23 A. Yes, it would.

24 Q. Yes. Then in the following paragraph you refer to the  
25 trials. We looked at Dr Craske's letter from July 1983,

1 or at least his paper from July 1983, written at about  
2 the time when the trials are about to start. You say:

3 "Both these products resulted in a high transmission  
4 rate of hepatitis."

5 Actually, I think, according to a letter from  
6 Dr Walford that we looked at last week, the Hemofil  
7 certainly was shown to transmit hepatitis in  
8 chimpanzees. Just because it's your letter, professor,  
9 I think we should look quickly at [\[SNF0013211\]](#). I think  
10 that "contain" should be "continued" by the way, should  
11 it? "manufacturers continued research," rather than  
12 "manufacturers contained research..." in the third last  
13 line.

14 A. Yes.

15 Q. If we just look at [\[SNF0013211\]](#). Again, it is a letter  
16 we have seen before. This is on the topic of trials.  
17 I suppose this encapsulates your reasoning at that time,  
18 which you have explained to us earlier this morning. Is  
19 that correct?

20 A. Yes.

21 Q. Really two aspects to it. Firstly that your patients  
22 are not being treated with commercial product at all so  
23 far and you don't want to start, and also that there is  
24 a new higher purity heat-treated SNBTS Factor VIII  
25 coming and you are hoping that your patients will be

1 treated with that.

2 A. Yes.

3 Q. When you say:

4 "... reserve any patients we may have for the  
5 testing ..."

6 Would it be any particular group of patients that  
7 you would be wanting to test this new heat-treated  
8 product on?

9 A. Well, if we were wanting to test it for its safety for  
10 the transmission of non-A non-B hepatitis, then really  
11 the only way you can do this is to use patients who have  
12 not received blood products previously.

13 Q. Yes.

14 A. Such patients are rare.

15 Q. Yes.

16 A. At any one time.

17 Q. Can we go back, please, to where we were in

18 [\[PEN0150385\]](#)? On to page 38:

19 "By December 1984 it was clear that at least two  
20 batches of NHS Factor VIII, one in England and one in  
21 Scotland, perhaps, had been contaminated by HIV and had  
22 resulted in infection of patients."

23 I think perhaps there is a chunk missing from the  
24 next but one sentence, I would propose:

25 "... the presence of antibodies raised the question

1 of whether the virus had been cleaned from the body ..."

2 Is that --

3 A. It should be "cleared".

4 Q. "Cleared", right?

5 A. Yes.

6 Q. But should it say something before "cleared", "the  
7 presence of antibodies":

8 "... the presence of antibodies raised the question  
9 of whether the virus had been [cleared] from the body,  
10 as is the case for most viral infections, or whether  
11 patients might harbour the virus."

12 That, I think, makes more sense.

13 The following paragraph, where you are discussing  
14 the meeting, the UK reference centre directors' meeting  
15 in December 1984, you say, this is the second sentence:

16 "The ideal product would have been a NHS  
17 heat-treated concentrate."

18 What was the second choice?

19 A. Heat-treated commercial concentrate -- well, or  
20 heat-treated concentrate. That was the second choice.

21 Q. So your view at that time would be that for those  
22 people, those patients, who couldn't have access to  
23 a NHS heat-treated concentrate -- and I suppose we would  
24 be talking about patients in England and also Factor IX  
25 patients at this point -- the second choice would be

1 a heat-treated commercial concentrate, rather than  
2 unheated NHS.

3 A. That was an extraordinarily difficult decision to make,  
4 to choose between those two at that time. There was  
5 huge discussion in this meeting even about whether or  
6 not we should recommend heat treatment of NHS  
7 Factor VIII. I remember a very protracted discussion,  
8 a very painful discussion, because we had only knowledge  
9 of some of the facts. I think what some of us hadn't  
10 appreciated is that the FDA had licensed some  
11 concentrates heat-treated in the States. There was  
12 a great deal of anxiety about heat treatment and whether  
13 this would modify the molecule of Factor VIII, such that  
14 many patients might produce antibodies. If they did,  
15 then it might well not be possible to stop bleeding in  
16 the event of haemorrhage. So this was particularly  
17 difficult if one was going to go over and recommend it  
18 as general treatment for everybody, not just two or  
19 three patients, to try and see what happened.

20 So it was a very difficult meeting, very painful  
21 meeting, and there wasn't unanimous agreement, is my  
22 recollection. But there was consensus that we should  
23 move towards heat treatment.

24 Q. Yes. And of course, for an American heat-treated  
25 product to be used in the UK for general use, it would

1           need to be licensed for the UK as well.

2    A.   Ideally.  Otherwise we are back to the named patient  
3           basis.

4    Q.   Yes.

5    A.   And that's why, I think, the CSM suddenly realised it  
6           had a problem in February 1985.  But this was a very  
7           difficult decision to make, and as I have said in this  
8           report, I'm sure, some eminent immunologists wrote  
9           immediately to the Lancet saying that they were not sure  
10          that we were doing the correct thing.

11   Q.   We can proceed to really the same period, where it's  
12          discussed in your most recent statement, [\[PEN0150445\]](#).  
13          You see the same meeting referred to on page 11,  
14          paragraph 37.

15   A.   I make reference at the end of this to two unfortunate  
16          events in 1991, when the Factor VIII molecule did become  
17          modified during its manufacture and led to an outbreak  
18          of inhibitors in two groups of patients.  So it wasn't  
19          idle speculation.

20   Q.   Yes, indeed.  And you say, if we go a little bit further  
21          down, please:

22                 "As our subsequent monitoring studies demonstrated,  
23                 there were no further transmissions of HIV, despite the  
24                 retrospective discovery that some batches of SNBTS  
25                 plasma had been contaminated with HIV."

1 I think that reference must be an article in  
2 Vox Sanguinis, which we also refer to in the preliminary  
3 report. Yes. Can we go back then to 385. That's  
4 [\[PEN0150385\]](#) at page 39. You refer to an advisory  
5 document which was drawn up. I think we should look at  
6 that. That's [\[SGF0012388\]](#). We can see that it wasn't  
7 just the reference centre directors who had discussed  
8 these recommendations, that Dr Lane, who was from BPL,  
9 Dr Cash, Dr Gunson, the blood transfusion --  
10 Dr Mortimer, I think was a public health doctor; is that  
11 right?

12 A. The minutes of that meeting are available.

13 Q. Yes. We have that too. I was just going straight to  
14 the recommendations. Dr Craske there, perhaps  
15 inevitably.

16 The background; can we just go through it? Look at  
17 it until we come to the recommendations. General  
18 precautions. Donors. On to the next page, please. And  
19 the recital of current position as far as concentrates  
20 that were available is concerned. Edinburgh:

21 "From now on all Scottish Factor VIII will be dry  
22 heated to supply Scotland and Northern Ireland."

23 Then:

24 "Options in probable decreasing order of safety."

25 This is options for Haemophilia A.



1           But a note that actually the distinctions between 3  
2           and 4 are debatable, and I suppose the second choice we  
3           see is single donor cryo. So maybe I should have asked  
4           you about the third choice, but between 3 and 4 caused  
5           a lot of debate, I take it?

6   A. Yes.

7   Q. Then on to the next page, if we could, please.

8           Haemophilia B. It says that:

9           "Individual directors may wish to make up their own  
10          minds."

11          And I think, although this paragraph appears under  
12          Haemophilia B, it is meant to apply to both  
13          Haemophilia A and Haemophilia B, I take it. I think it  
14          must be because it reverts to talking about Factor VIII.  
15          It says:

16          "This is particularly true of unheated NHS  
17          material."

18          Can we finish looking at that. Go to little bit  
19          further and on to the next page, please:

20          "It is recommended that patients be HTLV-III  
21          antibody tested."

22          Then certain recommendations about information which  
23          again is another topic for further on in our Inquiry.

24          Can we go back, please, to [\[PEN0150385\]](#), and again  
25          noting, I think, that from page 40 onwards you are

1 telling the story from this point, and again, sir, in  
2 the interests of time, just to note that the narrative  
3 continues, 41, 42. I'm not going to ask any specific  
4 questions or highlight any points. On 43 you do say:

5 "In February 1985, it was reported that a UK patient  
6 with Haemophilia B, treated exclusively with NHS  
7 Factor IX concentrate, had become anti-HIV positive. As  
8 a result, some haemophilia directors opted to treat  
9 patients with commercial heat-treated Factor IX  
10 concentrate instead of unheated NHS material."

11 I just wondered what you did in Edinburgh with your  
12 Haemophilia B patients after discovering what had  
13 happened to a number of your patients with  
14 Haemophilia A. What did you do  
15 from November/December 1984 onwards?

16 A. I think we went on with NHS unheat-treated Factor IX.  
17 The chance of getting infection of HIV or HTLV-III in  
18 Haemophilia B was very much less. We knew that at that  
19 stage. Probably a number of different reasons; one is  
20 the way in which the Factor IX is manufactured and may  
21 well have tended to exclude the virus. The other is  
22 that the immune systems of people with Haemophilia B  
23 appeared to be less abnormal than those with haemophilia  
24 B in the absence of HIV in both groups, and it's not  
25 quite clear even now why that should be because both

1 groups had Hepatitis C.

2 Q. Yes, I think, professor, you said:

3 "The immune systems of people with Haemophilia B  
4 appeared to be less abnormal than those with Haemophilia  
5 B ..."

6 I think that should be "Haemophilia A", should it?

7 A. Yes.

8 Q. Then lastly for this document, on the following page you  
9 say:

10 "HIV transmission has been reported from dry  
11 60 degrees centigrade heated concentrate."

12 I think that was actually an Armour product, at  
13 least as far as we have been able to discover. Does  
14 that accord with your recollection?

15 A. I think that's my recollection.

16 Q. That, I think, is the end of our need to look at this  
17 document. If we go back to 0468, [\[PEN0150468\]](#). You  
18 have noted for us exactly the point you made about the  
19 reservations of the wholesale switch to heated product.  
20 Again, perhaps we can note this narrative without  
21 particularly going through it.

22 (Pause)

23 Then on to the following page. Just for the record,  
24 Professor Ludlam -- sorry to be pedantic but it's in  
25 case people are thrown by this -- the reference at the

1           very, very end of that page is the Annals of Internal  
2           Medicine.  If we look at the letter, you can see it is  
3           volume 102, not volume 103.  So if some people were  
4           going away and looking at the hard copy --

5   A.  You are correct.

6   Q.  It is March 1985.  The following page as well, please.  
7           Right in the middle where there is a reference to AIDS  
8           cases in haemophilia.  It should be "reaching  
9           1 per cent", not "reading 1 per cent" is that right?

10  A.  Yes.

11  Q.  Then September 1985, you referred to what happened in  
12           Newcastle.  The 99 Haemophilia A patients.  Is that all  
13           Haemophilia A patients in Newcastle then, not just  
14           severe patients?  It doesn't matter if you don't know,  
15           I'm not going to take time by trying to find out.  
16           I just wondered if you knew.

17  A.  I suspect it's all patients, because in the third line  
18           it says:

19                 "Two patients with basal factor 8 level of  
20                 5/10 per cent were positive."

21  Q.  Yes:

22                 "A patient with mild Haemophilia A given concentrate  
23                 for a major bleed."

24                 As well?

25  A.  Yes.

1 Q. It's just that rates at that sort of level, around about  
2 75/76 per cent, you see in other centres, but they tend  
3 to be the rates of patients with severe haemophilia.

4 A. Yes, that's correct --

5 Q. Then --

6 A. -- but it illustrates the need to give concentrate to  
7 mild haemophiliacs on occasions with bad bleeds.

8 Q. Yes.

9 A. As we were discussing yesterday.

10 Q. I see that. Also three people who were heterosexual  
11 contacts were anti-HTLV positive too. Then on to the  
12 last page. In October 1985 that reference to:

13 "Evidence that heating freeze-dried Factor VIII at  
14 60 degrees for 30 hours (Armour) does not transmit  
15 HTLV-III."

16 Bearing in mind that of course you think that you  
17 wrote this in about 1988, but eventually there was  
18 evidence that that was not a successful protocol.

19 A. Yes.

20 Q. So that concludes that document.

21 Then just to go back to your most recent statement,  
22 [\[PEN0150445\]](#), at the foot of page 11. This is  
23 paragraph 38 that has appeared in front of us:

24 "Towards self-sufficiency in Scotland, Factor VIII  
25 concentrate data collection."

1           The following page. Insofar as Edinburgh is  
2           concerned, you tell us in 39 that:

3           "Information on each and every infusion of  
4           concentrate was recorded manually in a logbook. The  
5           details that [you] included were date, product, batch  
6           number, dose and reason for infusion."

7           So that was a manual system in operation when you  
8           took over?

9    A. Yes.

10   Q. Yes. Then you say that in 2010, in contradistinction to  
11       the part-time clerical officer in the early 1980s, you  
12       now have two full-time staff keeping records of these  
13       matters.

14   A. And fairly sophisticated computers.

15   Q. Yes. So the computer system cuts still further the time  
16       required. It is a slight paradox. You might have hoped  
17       that computerisation would make it simpler but for  
18       whatever reason you need two full-time staff.

19   A. It makes it easier to analyse the use of concentrate and  
20       do the sort of studies about who received which batch  
21       that we were doing back in 1984 with the implicated  
22       batch.

23   Q. Yes. You are networked between the East of Scotland  
24       haemophilia centres. So you, Dundee, Aberdeen and  
25       Inverness?

1 A. Yes.

2 Q. Right. Something else that's of interest to us is  
3 covered in paragraph 42:

4 "Commercial concentrates for use in Edinburgh were  
5 purchased through and stored in the SNBTS blood bank at  
6 the Royal Infirmary and data on use would therefore have  
7 been readily available to SNBTS."

8 Then you discuss recording of the use of PFC  
9 product, and on to the next page, 43, you say:

10 "The important Factor VIII statistic was the amount  
11 of concentrate available in the SNBTS blood bank in the  
12 Royal Infirmary in Edinburgh. The 'monthly' deliveries  
13 from PFC ..."

14 Why is "monthly" in inverted commas?

15 A. I think they were described as "monthly". It didn't  
16 mean to say they always arrived on the first of the  
17 month.

18 Q. Right.

19 A. We expect the delivery van at some time in the month.

20 Q. Well, sometimes, I suppose it maybe came more frequently  
21 than once a month?

22 A. Yes, that's also why it's in commas.

23 Q. 44, cryoprecipitate. 45, UKHCDO statistics; different  
24 frame of reference for different time periods. In 46  
25 you say:

1            "In Edinburgh it was agreed that the commercial  
2            Factor VIII concentrate would be bought on behalf of  
3            Lothian Health Board and stored in the SNBTS blood bank.  
4            This arrangement was agreed with Lothian Health board at  
5            a meeting in 1981. Subsequently, in 1983, it was agreed  
6            to change the arrangements and for commercial  
7            concentrates to be stored in and issued from the Royal  
8            Infirmary pharmacy."

9            I think you have actually provided letters dealing  
10           with both these episodes. We will perhaps just look.  
11           I think it is the 1983 one. [\[PEN0150480\]](#). We can see  
12           what's happening here. This is you taking over the  
13           purchase of commercial products; perhaps more correctly,  
14           the ordering of the commercial product.

15        A. And that they should be stored in the pharmacy.

16        Q. Dr McClelland had his reservations but he was prepared  
17           to allow it to proceed.

18           We have seen that this whole topic of who ordered  
19           commercial product and so on seems to have featured  
20           regularly, particularly from some of the English  
21           directors, where there were various attempts made by the  
22           Department of Health to change the system, and I think  
23           it's fair to say a degree of reluctance or even  
24           opposition on the part of the directors in England to  
25           some of the suggestions from the Department of Health.



1           Is that right?

2   A.   That is correct, and that goes back to the 1970s as  
3       well.

4   Q.   Right.  So quite an old story.

5   A.   Yes.

6   Q.   Yes.  Then if we move forward to paragraph 57, please  
7       you talk about general arrangements for interactions  
8       between you and SNBTS.  I don't think we need to go into  
9       this in any detail, professor.  Thank you.

10           On a day-to-day basis -- this is paragraph 59 -- you  
11       interacted with Dr Frank Boulton and  
12       Dr Brian McClelland.  In our database, Professor Ludlam,  
13       we have a whole sheaf of correspondence involving you  
14       and primarily, but not exclusively, Dr Boulton, really  
15       about the amount of NHS product you were using; how that  
16       related to other use in Scotland.  You perhaps feeling  
17       you weren't getting enough or the arrangements were  
18       insecure and there being a certain amount of strain on  
19       the other side perhaps in meeting your requirements.  Is  
20       that a reasonable summary of the position?

21   A.   I think it is.  It was difficult because I wanted more  
22       Factor VIII concentrate.  They had a limited supply.  
23       Wherever there is limited supply, increased demand,  
24       there is stress and strain.

25   Q.   Yes.

1 A. Looking back on it and the correspondence I have looked  
2 over, it was not always clear from the correspondence  
3 exactly in a sense what was on offer. You have the  
4 correspondence, we could go through it if you would  
5 like, but there is, in some parts of the correspondence,  
6 reference to numbers of bottles. Sometimes to numbers  
7 of units, and it wasn't always possible to equate  
8 numbers of units with numbers of bottles because the  
9 unitage of Factor VIII in different batches of  
10 Factor VIII concentrate varied quite substantially.

11 I think there was the suggestion that I had not  
12 understood the situation about the supply, what was  
13 available, in correspondence with Dr Boulton and perhaps  
14 with Dr McClelland. There is a letter from  
15 Professor Cash in October of that year saying that he  
16 thought Dr Ludlam had got his maths about right, they  
17 having sent 6,000 litres of plasma to PFC for  
18 fractionation.

19 I have reviewed the correspondence because it was  
20 passed to me a few days ago, and I'm interested to read  
21 in Dr Peter Foster's evidence as presented to the  
22 Inquiry, his very full evidence. He has looked at the  
23 stock levels and in this time when I was having  
24 difficulty being able to supply the patients with as  
25 much Factor VIII as I felt I had been allocated earlier

1 in the year, I note that the SNBTS stock of Factor VIII  
2 actually was rising very rapidly. You will see that  
3 it's 3.8 million units for 1982/1983, at a time when  
4 I felt I was being lent on very heavily to rein in my  
5 use.

6 So I think there may have been a difficulty in us,  
7 us being haemophilia directors and SNBTS, perhaps not  
8 being fully aware of what the stocks were around  
9 Scotland, because I think Dr Mitchell, Ruthven Mitchell,  
10 in March 1983 in a letter to John Watt refers to him  
11 having quite large stocks of concentrate and he didn't  
12 want any more; or words to that effect.

13 We were trying to work as a team, and I think we  
14 worked very well as a team actually. But I was being  
15 expected, not only to look after the patients but to  
16 keep a beady eye on what the deliveries of fresh frozen  
17 plasma were to PFC, and that was area that was, if you  
18 like, right outside my area of responsibility and  
19 day-to-day concern and day-to-day knowledge.

20 So it was a difficult time. I think we did our best  
21 between us, but it was not easy.

22 Q. I suppose in all this, PFC are the supplier, you are the  
23 customer, and Dr Boulton and Dr McClelland are really  
24 sort of middlemen, are they?

25 A. They hold the stock in the cupboard for me.

1 Q. Yes, but also they are monitoring what is being  
2 collected and sent to PFC for --

3 A. Yes.

4 Q. -- production in the first place?

5 A. Yes.

6 Q. Yes. Perhaps --

7 A. I think also there was an element of regionalisation,  
8 about how much concentrate came back to each region. It  
9 may have been dependent on the amount of fresh frozen  
10 plasma supplied from that region. That was the English  
11 system, and it was a sub-optimal system for reasons we  
12 can go into if you want.

13 In Scotland we felt we had a nationally funded Blood  
14 Transfusion Service and national single Protein  
15 Fractionation Centre, and the thing should have worked  
16 as a whole rather than being divided up in a pro rata  
17 basis over the divisions of the country.

18 Q. Perhaps you put the matter in a nutshell in your  
19 penultimate paragraph in this section. It is actually  
20 within numbered paragraph 60, but on to the next page:

21 "30 years on it is difficult with the information  
22 currently available to reconstruct accurately and in  
23 detail the expectations, discussions and negotiations  
24 over the supply of clotting factor concentrate."

25 Then the last sentence:

1           "There will always be tension where demand outstrips  
2           supply."

3   THE CHAIRMAN: Did the cooperation that you referred to  
4           extend to cooperation with other haemophilia directors  
5           and among the blood transfusion regions? Or was it just  
6           a matter between you, your BTS people, and PFC?

7   A. I negotiated with Dr Boulton and Dr McClelland and if  
8           they want more product, they would -- as I understand --  
9           contact the Protein Fractionation Centre or potentially,  
10           as you see in the correspondence, other blood  
11           transfusion centres within Scotland who may have held  
12           the stock. But I didn't negotiate, either with the  
13           haemophilia centres or with other blood transfusion  
14           centres, because that was not really my lines of  
15           authority.

16   MS DUNLOP: Yes.

17   THE CHAIRMAN: Perhaps one could never hope to get a fully  
18           integrated system unless people were prepared to be open  
19           with each other right across the board? Maybe we will  
20           have to look at it in some detail.

21   MS DUNLOP: I think, sir, because I don't want to take up  
22           any more time on this just now, but I was imagining that  
23           we would look at the correspondence with Dr Boulton, and  
24           if you wanted -- I suspect, Professor Ludlam, if there  
25           was some particular issue that you felt hadn't been

1 covered or that we really needed to look at, we could  
2 perhaps make arrangements to clarify that after  
3 Dr Boulton has taken us through the correspondence.  
4 Does that seem acceptable?

5 A. Yes, fine.

6 Q. Then you have paragraph 61:

7 "Commercial Factor VIII concentrate use."

8 You have actually provided an appendix dealing with  
9 this. I think we need to keep the text, if we could,  
10 please and juxtapose the appendix, which is  
11 [\[PEN0150225\]](#). Thank you.

12 Just so we understand the table, professor Ludlam --  
13 I'm sorry if this is a stupid question, but every time  
14 we see "A" is that the same person?

15 A. Yes.

16 Q. Yes, that's what I thought but ...

17 It goes up to "K" but there isn't an "H". It is  
18 possible just you missed out "H" when you were  
19 lettering?

20 A. Probably.

21 Q. I suspect --

22 A. Erm.

23 Q. Really, I do not want to go into that at all but if we  
24 look at the text --

25 A. Just a moment -- let's leave it.

1 Q. Yes. Thank you.

2 If we look at the text, you really do explain this  
3 to us. A and B did not become infected with HIV from  
4 commercial concentrate but they did become HIV positive  
5 from the implicated batch in 1984.

6 C received commercial concentrate, you say:  
7 "... because of apparent non-therapeutic response to  
8 SNBTS Factor VIII."

9 So the SNBTS Factor VIII did not work in this  
10 patient?

11 A. It appeared not to work.

12 Q. It appeared not to work, right.

13 Is that likely to have been something to do with  
14 purity? No?

15 A. No.

16 Q. No. Would it be easy for us to grasp a reason why it  
17 didn't work?

18 A. I am able to give you my recollection of the reason. My  
19 hesitation is that this patient is not party to this  
20 Inquiry -- his family are not -- they were very unusual  
21 circumstances.

22 Q. Perhaps we should just leave it as you have stated it,  
23 Professor, and not take it any further. We note that  
24 there were --

25 A. I seek your guidance.

1 Q. Simply, I think all we need to note is that there were  
2 clinical reasons why this patient was given commercial  
3 concentrate and that this patient did become infected  
4 with HIV from commercial product.

5 Then if we go on to the next page, I have already --

6 THE CHAIRMAN: Can you enlarge it, please?

7 MS DUNLOP: Here it is, yes.

8 We have already obviously looked at A, B and C.  
9 Patient D started on home therapy with commercial VIII.  
10 Because he lived a long way from the Royal Infirmary.

11 What was the logic of that?

12 A. He has had severe Haemophilia A. He had quite frequent  
13 bleeds. His brother, patient A, had been treated with  
14 commercial concentrate and I was lent upon quite  
15 heavily: could he not have commercial Factor VIII as  
16 well so he could have it at home? That's what he  
17 wanted, rather than coming to the Royal Infirmary for  
18 cryoprecipitate.

19 Q. I see. And then E. He was a visitor from abroad?

20 A. Yes.

21 Q. F had a single injection of a pure commercial  
22 Factor VIII to which he reacted but he became infected  
23 from the implicated batch. G, somebody who remained HIV  
24 negative. I, if we go down to the bottom of the page:

25 "Previously received commercial VIII. Retrospective



1 testing revealed he was HIV positive before his arrival  
2 in Edinburgh."

3 Then on to the following page:

4 "K, commercial Factor VIII. Because of a unique and  
5 complex clinical situation became infected with HIV by  
6 the implicated batch."

7 Then you present a summary. Just reading at the  
8 very bottom of that page, page 21:

9 "Thus, out of nine patients susceptible to HIV, one  
10 became infected, probably by commercial human  
11 Factor VIII concentrate, in 1981 as a result of  
12 treatment in Edinburgh and four patients seroconverted  
13 to the SNBTS implicated batch in 1984."

14 That is the end of your statement, professor, apart  
15 from your list of references.

16 I wonder, sir, I still have a very few general  
17 questions for Professor Ludlam. It is one o'clock. It  
18 might be better just to stop rather than just cram it  
19 in.

20 THE CHAIRMAN: I don't think you will cram it in.

21 MS DUNLOP: Yes.

22 THE CHAIRMAN: Yes, after lunch.

23 (1.01 pm)

24 (The short adjournment)

25 (2.00 pm)

1 THE CHAIRMAN: Yes, Ms Dunlop?

2 MS DUNLOP: Thank you, sir. Good afternoon,

3 Professor Ludlam.

4 A. Good afternoon.

5 Q. Just to cover one topic extremely briefly, which is the

6 topic of funding by pharmaceutical companies. You were

7 asked, in common with the other haemophilia directors,

8 about whether you were aware of funding in your centre

9 by pharmaceutical companies. We can have your reply on

10 screen; it is [\[PEN0150350\]](#).

11 You looked into this at the request of the Inquiry,

12 didn't you?

13 A. Yes.

14 Q. You say firstly that you are:

15 "... not aware of any funding from pharmaceutical

16 manufacturers of clotting Factor VIII concentrates in

17 the 1970s. I think it's highly unlikely that there was

18 any."

19 And presumably you draw that inference from

20 Dr Davies' policy of which you have spoken.

21 A. Yes.

22 Q. Then you say you have been in touch with the Lothian

23 Endowments Office:

24 "Who hold our haemostasis account. They have

25 records of the following donations ..."

1           Really, only donations from 1986 onwards, probably,  
2           you suspect, largely to help staff get to scientific  
3           meetings, conferences; travelling expenses for going  
4           abroad, probably?

5   A.   Yes.

6   Q.   Thank you.

7           Professor Ludlam, there is also the matter of the  
8           article by Oscar Ratnoff and others, of which some  
9           mention was made yesterday. We don't yet have it in  
10          court book, though we will, but there are some hard  
11          copies of it. You have a hard copy, I hope?

12  A.   Yes.

13  Q.   The particular one, because I think you know,  
14          Professor Ludlam, that this arose last Thursday when  
15          Professor Forbes was giving evidence, and he referred to  
16          having had a telephone call from Oscar Ratnoff.

17  A.   Yes.

18  Q.   Professor Forbes described a case that Oscar Ratnoff had  
19          written up, and we then began looking for the relevant  
20          article, and from the descriptions given by  
21          Professor Forbes, it looked to us as though this was the  
22          article he meant. It's from the New England Journal of  
23          Medicine, February 24th, 1983. It's called "Coincident  
24          classic haemophilia and 'idiopathic' thrombocytopenic  
25          purpura in patients under treatment with concentrates of

1 antihaemophilic factor (Factor VIII)."

2 You wondered, I think, Professor Ludlam, whether the  
3 first patient, the 21-year old man, who is described in  
4 this article and who was admitted to hospital in  
5 Cleveland in December 1981, might be one of the three  
6 patients described in the MMWR report in July 1982.  
7 Because I think people may remember that the three  
8 patients described in the July 1982 report in the MMWR,  
9 namely three patients with haemophilia who appeared to  
10 have AIDS, one of them is a 27-year old man, and you  
11 wondered, I think, if the ages had become muddled. But  
12 in short, it doesn't look like that, professor, because  
13 really, in a nutshell, this patient in the Ratnoff  
14 article had splenectomy in February 1982, and the  
15 patient in the other article is described as having  
16 splenomegaly in April 1982. That, I thought, was  
17 perhaps a clue that they were different individuals.  
18 But you have had the opportunity to look at this  
19 article. What should we take from it? What is being  
20 described here, looking back now at it?

21 A. Can I just go back to the MMWR?

22 Q. Yes, by all means.

23 A. Because I think the patient there from Ohio -- my  
24 recollection definitely -- had AIDS-defining conditions,  
25 which is quite different from patient 1 here.

1 Q. Yes; right. So in fact we are in agreement, are we?

2 A. We are in agreement that they are completely different  
3 patients.

4 Q. Do we need to go back to the MMWR?

5 A. No.

6 Q. Right.

7 A. You ask about interpretation of these patients and their  
8 thrombocytopenia.

9 Q. Yes.

10 A. I think there are potentially two causes for  
11 thrombocytopenia in these patients. The first is HIV  
12 infection. Idiopathic thrombocytopenic purpura is  
13 a condition in which you get a low platelet count.

14 Q. That's the meaning of thrombocytopenia?

15 A. That is correct.

16 Q. Just so we are clear, right?

17 A. You get a low platelet count and it appears that the  
18 bone marrow is making lots of platelets, because when  
19 you look at the bone marrow, you see the cells that are  
20 making platelets, called megakaryocytes, are there in  
21 reasonable numbers, and the supposition is that at least  
22 at this time it was thought that a lot of these patients  
23 had increased consumption of the platelets in the  
24 circulation because there was an antibody against the  
25 platelets in the circulation as well.

1           The problem about ITP is it's a little bit of  
2           a diagnosis of exclusion. There is no blood test or no  
3           investigation you could do that identifies someone  
4           definitely as having ITP. So you have to exclude other  
5           causes, and amongst the causes of thrombocytopenia, we  
6           now know, is HIV infection, and a reduced platelet count  
7           occurs not infrequently in early HIV infection. So  
8           I think one possible explanation is that these are some  
9           of Professor Ratnoff's patients who had HIV.

10    Q. Right.

11    A. The other explanation -- and these two are not mutually  
12           exclusive -- is that in liver disease you, as I'm sure  
13           you know, in a proportion of patients have cirrhosis,  
14           and there is an increase in the pressure of the blood  
15           vessels in the stomach that causes the spleen to  
16           enlarge. And when the spleen enlarges, it traps more  
17           platelets within it. In an individual with  
18           a normal-sized spleen, which is about the size of  
19           a clenched fist, there are about a third of the  
20           circulating platelets, or the body's platelets are in  
21           the spleen. If the spleen enlarges then it traps more  
22           of the platelets and the platelet count decreases.

23           Therefore, patients with liver disease, particularly  
24           when it gets to the stage of cirrhosis, will have lower  
25           platelet counts, often in the region of about 80 times

1 10 to the ninth of a litre, but can vary hugely from  
2 about 20 or 30 up to a normal platelet count.

3 So I think in summary, these patients have at least  
4 two reasons for being thrombocytopenic. I think it  
5 would be reasonable to assume many of them had HIV and  
6 this was an early manifestation, but the manifestation  
7 may have been exacerbated by their liver disease.

8 Q. I see. Actually this condition is one of those listed  
9 in Dr Craske's list. If you remember we looked at that  
10 yesterday and he was asking haemophilia centre directors  
11 to let him know if they had any cases of ... and this is  
12 one of the conditions he names.

13 So these patients, as you say, may have been going  
14 on to develop AIDS, and as far as Professor Forbes'  
15 recollection goes, he thought it was about 1980. It  
16 looks as though it certainly might have been in 1981  
17 that Professor Ratnoff made contact with him and asked  
18 him whether he had any unusual illnesses in his patients  
19 with haemophilia.

20 A. I think that's fair.

21 Q. Yes. You don't remember having any conversations with  
22 Professor Forbes about that, about that time?

23 A. Not at all, no.

24 Q. No. I wanted just to take you back to the transcript,  
25 because that was the other point that we looked at and

1 didn't complete yesterday at the end of the afternoon.  
2 We did ask you to look at an answer that Dr Winter gave  
3 on 27 April, and if we could call that piece of the  
4 transcript back again, please. It was 27 April, an  
5 answer really that one runs from page 7,  
6 Koch's Postulates -- I am afraid but without going back  
7 to them -- 7, 8, 9, 10. So can we go to the transcript  
8 for 27 April, please.

9 Thank you. Could we go to page 7? You see where  
10 Dr Winter says he wants to make some comments around  
11 this whole situation, "if I may at this time". That's  
12 line 15 on page 7. There is then quite a long answer  
13 that goes on to page 9, a couple of comments in  
14 particular. He says at line 16 on page 8:

15 "Any clinician looking at this data would have to  
16 believe that AIDS was a transmissible disorder in that  
17 it could be transmitted by blood and blood products."

18 On to the next page. Page 9 at line 14:

19 "So that became the major dynamic for British  
20 haemophilia treaters from that moment in time: an  
21 acceptance that it was a transmissible disorder,  
22 presumably a virus, and it was in commercial  
23 concentrate. Would it prove to be in British  
24 concentrate?"

25 I just wanted to offer you the opportunity of



1           articulating any disagreement you may have with that  
2           passage.

3    A.  No, I don't think I have difficulty with it.  We were  
4           discussing it vis a vis Koch's Postulates yesterday.

5    Q.  Yes.

6    A.  If we can leave Koch's Postulates on one side.

7    Q.  Gladly.

8    A.  I think the case of the baby that got the platelet  
9           transfusion, I reviewed the paper last night and the  
10           authors are a little tentative about it, about whether  
11           it's a definite case.  It certainly doesn't fulfil  
12           Koch's Postulates but I think it is very good evidence  
13           that the agent responsible for AIDS was transmissible by  
14           blood, at least by fresh blood, and put that together  
15           with what had occurred in people with haemophilia, it  
16           was a potent part of the jigsaw.

17   Q.  Yes.

18   A.  What wasn't at all clear at that time from this evidence  
19           is the extent of infection amongst the haemophiliacs in  
20           the United States.  Was this just ten patients who had  
21           developed AIDS?  Were there in fact only 20 perhaps  
22           incubating it?  We had no idea at that stage.  We have  
23           been over the immune data and the value or not of that.  
24           Nor was it clear if someone got infected with the agent,  
25           what their chances were of getting AIDS.

1           So there are a lot of unknowns but was it possible  
2           that individuals with haemophilia could acquire AIDS  
3           from a blood transmissible -- Factor VIII concentrate  
4           transmissible organism. Was that possible? Then  
5           I think this strengthens it considerably.

6   THE CHAIRMAN: Professor, you say that the expression is  
7           rather tentative. I might have the impression that  
8           unless a scientist in a published paper could express  
9           something to the level of a mathematical certainty, the  
10          expression would always be sensitive (sic). If you  
11          can't exclude all possibilities, you do so. Is that  
12          a wrong impression?

13   A. Medicine is a statistical business and usually the best  
14          people are most cautious, and I think the wording of the  
15          title of this paper describing this very unfortunate  
16          child, shows -- as does their discussion actually in the  
17          paper -- that they don't say this proves it.

18   THE CHAIRMAN: But a person who knows the circumstances,  
19          possibly knows the authors, would value it on the basis  
20          of a wider knowledge and experience than a lay reader?

21   A. The little bit of research I did last night, it is clear  
22          that these are eminent individuals in their field and  
23          I think are well respected, and therefore one would  
24          attach more weight to this.

25   THE CHAIRMAN: The difficulty for someone like myself in

1           trying to commentate on this is if I were simply to take  
2           the language and see a tentative expression of a view,  
3           I think that I could easily be misled as to the weight  
4           that the paper ought to have. So really, what one would  
5           hope to get from a person like yourself is objective  
6           assessment, having regard to all the circumstances. We  
7           have Dr Winter, who clearly thought this was an  
8           extremely important stage in the development of  
9           knowledge. Do you subscribe to that?

10       A. I do, yes.

11       MS DUNLOP: The paper you were looking at last night is the  
12           writing-up of this child's situation in the Lancet, was  
13           it?

14       A. It wasn't actually. It was a paper they published  
15           a year or two later, describing 40 children with  
16           paediatric AIDS and how it differed from adult AIDS.

17       Q. Right. Just noticing that in the writing-up in the  
18           Lancet of 30 April 1983, which is [\[LIT0010405\]](#) -- but  
19           I don't want to go to it, please. Thanks -- they do say  
20           at the end:

21                 "Although AIDS as a consequence of a transmissible  
22           infectious agent cannot be definitely proven in this  
23           patient, the evidence strongly suggests such  
24           a possibility."

25       A. I'm sorry, I did see that paper.

1 Q. Yes.

2 A. Yes.

3 Q. So just to note that those were the terms certainly in  
4 which they were expressing their views at the end of the  
5 paper.

6 A. Yes.

7 Q. The last comment I wanted to put to you, at the end of  
8 your evidence-in-chief, if we can call it that, as we  
9 reflect on the sort of themes that have emerged, could  
10 we, staying with 27 April, move on to page 67, please?  
11 The context of what's on page 67 is a discussion about  
12 Dr Galbraith's paper, and the discussion of it at the  
13 CSM biologicals meeting on 13 July 1983, and Dr Winter  
14 was asked at line 15 on page 67:

15 "Question: Of course, some of these points about  
16 supply might have been different in Scotland, Dr Winter,  
17 and I suspect, as a general proposition, you couldn't  
18 dispute that. We would need to ask the Scottish  
19 clinicians and suppliers about that but --

20 "Answer: I would have expected it to be different  
21 in Scotland with its much higher, relatively speaking,  
22 supply of locally donated blood for concentrate  
23 manufacture."

24 Then he was asked:

25 "Question: I suspect, from what you have already

1           said, that looking at these minutes now [that's the  
2           minutes of the CSM meeting] and trying to put yourself  
3           in the position of the time, you do not find these  
4           conclusions that surprising.

5           "Answer: Not."

6           And went on to say:

7           "They really were between a rock and a hard place."

8           Does that encapsulate the dilemma that was around  
9           for people in the treatment of haemophilia at that time  
10          in 1983?

11        A. It does.

12        Q. Yes. Lastly, professor, I don't know if you have looked  
13          at the series of articles by Dr Evatt and Dr Aledort  
14          from 2007.

15        A. I recall Dr Evatt's. Dr Aledort's I haven't looked at  
16          recently.

17        Q. Right. Perhaps if we just look very briefly at those.  
18          The first one, the Evatt one, is [\[PEN0150265\]](#), "The tragic  
19          history of AIDS in the haemophilia population, 1982 to  
20          1984". Do you consider that this assists in the  
21          understanding of a body such as ours of what happened in  
22          this article?

23        A. Can I just confirm this is the reprint of the one that  
24          was in the Journal of Thrombosis and Haemostasis?

25        Q. Yes, it is that one.

1 A. It has a degree of authenticity about it. I obviously  
2 wasn't party to really any of the discussions but I know  
3 Bruce Evatt and I have no reason to believe this isn't  
4 a reasonable description from his perspective.

5 Q. It seemed, certainly when we read it, to be a full  
6 account of the chronology of events but it provoked  
7 quite a response from Dr Aledort. That's [\[PEN0120179\]](#).  
8 This is obviously a dispute which, at least looked at  
9 from our perspective, looks rather personal, but can we  
10 take it that you didn't share Dr Aledort's view that  
11 Dr Evatt's article was self-serving and inaccurate?

12 A. I have no evidence for that.

13 Q. Finally, when Dr Evatt responded to Dr Aledort -- and  
14 this is turning on to PEN0120180 -- an observation on  
15 the right-hand side at the very bottom of the column:  
16 "Finally the AIDS epidemic will not be the last  
17 human plague. Group dynamics observed during this  
18 epidemic replicate how experts faced with little or  
19 incomplete scientific data, often adhere to existing  
20 paradigms rather than embrace new unproven ideas to make  
21 critical decisions."  
22 Do you agree that that occurred in this narrative?  
23 Do you think that people, particularly haemophilia  
24 clinicians, adhered to existing paradigms?

25 A. I think undoubtedly. The question is whether those were

1 reasonable. I think we learnt a great deal out of the  
2 awful events of the early and mid 1980s and that has  
3 produced a lasting, indelible effect upon haemophilia  
4 treaters and the way we look at risk. I'm thinking in  
5 terms of how we responded to the risk of VCJD.

6 Q. Yes.

7 A. We took a very pre-emptive view. That produced another  
8 series of difficulties. We provided patients with  
9 a huge amount of written information. That caused a lot  
10 of difficulties with some people.

11 The topic has not gone away, as I hinted yesterday,  
12 in relation to the potential for plasma-derived  
13 concentrates to become contaminated with a virus that is  
14 resistant to the viral inactivation stages that are in  
15 the manufacturing process.

16 Q. Yes. You must be very thankful for recombinant  
17 products?

18 A. That is why we were so adamant -- I was chairman of the  
19 committee that drew up the 1996 UK recommendations on  
20 therapy and our recommendation at that time was to move  
21 over and towards a recombinant Factor VIII and IX; not  
22 a view that was well received in some quarters.

23 Q. But now accepted orthodoxy?

24 A. Yes. And I am proud to say that in Scotland, as I think  
25 I mentioned yesterday, we, in conjunction with the blood

1 transfusion, the support of the blood transfusion, very  
2 generous support of the blood transfusion, were able to  
3 roll out a programme over several years to introduce  
4 recombinant Factor VIII, starting off with those that we  
5 felt were most vulnerable and able to gain the most from  
6 it.

7 Q. Thank you very much, Professor Ludlam.

8 A. It's a pleasure.

9 THE CHAIRMAN: Ms Dunlop, Professor James has been able to  
10 identify the patient 1, but in another article of the  
11 same period. So perhaps we might just get that  
12 clarified, so that one can trace it through.

13 PROFESSOR JAMES: I don't think it is very difficult. We  
14 have had this discussion before and we have it, I think,  
15 in the court documents already. But it's referred to as  
16 reference 10 in this paper that we have in front of us.  
17 It's the Lederman/Ratnoff et cetera, "Impaired  
18 cell-mediated immunity in patients with classic  
19 haemophilia," 1983, New England Journal of Medicine.  
20 It's next to the Menitove paper, and you will remember  
21 Professor Forbes thought that the report had been by  
22 Menitove but I think actually one of the patients  
23 described in this Lederman paper is in fact patient 1  
24 that you identified as being the first patient in the  
25 MMW report from Ohio in the very first three cases in



1 1982.

2 THE CHAIRMAN: I don't think it is necessary to follow it.

3 MS DUNLOP: I'm obliged.

4 THE CHAIRMAN: But it does make the identity and takes  
5 perhaps the mystery out of it.

6 PROFESSOR JAMES: It is just that Dr Ratnoff's group were so  
7 prolific around this time in the New England Journal  
8 that it is quite hard to keep up with them.

9 THE CHAIRMAN: Professor, where do we go from here in the  
10 way of treatment, therapeutic products for haemophilia  
11 patients? What's happening now and how does it reflect  
12 the experience of the past, in other words?

13 A. In the UK, treatment of Haemophilia A and B is almost  
14 exclusively with recombinant products. The biggest  
15 challenge, I think, in these patients now is directed at  
16 the 25 per cent or so of severe haemophilia children who  
17 get antibodies to Factor VIII. This renders the  
18 injection of ordinary doses of Factor VIII, really,  
19 infective, and in a sense takes the child back to not  
20 having any good therapy.

21 It's unclear why all patients with severe  
22 haemophilia actually don't develop antibodies because  
23 they all lack, or virtually all lack, Factor VIII, their  
24 own Factor VIII, and therefore, when exposed to  
25 a foreign protein, why they don't actually all produce

1 antibodies. But they don't. It's about a quarter and  
2 some of the risk factors are known.

3 There is a huge amount of work going on at the  
4 moment to try and do two things. One is to understand  
5 the mechanism by which these inhibitors arise, and the  
6 other is the best way to get rid of them. There are  
7 products, as I mentioned yesterday, the FEIBA and the  
8 Recombinant 7A, which are really quite effective at  
9 stopping bleeding. Recombinant 7A has been seen to be  
10 particularly effective and a number of designer  
11 molecules, recombinant molecules, are under test at the  
12 moment that have increased activity and a  
13 longer half-life in the circulation, because  
14 Recombinant 7A has a half-life of just two or three  
15 hours, so when you inject it, after a few hours a lot of  
16 it has left the circulation.

17 So for people with Haemophilia A, it really is the  
18 question of inhibitors, and if you talk to mothers,  
19 parents, and ask them what their biggest anxiety is, it  
20 is the development of an inhibitor.

21 THE CHAIRMAN: I have seen a publication called  
22 "Inhibitor Magazine" that would make that point.

23 A. Right.

24 THE CHAIRMAN: I was just wondering where the profession  
25 stands. One of the things I'm asked to do is look at

1 lessons for the future, knowing really where the  
2 profession is is quite an important element in that.  
3 You have identified, have you, the real focus for the  
4 present time, without being able to exclude other  
5 problems that might emerge?

6 A. That's for people with Haemophilia A and B. We have  
7 quite a coterie of other patients who have deficiencies  
8 of other clotting factors, and most of them bleed less  
9 frequently than severe Haemophilia A. There are some  
10 with what we call rare disorders or rarer disorders, who  
11 do bleed quite frequently, but most of them bleed less  
12 frequently, but they are dependent on plasma-derived  
13 products.

14 For example, people who have a deficiency of  
15 fibrinogen. There is a concentrate of fibrinogen,  
16 plasma-derived fibrinogen. There is a deficiency of  
17 Factor XI and that's -- there is a concentrate,  
18 a plasma-derived concentrate, which is good and the only  
19 problem is it's associated with venous thromboembolism  
20 and arterial thromboembolism. So if you have an elderly  
21 person with Factor XI deficiency who requires surgery,  
22 then one has to use this material, this concentrate,  
23 rather carefully to make sure you don't give them  
24 a thrombotic episode.

25 These, I think, are the -- I suppose the other major

1           preoccupation in haemophilia is the cost.

2   THE CHAIRMAN:   Indeed.

3   A.   And the increasing cost.   Because I'm sure you are  
4       aware, Factor VIII usage in the UK are so well collected  
5       by UKHCDO, shows it going up and up and no sign of it  
6       levelling off.   And, sir, as you well know, it is not  
7       a cheap medicine.   At times of health service  
8       constraint, because of financial constraint, we are very  
9       concerned that our patients may not continue to get what  
10      we think is optimal therapy.

11   THE CHAIRMAN:   Of course, the 2009 UKHCDO report focused on  
12      this and suggested a need for haemophilia clinicians to  
13      look carefully at the quantities they were prescribing  
14      among other things.   So it may be that there are some  
15      economies that ought to be looked at in terms of usage.  
16      Where would you put your usage at the moment?   Are you  
17      in the upper quartile?

18   A.   I think I'm above average.   I think our usage in  
19      Edinburgh is very comparable to other large major  
20      haemophilia centres, like the Royal Free or St Thomas'  
21      in London.

22           I think there are ways of addressing the rising  
23      usage, for example, as I'm sure you are aware, one of  
24      the really remarkable things, I think, in haemophilia --  
25      because haemophilia, as you have heard a thousand times,

1 was a ghastly condition without treatment. With  
2 prophylactic treatment in small children now, they can  
3 grow up sometimes without a bleed, or with only two or  
4 three bleeds, and they don't recognise a bleed when they  
5 get one. It has really transformed this awful condition  
6 into one where the kids are normal. Go to normal  
7 schools.

8 When I came here, I had to go round one or two  
9 schools for special children, extracting children, and  
10 persuading the school authorities to take them out of  
11 special schools, full of very disabled children, from  
12 all sorts of conditions, that one or two children were  
13 in these environments, not because they were disabled  
14 but just because they had haemophilia.

15 So the children now have the ability to go to  
16 school, sit exams, get qualifications like the rest of  
17 our children, and can earn their living and take part in  
18 social life, like the rest of us. It's a huge  
19 transformation.

20 THE CHAIRMAN: Could I ask you just a little bit about the  
21 Scottish capacity to meet demand? At the moment I take  
22 it there is no production of recombinant products in  
23 Scotland.

24 A. That's correct.

25 THE CHAIRMAN: Is it likely that Scotland ever could get

1 into the market again for that class of product?

2 A. It is said that you only need ten sheep producing  
3 Factor IX in their milk to supply -- I can't remember  
4 whether it is the whole of the UK's supply or  
5 North America, but you can potentially make a lot of  
6 Factor IX in milk from a few sheep or goats, I forget  
7 which.

8 The whole field of biotechnology is moving so fast,  
9 I would be very foolish to say that it would never come  
10 to Scotland to be a manufacturer of recombinant clotting  
11 factors.

12 THE CHAIRMAN: I think I read something about Glasgow having  
13 managed to make artificial blood, I think, is the way it  
14 was put, recently. Is that a factor?

15 A. I wonder if this is Professor Turner's work producing  
16 red cells -- trying to produce red cells from stem  
17 cells?

18 THE CHAIRMAN: Yes.

19 A. Yes, it is a very interesting, very exciting project.  
20 And you know, I don't see why there isn't the  
21 possibility -- the technology is changing -- to produce  
22 recombinant clotting factors in Scotland. We are an  
23 enterprising nation.

24 THE CHAIRMAN: If we leave that slightly, what's your view  
25 of the future for gene replacement therapy? Is there

1 a foreseeable chance of that taking over in any way?  
2 A. That's had a rather chequered history. Haemophilia  
3 being a single gene disorder, where you could identify  
4 the mutation and you can also measure the level easily  
5 in the blood, made it an ideal condition to try gene  
6 therapy in. The genes identified, as you know,  
7 identified nearly 20 years ago, extracted, can be put  
8 into vectors. A lot of the animal work looked very  
9 promising.

10 When that was transferred to humans, there were  
11 difficulties. The three that come to mind were firstly  
12 that the initial experiments in humans didn't produce  
13 much of the clotting factor, and that may just have been  
14 a dose effect. Secondly -- and this wasn't in the field  
15 of haemophilia, this was in another area -- a gene that  
16 was gene therapy for an immune disorder, the missing  
17 gene was spliced into the wrong part, if I can put it  
18 that way, of the DNA, the patient's DNA, resulting in  
19 the development of leukaemia.

20 I think it happened in two patients. That brought  
21 gene therapy to a halt for a spell.

22 The third difficulty that arose, which was quite an  
23 interesting one, was, as I'm sure you know, when you are  
24 undertaking gene therapy, you put the gene you want to  
25 know [about] into what's called a viral vector, sort of

1 put a viral coat on it. This particular study I have in  
2 mind, which was for Haemophilia B, Christmas disease,  
3 and that was chosen because Factor IX is a much smaller  
4 molecule. It has a smaller gene and therefore can go  
5 into the vector much more easily. The study done in the  
6 States looked as if, in humans, it was going to be  
7 successful. The patient was treated, the Factor VIII  
8 levels started to come up.

9 The patient then developed hepatitis. By that  
10 I don't mean non-A non-B, Hepatitis C. They had  
11 inflammation of their liver and this was due to the  
12 development of an antibody against the coat of the virus  
13 that had been put round the Factor IX gene.

14 So the patient's own immune system produced an  
15 antibody against the viral coat, which attacked the  
16 liver and destroyed the coat and also the vector.

17 The latest news I have is that there is a study  
18 being undertaken at the Royal Free Hospital by  
19 Professor Tuddenham and his colleagues, in which they  
20 have put together, rather cleverly, a special sort of  
21 vector with Factor IX in it, and they have put  
22 a slightly different coat, viral coat, on the vector,  
23 and I think they have now treated three patients. When  
24 I spoke to Professor Tuddenham a short while ago, it  
25 appeared that they were getting some therapeutic levels



1 of Factor IX. So it was looking optimistic.

2 It's a long way to go, and one of the difficulties  
3 with gene therapy in haemophilia now, and one of the  
4 controversies, is that treatment with recombinant  
5 Factor VIII is now so good, why risk potential disaster  
6 with gene therapy? And so the patients volunteering for  
7 gene therapy are very carefully counselled before they  
8 finally go forward for this.

9 THE CHAIRMAN: Thank you very much.

10 Now, is there anything you want to ask?

11 MS DUNLOP: No, thank you, sir.

12 THE CHAIRMAN: Mr Di Rollo, I trust you won't take  
13 Ms Dunlop's provocative reference to  
14 examination-in-chief as an invitation for you to  
15 cross-examine.

16 MS DUNLOP: I wasn't sure what to call it.

17 THE CHAIRMAN: Do you have any questions?

18 MR DI ROLLO: I do have a few questions, Mr Chairman.

19 Obviously I will be guided by you. If you feel  
20 there is anything which you feel is inappropriate or  
21 unnecessary, no doubt you will let me know.

22 THE CHAIRMAN: I would normally have to know in advance  
23 before I intervened, Mr Di Rollo. Perhaps you will tell  
24 me if you are going down an avenue that ought not to be  
25 pursued.

1 MR DI ROLLO: I hope I won't be doing that.

2 THE CHAIRMAN: Very well.

3 Questions by MR DI ROLLO

4 MR DI ROLLO: Professor Ludlam, what I would like to ask you  
5 first of all is one point of clarification. You talked  
6 yesterday about the batch dedication system which you  
7 devised in 1984. I think the reference in the paperwork  
8 to that is page 6 of [\[PEN0150375\]](#). I think you said you  
9 devised it in 1984. I wanted you to confirm when it was  
10 actually introduced. Was it actually introduced in  
11 1984, the batch dedication system?

12 A. I can't be absolutely certain. I suspect it was towards  
13 the end of 1984 or might have been early 1985, but I'm  
14 sorry, I can't give you more information from my memory.  
15 There may be other documents that could give you further  
16 clarification.

17 Q. The next matter I want to ask you about is some general  
18 questions about the definition of haemophilia and how  
19 people with bleeding disorders of various different  
20 degrees, haemophilia of different degrees, might be  
21 treated.

22 We have heard some evidence about mild, moderate and  
23 severe haemophilia, and there has been some suggestion  
24 that not everyone agreed about the classification as to  
25 exactly where they would be. But I'm interested to know

1 at what point do you define someone as a haemophiliac?  
2 What is the sort of range, the maximum amount of  
3 Factor VIII that they would have to be defined as  
4 a haemophiliac?

5 A. It's a very interesting question and a difficult one to  
6 answer. We normally quote the normal range of  
7 Factor VIII as being from 50 to 150 per cent. If we  
8 found someone had a level repeatedly of 48 per cent, we  
9 would look, as we always do, very carefully at the  
10 history. How had they come to us? Had they had what we  
11 might call abnormal bleeding?

12 The other thing, as I'm sure you are aware, the  
13 Factor VIII level is dependent on the blood group and  
14 people with blood group O have lower Factor VIII levels  
15 than people with blood group A, for example. So there  
16 is -- and I suppose the next factor is I, particularly,  
17 am always reluctant to put a label on a patient as  
18 having a bleeding disorder unless I'm reasonably well  
19 convinced that they do, because it has all sort of  
20 knock-on consequences. There are other ways, of course,  
21 of diagnosing people with haemophilia. You can look at  
22 their gene, you can look at their Factor VIII gene and  
23 sequences, looking for mutations.

24 Q. Since when have you been able to do that?

25 A. At least ten years, I'm sorry, I can't --

1 Q. But obviously we have been interested, or talking  
2 principally about the mid 1970s to the mid 1980s.

3 A. That couldn't be done then, no.

4 I just want to make sure I don't lose the thread.  
5 You are wanting to know how you make a diagnosis of  
6 haemophilia in someone who has a Factor VIII level close  
7 to 50 per cent?

8 Q. Yes, and I'm principally interested in the period mid  
9 1970s to the mid 1980s. That's really the timeline, as  
10 to how that would be done then.

11 A. The other thing that's important to do is to measure the  
12 Factor VIII level on several different occasions. It  
13 used to be said, you should measure it three times and  
14 take the lowest level because, as you have heard,  
15 I think, from other experts, the Factor VIII level can  
16 go up and down. It's what we call an acute phase  
17 reactant, and if you have a bit of infection, a bit of  
18 flu, it will raise the level.

19 There are the assay of Factor VIII, a laboratory  
20 assessment has a range around the value that you measure  
21 of several per cent.

22 But principally, if you are looking at someone with  
23 a level of round about 48/49/50 per cent, one would be  
24 reluctant to make a diagnosis of haemophilia without  
25 a significant history, either in that person or in

1 a relative.

2 I suppose the other thing I should mention is that  
3 it depends how you measure the Factor VIII. There are  
4 different ways of measuring Factor VIII, and if you  
5 measure it in certain ways, it is thought to give  
6 perhaps a better correlation with the clinical  
7 situation. Again, this is a rather controversial area.

8 In the UK there are two principal clotting assays  
9 for measuring Factor VIII, what's called the one-stage  
10 and a two-stage assay, and some haemophilia centres have  
11 used two-stage assays and some have used one stage  
12 assays. In some patients, as I say, you get different  
13 results, depending on which assay you use.

14 Q. Can I just ask you then what are the consequences of  
15 making a diagnosis of haemophilia for a patient at that  
16 sort of level? If someone is diagnosed as having  
17 haemophilia, what consequences would flow from that, as  
18 opposed to not making a diagnosis of haemophilia?

19 A. If a diagnosis is made of haemophilia, then the  
20 situation is explained to the patient that they appear  
21 to have a mild bleeding disorder but, though we call it  
22 mild, if they come by some injury or need surgery, then  
23 they should tell whoever they see, their dentist or  
24 their doctor, that they have haemophilia, and we issue,  
25 and issued, patients with cards saying they had

1 haemophilia and we would have entered them on the  
2 national database.

3 Q. Supposing no formal diagnosis then is made, I take it  
4 that if they had a bleed of some kind, if they were  
5 bleeding and the bleeding wasn't stopping but you  
6 weren't able to make a diagnosis of haemophilia, would  
7 that have consequences as to what treatment they would  
8 be given? For example, would they be given  
9 a concentrate in that situation or not?

10 A. Well, we wouldn't give a concentrate unless we had  
11 a diagnosis. I mean, I think, to backtrack a little  
12 bit, I would be reluctant to make a diagnosis of mild  
13 haemophilia in someone who had a Factor VIII level of  
14 48 per cent. I might do if they had a good family or  
15 personal history of it. But just a clotting level -- if  
16 that had arisen, if that had been measured for some  
17 curious reason.

18 Q. How would you treat them if they were bleeding in that  
19 situation?

20 A. It depends what kind of bleeding they had.

21 Q. Supposing they were bleeding into their thigh and it was  
22 swelling up and it wasn't stopping, it was carrying on.  
23 What would you do?

24 A. And they had Haemophilia A?

25 Q. The hypothesis is that you are not making a diagnosis of

1 haemophilia; they don't have Haemophilia A as such.  
2 They have a Factor VIII level of 48 but you are not  
3 prepared to make a diagnosis at that stage. You don't  
4 have sufficient information to make a diagnosis. How  
5 would that affect the way in which you would treat that  
6 individual? Would you give them a concentrate is what  
7 I'm driving at?

8 A. I think again it depends upon the nature of the injury  
9 and the degree of swelling, the degree of discomfort,  
10 how much it was compromising the leg, the degree of  
11 pain, but I think if there was some doubt about the  
12 diagnosis, then what we would do nowadays is measure the  
13 other clotting factors because maybe they have  
14 a deficiency of some other clotting factor.

15 Q. I'm asking the question and in relation to this I'm  
16 really directed to the period, the use of concentrates  
17 between 1975 and 1985.

18 A. Between 1975 and 1985.

19 Q. Yes, what would you have done then?

20 A. If I thought they had mild haemophilia and they had  
21 a major bleed, they would probably be treated with  
22 cryoprecipitate or -- probably cryoprecipitate.

23 Q. You say if you thought they had mild haemophilia, but  
24 again I'm suggesting to you that you are not actually  
25 prepared to make the diagnosis of haemophilia, or at

1           least that's my understanding of your position, because  
2           you don't have sufficient information. The hypothesis  
3           is that somebody is just bleeding. You don't actually  
4           have the material. What you have is a Factor VIII level  
5           of 48 and a swelling, which is not stopping, and I'm  
6           asking how that would translate into the treatment you  
7           would give, notwithstanding the fact that you haven't  
8           actually made a formal diagnosis of haemophilia, mild.

9   THE CHAIRMAN: Before you answer. Is this still a purely  
10           hypothetical question, Mr Di Rollo? We now have  
11           a timeframe, we have a precise level of percentage of  
12           Factor VIII and rather particular circumstances. Is it  
13           hypothetical or is it an actual example that you have  
14           been asked to present?

15   MR DI ROLLO: It is a hypothetical from the witness' point  
16           of view but it is not a hypothetical --

17   THE CHAIRMAN: I think fairness might require that we know.  
18           Directly or indirectly. You can give me the information  
19           privately but I think we really have to know, if we are  
20           getting down to the particulars. It is not fair to the  
21           witness unless he knows where he is going, or it may not  
22           be.

23           We will have a short adjournment so that you can  
24           tell me. I won't require you to do anything in public.

25   (3.03 pm)



1 (Short break)

2 (3.15 pm)

3 THE CHAIRMAN: Professor Ludlam, having been a judge for  
4 over 20 years, I know it is always worrying when the  
5 lawyers get together for a private discussion. We  
6 usually do it by putting the witness out but on this  
7 occasion we went out.

8 But the position, I think, Mr Di Rollo, does become  
9 clear, that there is a general interest issue in what  
10 you have raised but perhaps we need a better context for  
11 carrying it forward.

12 So I think, if I can ask Ms Dunlop to indicate where  
13 the general issue might take us, although it is perhaps  
14 not terribly well defined yet, we can lay down  
15 a section, as it were, when we come back to this  
16 particular matter.

17 MS DUNLOP: Yes, sir, we have been thinking, particularly  
18 over the past week, that there is, in a sense, a gap in  
19 a section of topics that relate more directly to  
20 Hepatitis C, so the topics labelled "C" topics, that we  
21 don't have, as it were, the next part of the story of  
22 the use of blood product concentrates.

23 So what we were hoping to do is to add in an  
24 additional topic, probably immediately after C3, to look  
25 at the implications of the fact that there wasn't

1 a "hepatitis-safe" NHS concentrate in Scotland between  
2 1985 and 1987, and what the implications of that were  
3 for the treatment of people with haemophilia.

4 So it may be that with that as a general topic, we  
5 can plug what has come to seem like a bit of a gap.

6 THE CHAIRMAN: Against that background, Mr Di Rollo, I would  
7 like you to postpone this particular topic. I'm not  
8 ruling that you must not pursue it in any way, but  
9 I think there are interesting issues here that I want to  
10 hear about but I would rather they were within  
11 a properly defined context.

12 MR DI ROLLO: Very well.

13 THE CHAIRMAN: Professor Ludlam, as far as you are  
14 concerned, it does mean of course that Mr Di Rollo might  
15 want an answer to a question at a later stage, but we  
16 can possibly do that in writing once the background has  
17 been developed, so as to avoid the need to ask you to  
18 come back. We will see. I don't promise not to ask you  
19 to come back but we will see how it goes.

20 Mr Di Rollo?

21 MR DI ROLLO: Thank you, Mr Chairman.

22 I just want to move on to ask some general questions  
23 about the history of haemophilia, and we have heard  
24 quite a lot of evidence. It has obviously been  
25 impressed upon us that haemophilia, severe haemophilia,

1 was a life-threatening condition and that factor  
2 concentrates brought a number of benefits.

3 One of the things that I wanted to ask you is: are  
4 there any figures for the mortality rate from cerebral  
5 haemorrhage before factor concentrates actually came in?  
6 In other words, are the figures to know how many  
7 haemophiliacs died of cerebral haemorrhage before we had  
8 factor concentrates, or is the information -- the  
9 evidence that we have heard about this, something just  
10 an impression from clinicians over the years? Are there  
11 any concrete figures that we have?

12 A. I'm sure there are data. Could I give a slightly more  
13 general answer, which I think you will find helpful?

14 The life expectancy in Haemophilia A, for  
15 individuals without inhibitors, rose with the use of  
16 plasma and cryoprecipitate predominantly, is my  
17 recollection. There was a small increase in life  
18 expectancy thereafter.

19 Perhaps I could put it round another way: deaths  
20 from haemorrhage, I think, is perhaps your question, I'm  
21 sorry. Deaths from haemorrhage diminished with use of  
22 fresh-frozen plasma and particularly cryoprecipitate,  
23 before the use of clotting factor concentrates.

24 Clotting factor concentrates came in, as you know,  
25 in the 1960s in some places. They weren't widely used.

1           They weren't widely available outside Oxford, for  
2           example, in the UK.

3           What has become apparent with the greater use of  
4           concentrates is that the degree of morbidity is very  
5           substantially reduced.

6   Q.   I think one of the things that you do say is that during  
7           the second half of the 1970s until the mid 1980s, the  
8           commonest cause of death amongst UK haemophiliacs was  
9           bleeding, and especially into the brain. That's  
10          obviously at a time when factor concentrates were by  
11          that stage available; is that right?

12  A.   Available in places, as you have heard and seen in the  
13          preliminary report. For example, in Edinburgh we were  
14          very dependent on cryoprecipitate rather than  
15          concentrates.

16  Q.   Is cerebral haemorrhage something that can happen as  
17          a result of being infected with Hepatitis C? Or  
18          hepatitis generally? Can you end up with cerebral  
19          haemorrhage in that type of situation?

20  A.   Hepatitis doesn't pre-dispose to intracranial bleeding  
21          except at end-stage liver disease, when a patient has  
22          cirrhosis and almost hepatic coma. They fail to make  
23          a number of other clotting factors and there is a risk  
24          of haemorrhage then. But that's not, I think, what we  
25          are thinking about here.

1 Q. When you arrived in Edinburgh, I think your predecessor,  
2 Dr Davies, had a policy of not using factor concentrates  
3 at all. Is that right? Either commercial or NHS. Is  
4 that right?

5 A. No, I think he was keen to use products derived from  
6 Scottish donors.

7 Q. Right. And I think the reasons for that have been kind  
8 of well expressed; that the thinking was that Scottish  
9 donors products would be safer. Is that the reason why  
10 he thought that?

11 A. Partly that and partly not to expose patients to viruses  
12 from elsewhere; novel viruses, if I can put it that way.  
13 Novel to the community.

14 The other thing I remember him saying is that there  
15 might be a degree of immunity in the population to the  
16 local viruses. Let me give you an example.

17 Hepatitis A. Years ago many of us were infected as  
18 children or young adults with Hepatitis A and without  
19 symptoms, and were then immune to it. So if exposed  
20 Hepatitis A later in life, then you wouldn't get the  
21 clinical illness; the antibody would destroy the virus.  
22 And as I hinted yesterday, this is possibly one of the  
23 reasons why Hepatitis A was transmitted in the early  
24 1990s by clotting factor concentrates because the  
25 recipients, the patients, had grown up in such a clean

1 environment that they weren't immune to Hepatitis A.

2 Q. Do you think in retrospect that Dr Davies' policy was  
3 very wise, that his thinking was very sensible?

4 A. I think for its time it was very sensible, yes.  
5 Otherwise, I wouldn't have continued with it. The  
6 downside of it, the immediate downside in 1980, was that  
7 I wasn't able to offer home treatment, home therapy to  
8 as many patients as I would have liked to have done.

9 Q. If you move over to home treatment, that changes things  
10 from the hospital's perspective. It means that patients  
11 no longer have to be treated in hospital, or don't have  
12 to be treated in hospital as often. Is that correct?

13 A. That's correct.

14 Q. So that would relieve beds, presumably, at the hospital;  
15 pressure on beds?

16 A. Certainly pressure on the ambulance service.

17 Q. And pressure on the nursing staff as well?

18 A. A bit on the nursing staff, but mostly on the ambulance  
19 service and on the doctors like myself, who had to see  
20 them each morning when they came along. Because they  
21 were mostly outpatient, not all but --

22 Q. But Edinburgh had managed cryoprecipitate, essentially  
23 up until 1980. Is that right?

24 A. There was some concentrate used.

25 Q. Mainly cryoprecipitate, is that right?

1 A. More of the treatment was cryoprecipitate than  
2 concentrate.

3 Q. Before you start someone with concentrate, can you just  
4 explain, what is it you have to do to the patient? Do  
5 you have to examine them or carry out any tests before  
6 you actually change from cryoprecipitate to  
7 a concentrate. In terms of treatment, what do you have  
8 to do? Do you have to do anything? Is there any test  
9 or any procedure that has to be carried out?

10 A. We would normally assess the patient for an inhibitor to  
11 Factor VIII before starting them on concentrate and then  
12 measure their response.

13 Q. How is that done exactly? You say test them for  
14 inhibitor and measure the response. What do you  
15 actually do?

16 A. You take the sample of the blood, centrifuge it,  
17 separate out the plasma, you then mix the plasma with  
18 normal plasma that has Factor VIII in it and leave it to  
19 incubate for a couple of hours, and if the plasma has an  
20 inhibitor in it, it destroys the activity of the  
21 Factor VIII in the normal plasma you have added to it.  
22 You measure the Factor VIII level after a couple of  
23 hours and if it's reduced, then you suspect the patient  
24 has an inhibitor and there are ways of quantitating that  
25 by doing serial dilutions.

1 Q. How does that affect the treatment they are given  
2 therefore, whether they have an inhibitor or not?

3 A. We would assess them for an inhibitor before we started  
4 and then we would assess them probably a few weeks  
5 later. If they had developed an inhibitor, then how we  
6 managed them thereafter would depend upon the level of  
7 the inhibitor and how it responded to provocation with  
8 Factor VIII.

9 Q. So would that affect the type of Factor VIII that they  
10 were given; whether it was commercial or NHS or anything  
11 of that kind?

12 A. It might do, yes. If I was going to treat a patient  
13 with an inhibitor with Factor VIII, then I would need to  
14 give large doses of Factor VIII to try and neutralise  
15 the inhibitor. And so I would want to use the purest  
16 Factor VIII that I had available because I wouldn't want  
17 to increase the concentration of, if you like, the  
18 contaminant proteins that are in the concentrate in the  
19 patient. And in the early 1980s the commercial  
20 concentrates that were available were of higher purity  
21 than the SNBTS concentrate and so I would have been  
22 tempted to use those, particularly if I was going to  
23 give repeated injections.

24 Q. So would it be appropriate in that type of situation to  
25 move from NHS to commercial and back to NHS again, or



1 would you just stick with one or the other in that kind  
2 of clinical situation?

3 A. Once having started to treat someone with a high purity  
4 or, if you like, in this context a commercial  
5 Factor VIII, one would tend to go on with it. In  
6 general we prefer not to switch between concentrates,  
7 just because it does expose the patient to a different  
8 population of donors.

9 Q. So you stick with one. You don't switch from one on to  
10 the other because of that?

11 A. It depends on the situation: clinical situation, the  
12 supply situation, the financial situation; a whole lot  
13 of ingredients.

14 Q. You have indicated, I think, that you were keen that  
15 your patients should not receive commercial  
16 concentrates. Is that right? That was your preference.  
17 Is that right?

18 A. That's my preference, yes.

19 Q. Did you ever give your patients a letter addressed to  
20 any hospital that they might come into contact, that  
21 they were not to receive commercial concentrates; that  
22 they had been prescribed NHS concentrates and they  
23 should continue to be prescribed NHS concentrates?

24 A. Yes, there were little slips of paper. I described this  
25 yesterday. Little slips of paper that said that this

1 patient had been treated exclusively with  
2 cryoprecipitate or NHS concentrate and please, if they  
3 attend your haemophilia centre, could you give them  
4 cryoprecipitate or NHS concentrate. In England it would  
5 have come from BPL almost certainly.

6 Q. When did you start to do that?

7 A. Probably about 1981/1982. Probably -- perhaps 1981.

8 Q. And when did you stop doing that?

9 A. I'm sorry, I can't answer that question. We gave  
10 everyone one of these pieces of paper and put it in  
11 there.

12 Q. All of your patients received that?

13 A. All of my patients were given these as a single issue.

14 Q. Why did you do that?

15 A. Because I was keen not to switch concentrates really,  
16 not expose the patients, if possible, without good  
17 reason, to another set of donors. In other words, going  
18 back to whether North American hepatitis was different  
19 from UK or Scottish hepatitis.

20 Q. Did any other clinician, to your knowledge, do that?

21 A. I think it was a general philosophy in the other east  
22 coast centres in Dundee, Aberdeen, Inverness, to use NHS  
23 concentrates.

24 Q. But did they give their patients a similar type of piece  
25 of paper?

1 A. I don't think so, I didn't ask them to.

2 Q. Right.

3 A. I don't know. You would need to ask them.

4 Q. Did you think that it would be useful to have a group of

5 patients that had not been exposed to commercial

6 concentrates for the purposes of being able to tell you

7 something in due course about the respective way in

8 which the commercial, as opposed to NHS concentrates,

9 operated? Did you think this would be useful?

10 A. Yes, I did think it would be useful. Yes.

11 Q. I think you used the word "monitoring" yesterday in your

12 evidence, and if a group of people hadn't received

13 commercial concentrates, then you could monitor the

14 effect of that, but if they had at one point or another

15 received commercial concentrates, then it would be more

16 difficult to monitor the effect of that. Is that fair?

17 A. No, I'm sorry, I cannot have made myself clear.

18 No, all patients would get the same monitoring. It

19 would be possible to monitor patients who received

20 commercial concentrates in a very similar way to those

21 who received NHS concentrates. Perhaps I should say, in

22 case it's not clear, I think the majority of haemophilia

23 physicians in the UK, if you ask them, at this time,

24 would have preferred to use NHS concentrates than

25 commercial ones, and in a sense I was in a privileged

1 position to be able to take that philosophy forward.

2 Q. Clearly the question really is why anyone really in  
3 Scotland would use commercial concentrates.

4 A. Well, if I can put it round the other way, the price my  
5 patients paid was their ambulance journeys to the  
6 hospital each day, the fact that their bleeds were  
7 taking longer to be treated, that it was very much more  
8 disruptive to their lives than if I had provided them  
9 with treatment to have at home.

10 Q. Sorry, I think you misunderstood my last question.

11 A. I'm sorry.

12 Q. I was meaning why would anyone use commercial  
13 concentrates as opposed to NHS concentrates in Scotland?

14 A. I was coming to that, I'm sorry. Because they felt very  
15 strongly that they wanted the patients to be on home  
16 treatment and it appeared there was not enough NHS  
17 concentrate available to do that.

18 Q. Well, that's what I don't really understand: how there  
19 was enough for you.

20 A. There wasn't enough for me because I had an allocation  
21 and when I had used up that allocation, then in a sense  
22 I used cryoprecipitate.

23 Q. You didn't use commercial concentrate?

24 A. No, my patients didn't get home treatment.

25 Q. At any point?

1 A. Well, you have seen the figures. Ms Dunlop showed them,  
2 I think, in my report. The numbers of patients on home  
3 treatment was about six in 1979 and I put it up to about  
4 a dozen or so in 1980, and the number climbed thereafter  
5 as the blood transfusion was able to let me have more  
6 Factor VIII concentrate.

7 Q. And you had a good reason for that, which you have  
8 explained, for approaching matters in that way. What  
9 I'm trying to understand, and I'm not really getting --  
10 it may be my fault, I'm sure it is my fault -- is why  
11 anybody else would do anything different in Scotland  
12 from the way you did it? Why would any other clinician  
13 use commercial concentrate? Why not use NHS  
14 concentrate, and as the availability of the NHS  
15 concentrate increased, so roll out the home treatment,  
16 as you did?

17 A. Because they want to get on and give their patients  
18 treatment at home so they had a better lifestyle and  
19 they grew up with better joints.

20 Q. But to take a risk that you weren't prepared to take?

21 A. Well -- I was the exception. The majority of  
22 haemophilia physicians --

23 Q. I'm talking about in Scotland of course. When I'm  
24 putting these questions to you, I'm talking about in  
25 Scotland, I'm not talking about the UK situation.

1 A. With respect, we work in a UK environment and one of the  
2 benefits of UKHCDO is that we try and work as a group,  
3 and I think very much to the benefit of the service for  
4 doing so.

5 As you see within any group, there is a spectrum of  
6 ways in which one practises, and resources that one has  
7 available.

8 But if I might be allowed to say that in England,  
9 because of the shortage of NHS Factor VIII and because  
10 of the huge benefits that patients were seeing from  
11 having treatment at home, there was huge pressure  
12 towards home therapy, and that could only be done with  
13 commercial Factor VIII. In a sense I was the stick in  
14 the mud.

15 Q. I understand the position in England is different from  
16 the position in Scotland from the point of view of the  
17 availability of NHS concentrate. Scotland, as  
18 I understand it, achieved something approaching  
19 self-sufficiency, whereas England never did.

20 I'm not asking you about England because in England  
21 they are faced with a different issue. For them it is  
22 different. They have a different decision to make. The  
23 decision in Scotland appears to have been a conscious  
24 decision to use commercial concentrate in the face of  
25 much greater availability, if I can put it like that, of

1 NHS concentrate.

2 What I'm trying to understand is, given that you  
3 have explained, as I understand it, and fairly cogently,  
4 a good reason why you would stick with NHS concentrate  
5 or cryoprecipitate and avoid commercial concentrate, why  
6 anybody else in Scotland would take a different  
7 approach?

8 A. Scotland wasn't self-sufficient in Factor VIII  
9 concentrate until the beginning of -- let's get the year  
10 right. I think it's 1984. If we go back to 1980,  
11 a very considerable quantity of Factor VIII was given as  
12 cryoprecipitate, whereas in England that would have been  
13 commercial Factor VIII concentrate.

14 Q. Professor Ludlam, I think what I would like to do is put  
15 to you a document which we have seen already. I'm not  
16 sure it was necessarily put to you specifically but it  
17 is [\[DHF0022149\]](#). It is the Council of Europe Committee  
18 of Ministers' recommendation, R(83)8. We heard some  
19 evidence about this from other witnesses, and what this  
20 document indicates is that:

21 "Considering the growing importance of a new and  
22 severe health hazard, Acquired Immunodeficiency  
23 Syndrome, that may be caused by an infectious agent  
24 transmissible by blood and blood products;

25 "Recalling the basic principles to minimise the

1 hazard of transmissible infectious diseases by blood or  
2 blood products, drawn up in the context of the work of  
3 the committee of experts on blood transfusion and  
4 immuno-haematology;

5 "To expose the recipient to a minimum number of  
6 donations of blood when the transfusion is of cellular  
7 and coagulation factor products;

8 "To achieve national self-sufficiency in the  
9 production of coagulation factor products from  
10 voluntary, non-remunerated donors."

11 Then:

12 "To avoid the importation of blood plasma and  
13 coagulation factor products from countries with risk  
14 populations and from paid donors."

15 The document goes on to the following page, if we  
16 can have that up:

17 "Recommends the governments of member states take  
18 all necessary steps with respect to Acquired Immune  
19 Deficiency Syndrome, and in particular to avoid wherever  
20 possible the use of coagulation factor products prepared  
21 from large plasma pools. This is especially important  
22 for those countries where self-sufficiency in the  
23 production of such products has not yet been achieved;

24 "To inform attending physicians and selected  
25 recipients, such as haemophiliacs, of the potential



1 health hazards of haemotherapy and the possibilities of  
2 minimising these risks;

3 "To provide all blood donors with information on the  
4 Acquired Immune Deficiency Syndrome so that those in  
5 risk groups will refrain from donating ..."

6 Et cetera.

7 Were you aware of these particular recommendations  
8 in June 1983?

9 A. Can I say before I answer that, if I may: previous  
10 recommendations from the Council of Europe that we heard  
11 quoted from yesterday and approved by the Scottish Home  
12 and Health Department recommended the use of  
13 concentrates in preference to cryoprecipitate. That was  
14 in 1980. So this is a very different recommendation  
15 that is made.

16 No, I never saw this at the time. This was not  
17 discussed at all in my recollection, in any of the  
18 meetings or private discussions. I only was shown this  
19 relatively recently.

20 Q. Do you agree that the recommendation is sound in terms  
21 as indicated there, given the information that was  
22 available at that time?

23 A. "To avoid wherever possible the use of coagulation  
24 factor products prepared from large-pool plasma pools."

25 The difficulty is where you go from there; how you

1           implement that and whether it's feasible or acceptable.

2   Q.   Perhaps another document which might also highlight  
3       a particular issue in relation to commercial  
4       concentrates would be [\[DHF0014394\]](#), which I think you  
5       were shown yesterday.  If we go to page 5, I think you  
6       were shown this in the context that this document  
7       demonstrated that there was an awareness of AIDS in the  
8       German haemophilia population at the end of April.  
9       There was awareness somewhere, it may not have filtered  
10      down, but certainly someone was aware of it in the UK  
11      perhaps not in the medical community.  But the reason I  
12      want to put this document to you, though, however, is  
13      that at page 5 it deals with a section on the  
14      Netherlands.  We see that the Netherlands' position  
15      there is that:

16                "Four cases of AIDS have so far been diagnosed.  
17       Patients were all male homosexuals.  It is not known  
18       whether these patients had received blood transfusions."

19                The next paragraph is to do with the selection of  
20       donors.  Then it goes on:

21                "... a difficult and delicate problem, in the  
22       Netherlands it is felt ..."

23                That's again with the selection of donors.  It's the  
24       final paragraph I'm interested in specifically here:

25                "Apart from the above questions, there is of course

1 the one connecting use of plasma products from areas in  
2 which the disease has manifested itself, for example,  
3 the USA. Although no official measures have been taken  
4 in the Netherlands, the clinicians, for example those  
5 responsible for the treatment of haemophiliacs, have  
6 requested that no Factor VIII concentrate from the  
7 United States should be used in future."

8 Were you aware that they had made that decision in  
9 the Netherlands at the end of April of 1983?

10 A. I wasn't aware of that, nor do I know actually how much  
11 they were importing before that.

12 Q. Again --

13 A. They have a history, I think, of being fairly  
14 self-sufficient. They manufacture, as I'm sure you  
15 know, Factor VIII concentrates.

16 Q. Again, it's coming back to the point I was trying to  
17 make earlier, which is the question of in Scotland we  
18 too had an history of being fairly self-sufficient  
19 perhaps. I don't want to get bogged down in argument as  
20 to the extent of the self-sufficiency. It does appear  
21 that in Scotland certain clinicians exercised  
22 a conscious decision to use commercial material where in  
23 fact they could have used NHS material. That's right,  
24 isn't it?

25 A. I'm not sure that is right. I'm not sure that the NHS

1 material was available to them.

2 Q. Well, if it was available to them, can you think of any  
3 good reason why they would have used commercial  
4 concentrate after this time I'm talking about?

5 A. After 1983?

6 Q. Yes, April 1983.

7 A. After April 1983. No, after April 1983 one would be  
8 much less keen to use commercial concentrates from  
9 Northern American donors.

10 Q. All right.

11 You were asked some questions by counsel to the  
12 Inquiry concerning paid consultancy and I think this  
13 arose from a document, a minutes of a meeting in 1977,  
14 where Dr Jones withdrew from a discussion about  
15 self-sufficiency because he was a paid consultant from  
16 Hyland and he declared that interest at that meeting.  
17 What I want to ask you, professor, is I assume, of  
18 course, that there was no one in Scotland who was a paid  
19 consultant of any of the US drug companies or any other  
20 drug company?

21 A. At that time?

22 Q. Yes.

23 A. I can only speak for myself and say I wasn't.

24 Q. Do you know what a paid consultant would do? Do you  
25 have any idea as to what Dr Jones would be paid to do?

1 A. I don't. I am afraid you would need to put that  
2 question to him, I think. I mean, a whole range of  
3 things that he could have been asked to do.

4 Q. Can you give me a for instance. I'm not making it  
5 specific. But in a general sense what was the whole  
6 range of things that he could be asked?

7 A. He might be asked about therapeutic practice in the UK,  
8 he might be asked about what sort of product  
9 developments would be looked upon favourably; those sort  
10 of areas.

11 Q. Have you ever heard of any other haemophilia doctor in  
12 the UK acting as a paid consultant?

13 A. I have been a paid consultant more recently.

14 Q. Right. When you say "more recently", can you tell us  
15 when that was?

16 A. Oh, over the last ten years, I suppose, approximately.

17 Q. And in the period between 75/85, which again is the  
18 reference period, really, for this particular topic,  
19 have you ever heard of any other haemophilia doctor  
20 being or holding a position as a paid consultant for any  
21 of the suppliers or the manufacturers of commercial  
22 products?

23 A. I don't think so but I can't say that some weren't.  
24 I lived in very much a NHS environment at that time.

25 Q. And in Scotland in particular, Scotland was very much

1 a NHS environment. Was that fair?

2 A. That's fair, and I mean, as I laid out in my evidence,  
3 because of that, I was perhaps a little bit more in the  
4 dark about the commercial heat-treated products that  
5 were being developed by the commercial companies because  
6 they knew that if they came to see me, I probably  
7 wouldn't view their product very favourably.

8 Q. Did you have much dealings with Northern Ireland at all  
9 or meet up with your counterpart in Northern Ireland, or  
10 did you have more than one in Northern Ireland?

11 A. Yes, indeed, yes.

12 Q. Was there a situation, during the reference period, that  
13 cryoprecipitate, at least there was a switch back from  
14 about 1983 onwards, to using cryoprecipitate? Is that  
15 possible that that happened in Northern Ireland?

16 A. I have not heard so.

17 Q. Right. You don't know anything about that?

18 A. No.

19 Q. All right.

20 Professor Forbes, when he was giving evidence last  
21 week, perhaps gave the impression -- or certainly gave  
22 me the impression that when administering or giving  
23 Factor VIII, he pretty much used what was available, ie  
24 if it was commercial, it was commercial, if it was NHS,  
25 it was NHS. Was that your experience or were you able

1 to dictate as to whether it was NHS or commercial  
2 material that was available?

3 A. I was able to prescribe in a sense what I wanted.

4 Q. Right. It is material that does require a prescription.  
5 You must have a prescription for Factor VIII. Is that  
6 right? It has to be a doctor that prescribes it?

7 A. Yes. My hesitation is that often -- in fact, our usual  
8 way of ordering it was to ring up the blood bank and  
9 say, "Could you send up some Factor VIII for Mr Bloggs".  
10 I am not sure there was always a written prescription.  
11 There is also nowadays the ability for suitably trained  
12 nurses to prescribe and administer Factor VIII without  
13 reference to a doctor.

14 Q. Chairman, that concludes my questions.

15 THE CHAIRMAN: Thank you very much.

16 Mr Anderson?

17 MR ANDERSON: I have no questions. Thank you, sir.

18 THE CHAIRMAN: Mr Sheldon?

19 MR SHELDON: I have no questions. Thank you, sir.

20 THE CHAIRMAN: Anything of any --

21 MS DUNLOP: There is one thing I just wanted to ask.  
22 Professor Ludlam, what is your definition of  
23 self-sufficiency? I mean, it's a term that has been  
24 bandied about a bit and we have all been using it. We  
25 have discussed this, we can see a number of different

1           ways one could portray that. So when you use the term,  
2           what do you understand by "self-sufficiency" -- "that  
3           a country ..." what?

4    A.   Manufactures from its own blood donors all the  
5           therapeutic products that are needed to treat people  
6           with congenital bleeding disorders.

7    Q.   Right.

8    THE CHAIRMAN:  Could I just finesse that a little?

9    MS DUNLOP:  Yes.

10   THE CHAIRMAN:  If certain clinicians were not using  
11           home-produced product, would it be sufficient to produce  
12           what was in demand or would one produce a surplus?  
13           Pursuing the definition of self-sufficiency.

14   A.   Can I ask, why would you produce a surplus?

15   THE CHAIRMAN:  Because if you are producing everything that  
16           is needed but some of the need was being met by  
17           commercial products.

18   A.   Well, one would want to find out why the commercial  
19           products were being used and if there was good reason,  
20           then to produce, at least to seek the production of a UK  
21           lookalike.

22   THE CHAIRMAN:  I see that it actually refers back to some of  
23           the questions that Mr Di Rollo was asking you.

24           One can see that in the case of a product like  
25           FEIBA, where there was no domestic equivalent available,



1           that part of the ultimate demand would of necessity be  
2           met by an imported product since there was no  
3           equivalent. But if one looks at it from the point of  
4           view of the producer, PFC, at certain times, if PFC were  
5           not informed of the full extent of the purchase and use  
6           of commercial products, they might perceive that they  
7           were satisfying the home market because they were  
8           meeting the whole practical demand. And I think, you  
9           know, Ms Dunlop's question has quite a lot behind it.

10        A. That's why I paused before answering, because there are  
11        many people who have suggested what the definition of  
12        self-sufficiency is, and I gave you, in a sense, the  
13        broadest. But the sort of workaday one is in relation  
14        to Factor VIII and Factor IX, producing enough of  
15        suitable concentrates to treat those two conditions.

16        MS DUNLOP: Yes. I think in reality we can imagine that  
17        there is a dynamic here, and if the producer in year 1  
18        produces the amount that the producer thinks is  
19        necessary to cover the likely total usage but then  
20        discovers that certain users will not use his product,  
21        then the following year he may not produce the same  
22        amount; he may feel well, I will only produce the amount  
23        necessary to satisfy the people I know are going to take  
24        the product from me. It wouldn't make sense to keep on  
25        producing, as the chairman says, a surplus year after

1 year. So a concept, which at first sight appears  
2 reasonably straightforward, is actually not as simple as  
3 it might seem is perhaps a proposition with which we can  
4 all agree. But you have given us your working  
5 understanding of what you mean.

6 A. I think that emphasises the importance of actually what  
7 we were trying to do progressively through the 1980s,  
8 which was to bring the consumers and the producers  
9 together, and that was, I think, the success of the  
10 Coagulation Factor Working Party, that it brought to the  
11 producers the consumers and the government.

12 Q. And people have to be frank about what they are using  
13 and why, why they are using one thing and not using  
14 another thing, and there have to be as complete records  
15 as possible of the overall usage.

16 A. Yes.

17 Q. Right, thank you.

18 THE CHAIRMAN: To reduce it to a very practical level, we  
19 know that Professor Cash, over a number of years, tried  
20 to persuade his colleagues to go above the output of  
21 2.75 million units, constantly to be met with the  
22 answer, "Oh, that's enough". But of course "enough" in  
23 itself raises a whole range of questions of definition.  
24 It's quite a difficult area for us, professor.

25 Anyway, thank you very much for your attendance on

1           this occasion. It may be that we will have your  
2           evidence again but we will see.

3           Ms Dunlop.

4 MS DUNLOP: There are no further witnesses for us today.

5 THE CHAIRMAN: Thank you very much.

6 (4.12 pm)

7 (The Inquiry adjourned until 9.30 am the following day)

8  
9 PROFESSOR CHRISTOPHER LUDLAM .....1  
10           (continued)

11           Questions by MS DUNLOP (continued) .....1

12           Questions by MR DI ROLLO .....114

13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

