

Friday, 11 March 2011

1

2 (9.30 am)

3 MS DUNLOP: Good morning, sir. Today we are looking at the
4 circumstances of the fourth person who we are asked to
5 consider. We are looking at Alexander Laing, who was
6 born on 7 December 1923 and who died on
7 4 September 2003.

8 THE CHAIRMAN: This is the last of the remaining deaths in
9 the term of reference?

10 MS DUNLOP: This is the last of the deaths in the term of
11 reference, yes.

12 THE CHAIRMAN: I don't know if the ladies and gentlemen who
13 are attending will necessarily know that the terms of
14 reference were changed so as to delete one of the
15 original cases but that explains why we are dealing with
16 four only.

17 MS DUNLOP: Sir, in common with Mrs Black, Mrs Laing is
18 rather frail and I think would have found it too much of
19 an ordeal to come here and give evidence. But we do
20 have her statement and I should ask for that to be
21 displayed on the screen now, please. It is
22 [\[WIT0030417\]](#).

23 If we look at the beginning of the statement, we can
24 see Mrs Laing gives us some personal details and she
25 says that her husband was certified as having died of

1 Hepatitis C-related liver disease. They appear to have
2 been married for 52 years, around 52 years, before he
3 died and he had worked as a linesman for Hydro Electric.
4 Mr Laing had surgery in 1990 for bowel cancer and his
5 surgeon was Mr Keenan, working at
6 Forrester Hill Hospital, which I should say is also
7 known as Aberdeen Royal Infirmary. Her husband made
8 a good recovery and we will come on to see that he did
9 have a blood transfusion at that time.

10 Mr Laing continued attending outpatients for five
11 years after that for follow-up, having had bowel cancer.
12 After he had really finished that period of follow-up,
13 he was told that there was news in relation to
14 Hepatitis C. He was told that he had contracted
15 Hepatitis C. I may say this information about how he
16 learned of the virus is perhaps not quite what is
17 reflected in the records but Mrs Laing has
18 a recollection of him being told by Mr Keenan that he
19 had contracted Hepatitis C through the blood transfusion
20 he had received in 1990.

21 He didn't say much about it. Then if we look at the
22 next page, from that time on, he attended his GP every
23 six months for blood tests and again he didn't really
24 discuss that with Mrs Laing.

25 Mr Laing did, however, relay to his wife the

1 information that there wasn't a lot that could be done
2 for the Hepatitis C. He could have treatment but his
3 understanding was that it wouldn't make much difference
4 and it might make him worse:

5 "My husband didn't discuss it any more and just got
6 on with his life."

7 So someone who plainly didn't make any fuss and was
8 very stoical about what had happened. She is not sure
9 if he was referred to any other doctor and she says in
10 paragraph 7, the only time that she was actually aware
11 of the Hepatitis C issue was that when Mr Laing had a
12 cut, he would always tell people to stay away. So he
13 was plainly very vigilant about any risk of transmission
14 to his family.

15 Then she charts a deterioration in his health from
16 the year 2000 onwards and then particularly in 2003,
17 over the summer, if we can go on to the next page, he
18 really became very unwell and spent some time in
19 Woodend Hospital. Then he went home and then went back
20 to Aberdeen Royal Infirmary in July and then back into
21 hospital and then at the end of August Mrs Laing was
22 told that there was no more that could be done and in
23 fact, although he was supposed to be going to move from
24 the Royal Infirmary, he did die before that happened.
25 So he died in Aberdeen Royal Infirmary on 4 September.

1 Mrs Laing records that her husband didn't tell
2 anyone apart from family about the Hepatitis C and they
3 feel that it shortened his life.

4 So having conducted that review of Mrs Laing's
5 position, I would like now to lead the evidence of
6 Dr Graeme Alexander.

7 THE CHAIRMAN: I take it, gentlemen, you are content with
8 that narrative?

9 MR DI ROLLO: Yes, thank you.

10 MR SHELDON: Yes, sir.

11 DR GRAEME ALEXANDER (affirmed)

12 Questions by MS DUNLOP

13 MS DUNLOP: Good morning, Dr Alexander.

14 A. Good morning.

15 Q. Can I ask you, first, before we look at your report, to
16 look at your CV, which is PEN0020704. There it is. Can
17 you see it on the screen?

18 A. I see the first page.

19 Q. Yes. Just to perhaps highlight one or two things about
20 your curriculum vitae. You are currently a consultant
21 hepatologist in Addenbrookes in Cambridge. Is that
22 correct?

23 A. Correct.

24 Q. You have occupied this position since August 2003?

25 A. I have been in Cambridge since 1991.

1 Q. Right. I'm just wondering what the reference is -- if
2 we look to page 3. Is that just the name of the trust?

3 A. I changed positions in the same hospital.

4 Q. Right. So you were the clinical director of hepatology.
5 What's SDU?

6 A. Service delivery unit.

7 Q. From May 1991 to July 2002 and then clinical director of
8 gastroenterology, hepatology. This is just renaming of
9 the departments, is it?

10 A. A slightly expanded role, but, yes.

11 Q. From July 2002 until October 2004. So where does the
12 consultant hepatologist bit fit in?

13 A. All the time, alongside.

14 Q. So these are, as it were, more administrative roles?

15 A. Yes.

16 Q. You graduated MBChB from Bristol in 1976?

17 A. Yes.

18 Q. I see you did an MD. What was your MD on?

19 A. Viral hepatitis.

20 Q. B and C?

21 A. No, unfortunately C hadn't been identified then. I was
22 too old for that.

23 Q. Right. And you tell us that you were, in fact -- and
24 this is on to the fourth page, next page, please -- born
25 in Ayr, in fact?

1 A. Yes.

2 Q. You must have left Scotland at quite a young age?

3 A. I had the accent beaten out of me at quite a young age.

4 Q. You started out as a research assistant in oceanography?

5 A. Yes.

6 Q. But you tell us that wasn't for you. You decided on
7 medicine.

8 A. I didn't know what I wanted to do when I left school.

9 Q. Just to go through your CV, you have -- and this will be
10 about another three pages on -- a list of peer-reviewed
11 publications, yes, which you have organised for us on an
12 annual basis. We can all see -- particularly those of
13 us who have a hard copy -- that there is a very
14 significant number of publications, listed in the
15 hundreds, plainly almost all of them in relation to
16 viral hepatitis. Then at the end I see a section headed
17 "Original papers". This is the second last page.
18 Sorry, if it is difficult to find. Yes, original papers
19 lost their way. Are these unfinished or ones that you
20 didn't publish or what?

21 A. Usually research fellows never finish the papers that
22 they were supposed to finish.

23 Q. So in your day-to-day job, you are involved in caring
24 for patients with liver disease?

25 A. Indeed.

1 Q. Teaching on liver disease?

2 A. Indeed.

3 Q. And also some administrative duties?

4 A. Less administration now.

5 Q. Thank you. In that capacity -- that is the teaching and
6 caring rather than the administration -- have you been
7 asked to look at the treatment of a patient called
8 Alexander Black Laing?

9 A. Yes.

10 Q. And you have prepared a report, I think, on Mr Laing's
11 care?

12 A. Yes.

13 Q. Is that right? Perhaps we could have your report, which
14 is [\[LAI0011125\]](#). The first page gives us just a little
15 bit of background on your expertise. Obviously we have
16 been discussing and could we go, please, to the second
17 page, which gives some background on Mr Laing.

18 Dr Alexander, I would like to go through this with
19 you also looking at the medical records, so that we can
20 all see for ourselves what was happening at particular
21 points. So I'm going to flag up particular pages of the
22 records, which should appear on the screen in front of
23 you.

24 The first subject you address is that Mr Laing
25 developed bowel cancer and was referred to a surgeon,

1 Mr Keenan at Aberdeen Royal Infirmary in the middle of
2 1990. Perhaps we could look at [\[LAI0010127\]](#), please.
3 This appears to be a discharge letter dated
4 20 August 1992 to Mr Laing's general practitioner.
5 I just wanted to ask you a couple of questions about
6 this letter.

7 Mr Laing has had anterior resection. Obviously that
8 must be at the front, some tissue has been removed. Is
9 that correct?

10 A. Yes.

11 Q. To put it in colloquial terms: and the ends joined
12 together?

13 A. Yes, anatomically intact, as it were.

14 Q. Unfortunately, says Mr Keenan -- this is a Duke's C.
15 Could you explain what Duke's C means?

16 A. Yes, this is an internationally agreed classification of
17 the severity of a carcinoma, giving us an idea of how
18 far the cancer has progressed at the time that the
19 operation was performed. This tells us that the cancer
20 has moved from outside the bowel, beyond the local
21 territory into lymph glands some distance away, and
22 that's the type of cancer operation that carries the
23 worst prognosis in the longer term and the highest
24 chance of recurrence.

25 Q. What would be a lesser grade? Would it be a different

1 letter?

2 A. A is the one with the best outcome long-term and B is an
3 intermediate one.

4 Q. Thank you. Mr Keenan said it had also invaded one of
5 the seven glands?

6 A. Yes.

7 Q. So in general terms with carcinoma, if it has spread
8 into the glands, this is a worse feature?

9 A. There is a much higher chance that this disease would
10 recur at a later date.

11 Q. Mr Keenan is saying that the glandular spread, having
12 involved only one of the glands, that may be a slightly
13 better prognosis.

14 A. Yes.

15 Q. Can we go to 1995, please, and go to [\[LAI0010105\]](#),
16 please. This is a letter from Aberdeen and Northeast
17 Scotland Blood Transfusion Service dated 26 April 1995.
18 It is actually a letter from a Dr Yates, who is
19 a consultant in that centre, to Mr Laing's general
20 practitioner. In broad terms what seems to be happening
21 here is that the blood transfusion service are
22 contacting Mr Laing's GP to say that it has been
23 discovered that the blood Mr Laing received in his
24 cancer surgery in 1990, came from a donor who had
25 Hepatitis C. Is that correct?

1 A. Almost correct. What has happened is that the blood
2 donor has been back to give blood a second time or third
3 time, and on the subsequent test he has been found to be
4 Hepatitis C positive. The assumption has been made that
5 he was positive, or she was positive at the time of the
6 operation, of the first donation.

7 Q. I appreciate the point you are making is that in fact
8 the infection which has been picked up could be of very
9 recent standing?

10 A. Could be.

11 Q. Yes, but nonetheless recipients of the blood are being
12 followed up and going to be offered testing?

13 A. Yes.

14 Q. And this is known as the look-back exercise?

15 A. Yes, I actually chair the steering group for that
16 exercise.

17 Q. For how long have you been chair of the steering group?

18 A. Since the beginning.

19 Q. And that's a UK-wide steering group, is it?

20 A. Yes.

21 Q. So this procedure would be what you would expect as
22 chair of the steering group?

23 A. Absolutely.

24 Q. What Dr Yates is saying to the general practitioner
25 is -- if we can go down the letter a little bit:

1 "The patient will need to be approached with a view
2 to counseling and testing to determine his HCV status.
3 If you are willing to undertake this role, we will
4 provide details of the blood samples needed and where
5 these should be sent and offer any further support or
6 advice. If, on the other hand, you would like us to
7 notify and counsel the patient, we are happy to do so."

8 The doctor, Dr Yates, is enclosing a questionnaire
9 for Dr Lynch to complete. Can we turn to the next page,
10 please? There seems to be a possibility that the GP may
11 feel that telling the patient is not advisable and that
12 would be something that could be stated and followed up,
13 but in this case that didn't happen?

14 A. Correct.

15 Q. Can we go to the next page, please? I should have gone
16 backwards. It is [\[LAI0010103\]](#). This is the
17 questionnaire. If we just go down and see that some
18 basic biographical details are enclosed, and then if we
19 go to the next page, 104, that is what Dr Lynch is being
20 asked to complete in relation to Mr Laing. Is that
21 correct?

22 A. Yes.

23 Q. We can see from the middle in response to question 5:

24 "Do you wish to undertake the counselling yourself,"
25 the GP has said "Yes".

1 The next stage in this is at [\[LAI0010019\]](#) and this
2 is Dr Yates writing back to Dr Lynch having received the
3 questionnaire, saying that Dr Lynch is willing to take
4 responsibility for the counselling and testing and some
5 further documents are being sent for his assistance in
6 that task:

7 "The nationally agreed counselling guidelines ..."

8 Are we to take it from what you have told us that
9 these are the UK-wide counselling guidelines?

10 A. Yes.

11 Q. And then a form to document the outcome of the process.

12 Can we look at [\[LAI0010102\]](#), please? What Dr Lynch did
13 was to write to Mr Laing and ask him to come in.

14 I suppose it must be difficult for GPs to strike the
15 right note when sending a letter of this kind?

16 A. Yes, particularly at that time, we didn't know what the
17 risk of transmission was.

18 Q. Right. So I suppose the task is to include enough to
19 communicate the information the patient has to have,
20 without making them, at least at this stage, unduly
21 anxious. Is that a reasonable summary?

22 A. Absolutely.

23 Q. We can deduce from the sequence of events that Mr Laing
24 did as he was asked and came in because if we look at
25 [\[LAI0010101\]](#), the page before, the GP is writing and

1 saying that he has the results of the blood tests:

2 "Perhaps you could pop up and see me and we will
3 discuss matters further."

4 So the GP is obviously feeling that this is
5 information that has to be communicated face-to-face?

6 A. Correct.

7 Q. Then if we see the page before that, [\[LAI0010100\]](#), the
8 GP is, as he has been asked to do, reporting back to
9 Dr Yates to say that:

10 "Mr Laing has tested positive for HCV antibody and
11 his Hepatitis C serum is reactive and the confirmation
12 test is positive."

13 It seems to have been not quite as Mrs Laing
14 remembered it: that he had already been discharged from
15 Mr Keenan's clinic. He seems to have been on the verge
16 of discharge from follow-up for his bowel cancer and
17 then this has come along:

18 "I have told him that he seems to have contracted
19 Hepatitis C from his transfusion and that it may or may
20 not damage his liver and that he will be seeing
21 a specialist to advise about the possibility of
22 interferon or not. He accepts all this with
23 equanimity."

24 Is that last paragraph a reasonable forward plan?

25 A. It is a very fair plan.

1 Q. Right. It appears that Mr Laing was being very
2 philosophical about what had happened.

3 A. Yes.

4 Q. Of course, we know, because we have actually already
5 looked at the set of guidelines that's in Mr Laing's
6 records, that a lot of information is provided to the GP
7 about what topics to cover in the counselling of the
8 patient.

9 Can we look at [\[LAI0010098\]](#) and LAI0010099. 98 is
10 difficult to read. I think because it has been quite
11 a thin tissue, would be my suspicion, but just in broad
12 terms, we can see that this is a request for hospital
13 care and that the nominated clinic is the
14 gastrointestinal clinic with Dr Sinclair as the
15 consultant. This relates obviously to Mr Laing because
16 his details have been filled in. If we look at the back
17 of the form, which is 99, we find the narrative:

18 "Please see this 72-year old gentleman who has
19 Hepatitis C."

20 And that he had got it from a blood transfusion in
21 1990.

22 Then the GP provides a little more information and
23 says that:

24 "Mr Laing is in perfect health and he doesn't have
25 any hepatomegaly."

1 In other words, his liver is not enlarged.

2 A. Can I just check the date on that one? Is it 99 or is
3 it earlier.

4 THE CHAIRMAN: I think there may be confusion with the
5 reference numbers, Ms Dunlop.

6 A. I think it's 1995 or 1996 from my recollection.

7 MS DUNLOP: Actually, it's not immediately obvious to me.
8 I think it is the summer of 1995 but I can't immediately
9 see the date. Yes, there we are, 12 July 1995.

10 So from the previous documents it looks as though
11 Dr Lynch had seen Mr Laing, I think in June 1995 and
12 this is a referral going, in July of 1995, to Aberdeen
13 Royal Infirmary.

14 A. Yes, quite promptly.

15 Q. The next event in the sequence is shown on [\[LAI0010095\]](#)
16 and this is a report back to the general practitioner
17 from the gastrointestinal and liver service at Aberdeen
18 Royal Infirmary. Mr Laing has been seen by Dr Sinclair
19 and one of his team. Then there is a report of the
20 plan. What is being done when the doctor says:
21 "We are going to be doing a PCR test to see the
22 activity of the virus."
23 A. Okay. If you are infected with Hepatitis C, a small
24 proportion of patients will clear the virus immediately
25 and they are left with an antibody which can be detected

1 many years thereafter before fading. That suggest that
2 they have cleared the virus and are no longer at risk.
3 The majority of patients -- and it is a higher and an
4 older age group -- remain positive for infection and you
5 can find the virus in blood. The PCR refers to the type
6 of test done to look for the virus genetic material in
7 blood. It is called a polymerase chain reaction.

8 Q. Thank you. Dr Cox, who I think, if we go down just
9 a tiny bit, was a senior house officer in the clinic, is
10 saying that the problem with this patient is his
11 previous Duke's C tumour?

12 A. Yes.

13 Q. What is the thinking here? What's the problem?

14 A. He has been alerted to the abnormality of liver function
15 tests and his first assumption is that the cancer has
16 recurred, I would guess, and he wants an urgent scan of
17 the liver because that would pick up a secondary from
18 the original cancer. I don't think he is requesting an
19 urgent test from the Hepatitis C point of view. That
20 was my inference.

21 Q. I take it again that that's an understandable train of
22 thought, is it?

23 A. Perhaps. The liver function test wouldn't have
24 suggested recurrent disease, it would be more consistent
25 with Hepatitis C. But I'm not sure an SHO would be the

1 right person to make that decision.

2 Q. In any event the effect of it is possibly going to be
3 slightly over-cautious?

4 A. The appropriate investigation has been done if not for
5 the right reasons.

6 Q. Yes. [\[LAI0010092\]](#). This is Dr Sinclair writing from
7 the gastrointestinal clinic saying, in the text of the
8 letter, that he can't yet see the PCR result and that
9 the long-term outlook with Hepatitis C, in someone of
10 this age group, is probably fairly benign:

11 "There will probably be a significant amount of time
12 before he produced enough chronic liver damage to create
13 ill-health. My guess is he will die of something other
14 than liver disease."

15 That didn't turn out, in fact, to be true but was it
16 a reasonable enough hypothesis at this point,
17 in November 1995?

18 A. I think there are two issues here. First of all,
19 I think even at that stage, recurrence of his cancer
20 would have been more likely than not in the longer term
21 and it is not unreasonable to say that might have
22 carried him off. In 1995 we didn't have really good
23 insight into the natural history of Hepatitis C and
24 particularly in the older age group. Any evidence we
25 had at that stage suggested that it was a ten-year lag

1 to 20-year lag before cirrhosis would kick in. So it is
2 not an unreasonable assumption in the light of
3 information in 1995. We now know that's wrong. That's
4 not the case in 1995.

5 Q. Right. First of all, we are told that the consultant's
6 view is that Mr Laing has seemed completely unfazed. But
7 in any event, Mr Laing is not communicating that he is
8 very anxious or concerned, one can deduce, but
9 nonetheless Dr Sinclair says:

10 "We are due him a clearcut opinion as to the state
11 of his liver and the only way to do this is with
12 a biopsy."

13 A. Yes.

14 Q. But I think we can follow the logic that if the PCR test
15 had been negative, it wouldn't be necessary to do
16 a biopsy because it would mean that he had cleared the
17 virus.

18 A. Again, that's what I would certainly do now or would
19 have done for the last ten years. In 1995 we were still
20 biopsing people, even if the PCR was negative, because
21 we weren't confident of the reliability of the test.

22 Q. But as far as the possibility that there has been
23 metastasis from the bowel cancer is concerned, there
24 seems to have been good news on that.

25 A. Yes, indeed.

1 Q. Can we go, please, to [\[LAI0010089\]](#). In fact, he has had
2 a liver biopsy. The letter was on 17 November. He had
3 it in January 1996. It has been an uncomplicated
4 procedure. Can we scroll down, please? We have the
5 liver biopsy results appended to this letter. The liver
6 biopsy has shown chronic active hepatitis. It looks
7 difficult to be certain, the appearances are suspicious
8 of cirrhosis.

9 I think you cover in your report, Dr Alexander, that
10 what was said in the biopsy by the laboratory, and what
11 the physicians said about the biopsy are not quite the
12 same.

13 A. Agreed.

14 Q. It is worth looking at this stage at the biopsy report,
15 which is [\[LAI0011009\]](#). Holding in our minds that that
16 letter had said the appearances were consistent with
17 cirrhosis. Can you just talk us through this then,
18 please?

19 A. Yes, I assume the court is familiar with the liver
20 biopsy. It is a piece of tissue obtained by sticking
21 a needle into the liver. When you get a good piece of
22 tissue -- it is about 1 to 2 centimetres long and about
23 the thickness of a Bic biro, the inside of the biro that
24 contains the ink -- that would be a really good sample.
25 So samples fragments of tissue of 0.2 and 0.3 centimetre

1 are very, very small, and thin strands of tissue --
2 I think it says elsewhere in the report that thin
3 strands of 0.9 centimetres and 0.5 centimetres are not
4 a good sample of liver tissue. The possibility here is
5 that, because the liver was scarred -- this is
6 hypothesis -- that the scar tissue gets left behind and
7 the softer tissue come out with the needle, and that's
8 what's sent to the pathology department.

9 So when you see a fragmented biopsy you know
10 immediately that you can't rely on the findings
11 absolutely and that you may be underestimating the
12 amount of scarring. And the histologist who has looked
13 at this has that in mind, I'm quite certain, when he is
14 making his comments. He also comments that there is
15 distortion, in the second paragraph down, the third line
16 from the bottom:

17 " ... distortion of the vascular relationships with
18 mild thickening of the liver plates."

19 They are features that you see in cirrhosis and you
20 don't usually see short of cirrhosis. So although he
21 has got very little tissue, he is suspicious that this
22 is cirrhosis without the full picture being available to
23 him. He is also commenting, in the last paragraph,
24 about chronic active hepatitis, which means the degree
25 of inflammation, which again would be more marked in

1 someone who had cirrhosis than someone who didn't.

2 I think what has happened is that at a later date, the

3 pathologists and clinicians have sat down together and

4 talked it through and come to a different conclusion.

5 Q. In that discussion, the conclusion they have come to is

6 that things are slightly less bad. Is that correct?

7 A. Yes.

8 Q. But your own view is that the impression you would get

9 from that report was probably accurate?

10 A. But I have always worked on the assumption that you take

11 the worst possible news when making clinical decisions

12 rather than the best possible news, and if the

13 pathologist is suspicious you have got cirrhosis, that's

14 a reasonable thing to follow, but people work in

15 different ways.

16 Q. Yes. Can we go back to the sequence of events and look

17 at [\[LAI0010088\]](#)? Is this where the process of perhaps

18 slightly understating the biopsy is beginning?

19 A. Yes, I think so.

20 Q. So where the third sentence says:

21 "His biopsy shows chronic active hepatitis with mild

22 fibrosis."

23 You are saying that you would have thought it

24 probably was cirrhosis?

25 A. It probably did show mild fibrosis because most of the

1 fibrosis was left behind. But this is guesswork. My
2 instincts and the pathologist's report suggest to me
3 that he probably had cirrhosis in 1996.

4 Q. The second paragraph covers the topic of treatment, and
5 Dr Sinclair, the gastroenterologist, has been involved
6 in the discussions but, says the writer of this letter,
7 Dr Bhutta:

8 "In view of his age and having no symptoms with only
9 mildly abnormal liver function, we are not keen to start
10 him on interferon. We will discuss his biopsy at the
11 pathology conference."

12 Then there is going to be further monitoring. We
13 will probably come back to this, I think, Dr Alexander,
14 but you have no quarrel with what is said here about the
15 possibility of interferon treatment, do you?

16 A. I think it was a difficult decision to make and I think
17 it was a decision that had to be and has to be made in
18 conjunction with the patient.

19 Q. Yes. Can we look then at [\[LAI0010083\]](#)? We can see that
20 that discussion has taken place. Dr Sinclair says:

21 "I discussed the options with him regarding this and
22 if anything, he preferred to take his chances and not
23 have any interferon at all. I think this is a very
24 reasonable suggestion and I have discharged him."

25 Would that have been what you would have done, you

1 would have sat down with Mr Laing and had a discussion
2 about interferon?

3 A. Yes, and the biopsy and the future.

4 Q. It is accurate to state, as at September 1996, is it,
5 that there is a relative lack of success of interferon?

6 A. I think it is more than that. I mean, our own data over
7 a ten year period showed a success rate of less than
8 9 per cent across the board, and when we reviewed it in
9 about 2001, 2000, people over 60 didn't respond at all.
10 It is pretty foul to take as well. So I think you have
11 got to balance up: he had little to gain and a lot to
12 lose by being treated.

13 Q. Thank you. If we look at [\[LAI0010087\]](#), so two pages
14 further on, Dr Lynch, the general practitioner, is
15 continuing to discharge his responsibilities in that he
16 is going on keep an eye on Mr Laing's liver function
17 tests and it looks as though the plan is to check them
18 about every six months. So the patient is being asked
19 to come in at the end of the year and there is going to
20 be some more testing done. Is that reasonable?

21 A. Yes, I think some of us do it differently. Because
22 I have a big research interest, we follow up all our
23 patients forever and that's an expensive way of doing
24 things. Often the GP is the best placed person to look
25 after someone, particularly for someone in their 70s who

1 might not find travelling to hospital easy.

2 Q. I wanted also to look at [\[LAI0010067\]](#). Look at this.

3 The date isn't immediately leaping out at me. The

4 important thing about this for our purposes is to note

5 that this is a request for an outpatient appointment at

6 a dental clinic and the reason is given in the letter.

7 The reason is that Mr Laing needs some dental work but

8 his own dentist has declined him treatment because he is

9 Hepatitis C-positive. That happens, does it,

10 Dr Alexander?

11 A. All too often, unfortunately.

12 Q. Could you give us a little more explanation of what

13 happens when people are turned down by their own

14 dentists?

15 A. They are usually advised to find an alternative dentist

16 and we are fortunate -- I think most teaching hospitals

17 are fortunate -- in having a dental practice on site and

18 they take on the care of our patients with Hepatitis B

19 and C that dentists won't see.

20 Q. So there are some dentists who simply won't treat

21 a patient who is Hepatitis C positive?

22 A. Yes.

23 Q. And is that because they are concerned about infection

24 transmission?

25 A. I assume so. I don't know the answer to that. There is

1 an anxiety among some dentists that they might be
2 dealing with people with liver disease, who have got low
3 platelet counts and a high prothrombin time, two things
4 that happen with liver disease that predispose you to
5 bleeding, but as there is no information about clotting
6 in the letter, I can't assume the dentist has made that
7 decision based on concerns about bleeding.

8 Q. I see in fact I have noted that this letter is from
9 September 2000. That must be on there somewhere but
10 I am afraid I can't at the moment immediately see it.

11 A. He is 76 in the referral letter.

12 Q. I see, yes, but I think there must be something in the
13 letter. It is sometimes not very easy to see when you
14 are looking at it on the screen. But, yes, 76.

15 Yes, there we are, found it. It is at the very
16 bottom, 4 September 2000.

17 Now, back to other aspects of Mr Laing's health. If
18 we look at [\[LAI0010057\]](#), we can see that this
19 is December 2001 and there seems to have been a question
20 of gallstones. So this is him back having had
21 obstructive jaundice, which at this point seems to be
22 more likely due to gallstone disease than to his
23 hepatitis. Is that right?

24 A. That's what the letter says. It is not, I think, what
25 was happening.

1 Q. Well, can we look at the second page of the letter?

2 A. The blood tests are not consistent with that diagnosis,
3 nor was the ultrasound.

4 Q. You think that this was the hepatitis, rather than
5 gallstones?

6 A. I think it is a manifestation of liver failure, an early
7 manifestation of liver failure due to his Hepatitis C,
8 yes.

9 Q. I suppose in fact there is some commonsense support for
10 this, in that no gallstones were noted in the gall
11 bladder?

12 A. They can be missed. Ten per cent of gallstones are
13 missed in this context but there was nothing to suggest
14 that was the likely cause.

15 Q. Now, [\[LAI0010052\]](#) takes us on to June 2002, and we can
16 see that Mr Laing has been referred to a hepatitis
17 clinic and seen by a specialist nurse and a Dr Fraser.
18 So it looks as though, as well as the gastroenterology
19 service, there is are a specialist hepatitis clinic. Do
20 you know Dr Fraser?

21 A. I do.

22 Q. And the clinic is running with at least one specialist
23 nurse as well and he is having a number of different
24 problems. Do you think those problems are related to
25 the hepatitis?

1 A. He has got a past history of duodenal ulceration, so it
2 might be a mixed pattern, but I think many of the
3 symptoms would be readily attributable to evolving liver
4 disease.

5 Q. But one of the things that we should note from this
6 letter is that he still apparently does not wish to be
7 treated for the Hepatitis C.

8 A. Yes, that's a consistent pattern.

9 Q. Then, that being the middle of 2002, can we look at
10 [\[LAI0010038\]](#), please? We can see this is another
11 referral letter, this time to Woolmanhill hospital, and
12 can we just scroll through this, please?

13 LAI0010039. We can see from this, firstly, that
14 Mr Laing is suffering from gynaecomastia, thought to be
15 due to his cirrhosis. In fact all three of the
16 gentlemen whose records we have looked at this week, who
17 have all had Hepatitis C, have all had gynaecomastia.
18 Is that something that one finds in patients who have
19 Hepatitis C.

20 A. It is a feature of advanced liver disease rather than
21 Hepatitis C per se.

22 Q. Can you explain the mechanism, please?

23 A. Yes, there are changes in the balance of hormones in
24 your circulation, and men and women both have androgens
25 and oestrogens, the male and female hormones

1 respectively, but the way they function is dependent on
2 how much of the hormone is free to act. So if it is
3 bound to something, it can't act but if it becomes free
4 it can.

5 In advanced liver disease you have more oestrogen
6 free, whether you are a man or a woman, so you start to
7 develop more female characteristics: You lose some body
8 hair, you become sexually less potent and you develop
9 breast enlargement, which can be noticeable.

10 Q. Is it perhaps slightly offbeam to think it was due to
11 the psoriasis?

12 A. It is not psoriasis, it is a misspelling. It is
13 a common misspelling in medical records of cirrhosis.

14 Q. I see.

15 A. I suspect.

16 Q. Thank you. The penny has just dropped. I was very
17 puzzled when I saw that.

18 Thought to be due to cirrhosis.

19 A. Yes.

20 Q. It's quite a difference.

21 A. Oh, yes. It is a common mistake.

22 Q. And then, in relation to other features, the general
23 practitioner is reporting that he has had the loss of
24 appetite, weight loss, nausea and vomiting, been seen at
25 Dr Fraser's clinic and then and he has continued to have

1 nausea and vomiting and a bit of swelling and abdominal
2 distention. He has also developed some tremor. It does
3 actually look from the medical records, Dr Alexander, as
4 though this may have been Parkinson's?

5 A. Impossible for me to comment on that but I would guess,
6 based on the other symptoms that he has got, that we are
7 looking at advanced liver failure, with hepatic
8 encephalopathy which characteristically comes with
9 unsteadiness of gait and a tremor.

10 Q. Is that known as "liver flap"?

11 A. Yes, but without examining him, I can't be certain. But
12 I would be pretty confident that's the likely cause, not
13 a superimposed illness.

14 Q. We can see that he has a tremor in both hands and it
15 increases on intentional movement.

16 A. Yes.

17 Q. Can we just look at the final page, please? We can see
18 from that he is really not taking very much alcohol
19 either.

20 Now, the next document I would like you to look at
21 is [\[LAI0011020\]](#). We can see there has been a CT scan of
22 the liver in July 2003. Perhaps you could just
23 highlight for us the significant findings from the scan.

24 A. Okay. The liver is small. What happens with most liver
25 disorders is that initially the liver becomes enlarged

1 and then, as the process evolves over years or even
2 decades, the liver shrinks down and then becomes too
3 small to sustain life.

4 The liver is described as "irregular", which means
5 that the surface of the liver has a scalloped contour,
6 which would be consistent with cirrhosis.

7 "No focal lesion" means they are looking for liver
8 cancer and can't find it.

9 It is surprising the spleen is not enlarged. It
10 often is in advanced liver disease. Then also he has
11 got moderate ascites. This is a collection of fluid in
12 the abdomen, which is suggestive of liver failure and
13 from a clinical point of view tells me that life
14 expectancy is less than two years, and on this occasion
15 he has got gallstones, which were missed previously on
16 the ultrasound. So these really tell me he has got
17 advanced liver disease.

18 Q. And indeed if we look next at [\[LAI0010031\]](#), we can see
19 that the picture from the end of July, when that scan
20 was done, was one of a steady deterioration.

21 A. Yes.

22 Q. I have asked someone else, Dr Alexander, about
23 decompensated, and we have been told that it means that
24 a condition which has been under control is no longer
25 under control. I don't know if you would agree with

1 that.

2 A. It's a fair description.

3 Q. Right. Of course, it wasn't really under any form of

4 active control?

5 A. No. It really means the presence or absence of the

6 complications of liver disease that carry morbidity and

7 mortality, which include bleeding, which he had had,

8 ascites, which he has now got, and confusion, which he

9 has now got.

10 Q. Right. What is pedal oedema? Is that swollen feet?

11 A. Feet, yes, a feature of liver disease.

12 Q. What's the mechanism whereby patients such as Mr Laing

13 become encephalopathic?

14 A. A million-dollar question.

15 Q. All right.

16 A. We know that blood ordinarily is processed from the gut

17 through the liver and the liver does something to the

18 blood that takes something out of the blood so that when

19 the blood is delivered back to your heart and brain, it

20 is good for you. In liver disease the blood doesn't go

21 through the liver, it goes round the liver, because the

22 liver is scarred and presents an obstruction to flow.

23 So something in gut gets into the blood, which gets into

24 your brain or whatever, by not going through the liver

25 in liver disease, which causes confusion.

1 Q. Is this controversial?

2 A. No, it is just not understood very well. We know some
3 of the compounds, for example, ammonia, but we don't
4 know quite what to target.

5 Q. Ammonia is neurotoxic, as I understand?

6 A. Yes, it is one of the compounds that we can find in
7 association with encephalopathy, probably not the only
8 cause.

9 Q. Then we can see that the medical staff have realised
10 that Mr Laing is not well enough to go home and they
11 were thinking that he might go to another facility but
12 there wasn't time for that and he began to fade, and if
13 we look down on the letter, we can see someone has
14 written on that he died on 4 September.

15 A. Yes.

16 Q. So he was in hospital for a little over a month in his
17 final illness.

18 A. Yes.

19 Q. Then can we look at [\[LAI0011068\]](#), please. We looked at
20 several death certificates this week, Dr Alexander.
21 This one only has one thing shown as the cause of death:
22 Hepatitis C-related liver disease. That is accurate, is
23 it?

24 A. Yes, insofar as it goes. I think liver failure,
25 secondary to Hepatitis C and cirrhosis, would have been

1 how it should be filled out. It is as accurate as it
2 needs to be in terms of communicating the cause of
3 death.

4 Q. So you would have included perhaps a bit more
5 explanation of the sequence of events?

6 A. Yes.

7 Q. But as a summary of what the cause is, this is fine?

8 A. It is clear, yes.

9 Q. That was the pathology report we looked at. The biopsy
10 report; we have already looked at that. I wanted to go
11 back to your report, please, having just had a bit of
12 a look at some of the landmarks along the way. Can we
13 go to page 2 of [\[LAI0011125\]](#). A paragraph that begins:

14 "I could find ..."

15 As I think we saw at Dr Sinclair's clinic, there
16 seem to have been discussions of the possibility of
17 treatment, and at least once also at Dr Fraser's clinic,
18 and that the patient was not keen and you have already
19 given us your views about what the prospects for
20 treatment would have been. Then you have covered the
21 possible gallstone incident in December 2001. If we go
22 to LAI0011127, you have dealt with Mr Laing's final
23 illness in 2003.

24 I think we perhaps understand the terminology there
25 now from the other people whose case notes we have

1 looked at, but ascites is this collection of fluid and
2 peripheral oedema, swelling in his feet mainly,
3 jaundice, which is the sort of yellow colouring which is
4 to do with bilirubin. Is that right?

5 A. Indeed.

6 Q. What is it actually? What's the mechanism that gives
7 you jaundice?

8 A. Again, not very clear but essentially bilirubin is being
9 pumped back into the circulation rather than being
10 cleared by the liver. It is a sign that the liver is
11 failing and injured and it is a natural response of the
12 liver to injury.

13 Q. Is it cachexia?

14 A. Wasting. In advanced liver disease, the body starts to
15 use your own fat and your own muscle as a source of
16 energy, rather than food. So you lose muscle bulk and
17 you lose all your fat and look very thin, it is
18 a feature of late, late disease.

19 Q. Portal hypertensive gastropathy?

20 A. Yes, your blood, as I alluded to earlier, normally
21 travels from your gut into a very soft liver. It is
22 a low pressure system. If your liver becomes distorted
23 and scarred, it is hard for the blood to get from the
24 gut into the liver. It starts to go backwards rather
25 than forwards and finds other routes. So the stomach,

1 which is downstream of the pressure effect, becomes very
2 distended, thickened with blood, which can bleed quite
3 readily; high pressure in the gut makes it bleed.

4 Q. We note too that he had oesophageal varices. We have
5 been thinking of those as internal varicose veins. Is
6 that reasonable for lay people?

7 A. Exactly. And these are the veins that are distended by
8 the high pressure in the system because of the scarring
9 and distortion in the liver. It is like standing on
10 a hose downstream of the high pressure.

11 Q. Thank you. You go on to say that there is very little
12 that's contentious, chart the surgery in 1990 and the
13 look-back and the testing and the ascertainment that
14 Mr Laing had developed Hepatitis C, and then seven years
15 later he died. You say in the following paragraph that
16 the short interval -- just six years between acquisition
17 of the virus and documentation of the cirrhosis and then
18 the seven years, 1996 to 2003, that followed his death:

19 "Are consistent with what we now know about the
20 natural history."

21 I understand that in younger people these periods
22 can be considerably longer.

23 A. Many young people don't get cirrhosis at all, if they
24 are young at the time of infection, the time of
25 exposure. In fact, the majority do not.

1 Q. What about the period from the development of cirrhosis
2 to end stage liver disease?

3 A. In younger patients that would be of the order of ten
4 years or more. The older you are, the shorter that
5 period. So both the period between evolution to
6 cirrhosis and then the evolution from cirrhosis to death
7 are shorter in people who are older when they are first
8 exposed to Hepatitis C.

9 Q. You comment that the first large publications drawing
10 attention to the importance of age were published around
11 1997. I take it this is publications in which a large
12 number of people had been studied?

13 A. Yes, enough to make you understand the natural history
14 of Hepatitis C in older patients was not as we had first
15 thought.

16 Q. What did you first think? Is that the comment that it
17 was expected to be relatively benign?

18 A. I think most of our experience was based on what was
19 called non-A non-B hepatitis, which is
20 transfusion-related liver disease, prior to the
21 introduction of Hepatitis C testing. In those
22 circumstances the majority of people died of diseases
23 related to the reason they had a transfusion, not to the
24 hepatitis that arose as a result. So we had an
25 artificially skewed view of what Hepatitis C -- then

1 called non-A non-B hepatitis -- did to patients, and it
2 wasn't until the introduction of testing for Hepatitis C
3 in 1991 that we realised there were a lot of people out
4 there that had much, much different disease to that
5 which had been described previously, and the penny
6 dropped about five or six years later.

7 Q. Just to digress slightly into a general point and
8 I don't think it does any harm to emphasise this, it
9 isn't the case, is it, that there was an identified
10 virus that was called non-A non-B hepatitis and it just
11 changed its name to Hepatitis C?

12 A. No, no.

13 Q. They were different types of diagnosis, is that correct?

14 A. Non-A non-B hepatitis was simply abnormal liver tests
15 that arose after a transfusion, of which there are
16 numerous reasons.

17 Q. So for doctors and scientists, it was question of trying
18 to find what was causing non-A non-B hepatitis?

19 A. Yes. The clinical context, there was not much you could
20 do; and the science context, people would take blood
21 from those patients and try to infect, for example,
22 a chimpanzee, and show that that blood was infectious to
23 a chimpanzee. But the number of experiments being done
24 was small and the number of patients exposed was high.
25 So the clinical scenario and the scientific work were

1 quite separate really.

2 Q. And we are going to try and come back to this in much
3 more detail later in the Inquiry, but at the end of the
4 1980s, 1988/89, the Chiron Corporation were successful
5 in finding the Hepatitis C virus. In other words, they
6 found another virus causing non-A non-B hepatitis?

7 A. Yes.

8 Q. It is not terribly well put. If I could change that.
9 They found another virus causing hepatitis and that was
10 the virus that was the culprit --

11 A. Yes, it was the main cause of infectious transmitted
12 hepatitis with transfusion.

13 Q. Thank you. The conclusion of that paragraph that we
14 were just looking at about the short interval, is that
15 the information that was provided to Mr Laing at the
16 time of his biopsy was probably best known practice, and
17 do you remain of that view?

18 A. I do.

19 Q. We see in the next paragraph you mention the 9 per cent
20 figure that you told us about earlier. Really,
21 I suppose a very disappointing success rate for
22 treatment with interferon at that time?

23 A. Yes, and for treatment that's very unpleasant to take.
24 So it is a miserable year on treatment. To take a year
25 out of someone's life when they are 72 is something you

1 would have to take very seriously for such a low
2 likelihood of success.

3 Q. You comment that you think the biopsy was underreported?

4 A. Yes.

5 Q. Does that really mean that you think the lab report on
6 the biopsy --

7 A. I have to emphasise I haven't seen this, and I don't
8 think it has been reviewed by a pathologist outside
9 Aberdeen. But I think the biopsy's features, as
10 reported by the pathologist, reflect cirrhosis, and with
11 hindsight, that's clearly what he did have at that stage
12 because that's how the disease evolved thereafter.

13 Q. Yes, I just wanted to clarify that perhaps, just so that
14 we understand where the underreporting crept in.
15 Really, it was in the way that the report was
16 interpreted subsequently by the clinicians?

17 A. My guess was that there was what is called
18 a clinico-pathological conference, which is usually
19 attended by the clinicians involved and the
20 pathologists. There might be one or two or maybe up to
21 a dozen people in the room, and a discussion would have
22 been had which was along the lines of: this is guess
23 work; he is very well, he doesn't have any signs of
24 liver disease, there is nothing to suggest cirrhosis
25 clinically; at which point there is a compromise that he

1 doesn't have cirrhosis. All teams do that. It is good
2 practice.

3 Q. It is very important, though to, ask, Dr Alexander
4 whether you think, even if that was a slight
5 underestimate, that made any difference?

6 A. I think there was a slight underestimate. I think the
7 pathologist's report is quite clear that there were
8 features of cirrhosis, but it would have made no
9 difference at all to his clinical management. If I had
10 seen him in 1996, I would have slanted my discussion
11 with him towards not treating him. And if I saw him
12 now, with better drugs available, I wouldn't treat him
13 now, because treatment would give him a very low
14 prospect of success, even with current therapies.

15 Q. And indeed, you say exactly that on the last page of
16 your report.

17 A. It is good to be consistent.

18 Q. You say:

19 "If he had presented now with pegylated interferon
20 and ribavirin available, the chances are he would not
21 respond to treatment, and if I was asked now to consider
22 treatment, I would very likely not offer him treatment
23 because of his age and cirrhosis and the low probability
24 of a response."

25 A. Yes.

1 Q. The only other thing to take from what you say here,
2 Dr Alexander, is your comment about the outcome from the
3 Duke's C carcinoma.

4 A. Yes. It is not my territory but 13 years after
5 a Duke's C is an impressive survival, but again you
6 might want to go back and look at the original histology
7 and confirm that that was correct, but it is a good
8 outcome and the surgeon did well.

9 Q. I think finally, Dr Alexander, I should ask you to have
10 a look at a letter that we have, sent to the central
11 legal office by Dr Sinclair. It is [\[PEN0100174\]](#). Just
12 a one-page letter from Dr Sinclair. We will see he is
13 now at Albyn Hospital in Aberdeen, and much as you had
14 guessed, the biopsy was reviewed at the
15 clinical-pathology conference, pathological conference:
16 "The severity of the changes were thought
17 on consensus to be rather less than initially reported."
18 We have covered that. Then Dr Sinclair charts
19 further attendances by Mr Laing at the clinic.
20 Discussion of treatment. There is a final paragraph --
21 I don't know, you have maybe not seen this letter
22 before. I suspect you haven't seen it, Dr Alexander,
23 have you?

24 A. I saw it last night.

25 Q. Oh, you saw it last night?

1 A. Yes. I think the letter is a very fair review of what
2 has happened and I think if it had been me in his
3 position, I would not have treated the patient.

4 Q. Yes. The final paragraph, or at least the paragraph
5 that begins:
6 "It is possible ..."

7 A. Yes.

8 Q. Dr Sinclair is really getting into something that really
9 was never going to be possible.

10 A. You can't have hindsight at the time, useful though it
11 would be.

12 Q. He couldn't have been aware of data because the data
13 weren't available.

14 A. Yes.

15 Q. And he couldn't have offered combination therapy because
16 it wasn't on offer.

17 A. I think the care Mr Laing was offered was exemplary
18 actually.

19 Q. Thank you very much, Dr Alexander.

20 THE CHAIRMAN: Dr Alexander, can you help me a little bit
21 with the relationship between age and the time lapse
22 between infection and cirrhosis?
23 Is there a shape to the curve we have been working
24 in?

25 A. We have been working in the lab on the effect of aging

1 and outcome, and what we have been doing is measuring
2 your biological age. Within your DNA you have
3 a mechanism that prevents your DNA being damaged, and
4 you have on the end of your DNA pieces of DNA which look
5 a bit like a shoelace with a piece of plastic on the
6 end. So your shoelaces have a piece of plastic on the
7 end to stop them fraying, and the DNA in your body has a
8 piece of plastic on the end [sic] to stop the DNA from
9 fraying. Because if you damage your DNA, you get
10 cancer. As you and I, unfortunately, get older, our
11 telomeres get shorter and we then start to get cancers,
12 cardiovascular disease and strokes, the disease of
13 aging.

14 We now know that in Hepatitis C positive patients,
15 your telomeres shorten and you become unable to mount an
16 immune response to the virus when you hit a certain age.
17 The boys in my lab find it very amusing when the age for
18 treatment cut-off was 58, which was the age I was when
19 we did the work. So your immune system stops working
20 when you get to around 60, and if you do not have an
21 immune system, you can't cope with the virus. So the
22 virus takes a stronger grip.

23 THE CHAIRMAN: So 60 is, in some way, a step change because
24 by that stage your biological time clock has run
25 a significant part of its course?

1 A. Yes, we weren't designed to live until 60.

2 THE CHAIRMAN: I sometimes wonder why the Cabinet Secretary
3 was right to take me, over 70, and absorb several years
4 of my life in this.

5 A. I couldn't possibly comment.

6 THE CHAIRMAN: Mr Di Rollo, there is quite a lot of
7 complexity there; there is nothing you wish to follow
8 up?

9 MR DI ROLLO: No, thank you.

10 THE CHAIRMAN: Mr Anderson?

11 MR ANDERSON: I don't know if we need the microphone, it is
12 a very short matter.

13 We looked at this letter of 1995, part of the
14 look-back process. It may be common knowledge but can
15 you help us with when the look-back process started?

16 A. It started being considered virtually the minute that
17 the Hepatitis C testing showed that some donors were
18 positive. You may or may not be aware that the majority
19 of blood donors who are Hepatitis C positive, in the
20 past, have dabbled with drugs. One assumes that when
21 you ask blood donors to come forward, they are asked
22 about drug use at that stage. They are supposed to not
23 come forward if they are going to give blood. What has
24 happened is, for example, you might have a blood
25 transfusion service turn up at a supermarket or

1 a workplace where people can't not go forward and give
2 blood because there is pressure on them and they would
3 have to declare their reasons for not giving blood.

4 So these people get into the system and continue to
5 give blood. So we actually were surprised in 1991/1992
6 how many blood donors were turning up positive. We
7 hadn't anticipated as many people would acquire
8 Hepatitis C from transfusion as eventually were found to
9 be positive because the majority of patients don't get
10 ill with Hepatitis C.

11 So from about 1992/1993 onwards there was a group
12 working -- and I was part of that group -- to see how we
13 would manage it to ensure there was a national standard,
14 and we wanted to, from the scientific point of view,
15 find out as well what happened to these patients. So it
16 took between 1993 and 1995 to get the process off the
17 ground nationally but we did start looking in 1993.

18 MR ANDERSON: The letter we saw was dated 1995. Those sorts
19 of letters that were being sent out, would they be sent
20 out in 1995?

21 A. Yes.

22 Q. Was that the same in Scotland and England and Wales?

23 A. It was a national programme. So when a good donor came
24 back to the service to donate blood a second time and
25 was then found to be Hepatitis C positive, that alerted

1 us to the fact that he or she had given blood before,
2 and each of the persons who had received blood
3 previously would then be screened or offered screening.

4 You will imagine that not everyone comes back and
5 gives blood a second time, so not all the people who
6 have Hepatitis C have been identified even now. We are
7 still seeing the odd person coming to clinic now. And
8 not all the people who received blood from those donors
9 have been able to be tracked because they have moved.
10 So there are still people here and in England who have
11 got Hepatitis C from a transfusion that we don't know
12 about.

13 MR ANDERSON: I'm obliged to you, thank you very much, sir.

14 THE CHAIRMAN: Mr Sheldon?

15 MR SHELDON: Not for me.

16 MS DUNLOP: I just want to not let Dr Alexander go without
17 clarifying something that I couldn't quite hear. Is
18 that all right?

19 It was just to go back to the shoelaces,
20 Dr Alexander, if we could.

21 A. Sorry.

22 Q. I'm looking at the transcript. There was a piece of
23 plastic on the end of the shoelace which is there to
24 stop it being damaged?

25 A. Frayed.

1 Q. Frayed. What's that called?

2 A. I don't know.

3 Q. You used a word which I couldn't hear?

4 PROFESSOR JAMES: It's a telomere.

5 A. No, the telomere is the piece of DNA but the piece of

6 plastic on the end of the shoelace also has a name. The

7 DNA is the genetic material; the telomere is the bit on

8 the end of your DNA which is equivalent to the piece of

9 plastic on the end of your shoelaces.

10 MS DUNLOP: Could you spell that for us, please?

11 A. T-E-L-O-M-E-R-E.

12 THE CHAIRMAN: I suppose all we have to think of as former

13 Boy Scouts and Boys Brigade boys is the need to take

14 a bit of nylon rope and seal the ends so that it doesn't

15 unravel.

16 MS DUNLOP: You can do it with Sellotape as well.

17 THE CHAIRMAN: Sellotape wouldn't give the permanence needed

18 in someone of my age.

19 MS DUNLOP: So that's the protective bit at the end of the

20 DNA. I think that was the bit I was puzzled about.

21 Thank you very much.

22 THE CHAIRMAN: Professor James, I think you are trying to

23 console me that some people still have significant

24 telomere when they are 75.

25 A. I think he is trying to console himself that he has a

1 Scottish National Blood Transfusion Service microbiology
2 reference unit. I do work obviously as a contractor to
3 SNBTS, Penrose team.

4 Q. Where is the microbiology reference unit?

5 A. Initially it was in Ruchill Hospital in Glasgow and then
6 Law Hospital at BTS West. It is now currently within
7 Gartnavel BTS West.

8 Q. Is that within the West of Scotland specialist virology
9 centre?

10 A. That was the regional virus lab away back in the 1990s,
11 when it was actually formed, the microbiology reference
12 unit. It moved out of the virus lab in 1998 to
13 Law Hospital, when they moved to Gartnavel.

14 Q. Thank you. Can we look at page 2, please. We see that
15 you are originally from Perth?

16 A. Yes.

17 Q. It looks as though you started out going to be a vet?

18 A. I was.

19 Q. But you changed your mind.

20 A. I changed my mind and they changed my mind.

21 Q. Right. You went into bacteriology, and that's, what,
22 a subspecialisation, or a majoring in virology and
23 medical microbiology. Is that right?

24 A. Yes.

25 Q. And then you worked in the department of infectious

1 diseases at Glasgow University doing a PhD on non-A
2 non-B hepatitis in the West of Scotland?

3 A. I did that as part of my work with the Blood Transfusion
4 Service. As you see below, I have worked for the Blood
5 Transfusion Service since 1974. So it was a part-time
6 PhD.

7 Q. So even though it was part-time, you managed to do it in
8 five or six years?

9 A. Well, that is about the time you have to take it when
10 you do it part-time. It is quite slow.

11 Q. I was meaning it really seems quite quick. Some people
12 take ten years or more?

13 A. Full-time PhDs are usually in three years.

14 Q. Then we have a list of your publications. And finally
15 your supplemental list. What's different about those on
16 the supplemental list?

17 A. There is not quite so good journals, as such. Some of
18 them are actually letters. The Lancet publications tend
19 to go in there as well because they are just letters to
20 the editor.

21 Q. I see. You have a list of committees as well. Keep
22 going through, we can just see. Yes, committees, quite
23 a lot there. Some Scottish, some UK like NIBSC. That
24 would be a UK one, is it?

25 A. Well, it is an international one.

1 Q. And obviously WHO too. That's an international one?

2 A. Yes.

3 Q. Then your memberships of your professional bodies. Even

4 something called the Scottish Viral Hepatitis Group?

5 A. I think that's nearly defunct now.

6 Q. Was it multidisciplinary?

7 A. It was, yes.

8 Q. And what was that, just a sort of --

9 A. It was --

10 Q. -- information and knowledge sharing?

11 A. In the early days of Hepatitis C, in the early 1990s,

12 a group of individuals came together, people from

13 Health Protection Scotland, what was then SCIEH.

14 Q. What was SCIEH?

15 A. The Scottish Centre for Infection and Environmental

16 Health. And gastroenterologists, the likes of Henry

17 Watson attended, Peter Brunt from Aberdeen,

18 David Goldberg from CDS, SCIEH as such, and others.

19 Q. Then you had some teaching appointments as well.

20 A. Yes.

21 Q. Good, thank you. You have provided some information in

22 relation to a Mr Alexander Laing. Is that correct?

23 A. Correct, yes.

24 Q. Just to recap. We know that Mr Laing was contacted in

25 connection with the Hepatitis C look-back exercise

1 because it was identified that he had received blood
2 from someone who was found to be Hepatitis C positive?

3 A. Yes. That's correct.

4 Q. We also know that it turned out that Mr Laing had
5 acquired Hepatitis C from the blood transfusion that he
6 had had with blood from that donor.

7 A. Yes.

8 Q. Mr Laing received his blood transfusion in August 1990
9 and that was a time when donated blood was not being
10 screened for Hepatitis C in the United Kingdom. Is that
11 correct?

12 A. That was correct, yes.

13 Q. Right. So the question arises whether, if screening had
14 been in place, the donor's Hepatitis C could have been
15 picked up and by that means Mr Laing's infection
16 prevented. Do you understand that?

17 A. Yes, I understand that, yes.

18 Q. We need to have your documentation in front of us. It
19 is [\[PEN0010016\]](#). You give us some narrative. You were
20 discussing Mr Laing's case within the SNBTS Inquiry team
21 and you raised a query about the particular genotype of
22 Mr Laing's Hepatitis C. Is that right?

23 A. That's correct, because obviously we knew that the
24 genotype was quite important in relation to the
25 generation of test.

1 Q. Yes. You couldn't find what his genotype had been from
2 his own records but you did get that information by
3 researching the donor's genotype. Is that right?

4 A. That's correct, yes.

5 Q. And the donor's genotype is genotype 3?

6 A. Yes.

7 Q. Dr Dow, this material is challenging for those of us who
8 are not qualified in the way that you are qualified and
9 what we are going to try and do is give ourselves enough
10 of an understanding to follow the story insofar as it
11 relates to Mr Laing, but not so much information that we
12 all get lost. Do you understand that?

13 A. I hope I can help, yes.

14 Q. So what we are going to do is, I'm going to ask you some
15 questions and they are going to be leading questions.
16 If I'm understanding what you are telling us, then
17 I hope that my understanding will be shown to be correct
18 and that you will be able just to assent to what I'm
19 going to suggest. I should say, obviously, you and
20 I have met before, not just today but on another
21 occasion, so I have had the advantage of some coaching
22 on this.

23 A. Yes.

24 Q. If we could start by saying that all organisms are made
25 of cells. Is that correct?

1 A. That's correct.

2 Q. Right. Inside a cell will be the genes for an organism?

3 A. That's right.

4 Q. All the genes together form the genome of that organism?

5 A. That's correct, yes.

6 Q. You could also, therefore, describe the genome as the

7 genetic complement for that organism?

8 A. You can.

9 Q. Although, I think your preference would be to call it

10 the genetic code?

11 A. Correct, yes.

12 Q. But it is the totality of the genes for that organism.

13 A. Okay.

14 Q. A virus is an organism. So a virus has a genome?

15 A. Correct.

16 Q. That genome determines, for the organism, what it is and

17 what it does.

18 A. Yes.

19 Q. The mechanism by which it does what it does is through

20 the manufacture of proteins, and RNA is involved in

21 that, but I don't really want to get into what RNA is.

22 It is a messenger. Is that fair?

23 A. That's fair, yes.

24 Q. Right. Tell me if you feel uneasy with anything.

25 Insofar as what the organism is and what it does are

1 concerned for a virus, what it does is to make people
2 ill?

3 A. Usually.

4 Q. Well, certainly in the case of hepatitis.

5 A. Hm-mm.

6 Q. Enter antibodies. An antibody is a protein. Is that
7 correct?

8 A. Correct.

9 Q. It is something produced by the human body to neutralise
10 part of the virus.

11 A. Yes.

12 Q. Correct?

13 A. Correct.

14 Q. That antibody will be a necessary but probably not
15 sufficient part of a successful immune response.

16 A. That's true, yes.

17 Q. Right. If I have been infected with a particular virus,
18 my body needs to make enough of the right kind of
19 antibody, which are needed to defeat or neutralise the
20 virus, if I'm going to defeat the virus, if I'm going to
21 clear the virus.

22 A. Usually that's the case but there is also -- T cells are
23 involved as well.

24 Q. That's why I said it is a necessary but not sufficient
25 part.

1 A. Correct, yes.

2 Q. We have mentioned genotypes. Different genotypes of
3 a virus are slightly different genetically but not
4 different enough to be a different virus. Is that fair?

5 A. That's pretty fair, yes. It is like looking at people
6 in general. We have Asians, we have Africans, black,
7 and we have Caucasians, who are white. The same with
8 the Hepatitis C virus; there are different genotypes.

9 Q. We are all people.

10 A. Yes.

11 Q. Right. We have mentioned genotype 3. A person who has
12 successfully thrown off -- fought, cleared -- genotype 3
13 Hepatitis C has been able to manufacture enough of the
14 right kind of antibodies, those proteins, to neutralise
15 Hepatitis C virus genotype 3. Is that right?

16 A. Yes, it happens very rarely, though, that the virus has
17 actually cleared completely.

18 Q. Right. When we talk about antibody testing -- I'm
19 saying "we" although obviously it is not something
20 I would ever be able to do -- we are looking for an
21 antibody as a clue that the virus has been here?

22 A. Correct, yes.

23 Q. Is that right? The problem, as I understand it, with
24 the first generation antibody tests was that they were
25 much better at recognising antibodies to genotype 1 than

1 they were at recognising antibodies to genotype 3?

2 A. Yes, that's very true.

3 Q. Right. Equipped with that kind of Ladybird guide, can
4 we look at what you say?

5 THE CHAIRMAN: Is there perhaps a need for the ladies and
6 gentlemen who have never heard a tutorial from Dr Dow to
7 try to highlight one or two of the principal elements in
8 it, Ms Dunlop.

9 MS DUNLOP: That's what I was going to do.

10 THE CHAIRMAN: I think it is the problem that giving a lot
11 of information as quickly as that, some of it may get
12 lost, and I was just wondering if Dr Dow can bring out
13 the essence of this. I think that we would get the
14 message that viruses sometimes cause illness, that the
15 immune response to viruses is generally to try to
16 develop antibodies, if that happens, that sometimes the
17 antibodies are effective in clearing the virus, but with
18 particular viruses the prospects of that are very
19 remote.

20 A. Correct, yes.

21 THE CHAIRMAN: And that applies in particular to
22 Hepatitis C.

23 A. And in particular to Hepatitis C, yes.

24 THE CHAIRMAN: However, even within that generality, there
25 are some types of antibody or some types of genomic

1 sequence in the virus that make them more difficult to
2 deal with than others.

3 A. It is a very hard thing, all this, to actually try and
4 explain to people who don't know anything about it.

5 THE CHAIRMAN: You are now finding that it is difficult to
6 explain it to me.

7 A. I did actually produce six slides, the colour slides
8 that are in front of some people, and that actually gave
9 a potted version of what this is all about.

10 THE CHAIRMAN: I have got them, and we may get to it, but at
11 the moment we are trying to get the overhead picture.

12 Essentially, what is it, when we come to genotype 3,
13 that causes the problem here? Can you put that in
14 a nutshell?

15 A. The genotype 3 was not detected by first generation
16 tests. That's what we realised. Very few people who
17 were infected with genotype 3 were actually detected by
18 the first generation tests and this is because the first
19 generation tests were directed against the NS4 region of
20 the virus. It is a non-structural region of the virus.
21 It was only against this particular area, and for some
22 reason or other, the virus itself -- the different
23 genotypes don't actually see different areas. So the
24 components used for first generation tests could only
25 detect genotype 1 and didn't really detect many

1 genotype 2s or 3s very well at all. It was mainly by
2 cross-reaction that they were detected. That's why it
3 was important to actually identify the genotype of the
4 donor involved with patient Laing.

5 THE CHAIRMAN: I don't suppose it would have been known very
6 early on, when you were testing, that there were
7 genotypes that were escaping the net.

8 A. No, we didn't know at all, although I did do a report on
9 the first generation tests, which in our hands was a lot
10 poorer than what the Americans were claiming in their
11 investigations of post-transfusion hepatitis. We didn't
12 know what was happening but we certainly couldn't get
13 the same percentage of individuals that we could
14 identify related to post-transfusion hepatitis.

15 THE CHAIRMAN: Has that got to do with different incidence
16 of genotypes in different places?

17 A. That's correct, yes, and that's why this genotype is
18 quite important here.

19 THE CHAIRMAN: Ladies and gentlemen, there is no way that
20 I'm going to make the whole thing clear to you; I'm
21 going to have to study it later. But perhaps by osmosis
22 we will develop an understanding as we go on.

23 MS DUNLOP: Yes. Dr Dow, can we go back to what you have
24 produced for us and look at that? I'm looking at the
25 third paragraph. We see that your research was able to

1 identify the donor, who has a particular reference
2 number, and that's a person whose virus type had been
3 genotyped as genotype 3, with strong four-positive
4 antibodies to a particular region of the virus.

5 If we try to translate that into perhaps lay terms,
6 the measurement for 4 plus is a reflection -- you say
7 "strong" antibodies. It doesn't mean that they are
8 particularly muscly antibodies, it just means there are
9 a lot of them.

10 A. A high concentration, yes.

11 Q. Right. So this particular individual had a high
12 concentration of particular proteins because we
13 established earlier that an antibody is a protein?

14 A. Yes.

15 Q. And those particular proteins were being involved in the
16 fight against the virus?

17 A. Yes.

18 Q. That was their job?

19 A. Yes.

20 Q. Right. But those particular antibodies were not so
21 successfully picked up by the first generation test?

22 A. They weren't picked up at all by the first generation
23 tests because the first generation test didn't have any
24 C22 or C33 components within them. They were based
25 solely on 5-1-1 and C100, which are NS4 components.

1 Q. But in our lay terms the first generation test wasn't
2 able to recognise those particular antibodies?

3 A. They wouldn't see it at all because they weren't there.

4 Q. Right. And the chairman has alluded to different
5 distribution of genotypes. I'm not necessarily going to
6 go through your slides in consecutive order but it is
7 interesting to look at the individual slides. We don't
8 have these in court book, sir, partly because of
9 difficulties of reproduction. It was felt that actually
10 hard copies were better in this instance.

11 Now, Dr Dow, just a moment ago you talked about
12 initial research, and this is in the early 1990s, is it,
13 in which you were involved?

14 A. I'd been working at non-A non-B hepatitis before that,
15 in the 1980s.

16 Q. Indeed, but the assembling of information about
17 Hepatitis C has been a step by step process, has it?

18 A. Yes.

19 Q. And at the beginning, almost by definition, people
20 didn't know that there were different genotypes?

21 A. Correct, yes.

22 Q. Right. I don't want to -- I shouldn't really digress at
23 all but what's the current state of play? How many
24 genotypes have been found?

25 A. Well, some people would say there is a lot more but we

1 would still say there are only six.

2 Q. Right. Just to boggle our minds ever so slightly more,
3 those six, some of them are subdivided?

4 A. Quite a few of them are subdivided, like 1A, B, C, 3A,
5 B, C, D, and others. So there are subdivisions but the
6 subdivisions are not so widely divergent as the main
7 genotypes.

8 Q. That makes sense. That's like the British person with
9 red hair and the British person with black hair, to take
10 your "we are all people" analogy a bit further?

11 A. That's right, yes.

12 Q. You said that earlier in the story of testing poorer
13 results were being obtained in the United Kingdom than
14 were apparently being obtained in the United States and
15 his Lordship suggested to you that that was something to
16 do with the distribution of the different genotypes?

17 A. It was, yes.

18 Q. So, for example -- and this is perhaps in retrospect --
19 knowing now that the first test is particularly good at
20 recognising genotype 1 --

21 A. Yes.

22 Q. -- the first test is going to produce very good results
23 in a country where there are a lot of genotypes 1s?

24 A. That's correct. North America was in that situation.

25 Q. Right. For Scotland -- now, I think you do have your

1 percentage -- we have got a wee map of Scotland
2 actually.

3 A. Overall Scotland, 50 per cent were genotype 1,
4 10 per cent were genotype 2 and 40 per cent were
5 genotype 3.

6 Q. Right, thank you, that was what I was looking for and
7 couldn't immediately see, but within Scotland even we
8 see that the picture varies, and that's page number 6.

9 A. Yes, within that we have got -- bottom left is
10 Northern Ireland. We also did the confirmations for
11 them. The histogram above that is for Glasgow and above
12 that was Inverness. On the right-hand side is the east
13 coast: Aberdeen, Dundee and Edinburgh areas.

14 Q. It is interesting in the context of the enquiry we are
15 making today to notice that for Aberdeen the
16 representation of genotype 3 is quite low.

17 A. Quite low, yes. It is the exception that proves the
18 rule.

19 Q. Yes.

20 A. These were just what we have done from the initial 100
21 or so donors we had, these histograms, and it still
22 panned out that way. Even now the levels are still
23 roughly the same as what I have just stated.

24 Q. Yes. And you did some research on -- you tell us
25 yourself. If we look at page 3, there are some nice

1 coloured pie charts.

2 A. Yes, the pie chart relates to us trying to retest the
3 first 100 or so Hep C positives we found amongst our
4 donors by first generation tests. We subdivided them
5 according to genotypes 1, 2 and 3, obviously, and you
6 can see from the pie chart that 90 per cent of the
7 genotype 1s were detectable by the first generation
8 test, (inaudible) first generation test, and only
9 70 per cent of genotype 2 and almost two thirds of
10 genotype 3 were not detected by first generation tests.

11 Q. So if we look at the blue, basically, 90 per cent
12 type 1s were found by the first generation test,
13 30 per cent type 2s were found and 32.5 per cent type 3s
14 were found?

15 A. Correct, yes.

16 Q. So if you were either type 2 or type 3, the odds were
17 that your hepatitis wasn't going to be found --

18 A. Correct, yes.

19 Q. -- by the first generation test.

20 A. And that was the case with the donor involved with
21 patient Laing.

22 Q. Yes, because in relation to that individual, the quality
23 of the information is actually even better, so we should
24 go back to that.

25 As part of your research project, you say this:

1 "Furthermore -- " if everybody can see that,
2 slightly more than half way through the biggest
3 paragraph:

4 "Furthermore, on 12 March 1992 as part of a small
5 research project we tested T2103, along with 49 other
6 HCV-positive donation samples, and found this sample to
7 be negative with the first generation test."

8 So the actual donor who gave the blood in 1990 that
9 was transfused to Mr Laing, you tested in 1992 using the
10 first generation test?

11 A. Correct.

12 Q. The purpose of that was to see what would have happened
13 if first generation testing had been in use in Aberdeen
14 in the summer of 1990, and the answer was that this
15 individual's virus would not have been picked up.

16 A. Yes, the donation at that time, had it been screened by
17 the lab, the first generation tests would have been
18 completely negative. We would have banked the blood and
19 used it, and that's exactly what happened. We didn't
20 have a test at the time. But had we had the test, it
21 would have been negative anyway.

22 Q. Perhaps we could look at slide 2. As I understand it,
23 what is shown here is the result of testing ten
24 different people with the second generation test. Is
25 that right? Samples from ten different individuals?

1 A. Yes, it is the confirmatory test that we used to
2 actually confirm samples that were reactive in the ELISA
3 test for Hepatitis C.

4 Q. Right. Really, the point of this slide, I suppose, is
5 firstly to illustrate how it works.

6 A. Yes, and the donor involved in patient Laing would have
7 given a practically identical pattern as number 7.

8 Q. Right.

9 A. Which shows that there is no reaction against 5-1-1 or
10 C100, which are first generation components.

11 Q. Okay. So if we take an individual sample -- take
12 patient 6, for example.

13 A. Yes, that looks like a genotype 1.

14 Q. Right, okay. What is being shown by this strip with the
15 bars on it?

16 A. These are antibodies against different areas of the
17 Hepatitis C genome.

18 Q. So for patient 6, his sample, when tested, the test is
19 picking up these different kinds of antibodies, so
20 antibodies to different parts of the virus?

21 A. Correct.

22 Q. Is that right?

23 A. Yes.

24 Q. And actually there are four of them. It is picking up
25 all four and you are saying that on the basis of that,

1 you can say that that's probably a genotype 1?

2 A. Correct, yes.

3 Q. But for patient 7 only two kinds of antibodies are

4 showing up, C33 and C22, because that's what's well

5 represented. There is a high concentration of those

6 antibodies in this patient but it is not picking up the

7 antibodies to 5-1-1 or C100 and you are saying that that

8 very strongly suggests that that is a genotype 3 person?

9 A. It would likely be, or a genotype 2.

10 Q. Yes, and because with the first generation tests you

11 didn't have anything below the third row -- in other

12 words, if this had been the first generation test, you

13 didn't have --

14 A. We didn't have C33 or C22 components.

15 Q. So if this had been the first generation test, the

16 bottom of the picture would have been a line underneath

17 C100?

18 A. That's right.

19 Q. Right. And so for this person, patient 7, that area of

20 the strip would have been blank.

21 A. Completely negative, yes.

22 Q. Yes. You felt you wanted to do some more research,

23 Dr Dow, on these donors, I gather, and you looked at

24 what is termed "surrogate testing" as well?

25 A. Yes.

1 Q. Or you looked at the constituent parts of surrogate
2 testing. By surrogate testing, do we mean looking for
3 markers that might indicate the presence of a virus?

4 A. In a way that's the case, yes.

5 Q. If you would rather put it in other words, please do?

6 A. Really we are looking at tests which aren't directly
7 related to Hepatitis C itself. We are looking at other
8 assays that may give us an indication that it may well
9 have been infected with Hepatitis C, but really it
10 wasn't conclusive. One of these was ALT, the other was
11 anti-core for Hepatitis B. Obviously, the anti-core
12 test is an antibody against Hepatitis B; it is nothing
13 to do with Hepatitis C at all.

14 Q. The thinking behind this is perhaps not so difficult.
15 It is just that observation has shown that in patients
16 who have Hepatitis C there is a high correlation with
17 raised levels of ALT, which we know is a liver enzyme.

18 A. That's right, yes.

19 Q. And there is also a reasonable correlation between
20 having Hepatitis C and also having this Hepatitis B core
21 antigen?

22 A. Quite a lot of our drug abusers on the West of Scotland
23 had evidence of both Hepatitis B and Hepatitis C, and
24 obviously a lot of our Hep C-positive donors actually
25 admitted to having been intravenous drug users a long

1 time in the past.

2 Q. So you are looking for other things that are often found
3 in people who have Hepatitis C.

4 A. Right, yes.

5 Q. And when, with this collection of donors, you looked at
6 raised ALT, you found that ALT, the raised ALT
7 measurement, would have picked up a certain proportion
8 of these donors?

9 A. That's correct, yes.

10 Q. And I think you say in your paper what the proportion
11 would have been. I have to find that. Do you remember
12 offhand?

13 A. It varies according to genotype.

14 Q. Right. Overall?

15 A. Overall, I would have to look at my -- I think it was
16 about 60 per cent at one point, we thought.

17 Q. If we look at the foot of page 9 of the article --
18 I should have said that you published -- this is
19 [\[PEN0010018\]](#) -- you and others published an article on
20 all of this research on the donors, which should come up
21 on the screen.

22 If we look at the third page into the article,
23 please, and if we can go to the bottom of the page,
24 please, we see in the second last line of the right-hand
25 column that a total of 27 of the 90 donations you were

1 able to test for ALT had normal ALT values?

2 A. It is about 30 per cent, yes.

3 Q. Yes. And were also anti-HBc-negative. Is that right?

4 Now, I think for this particular donor you weren't

5 actually able to do the ALT comparison.

6 A. That's right. We tried to find out if it was included

7 within the 90 and it wasn't.

8 Q. Yes. So we don't actually know what would have happened

9 if some sort of surrogate screening, involving looking

10 for raised ALT, had been employed in the summer of 1990.

11 A. We don't know.

12 Q. We don't know because you didn't do that measurement for

13 that donor?

14 A. Correct.

15 Q. So all we really have to go on is the overall

16 statistics?

17 A. Yes.

18 Q. And we can see that more than half of the 90 donations

19 would have been picked up as having abnormally raised

20 levels of ALT?

21 A. That's true, yes.

22 Q. In fact, immediately above the passage dealing with the

23 27, we should look at what was said about the breakdown

24 of the different genotypes, and you found that for

25 genotype 3 ALT levels were significantly higher than

1 genotypes 1 and 2. Is that correct?

2 A. That's correct, yes.

3 Q. And you say that also in your rubric. You say:

4 "The distributions of alanine amino transferase

5 levels ..."

6 That's ALT.

7 A. Correct, yes.

8 Q. "... were significantly different in those infected with

9 type 3."

10 So, looking at that overall picture, it does look as

11 though, if ALT screening had been in place, there is

12 quite a likelihood that this donor would have been

13 picked up.

14 A. You can only surmise that.

15 Q. Yes. But I think the same was not true for the

16 anti-HBc?

17 A. The anti-core was negative.

18 Q. You were able to measure that with this individual?

19 A. We had the specimen so we were able to do that. ALT has

20 to be done at the time the specimen is collected usually

21 because the ALT will drop off, so it has to be done

22 fairly fresh.

23 Q. Yes, and that takes us into another area, which is that

24 with this piece of research you were measuring the ALT,

25 or if you had had this donor and were able to measure

1 his or her ALT, there would have been quite
2 a significant time interval; you would have been doing
3 it at least two years after.

4 A. Yes, it wouldn't have been valid.

5 Q. What about that principle in relation to the actual
6 antibody test? Could somebody test differently two
7 years apart?

8 A. No. If somebody is PCR-positive, the anti-body will be
9 continually being stimulated because the virus in the
10 blood will be stimulating the T-cells to continue
11 producing antibody. So the antibody won't go off. If
12 the PCR became negative, the antibody will wane over
13 several decades.

14 Q. I think we did have some discussion of this before today
15 and you said that, in relation to this particular donor,
16 the result with the first generation test was a long way
17 short of what would have been the significant levels.
18 So even a sort of fluctuation that one might get from
19 day to day would be unlikely because this result was
20 a long way below?

21 A. Yes, the level was well away from the actual cut-off
22 point that we may require to make something reactive.

23 Q. Yes. It is quite interesting, in connection with the
24 whole idea of the ALT testing, to look at slide 5 --
25 picture 5?

1 A. That's taken from the same paper, obviously.

2 Q. Yes.

3 A. It is within the paper.

4 Q. And this is really a way of showing in a graph what
5 might happen if one used ALT testing, at least on this
6 collection of people.

7 A. Correct, yes.

8 Q. Right.

9 A. And also healthy donors because it is within that.

10 Q. Okay. Each dot that we can see on this graph is
11 a person. Is that right?

12 A. Yes.

13 Q. Or perhaps, to a scientist, each dot is a sample?

14 A. Correct.

15 Q. Right. And the row along the top are normal healthy
16 donors?

17 A. Correct, that were negative for Hepatitis C.

18 Q. I should say -- and we have had some mention of this
19 before -- there are two kinds of tests. There is
20 a screening test, which picks up people who are likely
21 to have active virus, and then there is the PCR test,
22 which definitely picks up active virus.

23 A. The PCR test will actually show that people have
24 viremia.

25 Q. So row 1 are normal healthy donors, screen-negative

1 donors. Row 2 are people who screen positive?

2 A. They are confirmed antibody Hep C positive, not just
3 screened.

4 Q. Yes, but on PCR testing they are negative?

5 A. Correct, PCR-negative.

6 Q. And rows 3, 4 and 5 are people who both screen and PCR
7 test positive?

8 A. Correct, according to a genotype.

9 Q. So they are people who have Hepatitis C, and you have
10 got their genotype: 3, 2 and 1?

11 A. Yes.

12 Q. So you say in your narrative that HCV antibody
13 positive/PCR negative individuals -- and that's line 2,
14 row 2 -- are very similar to normal screen negative/HCV
15 negative donors?

16 A. Yes.

17 Q. So are you really saying that the distribution of the
18 dots as compared between line 1 and line 2 is quite
19 similar?

20 A. Very similar.

21 Q. Yes. And then, when we look at lines 3, 4 and 5, this
22 vertical line here is the upper limit of normal?

23 A. Yes, it is.

24 Q. So all the donors to the right of this line would be
25 rejected?

1 A. Correct, yes.

2 Q. And to the left of the line would be accepted?

3 A. Yes.

4 Q. Right.

5 A. You can see that 3 per cent of our normal healthy donors
6 would be rejected as well.

7 Q. But we can also see that a certain number of people who
8 do actually have the virus are on the left of the line.

9 A. Correct.

10 Q. So it is quite a useful visual representation of how
11 well or otherwise ALT testing would work as a surrogate
12 marker.

13 A. That's true, yes.

14 Q. Right. We have already really mentioned this but your
15 research was written up and published as a paper, which
16 is the article we looked at in a journal called
17 "Transfusion" in 1993.

18 A. That's true, yes.

19 Q. I think you actually published one or two other papers
20 or letters in relation to this, did you?

21 A. Yes, there was a publication in the Lancet before that,
22 describing the RIBA patterns, which were slide 2.
23 Obviously we realised there were different patterns
24 there and that's what led to genotype 3 being discovered
25 by SNBTS and it has been patented by BTS.

1 Q. So genotype 3 has been patented?

2 A. Correct. Yeah. I don't think we have made much money
3 out of it, though. We tried to do the same as what
4 Chiron did, they have patented the Hepatitis C virus and
5 perhaps all the litigation should be with them.

6 Q. I think perhaps those of us who were taught about
7 patenting inventions might struggle with the idea of
8 patenting a virus, or a genotype of a virus, but that's
9 a discussion for another day -- or perhaps not.

10 Just to go back to your paper, [\[PEN0010016\]](#), you say
11 in terms what we were talking about a moment ago, and
12 this is:

13 "Furthermore ..."

14 You say in terms what you said in evidence, that
15 looking for the Hepatitis B core antigen didn't work
16 with this particular individual as a marker?

17 A. No -- yes, I think you said "Hepatitis C core".

18 Q. No, I said Hepatitis B. I did mean to say B.

19 A. Sorry.

20 Q. Looking for anti-HB core, this particular individual was
21 negative on that test, and then you say, unfortunately
22 ALT had not been performed.

23 A. Correct, yes.

24 Q. If we turn over to 17, your conclusion is that:

25 "First generation testing of this donor in July 1990

1 would have resulted in a negative result and the
2 donation would still have been cleared for use. Had
3 surrogate anti-HBc testing been performed, it would also
4 have resulted in a negative result."

5 Then for C, because you don't have the actual result
6 for this donor, you just say:

7 "If first generation tests had been in use in July
8 1990, 61 per cent of donations found reactive with
9 second generation testing would have been detected."

10 A. That's overall.

11 Q. That's overall. But that's really the best we have in
12 relation to this particular donor.

13 A. Yes.

14 Q. Can I just ask you, Dr Dow, about this donor, just
15 a couple of questions. I know that the Blood
16 Transfusion Service, for absolutely understandable
17 reasons, is very careful about the confidentiality of
18 information relating to its donors, but when this donor
19 was identified, was there any sort of information
20 obtained which would help to explain how this donor
21 might themselves have got Hepatitis C?

22 A. Each Hepatitis C positive donor was obviously asked to
23 come back for counselling by our donor consultants and
24 I tried to actually create a database of all the Hep C
25 positive donors, the risk factors, that they may have

1 had to explain how they had been infected with
2 Hepatitis C, and this particular donor actually admitted
3 to having had a transfusion at some point in the past,
4 either the 60s or 70s.

5 Q. So to a degree, it is speculation but one might
6 speculate that that was the way that the donor --

7 A. We could speculate that but there could be other reasons
8 as well. Certainly that's a possibility. Obviously we
9 recorded that as the risk factor for this particular
10 donor.

11 Q. Finally, can we just look at [\[PEN0110003\]](#). That's
12 really a question on this point. It doesn't mention the
13 fact about having had a blood transfusion previously.

14 A. No, I think we were asked about higher risk donors, and
15 really, as far as transfusion goes, we have only
16 recently barred donors who have had transfusions in the
17 past, and that was roughly about 2002 I think this
18 happened and it was in relation to variant CJD exposure.

19 Q. But what might you have considered or what were
20 considered to be high risk groups in 1990?

21 A. Would be intravenous drug use; a man who had had sex
22 with another man would be a high risk group.

23 Q. And you were able to say that in relation to this
24 person, this person did not fall into one of those
25 groups?

1 A. He didn't fall into any of these groups. We questioned
2 this at the session and also at counselling as well. So
3 he had been answering negative to these questions on two
4 occasions.

5 Q. Well, I'm being told that the evidence about the graph
6 wasn't very clear. So I think perhaps we should have
7 another go at the graph.

8 A. Is this number 5?

9 Q. Yes, slide 5, please.

10 A. Can I walk through it, no?

11 Q. Perhaps I can tiptoe, can I?

12 A. Okay, then.

13 Q. Right. Along the bottom, the horizontal axis of the
14 graph, is measurements of ALT, so how much ALT there was
15 in each individual sample, how much of that liver enzyme
16 there was. Is that right?

17 A. Correct, yes.

18 Q. A vertical line has been drawn about a third of the way
19 along the graph to show the level of that liver enzyme
20 beyond which measurements would have been regarded as
21 abnormal?

22 A. Yes, anything to the right of that would be classified
23 as abnormal, but to actually classify somebody as having
24 hepatitis would be three or four times the level of that
25 upper limit of normal.

1 Q. So this is quite a cautious setting of normal --

2 A. Yes.

3 Q. -- to try and pick up as many positive donors as

4 possible? Right.

5 What have been plotted on to this graph are a large

6 number of dots, with every dot being a sample from an

7 individual?

8 A. Correct, yes.

9 Q. So for every one individual, what their measurement of

10 that liver enzyme was has been plotted on this graph?

11 A. Yes.

12 Q. Right. And they have been plotted according to five

13 different categories of people?

14 A. Correct.

15 Q. The first category is people who, on a screening test,

16 tested positive for Hepatitis C?

17 A. No, tested negative.

18 Q. Sorry, tested negative for Hepatitis C. So they are, as

19 you put it, I think, "normal, healthy donors"?

20 A. Correct.

21 Q. So that's the people at the top, the first row, and to

22 the left of their dots we see HCV?

23 A. Yes.

24 Q. The second row are people who didn't pass the screening

25 test --

1 A. The second row are actually people who are confirmed
2 Hep C positive and have been counselled.

3 Q. I haven't finished. They are people who didn't pass the
4 screening test but when the further test, the PCR test
5 was used, it passed that.

6 A. No -- well, they didn't have virus circulating in their
7 blood.

8 Q. Right. So they are a different group of people. They
9 have not passed the screening test?

10 A. They are still confirmed Hep C positive, as far as
11 antibody tests go, right. So they have been infected
12 with Hepatitis C. It is just that there is no virus in
13 their blood.

14 Q. So they are likely to be people who have had the virus
15 and got over it?

16 A. Hopefully.

17 Q. That takes us back to the discussion at the beginning
18 about how antibodies work and so on.

19 A. Correct.

20 Q. So they don't have virus circulating but rows 3, 4 and 5
21 are people who fail the screening test and are also
22 found, on the test for circulating virus, to have
23 circulating virus?

24 A. Correct.

25 Q. And they have been split into different groups according

1 to the genotype of their virus.

2 A. That's right.

3 Q. So we have genotype 3, 2 and 1?

4 A. Yes.

5 Q. And looking at the graph, we can see where all those
6 individuals end up on the graph. As you would expect,
7 a very large number of the normal healthy individuals
8 have normal levels of ALT.

9 A. Correct.

10 Q. And they are all the people whose dots are here on the
11 top left-hand corner of the graph.

12 A. That's right.

13 Q. Then the next group of people, the people who were
14 failed on the screening test, if you like, but didn't
15 have circulating virus, that's their dots here and most
16 of them -- in fact, is it all but one of them? -- are
17 also in the normal section of the graph.

18 A. That's true, yes.

19 Q. As far as their ALT measurement is concerned.

20 Then for genotype 3, the people who actually had
21 active Hepatitis C infection and who were genotype 3,
22 most of them -- and that's all the dots to the right of
23 the line on the type 3 row -- had abnormally high levels
24 of ALT?

25 A. They were above the upper limit of normal, yes.

1 Q. Because they are to the right of the line. For type 2
2 it looks much closer to 50/50.

3 A. Yes.

4 Q. Some of them had normal levels of ALT but some of them
5 had abnormal levels, higher levels of ALT. Then, in
6 relation to type 1, what's the split? Maybe about two
7 fifths, three fifths. So two fifths of them had normal
8 levels of this liver enzyme and maybe about three fifths
9 of them had abnormally raised levels.

10 A. Yes.

11 Q. So it actually looks that for type 3 the ALT test,
12 surrogate test, is reasonably effective at picking up
13 the people who have got type 3?

14 A. Yes, it is partly related to the previous figure as
15 well, which we haven't actually gone into, but that
16 shows the genotypes according to age of the donor.

17 Q. You had better tell us about that, that's slide 4?

18 A. Within that slide, the very top component is those
19 people who are antibody positive but are PCR negative;
20 in other words, they have been infected with Hepatitis C
21 but have no circulating virus, and we can see that there
22 there is nobody under the age of 25.

23 Q. Yes.

24 A. Which is quite important. Whereas in the genotypes
25 below that, we see that genotypes 1 and 2 have

1 individuals of roughly all different ages. Genotype 2
2 tend to be slightly older but genotype 1 probably
3 represent the Scottish donor population, the way it was
4 stratified at that particular time but genotype 3, we
5 don't have any donors over the age of 40. That relates
6 to, obviously, genotype 3 has been recently introduced
7 into Scotland as opposed to genotypes 1 and 2, which
8 have been around for a lot longer.

9 Q. That's presumably, at least in part to do with
10 demographics and sociology.

11 A. Yes.

12 Q. And population movement.

13 A. Population movement, yes.

14 Q. People settling here from other countries and bringing
15 their viruses with them.

16 A. And there is people who have been elsewhere in the
17 Second World War and could have been returned with the
18 virus and spread it as well. Who knows? But it has
19 been roughly since the Second World War that genotype 3
20 has come in.

21 The PCR negative ones, these people who are PCR
22 negative are a bit older. So they have had the
23 infection and could well have spontaneously got rid of
24 the virus. They are still antibody positive.

25 Q. Thank you very much, Dr Dow?

1 A. Okay, thank you.

2 THE CHAIRMAN: Dr Dow, I'm still struggling with some of the
3 absolute basics. An ELISA test is applied to a sample
4 of serum -- or what?

5 A. Yes, we test serum.

6 THE CHAIRMAN: What is the ELISA test? Is it a physical
7 thing?

8 A. ELISA stands for enzyme-linked immunoabsorbent assay.

9 THE CHAIRMAN: Yes, but is it a physical thing, like a
10 liquid or a --

11 A. We are looking at a reaction of an enzyme to detect
12 antibody that has been bound onto a solid phase, and
13 that enzyme will, on the addition of substrate, you will
14 see a change of colour.

15 THE CHAIRMAN: So it is something that you add? That's all
16 I'm trying to get so far. It is not an electrical
17 process, it is a thing?

18 A. It is a thing.

19 THE CHAIRMAN: And the ELISA test is developed by
20 a manufacturer.

21 A. Correct, commercial manufacturers have been involved
22 with the Hepatitis C screening.

23 THE CHAIRMAN: And you have mentioned "components".

24 A. Correct, yes.

25 THE CHAIRMAN: So is the ELISA test material developed by

1 chemists who put together components in order to cover
2 a range of possibilities?

3 A. That's what happened with Hepatitis C. The first
4 generation test was only based on these two components:
5 5-1-1 and C100 from the NS4 area of the Hepatitis C
6 virus, and Chiron obviously owned all this.

7 THE CHAIRMAN: And this was developed in America?

8 A. Correct, yes.

9 THE CHAIRMAN: And America had a high prevalence of
10 a particular genotype.

11 A. Yes.

12 THE CHAIRMAN: So by chance, possibly, one had an ELISA
13 developed that fitted the local circumstances rather
14 well.

15 A. Correct, yes.

16 THE CHAIRMAN: And what happened later was that additional
17 components were introduced that enabled the raising of
18 antibodies across a broader spectrum.

19 A. Not exactly raising the antibodies, but they detected --

20 THE CHAIRMAN: Detected them across a broader spectrum.

21 A. Yes.

22 THE CHAIRMAN: So is the difference between the first
23 generation and the second generation that there simply
24 wasn't the appropriate component in the test to be able
25 to identify the antibodies relating to what was critical

1 locally here?

2 A. It wasn't as effective as what it was in obviously
3 North America. North America made great claims about
4 how it solved all these non-A non-B, post-transfusion
5 hepatitis cases. We didn't see that here in the
6 proportion that was found in North America.

7 THE CHAIRMAN: I think I understand that ALT is an
8 alternative and how it fits in, but it is a physical
9 process one has in mind or a chemical process one has in
10 mind, in which it depends on what you put in, what you
11 are likely to find in the way of the ELISA test.

12 A. The ELISA test, obviously the antibody will bind on to
13 whatever you put on the solid phase. So if the solid
14 phase has the right component there, you will detect all
15 the different antibodies.

16 THE CHAIRMAN: Perhaps we don't have to bother too much
17 about binding-on and so on. The process brings up
18 a result that demonstrates the presence of the
19 antibodies.

20 A. That's right.

21 THE CHAIRMAN: Thank you.

22 PROFESSOR JAMES: Lord Penrose, could I ask one thing?

23 My name is Professor James, I'm the medical adviser
24 to the Inquiry. Would it be right in saying that in the
25 very late 1980s up to 1991, the discovery of the

1 Hepatitis C virus, it was really unknown whether non-A
2 non-B hepatitis, post-transfusion, was due to one virus
3 or maybe two or three different viruses and there was
4 quite some controversy about this?

5 A. There was a lot of controversy over this, yes.

6 PROFESSOR JAMES: And actually what happened was that,
7 because the initial tests in the States led to claims
8 that, "We have found the virus".

9 A. Yes.

10 PROFESSOR JAMES: Whereas in the UK, for a while longer, it
11 was thought that there were still maybe two or three
12 different viruses because, in the UK, "we" could only
13 find that this test accounted for 40 per cent -- or
14 whatever it was -- of the cases?

15 A. Correct, yes.

16 PROFESSOR JAMES: In the event actually, there was virtually
17 one virus but it was just a virus that had different
18 types.

19 A. Different genotypes, but we know that there are
20 individuals who have been infected by more than one --

21 PROFESSOR JAMES: Yes, more than one genotype, certainly,
22 but the fact of the matter was that in the end it turned
23 out that HCV really covered the bill for 90
24 plus per cent of post-transfusion hepatitis.

25 A. Correct, yes.

1 PROFESSOR JAMES: And the debates which occupied a great
2 deal of time and thought and so on, about "Well, there
3 must be other viruses that we haven't found yet" turned
4 out subsequently to be almost a product of this
5 difficulty over the genotypes.

6 A. A bit of that, yes. I mean, there are other viruses
7 that can cause hepatitis and can be transfusion
8 transmitted.

9 PROFESSOR JAMES: Thank you very much.

10 THE CHAIRMAN: Mr Di Rollo, is there anything you wish to
11 ask.

12 MR DI ROLLO: No thank you.

13 THE CHAIRMAN: Mr Anderson?

14 MR ANDERSON: No, thank you, sir.

15 THE CHAIRMAN: Dr Dow, thank you very much. I'm sure we
16 could do with your enlightenment at some later stage.
17 Ms Dunlop?

18 MS DUNLOP: There are no further witnesses. I should,
19 though, draw your attention to one further document,
20 which is [\[PEN0010027\]](#). Just to draw your attention to
21 it at the moment, I don't want to say anything
22 particularly about it save to explain that it did seem
23 to the Inquiry team that there was a sort of natural
24 comparison to be made between Mrs O'Hara and Mr Laing.
25 We know that both seemed to have acquired

1 Hepatitis C through blood transfusion but that only
2 Mr Laing was picked up through the look-back process.
3 That meant for Mr Laing that he received a certain
4 amount of information and counselling, and we looked
5 yesterday at the guidelines which are in Mr Laing's
6 records. Mrs O'Hara because she was never identified
7 formally by a look back route, didn't receive the same
8 level of information and counselling at all.

9 So to take the comparison a little bit further,
10 there has been prepared this document which is an
11 attempt actually to tabulate the differences between the
12 two individuals in the sense of what information they
13 received and what counselling they were given and indeed
14 what follow-up was arranged for them. If we can perhaps
15 just look through the pages in sequence, not really to
16 go through it in any detail but just to show how it has
17 been done.

18 I just would say that this was done in an attempt to
19 produce something which might be useful to you, sir,
20 when you were looking at what seems to be a natural
21 comparison to be made between those two individuals
22 because they are both very similar in terms of the time
23 when they were recognised as having Hepatitis C.

24 THE CHAIRMAN: I get the impression that we have seen quite
25 a lot of these documents in the course of going through

1 the history. Are they all documents that have been
2 referred to already?

3 MS DUNLOP: Yes, I hope so. I mean, that can be checked,
4 sir, we can cross-check that.

5 There is a further complication which I think is
6 just inherent in the nature of this week's exercise,
7 which is a that a lot of documents feature more than
8 once in an individual's medical records. There may be
9 a copy letter from the hospital, which is in the
10 hospital records, and then the same letter is in the GP
11 records.

12 There is, as you know, sir, a process the Inquiry
13 has tried to follow of having what's called a "reference
14 copy" for every single document with the rest being
15 termed the "replicas", but I don't think we have
16 actually really done that with the individual patient's
17 medical records. So the caveat is that some of the
18 references may be to the same document but a different
19 version of it. But we can go back and try to
20 standardise the references so that there is a linking
21 possible between this table and the transcript.

22 THE CHAIRMAN: I'm not sure how far that level of detail
23 will be necessary. The important thing is to be able to
24 compare the content of the communication at various
25 stages, and if that can be done without a great deal of

1 additional purely pedestrian work of comparison, it
2 might let you concentrate on what matters. But the more
3 comprehensive the material is the better for the record.

4 MS DUNLOP: It probably is the case that knowing the person
5 who prepared this, that this is entirely comprehensive
6 and has looked at all the letters in which an individual
7 patient's hepatitis is mentioned. We haven't looked in
8 our evidence at every single letter, but I have tried to
9 look at ones that appear to have something significant
10 about them.

11 THE CHAIRMAN: Gentlemen, are you content with this table as
12 it stands or does it require to be looked at in detail
13 by you?

14 MR DI ROLLO: I'm content with it as it stands.

15 MR ANDERSON: I also.

16 THE CHAIRMAN: And Mr Sheldon?

17 MR SHELDON: I am too.

18 THE CHAIRMAN: Thank you very much. Where are we going now?
19 Immediately I can guess, but that's not what I had in
20 mind.

21 MS DUNLOP: There are no further witnesses arranged for this
22 week.

23 We have scheduled for Tuesday what we have called
24 a "review" of the four individuals' circumstances. The
25 purpose of that is not in the sense of formal

1 submissions but really to try to get an idea of where we
2 think we are with what has emerged from the evidence in
3 relation to each person, and particularly whether there
4 are what we have been calling "systemic issues"; in
5 other words, have the witnesses this week revealed
6 problems which one might call "general problems" or
7 issues which extended beyond the circumstances of that
8 individual and affected other people, insofar as
9 Hepatitis C is concerned?

10 So, for example, the very point we have just been
11 discussing, that there wasn't surrogate testing in 1990
12 in Scotland; in other words, people weren't measuring
13 the ALT levels for blood donors to see if all of those
14 who had ALT above a certain level should be rejected.
15 That plainly didn't just affect Mr Laing, it affected
16 a number of other people too and one might call that,
17 therefore, a systemic issue. Should there have been
18 surrogate testing in the form of measurement of ALT
19 levels of blood donors by 1990? That really was the
20 thinking behind Tuesday; that we would try to agree
21 actually what those systemic issues are.

22 THE CHAIRMAN: So far as one can, at this stage.

23 MS DUNLOP: So far as one can.

24 THE CHAIRMAN: I imagine that factors will develop and
25 emerge in the course of this Inquiry that might need

1 a revision of that. ALT is possibly quite an easy one
2 since it has already emerged.

3 MS DUNLOP: I just mean systemic issues arising from the
4 circumstances of these four individuals, because we
5 won't be revisiting their circumstances. After that we
6 are going to look at statistics because the whole of the
7 exercise on which the Inquiry is engaged is better
8 conducted against a background of having an idea of the
9 size of the problem, and that is true both for HIV and
10 for Hepatitis C.

11 THE CHAIRMAN: I would welcome that because I think that the
12 efforts to pin that down at the preliminary report stage
13 can't be said to have been overwhelmingly successful and
14 it is important to try to get a measure of the problem.

15 MS DUNLOP: Perhaps to sign a note of warning that it isn't
16 a straightforward task but effort --

17 THE CHAIRMAN: If it had been, I think we might have done
18 a better job of it first time round.

19 MS DUNLOP: More efforts have been made.

20 We are then going to look at steps that were taken
21 in Scotland -- or perhaps not taken -- to try to address
22 the problem of viral infection at the first stages of
23 blood donation. In other words, steps that were taken
24 to try to stop people who might have particular
25 infections from donating blood in the first place.

1 THE CHAIRMAN: Other than biochemical?

2 MS DUNLOP: Yes, almost social factors. We have grouped
3 those exercises into two groups, firstly in relation to
4 HIV/AIDS and secondly in relation to Hepatitis C,
5 although there is a bit of overlap between the two. So
6 we would hope to deal with most of those within the next
7 three weeks and we will be having some witnesses on what
8 we call topics B1 and C1; B1 being -- I don't really
9 want to use the word "rejection" but it will do for the
10 moment -- rejection of donors.

11 THE CHAIRMAN: I think we will see the expression
12 "deferral".

13 MS DUNLOP: "deferral" is a better word, I'm obliged.

14 Deferral of donors on the basis of considerations
15 related to HIV, and deferral of donors on the basis of
16 considerations related to Hepatitis C as topic C1.

17 So that is our plan for the remaining part of block
18 1.

19 THE CHAIRMAN: I look forward to completing the work.

20 Very well, ladies and gentlemen, Tuesday morning.

21 (12.53 pm)

22 (The Inquiry adjourned until 9.30 am on Tuesday,
23 15 March 2011)

24

25

I N D E X

1	
2	DR GRAEME ALEXANDER (affirmed)4
3	Questions by MS DUNLOP4
4	DR BRIAN DOW (sworn)48
5	Questions by MS DUNLOP48
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

