

1 Wednesday, 26 October 2011

2 (9.30 am)

3 DR PETER FOSTER (continued)

4 Questions by MR MACKENZIE

5 THE CHAIRMAN: Good morning.

6 Good morning Dr Foster.

7 A. Good morning.

8 THE CHAIRMAN: Yes, Mr Mackenzie.

9 MR MACKENZIE: Sir, thank you. We turn today to a new

10 topic, topic C3, which is the implementation of heat
11 treatment sufficient to inactivate Hepatitis C in blood
12 products by the Protein Fractionation Centre in Scotland
13 in 1987 and the technical background to such
14 implementation, including the achievement of that
15 objective by the National Blood Transfusion Service in
16 England and Wales in 1985.

17 And, sir, this topic mainly deals with Factor VIII
18 concentrate, in particular in the period 1985 to 1987,
19 but we will also look a little at Factor IX concentrate
20 during that period as well.

21 Sir, the first witness we have today is
22 Dr Peter Foster.

23 Dr Foster, you, I think, were the head of the
24 research and development department at PFC from 1974
25 until the closure of PFC in 2009. Is that correct?

1 A. That's correct.

2 Q. We don't have to go back to your CV but if anyone wants
3 to look at that, I'll provide the reference. It's
4 WIT0030389. So in particular Dr Foster, you would have
5 been head of that research and development department
6 during this period, 1985 to 1987?

7 A. That's correct.

8 Q. I would like to start, Dr Foster, by looking at a table
9 to give an overview of this subject because we will be
10 going into quite a lot of detail and some of the details
11 are quite technical. So to prevent us drowning in a sea
12 of detail, it may be helpful to start by looking at
13 document [\[PEN0131309\]](#).

14 This, I think, doctor, is a briefing paper, which
15 you prepared on behalf of the SNBTS in
16 I think November 2010. Is that correct?

17 A. That is correct.

18 Q. Thank you. And in table 3 you have helpfully set out
19 some key dates concerning the development of
20 heat-treated coagulation factor concentrates, and we
21 have also, I think, got some hard copies of this table
22 to help any members of the public follow this. I think
23 that can perhaps be distributed now.

24 Dr Foster, before looking at the product ZHT,
25 I think before the development of heat-treated

1 coagulation factors, am I right in thinking that from
2 about the 1970s, PFC produced an unheated, intermediate
3 purity Factor VIII product called "NY"?

4 A. That's correct, yes.

5 Q. So that's the starting product, perhaps, the unheated NY
6 product?

7 A. Certainly for this period that would be the case, yes.

8 Q. And then when we look at the table and we see the
9 product ZHT, does that refer to zinc heat-treated?

10 A. It does, yes.

11 Q. I think I'm right in saying the ZHT product remained
12 essentially a research project and this product was
13 never issued for clinical use. Is that correct?

14 A. It was issued for clinical use on a trial basis but it
15 never became a routine product.

16 Q. I understand, and we can see under the description for
17 ZHT, that this was a factor concentrate of increased
18 purity, heat-treated in solution. Does that mean
19 pasteurisation?

20 A. It does, yes.

21 Q. Yes:

22 "In the presence of carbohydrate and amino acid
23 stabilisers."

24 And we see the objective of this product was to
25 inactivate the agents responsible for the transmission

1 of non-A non-B Hepatitis, with albumin pasteurisation as
2 a benchmark. We can see certain dates then set out,
3 which I'm not going to go to but essentially this
4 project took place between 1981 and 1984, roughly?

5 A. That's correct.

6 Q. I'm grateful. Then if we look in fact over the page, we
7 can see that 24 September 1984 was the date of the
8 preparation of the last pilot batch of this product.

9 A. That's correct.

10 Q. I think we have heard earlier that work on ZHT was
11 suspended in October 1984 to give priority to a new
12 research and development project, namely a collaboration
13 with Professor Johnston of New York University. Is that
14 correct?

15 A. Yes, I think we saw the two projects as really being
16 combined at some point, because the purpose of the work
17 with Johnston was to make the pasteurisation process
18 easier.

19 Q. I see. So the Professor Johnson collaboration was
20 really a development of the ZHT project?

21 A. That was the principal objective at that time, yes.

22 Q. And I think the Professor Johnson project has been
23 called the NYU project. Is that correct?

24 A. That's correct.

25 Q. Standing for "New York University".

1 A. That's true.

2 Q. So that's where we are at late 1984, and then the table
3 helpfully sets out the initial heat treatment of the
4 existing intermediate purity NY product at the end of
5 1984 and then in 1985. I'm not going to cover this in
6 detail because we looked at this in your earlier
7 evidence on topic B3 but in short, initially NY HT1 was
8 dry heat-treated for two hours at 68 degrees and we can
9 see that on 10 December 1984, that product was
10 distributed for routine use. We can see that
11 13 September 1985 was the last issue of that product and
12 27 November 1985 it was recalled. Is that correct?

13 A. That's correct.

14 Q. And then product NY HT2. Again, it's the same
15 intermediate purity Factor VIII concentrate but with
16 a modified formulation. I think the sucrose was added
17 as a stabiliser?

18 A. That's correct.

19 Q. That enabled dry heat treatment for 24 hours at
20 68 degrees and again, the objective of this, as in HT1,
21 was in respect to inactivate HIV virus. Is that
22 correct?

23 A. That's correct.

24 Q. And the NY HT2 product, we can see, was issued for
25 routine use on 4 September 1985. 13 May 1987 was the

1 last issue of that product in Scotland. That product,
2 I think, was not recalled for reasons we will come on to
3 look at in due course. Is that correct?

4 A. That's correct.

5 Q. Thank you.

6 Then the next product in the table is a product
7 which really does concern us today -- and we will take
8 a little while looking at -- and it's product Z8. We
9 can see a description. This was a Factor VIII
10 concentrate of increased purity. Pausing there, doctor,
11 am I right in thinking that Z8 was more pure than NY but
12 not as pure as the NYU high purity product you sought to
13 develop in collaboration with Professor Johnson?

14 A. Yes, the NYU product, we were looking for an increasing
15 purification of the order of 100- to 200-fold; with the
16 Z8 we are maybe talking about two to fivefold increasing
17 purification.

18 Q. I'm grateful. Returning to the table, we can see that
19 this was a Factor VIII concentrate of increased purity,
20 modified formulation and new freeze-drying technique,
21 and the objective was to increase dry heat treatment to
22 72 hours at 80 degrees centigrade to further increase
23 the margin of safety with respect to HIV transmission
24 and to possibly inactivate the agents responsible for
25 NANBH transmission.

1 We will come back to look at this product in greater
2 detail but again as an overview, we can see in the dates
3 column that 21 November 1985 was the first experiment to
4 design Factor VIII for dry heating at 80 degrees and
5 then 23 June 1986 refers to pilot scale trial batch of
6 Z8; 4 August 1986, the first production scale trial
7 batch of Z8, and then December 1986, Z8 was available
8 for clinical evaluation. 15 April 1987 was the first
9 routine issue of Z8.

10 I hope that may be of some help when we come on to
11 look at the detail in due course.

12 I should perhaps add to the table at this stage
13 a product 8Y, which we know is an English product.
14 I think this was a high purity Factor VIII concentrate,
15 which was dry-heated at 80 degrees centigrade for
16 72 hours and was routinely issued from
17 about September 1985. Is that right?

18 A. Yes, that's my understanding.

19 Q. And going back to the table, we then look at a Factor IX
20 concentrate. This is HT DEFIX. And this is described
21 as an established -- so this was actually the existing
22 intermediate purity Factor VIII concentrate with
23 a modified formulation, and it was dry heat-treated for
24 72 hours at 80 degrees centigrade. And again, the
25 objective is stated as:

1 "To heat the modified product as severely as
2 possible to provide a high margin of safety with respect
3 to HIV transmission and to possibly inactivate the agent
4 responsible for the transmission of NANBH."

5 I'm not going to go over the dates there, doctor,
6 but in short this product became available for routine
7 issue in August 1985 in Scotland. Is that correct?

8 A. It was August 1985, I think, certainly in Edinburgh --
9 but I think supplies to the whole of Scotland weren't
10 available until October 1985.

11 Q. I see. I think around that same
12 period, August, September, October 1985, in England
13 a similar heat-treated Factor IX product was routinely
14 issued at around that time as well?

15 A. Yes, the dates in England were virtually the same as the
16 dates in Scotland because it was a joint project.

17 Q. I'm grateful, thank you.

18 THE CHAIRMAN: Can I interrupt just briefly?

19 Dr Foster, when one looks at the NY HT2 that went
20 out for evaluation in Edinburgh and Glasgow
21 in March 1985, how extensive was that evaluation
22 exercise? Did it cover a wide range of patients or did
23 it tend to be concentrated? In other words, were the
24 quantities enough for the whole population or was it
25 selective?

1 A. Could you just go over that question again?

2 THE CHAIRMAN: Yes. If we go back to NY HT2, we see that it
3 went out for clinical evaluation in Edinburgh and
4 Glasgow in March 1985. Is that right?

5 A. That's correct.

6 THE CHAIRMAN: And the question is how extensive an exercise
7 of that kind would be. Would it cover most haemophilia
8 patients or would it relate to a few only?

9 A. Okay. This would be a few only and it would be for
10 half-life and recovery studies and tolerability. Very
11 much what would be called a phase 1 study.

12 THE CHAIRMAN: So one shouldn't get the impression from this
13 that HT2 was actually widely available in Glasgow and
14 Edinburgh before the product was issued for routine use
15 in September?

16 A. No, I think it wasn't issued routinely, simply -- this
17 is -- you will have to discuss this with Dr Perry more
18 than myself but my understanding is it's really an issue
19 of having stocks of material available and building up
20 stocks, so that you do have material available to deal
21 with crises and treatment rather than having the
22 cupboard bare all the time.

23 THE CHAIRMAN: That's fine, thank you very much.

24 MR MACKENZIE: Thank you.

25 Dr Foster, simply on the question of clinical

1 evaluation, my understanding -- and correct me if I am
2 wrong -- is that one can perhaps look at this as a phase
3 1 evaluation and a phase 2 evaluation. A phase 1
4 evaluation being an initial evaluation of a product to
5 look at half-life and tolerability studies. Is that
6 correct?

7 A. Yes, it's really, does it actually work in dealing with
8 haemophilia? Does it treat the condition? That's what
9 you want to find out in the phase 1 study, and is the
10 product tolerated reasonably by the patients. They
11 don't have reactions to it.

12 Q. How many patients approximately might be involved in
13 this sort of phase 1 study?

14 A. Again, I wasn't involved in these clinical trials but to
15 the best of my knowledge, you are talking about three or
16 four patients.

17 Q. Whereas one can perhaps describe a phase 2 clinical
18 evaluation as being a much wider study, looking at
19 whether a product is infective or not?

20 A. That's correct. The phase 2 is designed to determine
21 whether the product is free from infection, and at this
22 time, with non-A non-B Hepatitis, people who were
23 working with surrogate markers of hepatitis, such as ALT
24 tests, and I'm sure you have gone to this in some
25 detail, that there were protocols devised for this and

1 it did require a relatively large number of patients and
2 batches to be studied.

3 Q. And may take place over a much longer period of time?

4 A. It would take much longer, we are talking about years to
5 do a study of that type.

6 Q. Presumably, just to follow that through a little, am
7 I right in thinking that a product would require to go
8 through a satisfactory phase 1 evaluation before it can
9 be routinely issued?

10 A. That's correct, because in a sense, if you are -- even
11 though you haven't proven that the product is free from
12 infection, it's superior to the earlier products. So
13 there is an obvious benefit in bringing that forward
14 immediately and then over a number of years determining
15 the true safety of the product.

16 Q. Yes. So once a product has been routinely issued, the
17 phase 2 evaluation can really go on for many years?

18 A. That's correct, yes. I think you see that with all
19 manufacturers, who do these kinds of studies. They last
20 many years.

21 Q. I'm grateful, thank you, Dr Foster. I hope that was
22 a helpful introduction, before now plunging into the
23 detail.

24 What I would like to do, Dr Foster, is turn next to
25 your statement, please, which is page 2 of [\[PEN0171556\]](#).

1 I'm not sure, doctor, if you have a hard copy with you.
2 If you have, feel free to refer to it.

3 A. I don't have one, no.

4 Q. If you would like one, I'm sure we could print one-off.

5 A. No, I'm fine.

6 Q. I'm grateful.

7 What I would like to do, doctor, is to start by
8 looking at events in England, and if we look at question
9 1, we asked when and how did the SNBTS/PFC first become
10 aware of BPL, PFL's research and development work on 8Y,
11 including severe heating of the product, and when and
12 how did the SNBTS/PFC first become aware that those in
13 England were able to dry heat Factor VIII and IX
14 concentrates at 80 degrees centigrade for 72 hours.

15 Then your response. You firstly distinguish between
16 the Protein Fractionation Laboratory in England and the
17 Blood Products Laboratory in England.

18 A. It was actually the Plasma Fractionation Laboratory.

19 Q. I'm sorry. Yes, Plasma Fractionation Laboratory. I'm
20 grateful. I think that was based at Oxford?

21 A. That's correct.

22 Q. And the BPL was based at Elstree?

23 A. That's correct.

24 Q. Was there a historical reason for having two plants?

25 A. Well, the Oxford facility really, I think, grew out of

1 the treatment of haemophilia in Oxford, which is one of
2 the places in the world where this first began, and the
3 Plasma Fractionation Laboratory was really almost part
4 of the Churchill Hospital, which is where the
5 haemophilia centre was based in Oxford.

6 So really it has historical roots back to the 1950s,
7 where this type of treatment was first being devised in
8 England, whereas BPL, they were concerned more with the
9 large volume fractions, such as albumin and antibody
10 preparations, and it was only later on that the two kind
11 of began to have synergy and work together, and I can't
12 today go into the detailed history of all of that but
13 you could perhaps ask Dr Smith about that. He might be
14 more familiar with the early history than I am.

15 But in this period, PFL had become essentially the
16 development area for coagulation factors for BPL.
17 That's where all the R&D was being done and early,
18 small-scale manufacture was taking place at PFL, and it
19 was only subsequently that each product, such as
20 Factor VIII manufacture, were transferred to Elstree
21 after the process had been devised at PFL.

22 Q. In terms of geography, were both PFL and BPL based
23 around Oxford?

24 A. Elstree is in North London, which is maybe 40 miles away
25 from the Oxford facility.

1 Q. I see. You set out on page 1 the difference you have
2 just explained, and at the end of the paragraph on
3 page 1 you say:

4 "Manufacture at PFC in Edinburgh was much closer to
5 that of BPL in its scale, breadth of operation and in
6 its organisation."

7 So that's all by way of, I think, preamble,
8 Dr Foster. You then say that you cannot say for certain
9 when you first became aware of BPL/PFL's research and
10 development work on 8Y, including severe heating of the
11 product, but you try to indicate what you knew,
12 et cetera.

13 Over the page, please. You explain that you first
14 became aware in May 1984 that a disclosure had been made
15 at PFL which was to form the basis of the Factor VIII
16 development that later became known as "8Y". You refer
17 to a letter you received from Dr Smith. This is dated
18 22 May 1984. Could we go to that, please? It's
19 reference [\[SNB0074402\]](#). We can see Dr Smith in the
20 first paragraph says:

21 "Can I remind you of a few questions that couldn't
22 be answered a fortnight ago concerning the Factor VIII
23 heated in solution."

24 Does that suggest, doctor, that there had been some
25 prior communication on heating --

1 A. Yes, we had an ongoing dialogue at this time and
2 Dr Smith was very interested in the work that we were
3 doing on pasteurisation, which was the ZHT development
4 that we looked at a few minutes ago, and he was asking
5 me more questions about that and we had given him all
6 the information that we had but he had some further
7 questions.

8 Q. Thank you. Then he says:

9 "Can you tell me what source of heparin was used and
10 if it was Pularin, where you currently get supplies."

11 If we can go down the page, please:

12 "As I mentioned on the phone, we have stumbled
13 (literally) on an intriguing alternative to zinc. I'm
14 trying to get a Crown record entered this week and will
15 let you know immediately I have confirmation of this."

16 The reference to zinc, can you explain that briefly,
17 please?

18 A. Yes. In the process that we have talked about a minute
19 ago called ZHT, we used zinc as an agent to precipitate
20 fibrinogen to give us an increased purification, but we
21 didn't only have zinc present, I had also added some
22 heparin, and I was aware from work done in Canada a few
23 years earlier that heparin could precipitate some of
24 these proteins. I had studied the effect of heparin but
25 I had -- I had only studied it up to the level of 10

1 units per ml, and the reason for that is that after that
2 level the heparin interferes with the Factor VIII assay,
3 and this led to difficulties with this work in Canada
4 where the results had become very misleading because the
5 heparin was interfering with the Factor VIII assay.

6 So I hadn't gone into that area. I had restricted
7 my studies to up to 10 units per ml. And I had found
8 that there was an effect but there was no difference
9 between one unit per ml and 10 units per ml. So I was
10 using one unit per ml. I didn't want to add more than
11 was necessary. However, in giving Dr Smith this recipe
12 with the zinc and the heparin at one unit per ml,
13 somehow a mistake had been made in Oxford, which
14 Dr Smith described as having stumbled, literally, where
15 more heparin was added than had been specified. And
16 I didn't know at the time exactly how much but now
17 I think it was probably about 100 units they had added
18 rather than one unit, and that gave them a higher degree
19 of precipitation, unexpectedly, and that was what
20 Dr Smith was alluding to in this correspondence.

21 Q. And when you say a "higher degree of precipitation",
22 does that mean a more pure product --

23 A. It means a higher degree of purification would
24 eventually be the case.

25 Q. And you also mention heparin interfering with the

1 Factor VIII assay. Can you just explain what you mean
2 by the "Factor VIII assay" and where that fits in,
3 please?

4 A. Yes, obviously to understand what's happening here, you
5 have to monitor what's happening to the Factor VIII and
6 to do that there were tests constructed which tried to
7 simulate, in a sense, the treatment of haemophilia. You
8 would have a solution that was absent from Factor VIII.
9 You would simulate the clotting process and then
10 establish the effectiveness of the material you were
11 adding back to see how much Factor VIII was there. And
12 there were really two types of assay used at this time
13 to measure the Factor VIII activity. One is known as
14 the one-stage assay and one was known as the two-stage
15 assay, and I think there has been evidence on this
16 earlier in these proceedings.

17 By far and away the standard assay around the world
18 was the one-stage assay, and that was what we used
19 routinely, but the two-stage assay had actually been
20 devised at Oxford and that was what they tended to use
21 as their routine assay. And for reasons that I'm not an
22 expert on, the two-stage assay was less interfered with
23 by heparin than the one stage assay, and it was because
24 of this that Dr Smith had managed to determine that this
25 Canadian work that was done earlier was giving the wrong

1 results because he was able to analyse the material with
2 the two-stage assay and to say, "Look, you are getting
3 wrong results here," and that was why in Oxford, when
4 they were using this higher level of heparin, they were
5 able to make sense of that because they were working
6 with a different assay system that was almost unique to
7 them and which wasn't commonplace elsewhere. It was the
8 two-stage assay rather than the one-stage assay.

9 Q. I see. When you received this letter, Dr Foster, did
10 you understand at that time that the increased heparin
11 could result in a purer product? Was that a deduction
12 or a conclusion you made on receipt of this letter or
13 was that something that only became clearer later?

14 A. That became clearer later. When I had this letter
15 I knew little more than it states here, that Jim had
16 discovered what he says: an alternative to zinc. And we
17 obviously had a telephone conversation and I have no
18 memory of that. I only have this letter to try to
19 remind me what took place but I'm fairly clear that
20 I didn't at that time appreciate that this was --
21 involved heparin and that there would be higher degree
22 of purification.

23 Q. So you weren't clear at that stage why he was asking the
24 second sentence, the source of the heparin?

25 A. No, I haven't --

1 Q. I understand?

2 A. -- put one and one together there to get two, I am
3 afraid.

4 THE CHAIRMAN: I don't think I'm quite following everything
5 that's happening here.

6 You had given Dr Smith the recipe as you put it,
7 including zinc and heparin.

8 A. That's correct.

9 THE CHAIRMAN: And what he says here is that he stumbled on
10 an intriguing alternative to zinc. Now, I see that
11 there is a scale difference between one to ten units of
12 heparin and 100. I don't see where the substitution
13 comes in so far. Was he leaving zinc out?

14 A. Yes, exactly. What he eventually decided to do was to
15 leave out the zinc and just work with heparin.

16 THE CHAIRMAN: So we have a number of things really coming
17 together in this letter. One is the substitution of
18 a much larger volume of heparin to precipitate out the
19 fibrinogen itself --

20 A. Yes, it was fibrinogen and fibronectin --

21 THE CHAIRMAN: -- but also leaving zinc out.

22 A. Fibrinogen and fibronectin are the two proteins
23 concerned, yes.

24 THE CHAIRMAN: Is there anyone you know who can give us an
25 easy and understandable explanation as to why the

1 one-stage and two-stage processes, assays, were
2 different and why one was effective and the other not?

3 A. Dr Smith might be able to help you with that.

4 MR MACKENZIE: We will store that one for Dr Smith.

5 Dr Foster you replied to this letter on 24 May 1984.
6 That's [\[SNB0074403\]](#). In paragraph 1 you give details of
7 the source of heparin. I don't think we have to look at
8 anything else in that letter. Could we then return,
9 please, to your statement? We are still on page 2.
10 It's now subparagraph (iv). You say:

11 "I believe that I learned more about this research
12 over the subsequent months. For example, during
13 discussions with Dr Smith and Mrs Winkelman, when they
14 visited PFC on 24 to 26 June 1984 to observe the
15 preparation of pasteurised Factor VIII (ZHT), but also
16 via my colleague Dr Ronald McIntosh who was in regular
17 contact with Mrs Winkelman, who had made the original
18 discovery at PFL."

19 The visit, doctor, on 24 to 26 June 1984, I think we
20 have only recently asked if you had any records on that
21 and I think your reply was that you have a diary entry
22 of the visit but no other records apart from, I think, a
23 letter from Dr Smith, sent afterwards, enclosing
24 photographs he had taken during his visit. Is that
25 right?

1 A. That's correct.

2 Q. I take it the letter and the photographs don't in
3 themselves tell us very much, other than recording what
4 was happening at PFC at the time in terms of the ZHT
5 process?

6 A. It records that and it also demonstrates the continued
7 interest of BPL in the pasteurisation process.

8 Q. Yes. And I think you had agreed to let us have the
9 letter and photographs in due course?

10 A. Of course, yes.

11 Q. Thank you. We can put that into court book once we have
12 that. Thank you.

13 The next paragraph you say:

14 "I was aware by late November 1984 that the PFL were
15 having some success in applying severe heat treatment to
16 both Factor VIII (8Y) and Factor IX concentrates."

17 You say:

18 "In a letter [you] received from Dr Smith on
19 5 December 1984, Dr Smith recorded the outcome of
20 meetings that he had held with SNBTS staff, including
21 [yourself], on 29 to 30 November 1984."

22 I think. Dr Foster we had asked you -- at least we
23 had asked the SNBTS -- whether there were any records of
24 the meetings, 29 to 30 November 1984. I think the
25 answer was no. Can you explain, doctor, just stepping

1 back a little, there seems to have been -- we will come
2 on to see -- quite regular visits by the English
3 fractionators and developers up to PFC. Can you
4 describe the nature of these visits in term of their
5 formality, informality, record-keeping, lack of
6 record-keeping?

7 A. Well, they were a mixture of meetings. In most cases
8 they were largely informal. There were some meetings
9 where minutes were taken but to a large extent they were
10 informal, and of course, Dr Smith is Scottish and comes
11 from Edinburgh and he visited Edinburgh quite often. So
12 it was convenient for him to pop in and have a chat.

13 So that was really the purpose of the exercise. I'm
14 sure I took notes at the time but they would have been
15 maybe in a notebook that no longer exists. So as I say,
16 there were some instances where we had minutes taken of
17 meetings but there were not that many, but there is some
18 correspondence and I think following these meetings
19 Dr Smith did write to us with maybe quite a detailed
20 letter to lay out his understanding of the discussions
21 that we had had.

22 Q. I think we can go to that letter. It's dated
23 4 December 1984. It's [\[PEN0121794\]](#). I think this
24 letter is headed "Dog infusions of Factor IX
25 concentrate." We can perhaps scan through it. Am

1 I right in thinking everything in this letter refers to
2 heating Factor IX and there is nothing referred to in
3 the letter about heating Factor VIII?

4 A. That's correct, yes. The main objective of his visit at
5 this time was to plan this study for -- the safety study
6 of Factor IX concentrates using dogs, which we were
7 doing jointly.

8 Q. Yes. We are back to page 2 of your statement, half way
9 down:

10 "Dr Smith recorded that PFL were aiming to
11 heat-treat their Factor IX concentrate at 80 degrees for
12 72 hours."

13 And that you were intending to explore this with
14 Factor VIII (DEFIX) from the PFC, which you did. You
15 say you remember that when you had this meeting with
16 Dr Smith, he explained that he had chosen to heat PFL
17 Factor IX at 80 degrees for 72 hours in order to be
18 consistent with the heat treatment conditions that he
19 believed 8Y might be able to withstand. And you were
20 also aware at that time that the ability of 8Y to
21 withstand heating at 80 degrees for 72 hours was
22 believed by Dr Smith and Mrs Winkelman to be due to the
23 higher degree of purification of Factor VIII that was
24 obtained by the 8Y process.

25 That last sentence, is that something that they

1 discussed with you, their understanding, their belief,
2 as to why 8Y was able to withstand severe heating?

3 A. It's very difficult to remember that long ago exactly
4 what was said, but certainly my memory is that that was
5 the understanding as to why the product could withstand
6 heating to that severe degree, which was really quite
7 exceptional.

8 Q. And that was an understanding of Dr Smith and
9 Mrs Winkelman and also yourself and those at PFC or ...?

10 A. Yes, I'm sure that is what everyone thought at the time.

11 Q. And in the next paragraph in your statement you say that
12 you believe that by late November 1984, you were
13 generally aware of the procedures used in the
14 preparation of 8Y, most probably from informal
15 discussions between Dr McIntosh and Mrs Winkelman, which
16 Dr McIntosh had communicated to you.

17 Can you just explain to us, Dr Foster, where
18 Dr McIntosh and Mrs Winkelman, and yourself and
19 Dr Smith, fitted in in respect of the structures or
20 hierarchies of the respective fractionation plants.

21 A. Yes, as you said at the beginning I was head of the R&D
22 department at PFC and Dr McIntosh was a senior scientist
23 in my department who reported to me and from 1984 had
24 been assigned to work on Factor VIII developments, and
25 in particular the NYU project, the high purity

1 Factor VIII project was his principal area of work.

2 In Oxford Mrs Winkelman had a similar role, where
3 she reported to Dr Smith and she was primarily involved
4 in the discovery that led to the development of 8Y, and
5 it is actually her name on the 8Y patent alone. So she
6 was seen as the inventor of that particular patented
7 material, and because Dr McIntosh was really heavily
8 involved in purification of Factor VIII with this NYU
9 project, Mrs Winkelman was heavily involved with the 8Y
10 project. The two were communicating and that was
11 something that both Dr Smith and myself encouraged, and
12 so I was really leaving this primarily to Dr McIntosh to
13 chat with Mrs Winkelman to exchange information.

14 Q. Thank you.

15 I am going to come to the patent shortly and to ask
16 questions relating to whether it inhibited, in any way,
17 the exchange of information, but just to complete the
18 sequence, I think the next item we should look at is
19 a letter dated 7 January 1985. This is [\[SNB0074732\]](#).

20 It's a letter, if we go to the bottom of the page,
21 please, and then over the page, from Professor Cash. If
22 we can go back to page 1, please, we can see it's
23 a letter to Dr Perry, and Professor Cash says:

24 "Dear Bob, at the recent meeting at BPL, I had the
25 opportunity of meeting with the BPL team (after the

1 meeting with the haemophilia directors). The following
2 points emerged which will be of interest to you and your
3 team ... "

4 Then under "heat-treated Factor VIII", letter (b)
5 it's stated:

6 "BPL plan to trial (in the next 3 to 4 months) their
7 heat-treated product. Their initial product was dry at
8 60 degrees celsius for three days but they now plan to
9 have 70 degrees celsius (dry) for one day. I had the
10 impression that some of these batches can't stand these
11 temperatures."

12 To pause at (b), is that perhaps a reference to the
13 intermediate purity BPL product?

14 A. Yes, paragraph (b) is very much about the established
15 BPL product that was the equivalent of our NY product,
16 and they are examining heat treatment of that in the
17 same way that we had introduced this very quickly
18 in December 1984. At the same period, based on the same
19 knowledge of the disparity in activating HIV, they were
20 also looking at heat-treating their existing product.
21 But in the event they didn't take that approach and they
22 moved instead, after a period of time, to introducing
23 8Y.

24 Q. Thank you.

25 Paragraph (c):

1 "They don't plan to consider wet heat unless dry is
2 shown to be inadequate."
3 Then (d):
4 "They appear to be well advanced in the production
5 of a very high purity product."
6 Is that 8Y?
7 A. Yes, that would be 8Y.
8 Q. "They are not involved with the Alan Johnson techniques.
9 Their method will be patented in due course and SNBTS
10 will have free (Crown) access at that time."
11 Can we just go over the page, please? There is
12 nothing further we have to look at there. Did you
13 receive a copy of that letter, Dr Foster? Can you
14 remember?
15 A. I think if you look down, I think my name was there.
16 Q. I see. Is that on page 1 or ...? Back to page 1
17 perhaps. We can see under the stamp on the bottom
18 right-hand corner. I see.
19 So your name appearing there means that you received
20 it, particularly the tick beside your name?
21 A. Yes, the writing is actually Bob Perry's writing, the
22 tick is mine. It shows that I received this letter.
23 Q. Does a tick signify your receipt of it?
24 A. It does, yes.
25 Q. I'm grateful.

1 Is what is set out in that letter consistent with
2 your understanding at the time from your various
3 contacts with Dr Smith and others?

4 A. In terms of item (b) that we talked about, I didn't have
5 that amount of detail about what BPL were doing with
6 their existing product but I did know, in terms of
7 paragraph (b), that they at Oxford were working on this
8 higher purity product which became known as 8Y.

9 Q. I'm grateful.

10 I think the next item we should look at is a memo
11 from Dr Smith to yourself dated 14 February 1985, and
12 that is [\[PEN0171369\]](#).

13 Dr Foster, take a minute or two to look at this
14 memo. What I'm unclear about is whether this relates to
15 the English intermediate purity Factor VIII or whether
16 it relates to the high purity 8Y.

17 A. It relates to neither. It relates to another project
18 that was underway at Oxford -- in fact it was BPL
19 here -- which was another method for achieving a very
20 high degree of purification, and "AH" stands for
21 aminohexyl chromatography, and it's a type of
22 chromatographic purification which BPL were exploring,
23 which in some ways had similarities to Dr Johnson's
24 approach. So they were also investigating that kind of
25 possibility.

1 Q. I see. And did this product ever proceed to routine
2 issue?

3 A. No, I don't think so.

4 Q. I see. So it's not really relevant in looking at the
5 development of 8Y?

6 A. No.

7 Q. Other than it's perhaps of interest to see at the top of
8 the letter, the top of the memo, the contents of this
9 document are "Confidential to the addressees and those
10 who need to know". And various individuals, including
11 yourself, are named. I suspect you won't know but do you
12 know whether a patent application was filed for this
13 development?

14 A. I don't know.

15 Q. No. I think we can just put that memo to one side in
16 that case. Could we then look at [\[PEN0171372\]](#)? This,
17 Dr Foster, is a copy from your diary, and on
18 19 February 1985 we see the word "Jim". I think that's
19 a reference to Jim Smith?

20 A. I think it is, yes.

21 Q. The only reason I have brought this up, doctor, I think,
22 is that at the very end of the briefing paper is quite
23 a detailed chronology and I think there is reference
24 there to you having met Dr Smith on this date. I think
25 we had asked were there any records of that meeting, and

1 you explained you had a copy of your diary, but no other
2 records, I think. Do you have any recollection of that
3 meeting?

4 A. I am afraid not, no.

5 Q. No. Can you hazard a guess or an informed speculation
6 as to the sort of the things you may have discussed?

7 A. Yes, I think the area we were -- at this point in time
8 we were primarily -- and I was primarily concerned with
9 introducing heat treatment of Factor IX, because we
10 already had heat-treated Factor VIII in place to deal
11 with HIV but we hadn't achieved that yet with Factor IX.
12 We were doing this jointly with Oxford, and it was
13 working out how to progress the safety study in dogs and
14 we were working out a schedule to do that to try to get
15 this through as quickly as possible, and I think that's
16 what we were talking about here primarily.

17 Q. So the primary focus of this meeting would have been
18 heating Factor IX, albeit it may have provided an
19 opportunity for informal discussion of Factor VIII?

20 A. As you can imagine, that was the situation. We would
21 have a primary objective but we would be chatting and
22 talking about whatever else was of common interest.

23 Q. I'm grateful.

24 I think, if we then, please, return to your
25 statement at page 3, we will come on to the actual

1 patent application of 8Y now. On the top of page 3 you
2 say:

3 "The patent application for 8Y had been filed on
4 5 March 1985."

5 You explain that in the application:

6 " ... the resultant Factor VIII concentrate (8Y) was
7 described as suitable for heat treatment, either by
8 pasteurisation at 60 degrees centigrade for 10 hours or
9 dry heat treatment at 70 degrees centigrade for
10 24 hours."

11 You go on:

12 "It is most probable that the suitability of 8Y to
13 withstand dry heat treatment at 80 degrees centigrade
14 for 72 hours was added 12 months later, as further
15 information can be added to a patent application within
16 the first 12 months of an application being filed, but
17 is normally done at the 12-month point."

18 Could we look at the patent please? It's
19 [\[SNF0011091\]](#).

20 We can see on the top left that the inventor is
21 L Winkelman, that we heard about earlier, from PFL and
22 the short title is "Separation of Factor VIII". Can we
23 perhaps go to the bottom right-hand corner of the page?
24 We can see the date is 5 March 1985. Can we go back to
25 the resume, please? I'll just read the resume:

1 "This invention relates to a method of purifying the
2 protein antihemophilic Factor VIII from the blood
3 plasma fraction cryoprecipitate by adding at least
4 0.15mg [heparin] ... "

5 I think that word should be "heparin"?

6 A. It should.

7 Q. "... per ml of the fraction to precipitate out the
8 unwanted proteins of fibrinogen and fibronectin.
9 After separating out the precipitant, the supernatant
10 may be pasteurised to inactivate any viruses present,
11 and then may be further concentrated by a series of
12 known steps to produce freeze-dried Factor VIII
13 concentrate."

14 Et cetera. The short title, "Separation of
15 Factor VIII", is that essentially a reference to
16 purification of the Factor VIII?

17 A. Yes, that would be what was meant by that.

18 Q. So the focus there is really on purification?

19 A. It is, yes.

20 Q. And perhaps interestingly, in the resume we saw the
21 reference to the supernatant may be pasteurised. So
22 again, at least from the resume, there appears to be
23 a focus on pasteurisation, ie wet heating, rather than
24 dry heating. Is that fair?

25 A. That's correct.

1 Q. And if we then go, please, to page 5 of this document,
2 we can see what is said about heating. About half way
3 down, we can see the sentence:

4 "Pasteurisation is an especially important step
5 because it inactivates potentially harmful viruses which
6 are transmissible by blood, (eg hepatitis viruses), and
7 which are carried over into plasma fraction, such as
8 cryoprecipitate. A typical pasteurisation step consists
9 of heat treatment in solution at 60 degrees centigrade
10 for 10 hours."

11 So an initial reference to pasteurisation. Can we
12 then go down to the last paragraph on this page:

13 "Two other known methods of preparing heat-treated
14 concentrates of Factor VIII, with the intention of
15 inactivating blood-borne viruses, have been found to be
16 most successful after efficient removal of fibrinogen
17 and fibronectin by precipitation with heparin.

18 "(a) Factor VIII is precipitated from the
19 heparin-containing supernatant by addition of high
20 concentrations of glycine and sodium chloride, and the
21 precipitate redissolved in a small volume of buffer
22 solution. After desalting by gel filtration, the
23 solution is sterilised, freeze-dried and heated in its
24 final container to temperatures of at least 70 degrees
25 centigrade for at least 24 hours, with little or no loss

1 of Factor VIII activity or solubility."

2 Option (a), Dr Foster, I have just read out, is that

3 a reference to dry heating?

4 A. It is, yes.

5 Q. Is that essentially the process or the step which was

6 followed for 8Y, as it turned out, in due course?

7 A. It is, yes.

8 Q. Albeit, I think, the 8Y, certainly come its issue

9 in September/October 1985, had been heated or was being

10 dry-heated at 80 degrees or 72 hours?

11 A. That's correct.

12 Q. But looking at least at this patent, that higher degree

13 of heating appears to have been a later development?

14 A. It was a later addition to the document.

15 Q. Yes.

16 A. But I think before, when this document was submitted,

17 they were already, obviously, having some success with

18 that approach.

19 Q. I see. Option (b) I won't read out but I think that's

20 a reference to another form of pasteurisation or wet

21 heating?

22 A. That's correct.

23 Q. So that's the patent and we can put that to one side.

24 THE CHAIRMAN: Does this effectively reflect the importance

25 attached to purification in the process in the minds of

1 Winkelman and others at that time?

2 A. I think it does, indeed, yes.

3 THE CHAIRMAN: Not only is that the inventive step but it
4 really draws one's attention to what they thought was
5 significant in the way they were approaching the
6 preparation.

7 A. I think that's very much the case, yes.

8 THE CHAIRMAN: And that becomes very interesting for you
9 later on.

10 A. It does.

11 THE CHAIRMAN: Yes.

12 MR MACKENZIE: Thank you.

13 Dr Foster, I don't suggest you will have seen this
14 at the time but I'm setting out the English chronology
15 so it may be helpful if I just put it up now, if I may.
16 This is document [\[DHF0015326\]](#).

17 We can see, top left-hand corner "In Confidence",
18 the top right-hand corner, "CBLA", which I think
19 suggests it may have either come from or gone to the
20 Central Blood Laboratories Authority in England, and we
21 can see it's headed "Licensing Arrangements for
22 Heat-treated Factor VIII and Factor IX". If we can go
23 over the page, please, we can see the date of the
24 document. We can see it's dated 19 March 1985. If we
25 can go back to the first page, please. I take it,

1 doctor, you didn't see this document at the time.

2 A. No, I haven't seen this until relatively recently.

3 Q. Thank you. I appreciate that. It's simply, I think,
4 that it gives a helpful picture of what was happening in
5 England at this time, which is why I would like to read
6 it, if I may. We can see "Factor VIII" at paragraph 1:
7 "Intermediate purity, code HL(H)."
8 The document states:
9 "This product is a stop gap pending satisfactory
10 clinical information from the trials on product VIII-Y,
11 the new high purity heat-treated Factor VIII. If the
12 current programme remains unchanged, the last HL(H)
13 product was produced at Elstree during the first week
14 of March."
15 We can see that:
16 "One hundred vials of HL(H) concentrate have been
17 issued to determine safety and efficacy in named
18 patients."
19 Is that essentially the phase 1 clinical evaluation
20 we discussed at the outset?

21 A. Yes.

22 Q. "The first reports of these infusions are being
23 received, indicating the product is well tolerated ...
24 a licence application ... will not be made."
25 Paragraph 2 "Factor VIII-Y". The document states:

1 "Factor VIII-Y has now been released to selected
2 haemophilia centres for a trial to determine safety and
3 clinical efficacy in named adult patients."

4 Again, the phase 1 evaluation. Is that right?

5 A. That's correct.

6 Q. "Following clinical information, the trial will be
7 enlarged to determine whether heat treatment has
8 inactivated non-A non-B Hepatitis virus and HTLV-III."

9 So that's then the phase 2 evaluation?

10 A. That's correct.

11 Q. "We would anticipate that information on the process
12 efficacy of heat treatment for the inactivation of
13 hepatitis viruses is not likely to be available for
14 a year."

15 So this document is dated March 1985. They really
16 suggest that it may not be until March 1986 that that
17 information on inactivation of hepatitis viruses is
18 likely to be available. Reading on:

19 "Following completion of the first part of the 8Y
20 trial determining safety and efficacy ... an abridged
21 licence application will be developed and it is expected
22 that this will take place at the beginning of May 1985.
23 General distribution of 8Y is likely to commence
24 by June 1985 and it is hoped that a satisfactory
25 response to the abridged licence application will have

1 been received by that time."

2 Doctor, I appreciate you haven't seen the document
3 until now. Were you aware of the state of play, if
4 I can put it that way, at this time in March 1985 in
5 respect to where England were with their intermediate
6 purity heated Factor VIII and their high purity, severe
7 heated 8Y?

8 A. At that time, my understanding was that they hadn't
9 taken a final decision and that they were looking still
10 at the option of possibly heating and releasing the heat
11 treatment of their existing product in the way that we
12 have done, but they were also considering the
13 possibility of 8Y, and I didn't at that time know what
14 decisions they had taken.

15 Q. Thank you.

16 Could we return now to your statement, please, at
17 page 3? In the second paragraph you explain that:

18 "Mrs Winkelman and her colleagues from PFL/BPL
19 visited PFC on 27 March 1985 to discuss the heat
20 treatment of coagulation factor concentrates and
21 I remember asking her about the strategy for the
22 introduction of heat treated Factor VIII at BPL. She
23 indicated to me that a final decision had yet to be
24 taken between dry heating the established BPL
25 Factor VIII ... "

1 If that the intermediate purity product?

2 A. That's correct.

3 Q. "... at 70 degrees centigrade for 24 hours or attempting
4 to implement 8Y with dry heating at 80 degrees
5 centigrade for 72 hours."

6 You say you were aware:

7 "... at this meeting that the 8Y process had been
8 performed successfully at PFL but you regarded its
9 satisfactory transfer to BPL and acceptable clinical
10 performance of batches of 8Y prepared at BPL as being
11 important milestones in determining the success of the
12 project."

13 Can you perhaps just explain a little what you mean
14 by "its satisfactory transfer to BPL and acceptable
15 clinical performance of batches prepare at BPL"?

16 A. Yes, as I mentioned at the beginning, PFL was a relative
17 small facility. It prepared relatively small volume
18 batches of product. So it was really a developmental
19 unit. The real test of a product is whether it can
20 withstand manufacturing at full-scale, at large-scale,
21 and that test would only happen when the procedure was
22 transferred to BPL and you actually ran a number of
23 batches to see if actually you got the same performance.
24 Did you get a product that could be heated? Did you get
25 an acceptable yield? Did you get that routinely? You

1 wouldn't get that information until you went into
2 large-scale manufacture and you only get that at BPL.
3 That would be the situation at PFC. We saw ourselves as
4 being closer in scale of operation to BPL.

5 Q. You refer to the visit by Mrs Winkelman and colleagues
6 on 27 March 1985. Again I think there are no
7 contemporaneous notes or records of that meeting. We
8 did ask.

9 A. No, that's correct. As I said, I might have made some
10 notes but they no longer exist.

11 Q. Again, what is likely to have been the main focus of
12 discussion at that meeting?

13 A. Well, there was Mrs Winkelman and I think also
14 Dr Feldman was with her, and Mrs Winkelman focused very
15 much on Factor VIII and Dr Feldman focused on Factor IX.
16 So we would have covered both products in the
17 discussions.

18 Q. I'm grateful.

19 A. Certainly Mrs Winkelman's presence shows that there was
20 a lot of discussion about Factor VIII.

21 Q. I understand. Could we then, please, look at the next
22 item, which is [\[SNB0075071\]](#)? This is a letter dated
23 17 April 1985 from P A Feldman, a project scientist at
24 PFL, to yourself. I think this in fact confirms what
25 you said, doctor, because Dr Feldman says:

1 "On behalf of Lowell, Greg and me, belated thanks
2 for your time in discussing Factor VIII/Factor IX and
3 for showing us around PFC the other week. I hope my
4 eyes were not too obviously an envious green while
5 seeing the benefits of a purpose-built laboratory,
6 especially considering the expansion of the place since
7 my visit seven years ago."

8 Reference to the dog trials on heated Factor IX.
9 What does Dr Feldman mean by his reference to his "eyes
10 not too obviously an envious green"? What's that about?

11 A. We had constructed an extension to PFC in the early
12 1980s, which included a relatively large pilot plant
13 facility -- that's what we called a pilot plant
14 facility -- for large-scale research, and at Oxford they
15 didn't have anything as modern as that. It was a very
16 old facility. So I think he was envious that we had
17 this new laboratory and he was working in this very
18 1950s, rather ancient, facility.

19 Q. I understand. Then, returning to the patent, could we
20 look, please, at [\[SNB0075065\]](#)? We will see this is
21 a letter from Dr Smith to yourself dated 11 April 1985:

22 "Dear Peter,

23 "I enclose at last a copy of our 8Y patent
24 specification. We have spoken briefly about what we aim
25 to do with the product and how it has been scaled up

1 but, of course, you will be welcome to full details of
2 its performance if you would like to visit us on
3 a Tuesday."

4 And reference to Factor IX. Was this the first time
5 you saw the patent, Dr Foster?

6 A. It would have been, yes.

7 Q. Can you remember, when you read the patent -- I assume
8 you read it with interest.

9 A. Yes, of course.

10 Q. Did it contain anything new, any surprises to you, or
11 what?

12 A. Well, there was new information. There were details
13 that I hadn't had before. I had known from the
14 communications between Dr McIntosh and Mrs Winkelman of
15 the general nature of the process, that it involved
16 a high amount of heparin and they were getting a high
17 degree of precipitation and they had decided to leave
18 out the zinc. So I had a general, reasonably good, idea
19 of what the process was. But the patent gave us more
20 detail in terms of exactly what the quantities were and
21 the steps in order and how they were performed.

22 But, in terms of being of great interest to us,
23 I must point out at this time we were heavily working on
24 the purification process with Dr Johnson, which offered
25 a much greater degree of purification than was being

1 obtained by this process, and the fact that it used the
2 heparin that I said earlier was very awkward for us
3 because of the assay systems, it wasn't particularly
4 attractive to us to investigate the 8Y process at that
5 time.

6 Q. And did receipt of the patent cause you to alter your
7 research and development work in any way?

8 A. No, it didn't.

9 Q. This is a hypothetical question: if you had received the
10 patent earlier -- I don't know, some time in the second
11 half of 1984 -- is it likely that you would have altered
12 your research and development work in any way?

13 A. No, it wouldn't.

14 Q. Can you explain briefly why that would have been?

15 A. Because, as I have said a couple of times, this high use
16 of heparin wasn't something that was compatible with our
17 operation, so it wasn't attractive. The other steps in
18 the process, mostly had actually been taken from our
19 work in the ZHT process. So we were already familiar
20 with them and we had done a fair amount of work
21 ourselves. So there was not a great deal of new
22 technical knowledge here for us. We were at that time
23 targeting a much higher degree of purification because
24 that's what I wanted: to make the pasteurisation process
25 much easier to operate at a large-scale.

1 Q. It's an oversimplification on my part, I'm sure, but the
2 use of heparin in 8Y was a negative factor for you?

3 A. Yes.

4 Q. But on top of that you had what you thought was a more
5 promising or better process, ie the NYU project?

6 A. At that time -- I mean, the objective was to have
7 a product that was safe from non-A non-B Hepatitis, and
8 at that time pasteurisation was the front runner in
9 terms of the knowledge that existed, in terms of what
10 might be safe, and in order to make that process work in
11 our production operation, I wanted to increase the
12 degree of purification so that I could reduce the volume
13 of pasteurisation by maybe 50- or 100-fold, and the
14 Johnson process would allow me to do and that's why we
15 gave priority to that at that time.

16 Q. Yes.

17 THE CHAIRMAN: Dr Foster, I appreciate that you have said
18 that you can't give an over-technical answer to the
19 question of the difference between the one-stage and the
20 two-stage assay. What was it, however, about the assay
21 process that made it inflexible? One might think it's
22 just a test. Why not just drop the single stage assay
23 you were using and substitute another? Was it built
24 into the process in some significant way?

25 A. It was built in in the sense that you have to monitor

1 the process at every step to see what's happening to the
2 Factor VIII and to know what you have got. And
3 obviously you do that during -- in research you depend
4 entirely on that, and in the manufacturing process there
5 are many samples taken to monitor what's happening to
6 the Factor VIII and whether you have achieved the amount
7 that you need, and you have to know that to be able to
8 put the right amount in the vial at the end of the
9 process. So the assay is absolutely critical and if
10 there is some interference with that and it's giving you
11 misleading results, you are ending up with something
12 that's incorrect in the final vial.

13 THE CHAIRMAN: But in effect, you couldn't simply substitute
14 the English, two-stage assay, for your single assay?

15 A. Both of these assays are highly specialised, skilled
16 techniques and the two-stage assay was much more
17 complicated than the one-stage assay, and it needed
18 people who had, I think, considerable experience and
19 knowledge of this type of approach to carry it out
20 reproducibly, correctly. From my point of view, we
21 could have attempted that at PFC but it would have been
22 a diversion. We would have spent months, possibly
23 years, trying to integrate this new assay, when we could
24 have been spending the time developing a safe product.

25 THE CHAIRMAN: It's important for us to get a measure of the

1 difficulty, since superficially one might think, "Well,
2 it's engineering after all, substituting one process for
3 another".

4 A. The second aspect of this two-stage assay is that it was
5 much more laborious and therefore you got less for your
6 money, if you like. So it would actually have slowed us
7 down even if we had managed to do it immediately. It
8 would have actually slowed us down because we would have
9 got fewer opportunities to do assays, and I think you
10 come upon later on, assays being a limiting factor, the
11 number of assays you can perform.

12 THE CHAIRMAN: Yes, thank you.

13 MR MACKENZIE: Dr Foster, going back to something you said
14 in your evidence in respect of the NYU project, that you
15 wanted to increase the degree of purification, so you
16 could reduce the volume of pasteurisation. Why did you
17 want to reduce the volume of pasteurisation?

18 A. The pasteurisation step involved adding very high
19 concentrations of a carbohydrate, which was basically
20 almost like making jam and doing that in very large
21 volumes, maybe 100 or 200 litres, it took a long time to
22 heat up and a long time to cool down. It was very
23 difficult to process that in a pharmaceutical facility,
24 where you are trying to keep everything clean and free
25 from bacterial contamination, and to make that step

1 easier, if you could do that in a 1 litre or 2-litre
2 volume, rather than a hundred litre volume, it would
3 have been a much more technically simple process to
4 carry out and that was the target I was aiming for. And
5 by having the increased purity, you can concentrate the
6 Factor VIII to a much smaller volume, so you can do the
7 pasteurisation in a relatively small volume, instead of
8 a relatively large volume.

9 Q. Yes. Having a smaller volume for pasteurisation, that
10 was essentially to make manufacturing easier than
11 thinking that would make the degree of inactivation
12 better?

13 A. It would be both. It would make it much easier to
14 perform the process routinely in production but also it
15 means that you can control the heat, the amount of heat,
16 that you are putting in and the time of heating much
17 more accurately, instead of having a long heat-up phase
18 and a long cool down phase, which would destroy
19 Factor VIII. You were trying to avoid destroying
20 Factor VIII so you wanted to have more precise
21 conditions.

22 Q. Smaller volume would give one greater control over the
23 heating process and heating parameters?

24 A. Exactly.

25 Q. I understand.

1 Could I move on, please, to a document [\[PEN0171374\]](#).
2 This is again a diary entry, doctor, for 26 April 1985.
3 Again, the only reason I bring this up is because
4 I think it's mentioned in your chronology and the
5 briefing paper, and we asked if there were any records
6 of this meeting. I think you said there weren't but we
7 can see you produced your diary and Friday 26 April,
8 Jim, again, Dr Smith, appears.
9 A. That's correct.
10 Q. Would this have been one of these sort of informal
11 meetings you mentioned before?
12 A. It would be very much like that, yes.
13 Q. It may just be speculation but can you remember what you
14 discussed or even take an informed guess at what you are
15 likely to have discussed, given the context?
16 A. I think very much, as with the previous meeting, the
17 main focus here would be Factor IX concentrate because
18 the principal objective was to have a heat-treated
19 Factor IX, which we still hadn't achieved, and that was
20 the situation also with Oxford; they wanted, obviously,
21 heated Factor IX as well. So my guess is that that
22 would have occupied most of our time trying to progress
23 that as quickly as possible, but we would have certainly
24 talked about Factor VIII as well.
25 Q. Thank you.

1 Again, I'm going to look at one or two documents
2 just to complete the picture with what was happening in
3 England at this time. Could we, please, go to
4 [\[DHF0019576\]](#). This is an annual report from the Blood
5 Products Laboratory and the PFL. If we go to the top of
6 the page, please, we can see it's stated "Commercial in
7 Confidence", and it's a report for the period for 1984.
8 If we go to the bottom of that page, please, over on to
9 the next page, this is from the director -- is this the
10 director of BPL, do you think?

11 A. I guess that would be the case. Dr Lane.

12 Q. Dated April 1985. I should ask you, Dr Foster, did you
13 receive these annual reports at the time from down
14 south?

15 A. No, we have never received these annual reports.

16 Q. No, I think we can see in the middle of this page it's
17 stated:

18 "The report is from the director of BPL/PFL to the
19 CBLA and is confidential."

20 So there is perhaps no assumption that you would
21 have seen it. Anyway, if we can go on to the next page,
22 please, I think it is quite helpful in, I think, setting
23 out what was happening in England. The next page again,
24 please. I think one more page, please. Yes. Can we
25 look at the third paragraph? It states:

1 "Heat treatment of Factor VIII has been achieved and
2 implemented on schedule. The programme has coincided
3 with the development of a new, high purity product,
4 designated 8Y, which is capable of maintaining
5 satisfactory yield from fresh-frozen plasma. The
6 product is undergoing satisfactory clinical trial and
7 production has been scaled-up successfully at BPL. No
8 intermediate concentrate is now being made."

9 It's the reference, Dr Foster, to "production has
10 been scaled-up successful at BPL". Is it a reasonable
11 inference, do you think, that as at the date of this
12 report, April 1985, production of 8Y had been fully
13 scaled-up at BPL or is that an inference we shouldn't or
14 should be cautious about making?

15 A. I'm not really in a position to answer that. All I know
16 is from the records, that BPL started issuing product
17 routinely in the middle of September and they didn't
18 issue it before that. So exactly what stage they had
19 reached when this document was written, I'm not able to
20 comment on.

21 Q. I understand. We can ask Dr Smith perhaps on this.
22 Thank you.

23 Again, to complete the chronology of what was
24 happening in England, could we then, please, look at
25 document [\[DHF0030476\]](#)? This is a document dated

1 24 July 1985 from the Blood Products Laboratory and we
2 can see it's an information sheet. In short, I think,
3 on 8Y. Do you remember, doctor, would you have seen
4 this at the time?

5 A. I don't remember seeing this at the time, no.

6 Q. Yes. Have you seen this at some stage in this Inquiry?

7 A. I think I have seen it amongst some papers in the last
8 couple of years but I can't be certain when.

9 Q. Thank you. I say again, my main purpose in referring to
10 this is simply to complete the chronology of what was
11 happening in England at the time and we can see, reading
12 the information sheet, that:

13 "As reported in the information sheet (May 1985),
14 a new Factor VIII concentrate (type 8Y) is now replacing
15 the intermediate specific activity products HL(H) and
16 8CRVH. General issue will begin from September 1st
17 1985."

18 We can see:

19 "The product has been dry-heated at 80 degrees
20 centigrade for 72 hours to reduce the risk of infection
21 by viral agents, although further assurance is sought
22 over freedom from risk of viral transmission."

23 We can then see:

24 "Safety and efficacy trials of the 8Y concentrate
25 are already proceeding at several haemophilia centres.

1 As of 1 July 1985, eight patients receiving 14 infusions

2 ... "

3 That again, perhaps, doctor, is consistent with what
4 you told us at the outset, that phase 1 evaluation would
5 involve.

6 A small number of patients. We can then see:

7 "Clinical trials at six haemophilia centres are in
8 progress to gain evidence of reduction or elimination of
9 viral transmission and several patients have safely
10 passed the point at which first evidence of NANBH virus
11 transmission would normally occur with unheated
12 Factor VIII."

13 Down the page, please, the final paragraph states
14 that:

15 "It's recognised that, until the new production unit
16 at Elstree is completed, output of 8Y will meet about
17 one third of current demand for concentrate and for this
18 reason, attempts have been made to define those patients
19 likely to benefit most from the security inherent in
20 8Y."

21 Over the page, please, we can see in terms of how
22 the product is to be distributed to which patients; it's
23 stated:

24 "Therefore, haemophilia centre directors are being
25 asked to compile lists of their patients considered 'at

1 risk', and most centres have complied. It's the
2 considered view at BPL that, where possible, liaison
3 between the haemophilia services and the BTS should aim
4 at directing Factor VIII-Y to these patients, using the
5 existing framework of distribution and supply.
6 Haemophilia patients who are HTLV-III Ab negative and
7 have no history of hepatitis are being identified as
8 suitable persons to comply with the clinical trial
9 requirements."

10 So that was issued at the time, doctor. I think
11 I could now return to your statement, please, and if
12 I can finish this one paragraph in your statement,
13 I think that will be a suitable break. We will then go
14 on to a different matter after the break.

15 Can we return to page 3 of your statement. Half way
16 down, you say:

17 "I do not know precisely when I learned that PFL's
18 8Y process had transferred successfully to BPL."

19 I think that's something we can ask Dr Smith:

20 "A meeting was held at PFC on 27 August 1985 which
21 was chaired by Dr Cash and attended by Dr Smith and
22 Dr Snape (BPL head of quality) to review heat treatment
23 of Factor IX concentrates."

24 So that meeting is about Factor IX:

25 " ... but it is probable that we were also advised

1 informally of progress with 8Y at BPL at this time.
2 However, as the first batches of 8Y prepared at BPL were
3 not issued until 19 September 1985, clinical experience
4 of 8Y manufactured routinely at BPL would not have been
5 available."

6 This meeting was about Factor IX, doctor, but you
7 say it is probable that you were also advised informally
8 of progress with 8Y at BPL. What I wonder, at your
9 meeting on 26 April with Dr Smith, is it equally
10 probable that you would have been advised informally of
11 progress with 8Y at BPL?

12 A. I think it probably is the case, yes.

13 Q. But to be fair, you are saying, when asked now, you do
14 not know precisely when you learned that --

15 A. No, I mean, it was a very long time ago and I can't
16 really remember the conversations that we had.

17 Q. I understand that.

18 Sir, that may be a helpful point to stop.

19 THE CHAIRMAN: We will have a break at that point.

20 (11.02 am)

21 (Short break)

22 (11.25 am)

23 MR MACKENZIE: Could I now turn to question 2 in your
24 statement, and that's at page 4. We can see we asked
25 the question:

1 "When did it seem likely, from evidence of its
2 clinical use, that the heating regime for 8Y resulted in
3 a product which did not transmit NANBH?"

4 I suppose at the outset we should perhaps recognise
5 that it depends what one means by "likely". As lawyers
6 we tend to use the word "likely" as meaning a balance of
7 probabilities, ie something over 50 per cent. So a
8 51 per cent chance of something happening to a lawyer
9 means "likely", but I think I'm right in saying that,
10 for a scientist, the word "likely" may have a slightly
11 different meaning, in that a scientist may seek
12 something achieving scientific certainty, ie something
13 closer to 100 per cent. Is that generally fair, that
14 distinction?

15 A. I think in science we tend not to use words like
16 "likely", and in trying to make a product safe, I think
17 it's either safe or it's not safe. So you are then
18 dealing with uncertainty. I think you have to look at
19 the information that's available and make a judgment on
20 whether that's promising or not and the degree of
21 promise that's held out, and that's really how I would
22 have looked at it.

23 Q. Yes.

24 THE CHAIRMAN: We can spend a lot of time having a wonderful
25 debate about that answer you have just given. I'm not

1 sure that it would take us anywhere. Certainly lawyers
2 tend to look at probability but, of course, they
3 recognise that probability doesn't come with an absolute
4 level of assurance, that probability varies depending on
5 what you are looking at and what you want. But in the
6 case of a safe product, I can see that your objective is
7 to exclude all known or foreseeable risks associated
8 with the product. I'm not sure how you ever get to
9 absolute certainty that it's safe.

10 A. You build up confidence over a period of time.

11 THE CHAIRMAN: You are still using your best judgment on the
12 basis of the information available.

13 A. You are, yes.

14 THE CHAIRMAN: So it is that level of confidence that is
15 compatible with current knowledge but can't exclude
16 risks that may yet emerge in the future.

17 A. Yes, very much the case.

18 THE CHAIRMAN: It's tempting to go on.

19 PROFESSOR JAMES: Could I just add one small thing? You
20 would use tests of probability. So if you do a clinical
21 trial, for example, you would use a test of
22 probability -- there is a probability of less than
23 5 per cent that such an event would occur, or less than
24 1 per cent or less than 0.001 per cent, and at that
25 juncture you might say, "Well, that's pretty well

1 certain". That's the way, actually, things develop,
2 isn't it?

3 A. That's quite right, and not just clinical trials but
4 also all the experimental data would be analysed that
5 way.

6 PROFESSOR JAMES: So that's the degree of probability. It's
7 not that it's probable as in a legal sense, but it's
8 probable as in a statistical test of probabilities.

9 A. That's correct.

10 THE CHAIRMAN: As I say, we could go on.

11 I do remember Lord Justice General Emslie pointing
12 out that probability varies and that some events are
13 more probable than others. But I think that we get the
14 measure, Dr Foster, of what the scientist has to do to
15 carry out his duties to the public. Thank you.

16 MR MACKENZIE: Thank you.

17 What I would like to do, Dr Foster, you started your
18 answer with an event in May 1986 but again this is our
19 first opportunity to set out the English chronology of
20 what happened. So could I perhaps start with an event
21 which you may not have been aware of but I would like to
22 bring up on the screen, please. It is 9 July 1985. We
23 should bring it up. It's [\[PEN0161142\]](#).

24 These are the minutes of the sixth meeting of the
25 Central Committee for Research and Development in Blood

1 Transfusion. We will hear more about this committee in
2 due course and its exact status but I think,
3 essentially, it seems to be an English committee. We do
4 know, though, that Dr McClelland was a member of this
5 committee and that there was also an SHHD representative
6 as an observer. Dr Foster, were you aware of this
7 committee as at July 1985?

8 A. No, I wasn't.

9 Q. When did you first become aware of its existence?

10 A. Probably when I saw these documents produced by the
11 Department of Health on their website.

12 Q. As part of their freedom of information disclosure?

13 A. That's correct.

14 Q. I see. Looking at apologies, we can see that in fact at
15 this meeting apologies for absence were received from
16 Dr Forrester of the SHHD and Dr McClelland. So they
17 weren't present. I should also say that in the top
18 left-hand corner, again I see the words "In Confidence",
19 but if we, please, could go to page 3, we see what is
20 said about 8Y and in particular its safety.

21 About half way down, in the second paragraph,
22 starting in the second last sentence of that paragraph,
23 it states:

24 "The new concentrate (8Y) now being introduced in
25 England and Wales has been dry-heated in the final vial

1 at 80 degrees for 72 hours."

2 The next paragraph:

3 "The concentrate is now in full-scale production at
4 BPL ..."

5 Et cetera. The next paragraph:

6 "The immediate safety and efficacy of the 8Y
7 concentrate have been demonstrated by clinical trial."

8 Then the next bit:

9 "Evidence for reduction or elimination of viral
10 transmission is being sought after infusions in
11 haemophiliacs who have been treated with concentrate,
12 either for the first time or after a long interval, and
13 who are thought to be susceptible to infection with
14 Hepatitis B, NANBH and HTLV-III. This trial is at
15 a critical stage, but several patients have already
16 safety passed the point at which the first evidence of
17 NANBH transmission would have been expected. An
18 application is being prepared for a product licence 8Y,
19 with only provisional evidence of reduced infectivity;
20 this may be granted in November."

21 I appreciate, Dr Foster, you weren't aware of these
22 minutes, indeed this committee, as at July 1985 but this
23 question of the clinical evaluation of 8Y in particular,
24 with the phase 1 and then the phase 2, were you aware of
25 the clinical evaluation of 8Y in 1985 and, if so, when

1 and how?

2 A. I would say I was generally aware from my conversations
3 with Dr Smith that these clinical evaluations had begun
4 and I would -- although I did not have this information,
5 I would have been taking the view that no news was good
6 news. I would have expected that if there had been
7 evidence of infection, that we would have heard of that
8 and that in the absence of being told that, the results
9 would be looking promising, but how many patients and
10 how much data they had and the quality of the data would
11 obviously have to be examined, to see how meaningful it
12 was and we didn't obtain that for some -- over some
13 months after this point.

14 Q. Again, a hypothetical question, if I may, doctor, if you
15 had been sent a copy of these minutes and if you had
16 seen this sentence:

17 "The trial is at a critical stage, that several
18 patients have already safely passed the point at which
19 the first evidence of NANBH transmission would have been
20 expected."

21 If you had received that information, say, in
22 late July 1985, is that likely to have caused you to
23 alter your R&D work in any way?

24 A. It's really difficult to answer that. I think, as
25 I said a minute ago, I was assuming no news is good

1 news; therefore, the patients in the study would still
2 be free from hepatitis. What I would have been aware of
3 is that the material being tested would have been
4 manufactured at Oxford and these are relatively small
5 pool products and this is not the full-scale routine
6 manufacture you would get at BPL. So I would perhaps be
7 more interested in seeing the results from products
8 manufactured at BPL.

9 Q. I understand. If I may then put that to one side,
10 please and turn to the next document, which is
11 [\[PEN0161152\]](#). These are the minutes of the next meeting
12 of this committee on 19 December 1985. We can see that
13 Dr McClelland was present and Dr Forrester of SHHD was
14 in attendance. Could we, please, go to page 2,
15 paragraph 14.3? There is a short update on heat-treated
16 Factor VIII. It states:

17 "Dr Rizza reported upon further trials carried out
18 with heat-treated Factor VIII, which he had now been
19 using for approximately nine months. He confirmed that
20 none of his patients, including children, had become
21 clinically ill and therefore the immediate signs were
22 encouraging."

23 Again, doctor, I take it that you didn't receive
24 this minute at the time. Were you aware of the
25 information I have just read out, at the time?

1 A. No, I wasn't aware of that. But what I would like to
2 add is that prior to this, in August 1984, I had
3 attended the congress of the International Society of
4 Blood Transfusion, where data had been presented by the
5 company Behring on their studies of safety they thought
6 they had achieved with their pasteurised product, and
7 they were severely criticised by the medical community,
8 in particular Professor Mannucci, and that led to the
9 development of a very strict protocol that people had to
10 follow, and so I would be interested in knowing the
11 extent to which that protocol had been followed in these
12 studies.

13 Q. Is that a reference to the ISHT protocol?

14 A. That's correct.

15 Q. We will come on to that in due course.

16 Again, in looking at what is said in this minute, we
17 don't, I suppose, know whether the product under
18 evaluation was produced by PFL or by BPL.

19 A. What's the date of this meeting?

20 Q. This is December 1985.

21 A. Yes -- that's probably correct, you wouldn't know where
22 the product had come from.

23 Q. Yes. Could we then, please, look at the next document,
24 which is a PFC document. It's [\[SNB0015469\]](#). Can we go
25 to the last page of this document, please? We can see

1 this is a document by Dr Perry, dated 10 January 1986.
2 Can we, please, then go back to the first page? We will
3 see from its title it's a report for a meeting
4 in March 1986 of the haemophilia and SNBTS directors,
5 and if we could, please, then go to pages 4 and 5. We
6 will come back to look at this document in a little more
7 detail later, when we come to look at events in Scotland
8 but sticking with England, could we see the paragraph
9 just appearing at the bottom of this screen:

10 "Directors will be aware that the Blood Products
11 Laboratory are currently issuing a Factor VIII product
12 which had been heated at 80 degrees for 72 hours and
13 preliminary clinical data indicates that this material
14 is non-infective with respect to HTLV-III."

15 Were you aware of the preliminary clinical data on
16 the evaluation of 8Y at that time, doctor?

17 A. No. No more than is stated here.

18 Q. This is page 4. Were you updated on the data emerging
19 from the evaluation of 8Y or are you not somebody that
20 data would go to? Would that go to somebody else in PFC
21 or what?

22 A. The first data I was given was by Dr Smith
23 in October 1986. Prior to that, all I had was verbal
24 communications with Dr Smith and any feedback that
25 Dr Perry may have got through his discussions with

1 Dr Smith and with perhaps Dr Lane and other people.

2 Q. As a generality, would PFC be interested in the
3 accumulating data from the 8Y clinical trial?

4 A. Very interested and, as I said a moment ago, I would
5 have taken the view that no news is good news. They
6 were continuing with the trial and they were getting no
7 negative results, no evidence of transmissions. So as
8 the trial went on, it was getting more and more
9 promising.

10 Q. How were you aware of that?

11 A. I'm making that assumption. I'm making the assumption
12 that if they had had a transmission of hepatitis, then
13 we would have been told that immediately. If we were
14 not being told that, I'm assuming that the results are
15 promising.

16 Q. Is it possible that Dr Smith, in any of your meetings or
17 communications with him, would have verbally informed --
18 updated you of any emerging data from that trial?

19 A. I don't remember that, no, and I think if he had
20 anything significant to say -- and something significant
21 from my point of view would be a negative result,
22 a transmission -- then he would have told me that and he
23 didn't tell me that. So I presumed that the trials were
24 proceeding with very encouraging results. But I did not
25 have any details of that in writing to say how many

1 patients had been studied, et cetera, et cetera, until
2 Dr Smith prepared a report for the UK haemophilia
3 directors in October 1986.

4 Q. And Dr Perry has produced this report for this
5 particular meeting of the haemophilia and SNBTS
6 directors. Would you have had any involvement in the
7 production of this report?

8 A. I don't remember being involved in the production of
9 that report, no.

10 Q. Would it have been copied in to you at the time?

11 A. I was a member -- involved in this committee that the
12 report was intended for and I probably would have been
13 shown -- given a copy before the meeting, certainly,
14 along with the agenda papers, but I don't remember if
15 Dr Perry discussed it with me or not beforehand.

16 Q. If you had seen this report at the time and you had seen
17 that sentence that:

18 "Preliminary clinical data indicates the material is
19 non-infective with respect to HTLV-III, NANB and
20 Hepatitis B."

21 What, if anything, would you have done --

22 A. No, because we had already taken the decision to develop
23 our severe heat-treated product as quickly as possible
24 before this was written.

25 Q. Sorry, I'll come back to that. I meant more, would you

1 have asked to see the data?

2 A. I was really leaving that to Dr Smith. I didn't want to
3 pressurise him. He is a very careful, fastidious
4 scientist and I wouldn't want to put him under undue
5 pressure. So I would wait for him to come forward with
6 the information when he judged it was appropriate.

7 Q. If you had read that sentence at that time, would that
8 have been consistent or inconsistent with your
9 understanding or feeling about the safety of 8Y?

10 A. It was consistent with my general knowledge, as I said.
11 I was assuming that if they had had transmission, we
12 would have been told and if we weren't told, then they
13 were making good progress and they were not having
14 transmissions. Therefore this was consistent with the
15 view that I was taking at the time.

16 Q. Perhaps a cautious optimism or so far so good --

17 A. Yes, that's correct.

18 Q. Thank you.

19 I think the next document in looking at accumulating
20 data of 8Y is a document, 17 March 1986, which is
21 document [\[SNB0075664\]](#). We can see this is a note of
22 a meeting held at PFC. Various people from BPL and the
23 SNBTS, including Dr Smith and yourself, Dr Foster.
24 Various, I think, matters discussed. But if we could in
25 particular go to page 3, please. Yes, in paragraph 5,

1 the note states:

2 "Dr Smith outlined clinical trial results of the 8Y
3 Factor VIII product so far. While results cannot be
4 considered conclusive at this stage, he indicated that
5 no cases of virus infection have occurred (attributable
6 to 8Y material) after 12 months experience of 8Y in
7 virgin haemophiliacs."

8 Does that accord with your recollection of your
9 knowledge at that time?

10 A. Yes, it does.

11 Q. Thank you, doctor. As I say, I want to follow the whole
12 chronology of the accumulating evidence of the safety of
13 8Y, so if I may just complete that. We then return to
14 your statement at page 4, where you refer to
15 a presentation on 9 May 1986 in Australia. We have that
16 document. It's [\[PEN0171264\]](#). If we look at the first
17 page, we can see the heading "Interim Results", and it's
18 a presentation by Drs Smith, Winkelman and Feldman. In
19 the abstract, we can see in the second paragraph:

20 "33 patients receiving Factor VIII concentrate (8Y)
21 and Factor IX ... for the first time ..."

22 Were given regular liver function tests. And
23 further details are given. Could we then look at the
24 last page of this document, please? Under "Discussion"
25 the authors state:

1 "We do not apologise for presenting cases with less
2 than immaculate follow-up for two main reasons."

3 Which are then set out. Then the next paragraph the
4 authors state:

5 "Let me again concede that this collection of data
6 of variable quality does not carry the full authority of
7 a formal prospective clinical trial. However, when all
8 reservations have been made about imperfect follow-up to
9 date, the weight of this varied evidence justifies our
10 asking clinicians to put many more previously untreated
11 patients into a more formal trial, using even more
12 batches of product. Although these are only interim
13 results on a limited number of batches, we think we are
14 justified in thinking that the severe heating has been
15 more effective in preventing transmission of NANBH than
16 the milder heating accorded to the Hyland and Armour
17 products in studies published last year. It is too
18 early to know whether NANBH transmission has been
19 eliminated by severe dry heating or whether we may see
20 transmission by only a few batches, as has occurred with
21 Alpha's Factor VIII concentrate heated in heptane."

22 I think I will let those words stand as they are,
23 Dr Foster, rather than trying to put gloss on.

24 Going back to your statement, please, you say:

25 "On 9 October 1986, Dr Smith gave [you] a copy of

1 his interim report on the BPL surveillance study that
2 had been prepared for a meeting of UKHCDO that was held
3 in Edinburgh on 10 October 1986."

4 Was it the first occasion, doctor, that you saw
5 written data on the 8Y evaluation?

6 A. I think that was the case, yes.

7 Q. You go on to say:

8 "Data were provided on 10 recipients of 8Y and six
9 of 9A. If recipients of Factor IX are excluded because
10 the risk of NANBH transmission by unheated Factor IX
11 might not have been the same as with unheated Factor
12 VIII, then the calculated rate of NANBH infection for 8Y
13 was from 0 to 30 per cent. I'm not sure if this
14 estimated rate of infection meets the definition of
15 'likely' to be free from transmission of NANBH or not."

16 Doctor, have you arrived at the 0 to 30 per cent
17 from the rule of three. Is that what it's called?

18 A. That's correct.

19 Q. Are you content, doctor, if I go through that with
20 Dr Cuthbertson or would you like to do that now?

21 A. I wouldn't like to do it now, no.

22 Q. It is set out in a Mannucci paper of 1999, which I will
23 have a reference for later. I think it is a reasonably
24 clear explanation of it and I think I will not take up
25 time now but rather go for that later.

1 A. I'm not a statistician, so I would prefer not to do
2 that.

3 Q. We should look at the interim report. It's
4 [\[SNF0011123\]](#). We can see it's stated "Interim Report".
5 If we go on to the next page, please, and on to page 3,
6 please. Under "What Next?" we see:

7 "These data, showing no clinical or laboratory
8 events attributable to transmission of the three main
9 blood-borne viruses, may further encourage HCDs to use
10 8Y and 9A in previously untreated patients.

11 "The present data are inconclusive in that some gaps
12 in follow-up allow a small chance of having missed
13 a very transient ALT/AST elevation. Data are currently
14 being more rigorously assessed by a statistician, but
15 one simple treatment ('The Rule of Three') suggest that,
16 within 95 per cent confidence limits, 21 negative cases
17 are still compatible with an infectivity rate of 0 to
18 14 per cent. This is plainly better than the underlying
19 rate of [over] 90 per cent for unheated concentrates,
20 but at least 60 successive negative cases will be
21 required to reduce this probability to 0 to 5 per cent.
22 It is proposed that this pilot study be followed by
23 a formal prospective clinical trial with a stricter
24 protocol to establish with at least this degree of
25 confidence whether severe dry heating has eliminated

1 transmission of blood-borne viruses."

2 Looking at what is said there, it perhaps
3 illustrates the difficulty of it all depends what you
4 mean by "likely", whether you express that in a word
5 "likely" or whether you try and do some number crunching
6 and express it in terms of numbers.

7 The next document, putting that to one side, is an
8 updated version of this report, [\[SNF0011138\]](#). We can
9 see this is by Dr Colvin and colleagues but the report
10 is assembled by Dr Smith, and it's dated
11 16 September 1987. At page 2, please, we see the first
12 paragraph states:

13 "This updated analysis, covering approximately two
14 years of study in several haemophilia centres, is
15 stricter than the one presented to HCDs last year, in
16 terms of admission criteria and assessment of
17 compliance. Since some will still find these standards
18 too lax, sufficient detail is given to allow further
19 categories of patient to be excluded."

20 We can see "admission criteria". The numbers of
21 patients:

22 "This analysis is restricted to three classes of
23 patient ..."

24 Seven who received 8Y and had no previous exposure
25 to any blood product. 12 who received 8Y and were

1 previously exposed only to single donor products and
2 then ten patients receiving 9A.

3 In terms of 8Y, this analysis is based on 19
4 patients, only seven of whom have no previous exposure
5 to any blood products. Then at page 4, please, a short
6 conclusion on page 4. The conclusion states:

7 "It is not possible to determine the true incidence
8 of transmission of NANBH by 8Y and 9A from this
9 imperfect evidence but the apparent near zero incidence
10 justifies the inclusion of a further series of patients
11 in a more formally controlled prospective trial, to be
12 coordinated by Dr Rizza and Dr Kernoff."

13 This is perhaps, an illustration, doctor, of what we
14 discussed at the very outset, that the phase 2 clinical
15 evaluation can really go on for a number of years.

16 A. Yes, and effectively what happened was that, having done
17 this initial phase 2 evaluation, BPL did a second phase
18 2 evaluation, which was more definitive.

19 Q. Thank you. Then for the next document in this chain of
20 events, we should, I think, look at [\[SNB0017768\]](#). These
21 are the minutes of a meeting of the UK
22 haemophilia centre directors on 25 September 1987, at
23 which Dr Smith's updated report was considered. If we
24 could go, please, at page 7, in item 9 there is
25 reference to Dr Smith's updated interim report. In item

1 10 it states:

2 "Proposed clinical trial of NHS Factor VIII and IX
3 (8Y and 9A). Dr Kernoff said that the experience with
4 8Y and 9A, clearly indicated that they were more safe
5 than previously available NHS and commercial
6 concentrates as regards HIV and hepatitis transmission.
7 However, it was undeniable that the evidence on safety
8 was somewhat 'soft' in scientific terms. 'Hard'
9 evidence, comparable with that available for certain new
10 commercial products, could only be obtained from
11 a rigorously performed virgin patient study, carried out
12 in accordance with the protocol suggested by the ISTH.
13 For this reason, a new study was to be mounted of the 8Y
14 product in patients who had never previously been
15 exposed to any blood or blood products."

16 That's consistent, with what you told us about
17 a second phase 2 evaluation?

18 A. That's correct.

19 Q. Thank you.

20 Could I then, please, go to [\[LIT0010330\]](#)? We can
21 see that this is a report in the Lancet of
22 8 October 1988 by the UKHCDO study group, led by
23 Dr Colvin and others, of their evaluation. We can see
24 from the summary that:

25 "32 patients with coagulation factor deficiencies

1 and likely to be susceptible to NANBH virus infection
2 were treated with a total of 20 batches of a Factor VIII
3 concentrate and 10 batches of a Factor IX concentrate."

4 A little on:

5 "Severe dry heating appears to have reduced the risk
6 of NANBH transmission from about 90 per cent in
7 untreated concentrates to a statistically determined
8 rate of 0 to 9 per cent."

9 Could we then, please, look at page 3, please, the
10 very last paragraph of the report:

11 "After this demonstration that dry heating at
12 80 degrees centigrade is highly effective in
13 inactivating NANBH virus ... a second trial of 8Y and
14 9A, rigorously in line with ICTH criteria, has been
15 started to quantify more precisely any residual risk."

16 So I think, doctor, then this paper, the Colvin
17 paper, is reporting on the first phase 2 trial. Is that
18 right?

19 A. That's correct.

20 Q. Thank you:

21 "In the absence of objective and specific tests for
22 the virus or viruses transmitting NANBH, clinical trials
23 cannot prove that transmission has been eliminated by an
24 inactivation method."

25 Then the last sentence:

1 "Physicians should continue to prescribe as if all
2 blood products still carry a diminishing but finite risk
3 of transmitting blood-borne viruses, particularly the
4 agents for NANBH."

5 I think we can finally look at the report of the
6 second phase 2 trial, and that is the 1993 paper by
7 Rizza et al, [\[SNB0045996\]](#), published in the British
8 Journal of Haematology, the title is:

9 "Confirmation of Viral Safety of Dry-heated
10 Factor VIII Concentrate 8Y, Prepared by BPL: A Report on
11 Behalf of UK Haemophilia Centre Directors."

12 The summary states:

13 "27 Factor VIII deficient patients, who had
14 previously not been treated with blood or blood
15 products, were studied after infusion of a total of 24
16 batches of NHS Factor VIII (VIII-Y) concentrate produced
17 by [BPL]. Follow-up was carried out according to
18 guidelines laid down by the International Society on
19 Thrombosis and Haemostasis. Serial estimations of amino
20 transferase level, carried out over a 26 week period,
21 revealed no elevation of these enzymes attributable to
22 hepatitis. Studies of various virological markers found
23 no evidence of infection with Hepatitis C, Hepatitis B
24 or HIV following transfusion. This confirms a previous
25 finding that severe dry heating of Factor VIII at

1 80 degrees centigrade for 72 hours seems to reduce the
2 risk of transmitting Hepatitis C from approximately
3 90 per cent to a rate of 0 to 11 per cent."

4 Perhaps two observations, Dr Foster. Firstly, of
5 course, by this time the Hepatitis C virus had been
6 discovered. I think it was discovered in 1988, albeit
7 there wasn't scientific publication of that until 1989.
8 Hence in the summary, the reference is to Hepatitis C,
9 rather than NANBH?

10 A. It goes beyond that. It means there is a test
11 available, a direct test. So you can now get much more
12 precise information than you could using surrogate
13 tests, and it makes this kind of monitoring of patients
14 much easier for everyone concerned.

15 Q. What it also perhaps interesting is the last sentence of
16 the summary. The really very careful, precise and
17 perhaps cautious language used, in that it's stated
18 that:

19 "This confirms a previous finding that severe dry
20 heating seems to reduce the risk of transmitting
21 Hepatitis C from approximately 90 per cent to a rate
22 of... "

23 What is set out. So even at this late stage, the
24 language used perhaps is still somewhat precise and
25 cautious.

1 A. I think people are being very careful not to perhaps
2 make some definitive statement and then suddenly find
3 that they have got egg on their face and they have got
4 a patient infected. They have to be very, very careful.

5 Q. Just to complete the references for this chain but not
6 going to the document, the ISHT protocols are set out in
7 a 1988 paper by Mannucci and another, which is
8 [\[SGF0011758\]](#) and I'll perhaps consider that with
9 Dr Cuthbertson, I think.

10 So that completes that chain of documentation.

11 I should perhaps then just return to your statement,
12 please, doctor, at page 4 to complete that. And page 4,
13 half way down, (iii), you say:

14 "When the final report of the study was published in
15 the Lancet on 8 October 1988 ..."

16 This is the Colvin reported we have just looked at:

17 "... it seemed to me that this was the first time
18 that I considered it likely that the heating regime for
19 8Y resulted in a product which did not transmit NANBH.
20 As to the best of my knowledge, this was the first
21 publication of these data that had been peer-reviewed."

22 You also then go on to state that:

23 "Although this final report claimed that the risk of
24 NANBH transmission was 0 to 9 per cent, there were
25 a number of reservations about the study."

1 "Firstly it did not comply fully with the protocol
2 that would be established by the ICTH, and secondly
3 there was one potential case of NANBH transmission
4 excluded from the analysis."

5 Over the page:

6 "Thirdly, the analysis combined recipients of
7 Factor IX ... and Factor VIII."

8 You query whether it's:

9 " ... valid to combine patient data from two
10 different products, in which the baseline, unheated risk
11 of NANBH transmission may not have been the same."

12 I think we can see that point.

13 I think then, doctor, that then finishes question 2
14 and the position in England, and I think we can now move
15 on to the position in Scotland, if we may.

16 To cover the position in Scotland, I think I would
17 like to put your statement to one side, please, and
18 instead go to the briefing paper which you have prepared
19 for us previously. This is page 40 of [\[PEN0131309\]](#).

20 We should perhaps go back to page 32, which is
21 .1340. We can see paragraph 4.4. This whole chapter
22 concerns research and development of heat treatment by
23 the SNBTS. We looked at the table previously. So we
24 can skip that, please. We then go to page 34. You set
25 out events from 1981 on. Again, I'm going to skip the

1 first few pages because they have been covered under the
2 previous B3 topic.

3 Where I would like to start, please, is at page 40,
4 which is point 1348. The second paragraph talks of
5 scientific staff from the PFL/BPL visiting PFC at the
6 end of March 1985. I think we covered that earlier this
7 morning, but what I'm interested in, Dr Foster, is the
8 next paragraph, beginning:

9 "A number of questions remained concerning the
10 development of 8Y ..."

11 And you list them. I take it that the reference to
12 "a number of questions remaining" will refer to as
13 at March 1985.

14 A. That's correct, yes.

15 Q. What I'm interested in, doctor, is which, if any, of
16 these questions remained as at
17 perhaps September/October 1985, so once BPL were in
18 full-scale production of 8Y and it was being routinely
19 issued for clinical use. Can you just go through these
20 questions, please, and tell us which would have remained
21 as at that point, sort of September/October 1985?

22 A. I think, when BPL are issuing product
23 from September 1985, then I would assume that they had
24 established for themselves that the product was stable
25 at that scale of operation. But in these types of

1 processes, some of these problems sometimes only emerge
2 after a period of time. So you do -- today we talk
3 about due diligence, and you would actually want to see
4 data from a number of batches that have been produced
5 consecutively before you conclude that it has been -- it
6 meets all of the requirements that have been set.

7 So you would probably be looking for data from maybe
8 half a dozen batches prepared at BPL, to establish
9 whether these conditions had been met. And that would
10 probably have been achieved, certainly by the
11 beginning -- I would say round about October or late --
12 I don't want to be too specific about it. I can't be
13 too specific but it would have been late 1985.

14 Q. So I think that's the first bullet point:

15 "Would the product be stable ... "

16 Just going through them one by one.

17 A. The second one really deals with this idea of this very
18 severe heat treatment, and it's one thing to be able to
19 do that with product prepared at Oxford but doing it at
20 the larger scale routinely at BPL, there was a question
21 of would all the batches survive that treatment, and
22 I think, as we came to find out later, not all the
23 batches did survive heat treatment. They did have
24 continuing problems. So we were all at the bottom of
25 a learning curve here and BPL were still learning at

1 this point in time. But they didn't manufacture enough
2 material to be able to supply about a third of the
3 requirement for England -- maybe 25 per cent at that
4 time. But I think they also failed batches. So it
5 wasn't entirely straightforward.

6 Q. The third bullet point.

7 A. I think in terms of the pharmacokinetics and clinical
8 efficacy and tolerability, I think that would have been
9 established, again by October. Clearly they wouldn't
10 have been issuing the product routinely if they hadn't
11 established that by October.

12 Q. The next bullet point concerns whether heat treatment at
13 such high temperature would create new antigens.

14 A. This is really not my area of expertise but I think
15 Professor Ludlam said it would take -- I can't remember
16 now -- a few weeks or a few months to establish whether
17 this would happen or not. So I think he would want a few
18 months' experience to see whether this was going to
19 happen or not.

20 Q. The next one:

21 "What degree of virus inactivation would be obtained
22 (given that no experiments had been performed using
23 marker viruses)."

24 Far less the Hepatitis C virus.

25 A. That was obviously a major issue, and what we have just

1 been talking about is whether this has actually been
2 effective in dealing with non-A non-B Hepatitis, and
3 what many people were doing by this time was having what
4 we called model viruses and marker viruses that you
5 would study in the laboratory to establish the degree to
6 which this process might or might not be effective and
7 compare it to, say, the pasteurisation of albumin or the
8 pasteurisation of Factor VIII as performed by
9 Behringwerke, so get some kind of measure of how
10 effective this process might be. BPL didn't have those
11 facilities and they had no data at all like that. So
12 really they had nothing to back up the process, other
13 than the monitoring of the patients, which was taking
14 a very long period of time.

15 Q. Does that perhaps tie in with the final bullet point:

16 "Would the dry heat treatment be effective in
17 preventing the transmission of NANBH."

18 Was that still an outstanding question --

19 A. It was very much an outstanding question, yes.

20 Q. We have just looked at this series of documents, which
21 perhaps illustrates that.

22 So finally, I think, we can leave England at this
23 stage and properly turn to look at what was happening in
24 Scotland, and you go on to say at the bottom of page 40
25 that:

1 "Given the degree of uncertainty associated with
2 alternative options, the SNBTS continued its strategy
3 aimed at producing a high purity concentrate suitable
4 for pasteurisation, but to which either solvent
5 detergent treatment or severe dry heat treatment could
6 be applied instead, if they proved to be superior."

7 And the reference there is, I think, to the NYU
8 project. Is that right?

9 A. That's correct.

10 Q. Just to remind us, doctor, are you able to summarise for
11 us the main steps or progress that had been taken with
12 the NYU project between roughly January 1980
13 and September/October 1985?

14 A. Certainly. We had actually begun practical work.
15 Although we had discussions with Professor Johnson from
16 1983 onwards, we had started practical work at PFC in --
17 I think it was, August 1984, in which we were looking to
18 take his development, his invention, if you like, and
19 make that into a practical process that could be run in
20 a manufacturing operation. And Dr McIntosh was leading
21 this and we had made considerable progress in
22 identifying appropriate reagents in conjunction with
23 a company called Pharmacia, who were the world-leading
24 company at that time for providing chromatographic
25 reagents for the pharmaceutical industry. And we had --

1 some of their new materials they had produced seemed to
2 be appropriate. But because these were new materials,
3 quite a bit of work was required to work the system up,
4 and that was what Dr McIntosh was working on and he was
5 making really excellent progress.

6 So by this point in 1985, we certainly had
7 a prospect that we could reasonably quickly have a much
8 higher degree of purification, which, as I said earlier,
9 was initially -- had the advantage that it would help us
10 to develop the pasteurisation process. But if the
11 pasteurisation process turned out not to be the best
12 process, if other procedures came through, then it also
13 was compatible with that. It would -- by having this
14 increased purity, it was compatible with the notion from
15 BPL that it was increased purity that allowed them to
16 achieve heating at 80 degrees.

17 So if we had something that was even more pure, not
18 only should that survive heating at 80, but we could go
19 higher. We could heat at 90, 100, who knows; whatever
20 might be needed to destroy this virus. It might be more
21 heat resistant than heat treatment at 80 degrees.

22 So we were positioning ourselves here to have
23 options, if you like, we were doing what we thought --
24 or what I judged was the best option, but we were
25 leaving the options open so that we could change

1 direction to do whatever emerged as being better if that
2 did happen. And of course, it was conceivable at this
3 point in time that none of these methods would work.
4 And there is one eminent author who produced a paper,
5 who argued that non-A non-B Hepatitis was caused by
6 a prion agent, and if that had turned out to be the
7 case, none of these methods would have been effective.

8 Q. Can I put it this way -- again it may be an
9 over-simplification -- that the success at BPL of
10 severely heating 8Y perhaps gave you some reassurance
11 that you were on the right lines with NYU, for the
12 reasons you have just explained, that if a BPL high
13 purity product could be severely heated, then it may be
14 that an even purer product could be heated to such
15 temperatures.

16 A. That's right, and that to my mind seemed to be at that
17 point in time, the possibility that we could go beyond
18 80-degree heat treatment, if that was what was required,
19 as an option.

20 Q. So in a way the success of the 8Y product didn't make
21 you think, "Hang on, we are going down the wrong route".
22 From what you have said, it suggests it gave you some
23 reassurance that you were in fact going down the right
24 route.

25 A. At this point in time, my judgment was that, in terms of

1 the data that were available, the better data came from
2 the pasteurisation process in terms of safety to
3 patients.

4 Q. I understand.

5 A. Therefore, that was the front runner. But we were
6 positioning ourselves to change if we got new
7 information that showed that perhaps dry heat treatment,
8 for very severe conditions, was going to be a good
9 option. And that, if we had to go beyond -- heat at 80
10 or go beyond 80, the higher purity product should be
11 capable of doing that because it was much more highly
12 purified than 8Y.

13 Q. I would like to go over to page 41 and just continue the
14 Scottish chronology, if I may. At the top of page 41,
15 you say:

16 "The SNBTS Factor VIII concentrate heated for
17 24 hours at 68 degrees was released for clinical trial
18 on 14 March 1985."

19 I think this is the NY HT2 product referred to in
20 the table we looked at earlier. Is that right?

21 A. Sorry, which page are we on?

22 Q. Sorry, the top of page 41, the first sentence.

23 A. Okay. Yes, that's correct.

24 Q. Yes. So that's NY HT2. I think we looked at that in
25 B3. So I'm not going on ask you any questions about

1 what's on that page. We can see what it says for
2 ourselves. I want to try and focus on Z8. Over the
3 page to page 42, please. Then the second paragraph
4 explains:

5 "SNBTS Factor VIII concentrate, heated for two hours
6 at 68 degrees, continued to be released in Scotland
7 until 13 September 1985. SNBTS Factor VIII concentrate
8 heated for 24 hours at 68 degrees was issued routinely
9 from 4 September 1985 ... "

10 The two hour concentrate was subsequently recalled.
11 Then events which are more pertinent to this topic, in
12 the next paragraph:

13 "By October 1985, the volume of high purity
14 Factor VIII ..."

15 The NYU product?

16 A. That's correct.

17 Q. "... solution that could be prepared in the PFC research
18 laboratory was sufficient to fill the number of vials
19 needed to perform a trial of freeze-drying."

20 You say that:

21 "Surprisingly, the highly purified Factor VIII NYU
22 was destroyed using the established freeze-drying
23 conditions that were used by the SNBTS to dry
24 Factor VIII concentrate (NY), leading PFC researchers to
25 design a new cycle from first principles to freeze-dry

1 high purity Factor VIII."

2 Just for the avoidance of doubt, doctor, am I right
3 in thinking it was the freeze-drying step which
4 destroyed the NYU product rather than the separate and
5 later heating step?

6 A. Yes, it was the freeze-drying only. There was nothing
7 after the freeze-drying left to heat.

8 Q. Right. Moving on, a new freeze-drying cycle for the NYU
9 product was designed. The next paragraph states:

10 "The high purity material tolerated this new
11 freeze-drying cycle but, contrary to expectation,
12 a sample of the ... intermediate purity Factor VIII
13 concentrate (NY), which had been included as an
14 experimental control, not only survived freeze-drying
15 but also tolerated 80 degrees dry heat. By contrast,
16 the samples of high purity Factor VIII failed to
17 withstand 80 degrees dry heat."

18 So at this stage you are looking at the heating
19 step. I think you have found that the NYU product did
20 not tolerate that step but a sample of the intermediate
21 purity NY Factor VIII did. Can you just tell us
22 a little bit about the vial or sample of the
23 intermediate purity product which did survive the
24 heating?

25 A. Yes, this was an experiment performed by Dr McIntosh and

1 the amount -- the high purity Factor VIII that he was
2 freeze-drying, because it was highly purified, was
3 a very small volume and it was -- he was freeze-drying
4 these small volumes, a few millilitres, and he chose to
5 include in the experiment, as you have pointed out, some
6 of the established Factor VIII as a control, and he took
7 just a few millilitres of that as well.

8 So it wasn't a bottle of the standard product. It
9 was just a sample from the standard product that he
10 used. And this was the very surprising result that he
11 obtained, and it was surprising to me because I had
12 expected the high purity product to withstand dry
13 heating at 80 and even to be able to withstand heating
14 beyond 80, and of course it didn't.

15 By contrast, the product that we thought would be
16 destroyed by 80-degree heating survived. So it was
17 a double shock, if you like, to get this knowledge.

18 Q. And the sample from the existing Factor VIII
19 concentrate, was that taken from concentrate which had
20 been produced in the research laboratory or was it taken
21 from a standard vial that was being issued to patients?

22 A. No, it would have been a standard vial from the
23 production department, where Dr McIntosh would have
24 taken a sample from that and then dissolved it and added
25 a few mls into a small vial and used that as his

1 control.

2 Q. Was that product inserted as a control?

3 A. You would have to ask Dr McIntosh.

4 Q. We will.

5 A. That was his choice. I have to say, if I had done that
6 experiment, I probably wouldn't have done that, but he
7 did the experiment, not me.

8 Q. Put it this way, would that have been standard practice?

9 A. He says it's good science always to have a control, and
10 that was the best control he could come up with.

11 Q. Do you think that was good science?

12 A. I think he is probably right, yes. I think he included
13 albumin as a control as well in the experiment, not just
14 the Factor VIII.

15 Q. You weren't surprised that he included that sample as
16 a control?

17 A. He hadn't discussed it with me beforehand. So when he
18 produced the results I hadn't expected it but when he
19 explained it to me, it made sense.

20 Q. Yes, I think you said that albumin had also been
21 included as a control?

22 A. I think that might have been -- I think there might have
23 been a sample of albumin as a control as well. You need
24 to check with Dr McIntosh.

25 Q. We will do that, thank you.

1 Going back to your statement, please, at page 42,
2 you explain that:

3 "This observation implied that it was the nature of
4 the freeze-drying process and not product purity that
5 determined whether or not 80/70 dry heating could be
6 tolerated by Factor VIII. Details of the freeze-drying
7 procedure had not been given in the patent application
8 of 8Y, so further information was sought from the PFL."

9 If we could look firstly, please, at [\[PEN0171376\]](#).
10 This, I think, doctor, is a memorandum from yourself to
11 Dr McIntosh, dated 22 October 1985, concerning the heat
12 treatment of Factor VIII. Why is the memorandum from
13 you to Dr McIntosh, rather than the other way round, if
14 he conducted the experiment?

15 A. I think he had given me his results and I had been
16 reflecting on them and I had just written down my
17 thoughts for him to think about.

18 Q. Am I right in thinking that there is no reference in
19 this memo to the control we talked about, which
20 successfully tolerated the heating?

21 A. There might not be. I haven't read this for 25 years.

22 Q. Take a couple of minutes to look at it, please.

23 A. My first surprise was that the higher purity product had
24 not survived heat treatment and I was trying to think
25 about that. I had expected it to survive the 80-degree

1 heat treatment. So why did it not? That's what I was
2 thinking about. This is the day after the experiment,
3 I think. That was my first -- the things I was thinking
4 about.

5 Q. So your focus was on the NYU; why didn't it tolerate the
6 severe heating?

7 A. Yes.

8 Q. That was presumably a bit of a puzzle and you have
9 explained that. Can we then, please, look at
10 [\[SNB0075355\]](#)? This is you then writing to Dr Smith. We
11 will see in a second, 13 November 1985. Initially you
12 give Dr Smith some recent PFC publications and then at
13 the end of the letter you say:

14 "One question I have been meaning to ask you: what
15 are the freeze-drying conditions for your new
16 Factor VIII concentrate, especially during primary
17 drying. We have some preliminary data that suggests
18 that drying conditions may be particularly critical for
19 the subsequent sensitivity of both protein and virus
20 components to heating (not unexpected)."

21 The preliminary data you refer to in your letter,
22 I assume, is a reference to the Mackintosh experiment we
23 have just talked about?

24 A. Yes, and I think we may have repeated those experiments.
25 We didn't just depend on one experiment. You normally

1 repeat them to see if you can confirm the results.
2 That's probably the information that I was referring to.

3 Q. What's meant by the words "not unexpected"?

4 A. I think this is a parenthesis and, kind of with
5 hindsight, you do see that, in plasma fractionation,
6 where you are dealing with processes made up of a number
7 of steps, that there can be interactions between the
8 different steps. So why would -- thinking hard about
9 it, maybe it is not unusual that the freeze-drying
10 procedure might influence how the subsequent heat
11 treatment performs. For example, the type of -- the
12 composition of the cryoprecipitate that you get at the
13 start of the process influences what happens with the
14 heat treatment, which is about ten steps later on. So
15 if that can influence heat treatment, maybe the
16 freeze-drying can influence heat treatment.

17 Q. So the words in brackets, "not unexpected", are perhaps
18 after the event comment?

19 A. Very much after the event, yes.

20 Q. Can we then, please, look at Dr Smith's response, which
21 is [\[SNB0075458\]](#). We will see this is a letter dated
22 11 December 1985 from Dr Smith to yourself, where he
23 sets out the freeze-drying conditions at Oxford. It's
24 fairly technical. I don't propose to go into that in
25 any more detail.

1 So at this stage, mid December 1985, you have the
2 freeze-drying conditions, certainly at Oxford, perhaps
3 not for BPL -- or just Oxford?

4 A. This seems to be just Oxford.

5 Q. PFL? Thank you. Could I then, please, revert to
6 page 42 of the briefing note? The second last
7 paragraph, last sentence. You stated:

8 "The information supplied by Dr Smith confirmed that
9 the new freeze-drying cycle devised at PFC was similar
10 in design to that being used to freeze-dry 8Y,
11 consistent with this being the key aspect of the 8Y
12 process, rather than the degree of purification."

13 So is it really at this stage,
14 doctor, October, November, December, 1985, that your
15 thinking changes from being of the view that
16 purification was the key to the severe heating of 8Y, to
17 thinking that it may in fact be the freeze-drying
18 process?

19 A. Very much the case, yes. If we can heat something at
20 80, which is much less purified, that seems to suggest
21 it wasn't the purification that was important because
22 the two freeze-drying processes now that we had devised
23 appeared to be fairly similar and that seemed to point
24 to that being the area that was more important in the 8Y
25 process than the purity.

1 Q. Thank you.

2 Then carrying on, the bottom of page 42:

3 "In addition to this finding, a number of other
4 items of information emerged in late 1985, which, taken
5 together, caused the SNBTS to alter its R&D strategy to
6 focus on the development of an 80-degrees centigrade
7 dry-heated Factor VIII concentrate, similar to 8Y of the
8 BPL, rather than the high purity NYU concentrate. This
9 new information included ... "

10 Over the page you list the various factors.

11 Firstly:

12 "A pre-publication report from the USA which found
13 HIV to be more resistant to dry heat treatment and
14 earlier experiments had indicated ..."

15 A reference to Prince paper:

16 "... leading to uncertainty over the margin of
17 safety being provided by the current SNBTS dry heated
18 Factor VIII concentrate."

19 What I propose doing, sir, is simply providing the
20 reference for these documents, rather than going into
21 them in detail because I think we could get bogged down
22 a little in detail. The general point is made by
23 Dr Foster that these reports gave rise to uncertainty
24 over the margin of safety, and I don't think that
25 statement is controversial.

1 THE CHAIRMAN: If it becomes controversial, I'll no doubt
2 hear from somebody else, Mr Mackenzie.

3 MR MACKENZIE: Thank you, sir.

4 The Prince paper, for reference, is [\[SNB0075360\]](#).
5 That's the pre-publication version. It was, in due
6 course, published in the Lancet on 31 May 1986, and that
7 is [\[LIT0010339\]](#). One can also look at document
8 [\[SNB0075358\]](#), which is a letter from Dr Perry to
9 Dr McClelland dated 5 November 1985, in which the
10 pre-publication of Prince is discussed.

11 Then returning, please, doctor, to page 43, the
12 second bullet point, you refer to a problem of
13 instability that had been identified in a scale-up of
14 NYU, which required to be solved. I don't think we have
15 heard about that. Do we need to hear about that?

16 A. Very briefly. As we were making progress with this
17 research, Dr McIntosh was gradually increasing the
18 volume of preparation in order to get material to do
19 freeze-drying studies, et cetera, et cetera, and in some
20 of these experiments in the research laboratory, where
21 he reached a volume of the experiment where the product
22 became unstable, and it seemed to occur, I think from
23 memory, at about a point where -- the equivalent of
24 100 litres of plasma.

25 If we were dealing with less than that, the product

1 was stable; if it was more than that, it was unstable.
2 And it seemed to be that there was something in there
3 that was reaching some critical concentration and was
4 causing the instability of the Factor VIII, and that
5 pointed out a problem that had to be solved and we
6 didn't -- you know, this was another unknown, so it was
7 something to bear in mind, that we didn't know how long
8 it would take to solve. It might be solved in weeks, it
9 might take months, it might take years. That was
10 unknown. So it was just another concern that was
11 emerging about the NYU programme.

12 Q. In the next bullet point, you refer to the difficulty in
13 dry heating the high purity NYU product at 80 degrees
14 centigrade. We have just discussed that. The next
15 bullet point states:

16 "A recognition that the sophisticated equipment
17 required for the production of the high purity NYU
18 concentrate could not be obtained quickly and its
19 operation would require revised staffing arrangements,
20 the establishment of which was uncertain."

21 Are you able to briefly tell us about the question
22 of the equipment and the staffing arrangements --

23 A. Yes, this was a multistage chromatographic process,
24 which we were looking to have automated as much as
25 possible, and we wanted to buy this equipment and have

1 it operational as quickly as we could, and Dr McIntosh
2 sat down with the company Pharmacia, who supply this
3 equipment, and he drew out our requirements with them --
4 and this was in October 1985. And it was that process
5 of sitting down with the company that made this
6 equipment that we learned that this was really much more
7 sophisticated than they had ever done before. It was
8 the first time that anyone had manufactured automated
9 chromatographic equipment for the purification of
10 proteins at this scale, and they told us that they
11 couldn't deliver this equipment for something like, six
12 to nine months.

13 So that was an obvious delay. We couldn't get the
14 equipment. We thought we could have got it sooner. And
15 also, working through the equipment, Dr McIntosh also
16 worked out -- he realised that the operation of this was
17 considerably -- would require a lot more effort and more
18 manpower or womanpower than we had at the moment, and we
19 would need also to have probably some form of
20 shift-working to carry out the process because it
21 wouldn't be completed in one day, and as we have
22 discussed in the earlier sessions, we had failed to
23 obtain shift-working at PFC. We had put forward
24 proposals in the past and it hadn't been obtained, and
25 it was something that was out of our hands. We weren't

1 in control of getting -- negotiating staffing
2 arrangements.

3 So that was another issue that was causing us to
4 think this NYU high purity product might take longer
5 than we had hoped, and that was another aspect to take
6 into consideration.

7 Q. Then the final bullet point:

8 "The 8Y produced at BPL has been found to be
9 satisfactory in terms of clinical efficacy and
10 tolerability."

11 Doctor, was pressure being created on PFC by the
12 fact that the 8Y product was in production and had been
13 in routine clinical use for a number of months, and on
14 the face of it appeared to be more safe in respect of
15 NANBH transmission than the PFC equivalent product?

16 A. I think, at this time, the knowledge on safety -- we
17 have just been through all of that, and it's still
18 embryonic. We are certainly very interested, obviously,
19 and we are at a point where we are deciding whether to
20 go with that horse or stay with this horse, and it's
21 where do you put your priorities, and we are
22 beginning -- we are debating -- getting into a debate
23 about these issues at this point in time. And of
24 course, we took a decision to change our direction.

25 Q. And it's really perhaps a combination of all of these

1 factors you have listed there, which led to the decision
2 to --

3 A. I would say there was not one single factor but if
4 I were to emphasise one single factor, it would be the
5 first one, which was the concern about HIV.

6 Q. Interestingly, perhaps, doctor, you haven't included as
7 a factor the preliminary evidence about the safety of 8Y
8 in terms of transmitting infection or not. Was that
9 a factor? Can you remember?

10 A. No, the driving force -- and you might come on to it.
11 There is a memo that I wrote shortly after this where,
12 at around about December 1985, I'm actually saying,
13 "I think we should stick with pasteurisation and high
14 purity," and Dr McIntosh was saying, "No, I think
15 80 degrees". So we were having that debate and we had
16 differences of opinion. So we got together and had
17 a meeting and developmentally we agreed that the HIV
18 data from America was causing some uncertainty --

19 Q. I'll come on to that in a second. We are very
20 interested in that. I'll perhaps just read on two more
21 paragraphs in your briefing note and then we will come
22 back to look at some of the documents and events in more
23 detail. So go back to page 43, you explain that:

24 "A meeting of PFC managers was held on
25 23 December 1985 specifically to consider these matters

1 and it was agreed that a change in the strategy should
2 be recommended to the SNBTS, with the development of
3 a 80 degrees dry heat-treated Factor VIII concentrate as
4 first priority and the development of a high purity
5 Factor VIII concentrate as second priority."

6 Just reading on to the next paragraph:

7 "This new plan was endorsed at the next meeting of
8 the SNBTS Factor VIII study group on 27 February 1986
9 and was agreed with haemophilia directors on
10 5 March 1986, the primary objective being to introduce
11 a new Factor VIII concentrate as soon as possible, to
12 provide a greater margin of safety against HIV. It was
13 also important that there be no interruption in the
14 provision of this essential product to patients."

15 Can we turn to look at some of the documents,
16 doctor, starting with the memo you mentioned? It's your
17 memo to Dr Perry of 18 December 1985, which is
18 [\[SNB0136680\]](#). We can see the subject is, "Factor VIII,
19 progress and options". You explain:

20 "This is a brief summary of where we are at with the
21 NYU Factor VIII project and the various options that are
22 available to us to achieve a product heated at
23 80 degrees centigrade for 72 hours."

24 You deal firstly in the memo with the NYU project
25 and explain that:

1 "We are currently trying to determine a product
2 formulation which stabilises Factor VIIIIC and enables
3 heating at 80 degrees centigrade for three days to be
4 achieved."

5 Just to pause there, doctor, why were you currently
6 trying to determine a formulation which enabled heating
7 at 80 degrees for three days?

8 A. By this time we were already issuing Factor IX heated at
9 80 degrees for three days and the dry heat treatment
10 procedure was simpler than pasteurisation technically
11 and therefore -- and we were very interested in having
12 this high purity product as well. So heating the high
13 purity product at 80 degrees for three days in the same
14 way as we were heating Factor IX had become, I think, by
15 this stage our first objective and was beginning to --
16 in terms of the order of things, replacing the idea of
17 pasteurisation because it was technically simpler to do.

18 Q. By "pasteurisation", doctor, do you mean wet heating at
19 any temperature, or by "pasteurisation" do you mean wet
20 heating at 60 degrees?

21 A. Any temperature that would be effective against non-A
22 non-B Hepatitis. You may have seen that we were
23 exploring heating at different temperatures, as
24 70 degrees and so on, to try and get some comparability
25 to albumin, which was seen as the benchmark for safety.

1 Q. Yes. Thank you.

2 Doctor, returning to your memo, you go on to say:

3 "The latest attempt at heating on 17 December 1985

4 has given a negative result."

5 You then go on to set out various things, including

6 various options. The options are perhaps a little

7 technical. I should perhaps say, doctor, that the

8 question of the technicality of the various options for

9 NYU in perhaps degrees of detail that we need to know,

10 I think I'm happy to stick at a certain level. If

11 others feels they need to know more detail, they can

12 always drill down but I think I'll leave page 1 as it

13 is.

14 A. I should just add that at this point in time I'm kind of

15 speculating why is it that this material that we thought

16 would survive heating hasn't and how can we explore this

17 further.

18 Q. Yes. Over to page 2, please. You then talk about, in

19 paragraph 2, the standard Factor VIII products.

20 I assume this is a reference to the intermediate purity

21 NY product.

22 A. That's correct.

23 Q. Thank you. Really, three options are set out in that

24 respect. 2.1:

25 "Heat our existing product at 80 degrees for

1 three days.

2 "Preliminary results suggest that this can be
3 achieved with the more conservative freeze-drying regime
4 that we are now using for the NYU product."

5 What do you mean by more conservative freeze-drying
6 regime?

7 A. We called it conservative because it was a slower
8 process. It took longer. It was more gentle.

9 Q. Thank you:

10 "The problem here would be a relatively long
11 freeze-drying time, about one week, for a 40 ml fill --

12 A. I think that should say "one month" actually.

13 Q. Sorry?

14 A. I think this is a mistake and it should say one month,
15 not one week.

16 Q. One month? Just for comparison purposes, what was the
17 length of freeze-drying time for the NY intermediate
18 purity Factor VIII being issued at that time?

19 A. I think it was about three or four days.

20 Q. Then paragraph 2.2, the second option in respect of the
21 existing product:

22 "Purify our existing product a little further so
23 that we can concentrate the solution (by
24 ultra-filtration) and achieve a smaller fill volume and
25 thereby reduce the freeze-drying time. This could be

1 done by zinc precipitation or cryoprecipitate (we have
2 already heated this material at 80 degrees centigrade
3 with good results). A little work would be required to
4 optimise the ultra-filtration conditions."

5 Just to pause and to look at two separate documents,
6 we saw that at the top of this page there is a reference
7 to "preliminary results", under 2.1, and, under 2.2,
8 a reference to "good results". I think we have some
9 laboratory notes which we can perhaps briefly look at.
10 Can we look, first, at [\[PEN0171378\]](#)? We can see, at the
11 top right-hand corner, the date, 11 November 1985.

12 Whose writing is this?

13 A. That's my writing.

14 Q. What's the reference to NY776? What product is that?

15 A. That would have been the established Factor VIII
16 concentrate, intermediate purity.

17 Q. I see. So is this a record of -- we can see -- unheated
18 and then heated at 88/72 hours?

19 A. Yes, this is all of the different types of material that
20 we had studied with the different additives and
21 temperature and time of heating. I had obviously taken
22 photographs of all of these to look at the colour of the
23 vial because that's one indication of damage that's
24 occurring on heat treatment and it shows you the
25 different concentrations of some of the agents that you

1 were adding to see how it would affect this material.

2 Q. So this is a record of the severe dry heating

3 experiments being carried out on the existing product --

4 A. That's correct.

5 Q. -- as at November 1985? Thank you.

6 Again for completeness, please, a separate document,

7 [\[PEN0171379\]](#). We can see the date at the top, 21/11/85.

8 What document is this?

9 A. This is Dr McIntosh's first experiment, I think, to --

10 I'm not sure if it's his first but it's one of his

11 experiments to see if the material that we had been

12 working with for our pasteurised Factor VIII product

13 could be adapted to a dry heat-treated material, and so

14 this is the method sheet for the pasteurisation

15 material, ZHT, and you can see, as you go down it, that

16 he has crossed various things out and as you get further

17 down, he has deleted all the stuff that leads you into

18 pasteurisation and he is just modifying some of the

19 solutions to see if he gets a material that can be

20 capable of dry heat treatment.

21 Q. So is this the beginning of Z8?

22 A. It is the beginning of Z8, yes.

23 Q. I see. Could we return to the memo, please,

24 paragraph 2.1, the reference to "preliminary results"?

25 Is that a reference to the first document we have just

1 looked at, the one dated 11 November 1985?

2 A. I'm not sure --

3 Q. It may not matter.

4 A. -- if it refers to that one or not, I'm sorry.

5 Q. How about then the document that's dated

6 21 November 1985, which was the beginning of what turned

7 out to be Z8?

8 A. That would be paragraph 2.2 here.

9 Q. That would be 2.2, I understand. Thank you.

10 Then paragraph 2.3, other options:

11 "Copy the BPL method."

12 You have set this out in some detail, I think, in

13 your briefing note, which we will come to shortly, but

14 just to stick with the memo, you state:

15 "This was derived from our own work in zinc.

16 precipitation and glycine/NaCl precipitation. The

17 process involves a difficult centrifugation step

18 (Sharples centrifuge) and difficulties with poorly

19 soluble contaminants were not resolved by us. I would

20 estimate that a fair amount of work would be needed to

21 finish this project off and it is not an attractive

22 proposition for transfer to production."

23 We will come back to look at that in more detail

24 shortly, Dr Foster, because you have set it out in your

25 briefing notes. So I'll just put that to one side for

1 just now, the question of copying the BPL method.

2 Continuing with the memo, you state:

3 "Unfortunately, all of these options compete for
4 resources, particularly Factor VIII assays, still the
5 rate limiting factor."

6 What do you mean by that, Factor VIII assays being
7 still the limiting factor?

8 A. As we discussed a little bit earlier, these assays were
9 very laborious and difficult to perform and we had
10 a specialised laboratory for that purpose that did all
11 of the coagulation factor assays for PFC, for production
12 as well as research and development, and they basically
13 worked flat out all the time. It's always easy to take
14 lots of samples and do lots of experiments but actually
15 making the measurements and doing the assays is what
16 takes the time. So that is almost always the rate
17 limiting factor. We were seeking to always enhance our
18 capability but however much we enhanced our capability,
19 we could always give them more samples to test.

20 So that is really all I'm referring to here. The
21 assay situation was always going to be a major factor in
22 how much progress you can make and how quickly.

23 Q. Am I right in thinking this was the position, that at
24 PFC there was a laboratory which undertook Factor VIII
25 assaying and the purpose of that was to test Factor VIII

1 concentrate to see how much Factor VIII was in the
2 product?

3 A. They would do the assays for Factor VIII and Factor IX.
4 They would be testing samples at every stage in
5 production, they would be testing samples from research
6 and development and they would have banks of samples
7 waiting to be tested and they would have staff working
8 flat out.

9 Q. So at the main PFC manufacturing plant, which was
10 routinely producing Factor VIII, IX or whatever, there
11 would be samples or vials taken from that routine
12 production and sent off to this laboratory for
13 Factor VIII assaying, to test how much Factor VIII was
14 in it.

15 A. That's correct.

16 Q. As a quality control measure perhaps.

17 A. Exactly.

18 Q. But on top of that work your research and development
19 laboratory was also producing Factor VIII samples which
20 you would want to undergo this Factor VIII assay?

21 A. Yes, and we believed that it was important that the
22 one laboratory did all of the assays so that we were
23 having assays done to the same quality and standard as
24 the production material.

25 Q. Yes. Then, going back to the memo, in the final

1 paragraph you say:

2 "My own recommendation is to give options 1.1 and
3 1.2 top priority but to continue on 1.3 and 2.2, so that
4 we can either change tack on the NYU project if progress
5 is slow or produce a modification of our existing
6 product if pressure on heat treatment demands it."

7 Perhaps two queries, doctor. Firstly, at this time
8 am I right in thinking that your preference was to
9 continue to give the NYU project top priority, ie to try
10 and fix any difficulties with it, but plan B would be as
11 set out in 2.2 of your memo?

12 A. That's correct. I should say that -- I'm not sure it
13 has been mentioned very much, but one of the factors in
14 my thinking at this time was the knowledge that the
15 haemophilia directors were very keen on having higher
16 purity products and they were concerned about the
17 possibility that there might be some immune disturbance
18 in patients as a result of the lower purity products.
19 So that was an added aspect to consider with this higher
20 purity material.

21 Q. Yes. The final question, Dr Foster, in this regard: the
22 reference at the very end of that memo:

23 " ... if pressure on heat inactivation demands it."

24 What did you mean by that?

25 A. I was referring to the work from Dr Prince in the

1 United States. He had questioned the effectiveness of
2 dry heat treatment against HIV and we were getting
3 information on the grapevine, if you like, from the
4 United States that people were beginning to think this
5 dry heat treatment doesn't work. So, for us,
6 one possibility was would you have to take that into
7 consideration because, if it's a concern in America,
8 it's going to be a concern in the UK as well.

9 So that's the pressure I'm talking about: Does this
10 dry heat treatment work against HIV? And, of course, at
11 this time it's HIV that is the overwhelming concern for
12 everyone. Looking back now, we kind of see non-A non-B
13 as equal or even perhaps of more concern but at this
14 point in time it was HIV that was driving everyone's
15 thinking.

16 Q. Thank you. Sir, that takes us up to the meeting in --
17 yes.

18 (1.00 pm)

19 (The short adjournment)

20 (2.00 pm)

21 MR MACKENZIE: Dr Foster, one query has arisen in my mind in
22 relation to your evidence on your memo we looked at
23 before lunch, the memo dated 18 December 1985 to
24 Dr Perry.

25 I think you said in your evidence that, "I'm

1 actually saying, 'I think we should stick with
2 pasteurisation and high purity'," and Dr McIntosh was
3 saying, "No". It's a reference to, "We should stick to
4 pasteurisation".

5 I think in the memo we don't see the word
6 "pasteurisation" appearing. I'm simply wondering
7 whether your view at that stage was that pasteurisation
8 was the only option for NYU and you had essentially
9 ruled out the possibility of severely dry heating it or
10 whether, at the time you wrote your memo, your
11 preference was to prioritise NYU and you were leaving
12 open whether it could be heated by pasteurisation or
13 severe dry heating?

14 A. Yes, I think that's correct. I was emphasising what
15 I thought was the importance of the high purity product
16 and its possible compatibility with pasteurisation and
17 with dry heat treatment or other techniques like solvent
18 detergent that were emerging. And I think at that time
19 I still would have thought that pasteurisation had more
20 evidence to support it in terms of achieving a safe
21 product. So that's why I said "pasteurisation", but you
22 are correct that it was really the high purity process
23 that did have those other avenues that I thought we
24 could go into if they were required, either the dry heat
25 or the solvent detergent.

1 Q. Could I then, please, doctor, move on to this meeting of
2 23 December 1985. Can you tell us firstly, please, who
3 was at the meeting?

4 A. There was myself, there was Dr Perry, Dr Cuthbertson and
5 Dr McIntosh.

6 Q. The Inquiry, I think, has asked to see any records of
7 the meeting and I think this is another example where
8 there are no records in existence now. Is that right?

9 A. To the best of my knowledge, it was very much an
10 informal meeting and I'm sure we all took notes at the
11 time but they were just rough notes as an aide memoire
12 as to what we had -- the conclusion we came to at that
13 meeting. But I can't find any record of those now.

14 Q. You did again provide us with a copy of an extract from
15 your diary. Could we look at that, please? It's
16 [\[PEN0171383\]](#). I think on Monday, 23 December. Is that
17 2 pm or 3 pm?

18 A. It's 2 pm.

19 Q. "Factor VIII meeting."
20 I think we can perhaps then see, one then goes into
21 the Christmas holidays, is that right?

22 A. It's basically Christmas Eve, yes, we go on to.

23 Q. Was it considered that there was some urgency to hold
24 this meeting before the Christmas break?

25 A. Yes, I think the memo that I wrote was trying to bring

1 together the strands of all of the thinking that was
2 going on, and we had the evidence from Dr Prince's
3 manuscript that was causing concern, and I think it was
4 probably Dr McIntosh who said, "Let's have a meeting.
5 We need to go through it," and it was convenient to do
6 it immediately on the Monday, so we did.

7 Q. Was the PFC shut down between Christmas and New Year or
8 would you have been back in at PFC between Christmas and
9 New Year?

10 A. PFC, in terms of production, there was no production
11 taking place but we would usually have some people
12 coming in to do work that could be scheduled, such as
13 maintenance work. But I wouldn't normally be planning
14 to come in at that period, no, and those lines going
15 through the diary suggest that I wasn't planning to come
16 in.

17 Q. Do you have a recollection of what was discussed at the
18 meeting?

19 A. Yes. I think we had a very good discussion about the
20 various options and I have to say I'm sure -- I was
21 actually persuaded by Dr McIntosh and -- that we should
22 focus on developing severe dry heat treatment as the
23 first option, rather than the second option that I had
24 suggested. And I remember that Dr Perry was
25 particularly concerned about the reports of the HIV data

1 from Dr Prince and we felt that we needed to do
2 something as quickly as we could to try and enhance the
3 degree of heat treatment to get a more secure position
4 with regard to HIV, and the quickest way of doing that
5 was judged to be developing a severe dry heated product
6 now that we knew how to do it. We thought we knew how
7 to do it because we had discovered that the
8 freeze-drying was the trick, rather than the
9 purification. We thought we could complement that.
10 That was the quickest thing we could do.

11 Q. When you say Dr McIntosh was advocating prioritising
12 a severe dry-heated product, for the avoidance of doubt,
13 why was he of that view, for the reasons you have just
14 explained?

15 A. We would talk about these things and it was a very fine
16 judgment but I was very much on the -- still thinking
17 that the clinicians were wanting a high purity product
18 and we should focus on that and Dr McIntosh, having made
19 the discovery that we could heat lower purity material
20 at 80 degrees, was keen to progress that and he -- in
21 that discussion he persuaded me of his point of view and
22 there was one aspect that Dr McIntosh highlighted. It's
23 a detail but it's an important detail, and that is that
24 the dry heat treatment is carried out on the product in
25 its final sealed container, and so there is no risk of

1 any cross contamination after the heat treatment,
2 whereas with pasteurisation and with solvent detergent
3 treatment, those processes are carried out in the middle
4 of the process and therefore the process has to be
5 contained thereafter to prevent any infection getting
6 back in.

7 So that's technically a much more difficult and
8 sophisticated thing to do. So Dr McIntosh was
9 emphasising that point as well. He saw it as being
10 pharmaceutically a very good process step. And so there
11 was -- all of these issues were discussed at this
12 meeting and we all came out agreeing that we should move
13 as quickly as possible to developing a severe dry
14 heat-treated product.

15 Q. Of intermediate purity or perhaps slightly purer than
16 the existing intermediate purity?

17 A. Slightly purer. I think I explained it in the memo: in
18 order to make it feasible and practicable, it had to be
19 more purified. So we would have to put in place the
20 procedures to do that. But Dr McIntosh had done some
21 preliminary work to show that that was achievable.

22 Q. How long did the meeting last roughly?

23 A. I can't remember. I would say maybe a couple of hours.

24 Q. It was quite a lengthy discussion?

25 A. Oh, yes.

1 Q. And the outcome was the agreement that you have
2 mentioned. What was envisaged at that time would then
3 happen?

4 A. I took from the meeting that we would immediately begin
5 to focus our -- as a priority, our attention to severe
6 dry heat treatment and Dr McIntosh would draw up
7 a programme of work to do that, and meanwhile Dr Perry
8 would discuss this with Professor Cash to see if he
9 agreed with that change of direction.

10 Q. Do you know whether that discussion took place?

11 A. I think it must have taken place but you would have to
12 ask Dr Perry that.

13 Q. Dr Perry and Professor Cash about that.

14 Just stepping back a little, was that a decision
15 which PFC were able to take alone?

16 A. No, it was a recommendation, I would say, rather than
17 a decision. It was an SNBTS decision and we were simply
18 recommending this was what we should change our
19 priorities to.

20 Q. The full question was going to be this: was that
21 a decision which PFC were able to take alone or did that
22 require outside approval, whether from the
23 Common Services Agency, the SHHD, Professor Cash, SNBTS,
24 coagulation factor study group, the SNBTS directors or
25 what?

1 A. It certainly required to be taken beyond PFC and
2 certainly to the SNBTS, and by that it would be
3 Professor Cash -- would be the key person there and if
4 he felt strongly, then he would say clearly -- the other
5 directors would go along with that. There would be no
6 difficulty but Professor Cash would also want agreement
7 with the haemophilia directors.

8 So ultimately, if the haemophilia directors had
9 said, "No, we don't want you to do that, we would rather
10 you carried on with the high purity work," then we would
11 have taken notice of that.

12 Q. Thank you.

13 I would like to then just look at some documents
14 which followed that meeting. Could we firstly, please,
15 go to [\[SNB0015469\]](#)? I think we have looked at this
16 before but if we go to the last page again, please, we
17 can see this is Dr Perry, 10 January 1986. If we go
18 back to the first page again, please, we saw before,
19 from the title, this was a report for the meeting of the
20 haemophilia and SNBTS directors in March. If one goes
21 to pages 4 and 5, page 4 in particular, this may be
22 a question I have to ask Dr Perry, doctor, but in short,
23 where this report is dated 10 January 1986, there is no
24 reference, I think, in it to a decision having been
25 taken on 23 December 1985 to prioritise severe heated

1 dry product.

2 Are you able to offer an explanation for that or
3 should I simply ask that question of Dr Perry?

4 A. I would need to read this again, I think. I'm sure it
5 was discussed at that meeting with the haemophilia
6 directors.

7 Q. Yes, this is a report which appears to be dated
8 10 January 1986, prepared in advance of a meeting of
9 haemophilia directors on 5 March 1986. There may be
10 nothing in this but on the face of it, it's perhaps
11 slightly curious that there is no reference in the
12 report which bears to be dated 15 January 1986, to this
13 important decision.

14 A. As I said, it wasn't a decision, it was
15 a recommendation, which would go to Professor Cash and
16 it may be that Dr Perry hadn't had time to go over that
17 with Professor Cash by the time he wrote this.

18 Q. Yes, but there is not even, as I can see, a reference in
19 this report to even that recommendation. But it may be
20 that's just something I have to discuss with Dr Perry.

21 A. Well, yes, he wrote this and I can't really answer that
22 question. I can only speculate that it's possible that
23 he hadn't had the discussion with Professor Cash by the
24 time that he wrote this and that -- of course,
25 consideration with Professor Cash is recorded in the

1 minute of the meeting of February, subsequently, where
2 we go through the various recommendations.

3 Q. I'll explore that with Dr Perry but just to continue
4 this chain of documentation, the next document is then
5 [\[SNB0015484\]](#). Again, I can perhaps discuss this with
6 Dr Perry but this appears to be an addendum to
7 Dr Perry's report we have just looked at, where one can
8 then see discussion of this. It says:

9 "The heat treatment procedure now being applied to
10 Factor IX concentrates ... may well be effective in
11 ensuring non-infectivity of products. It is generally
12 believed that heat treatment of this severity can only
13 be achieved with high purity products (eg BPL ...)
14 However, recent research at PFC has shown that this is
15 not the case and that severe heating can be tolerated
16 even at low purity if key process steps are carefully
17 controlled prior to heat treatment. This information
18 will enable a non-infective product to be achieved using
19 intermediate purity material without compromising the
20 development of the very high purity product noted in
21 paragraph 5.1. The advantages of this course of action
22 are ..."

23 They are set out:

24 "It is likely that a product of that type will be
25 available for evaluation in April 1986."

1 Again, I can ask Dr Perry about this but the tone of
2 this is that a decision has been made that this will
3 happen, this is now the new plan of action. Does that
4 seem fair?

5 A. Yes, that's correct.

6 Q. Yes. I can perhaps discuss with Dr Perry the precise
7 chronology. It may be that at the end of the day
8 nothing turns on precisely what happened when, but if we
9 are able to clarify that, I think we should at least
10 try to.

11 A. Certainly, at least from my perspective within PFC, we
12 had already begun to change the priority of our work and
13 Dr McIntosh was focusing almost entirely on the severe
14 dry heat treatment, rather than the high purity work.

15 Q. When?

16 A. He had begun really in October and -- but certainly
17 in January that was his -- he changed his priorities,
18 but again, you can ask him that when he gives evidence.

19 Q. Yes. Again, simply to continue this chain,
20 [\[SNB0015454\]](#). Dr Foster, go to the bottom of the page,
21 bottom left we can see the document appears to be
22 dated February 1986 and I think we can see from the
23 initials in the right that Professor Cash, I think, is
24 the author of this document, and again we can see from
25 the title, these are notes for the haemophilia centre

1 and transfusion service directors meeting in March 1986.
2 Dr Foster, would you have seen this document at the
3 time?
4 A. Yes, I probably would have seen that at some point.
5 Q. Why would you have seen this one?
6 A. Because I attend these meetings.
7 Q. I see. And then if we can go to page 6, please. As
8 I say, nothing may turn on this but if we can look under
9 the reference to the high purity product, please,
10 subparagraph (v), the last sentence states:
11 "Accordingly, a decision has been taken to introduce
12 an interim solution ..."
13 As at February 1986, it certainly appears a decision
14 has been taken to follow the recommendation at the
15 23 December meeting. Do you have any view as to whether
16 a decision has been taken and what that refers to? Does
17 that refer to what came out of the meeting on
18 23 December or does that refer to something after that?
19 A. My understanding is this is very much the recommendation
20 that we made at the 23 December, it was then passed on
21 by Dr Perry at some point to Dr Cash, and he seems to
22 have approved that and now regards this as a decision
23 that has been taken by SNBTS. If the haemophilia
24 directors were to come back and say, "No, we disagree,"
25 I'm sure Professor Cash would have reviewed that

1 decision.

2 Q. Thank you.

3 The next document in the chain, please, is
4 [\[SNB0075596\]](#). These are the minutes of the meeting of
5 the coagulation factor study group on 27 February 1986.
6 Were you a member of this group, Dr Foster?

7 A. I was, yes.

8 Q. If you go to page 3 under "Fractionation Update", an
9 overview from Dr Perry, he states:

10 "Current plans for changes in Factor VIII product
11 ... "

12 In particular the phase 3, I think is what became
13 known as "Z8":

14 "Improved freezing plus zinc treatment to allow
15 smaller fill volume and improved freeze-drying: 80/72
16 [to] manufacture from April 86. Issue from January 87."

17 It's the reference to "current plans" I think is
18 perhaps consistent with the decision having been taken
19 to adopt the recommendation from the December meeting.
20 Does that seem correct?

21 A. That seems correct, yes.

22 Q. Just as a side question, doctor, under phase 2,
23 a reference to "improved freezing", 68 degrees for
24 72 hours, three months' stock. Is that a reference to
25 an intermediate purity NY, heated at 68 degrees for

1 72 hours?

2 A. It would be, yes, and you may remember that one of the
3 companies in America, Cutter, were heating their product
4 at 68 degrees for 72 hours, whereas ours was only
5 68 degrees for 24 hours and it's possible that we had
6 done some research that suggested that we might be able
7 to get to 72-hours but ultimately that was just an extra
8 diversion and we didn't go down that route.

9 Q. For completeness, was that phase 2 product ever issued
10 to patients?

11 A. No, it didn't -- I don't even remember it getting very
12 far at all. So it didn't get to patients.

13 Q. I understand. The last document, if I may, in this
14 chain of documents is [\[SNB0015448\]](#). These are the
15 minutes of the meeting on 5 March 1986 between the
16 haemophilia and SNBTS directors. We can see you were
17 present at this meeting, doctor, and then at the top of
18 page 3:

19 "High purity product. Dr Cash informed members ...
20 Dr Perry explained ... he said that difficulties have
21 arisen in relation to the heat treatment of the new high
22 purity product and it has been decided to introduce an
23 intermediate stage: a product which is only 2 to 3 times
24 purer than the existing intermediate Factor VIII but can
25 be dry-heated at 80 degrees for 72 hours. It is hoped

1 that this intermediate product will be available for
2 clinical evaluation in April and for routine clinical
3 issue within three months."

4 Which I think would take things to about July 1986.
5 But the reference to:

6 "It has been decided to introduce an intermediate
7 stage ..."

8 Again, I think, is consistent with your evidence
9 that the decision was taken.

10 A. Yes.

11 Q. It also occurred to me, looking at this, to what extent
12 did the haemophilia directors have input into that
13 decision and that course of action? It rather looks
14 like a fait accompli, but is that incorrect?

15 A. No, I wouldn't say that. I would say that SNBTS had
16 come to a view and that's what Dr Cash is calling
17 a "decision", but if anyone at that meeting -- and this
18 is why he has brought it to the attention of all these
19 different people -- had said, "We don't agree with that.
20 We would rather you did something else," Professor Cash
21 would have taken that into account and reviewed that
22 decision.

23 Q. But certainly there was no dissent from the haemophilia
24 directors at this meeting about that course of action.

25 A. No.

1 Q. I understand, thank you.

2 I would like now, please, doctor, to return to the
3 briefing paper and to continue with the chronology of
4 what happened in Scotland. So I think we had finished
5 at page 43 of the briefing note and at the bottom of
6 that page we had got to the paragraph -- and this comes
7 back to the point we touched upon earlier, whether the
8 option of copying the BPL process for 8Y. At the bottom
9 of the page, you say:

10 "The option of directly transferring the methods and
11 technology used by BPL was not chosen because a number
12 of uncertainties remained, in particular, the use by BPL
13 of a chemical (heparin) at a concentration which
14 interfered with the routine method used by SNBTS for
15 measuring Factor VIII activity; uncertainty over the
16 practicality and time required to replace the SNBTS
17 method of measuring Factor VIII activity with the method
18 used by BPL."

19 That's essentially a reference to different
20 Factor VIII assay methods?

21 A. Yes, correct.

22 Q. Over the page at page 44, the next bullet point:

23 "Uncertainty over the omission of aluminium
24 hydroxide adsorption in the BPL process and the
25 possibility that minor process variations might result

1 in an instability to Factor VIII."

2 I'm not sure we need to know more about that other
3 than to notice a concern. Then the next bullet point:

4 "Difficulties previously experienced by the SNBTS in
5 the use of precipitation/centrifugation to recover
6 purified Factor VIII from dilute solutions."

7 So are these really technical concerns?

8 A. Yes, they are largely technical concerns and the
9 question we were faced with was, what could we do most
10 quickly, or what did we think we could do most quickly.
11 And that was the judgment that we made, that we could do
12 it most quickly using procedures we were more familiar
13 with and that were more compatible with our operation.

14 Q. And the factors you have listed in these bullet points
15 would all be things that may slow you down?

16 A. That's right.

17 Q. The last bullet point:

18 "The need to purchase, install and become familiar
19 with large-scale size exclusion chromatography in
20 Factor VIII processing."

21 If PFC had wished to copy the BPL 8Y process, would
22 that have involved having to order, purchase, install,
23 new plant and machinery?

24 A. Yes, it would, yes.

25 Q. And would that have been off the shelf items or items

1 that would have to be specially designed or what?

2 A. The equipment that Dr Smith was using, I think, had been
3 certainly specially selected and possibly even
4 influenced by himself, and it would have taken time to
5 purchase that. I can't say how long it would have taken
6 but it would have taken some time, and of course, we
7 would have had to get the funding to do that as well.

8 Q. Would any equipment have to have been specially made for
9 PFC or could it have been simply ordered, or do you not
10 know?

11 A. We would have had to, I think, see exactly what Dr Smith
12 was using and how he had obtained it, and it's
13 conceivable that it might have been possible to order it
14 off the shelf, as you say, but even then the delivery
15 times for these types of equipment are not immediate and
16 you do have to wait a period of time, and also it was
17 not inexpensive equipment, so we would have had to make
18 bids for funding -- possibly a new bid for funding --

19 Q. I suppose you also lose control of the exercise, do you,
20 in that if you follow the Z8 option, then do you perhaps
21 retain more control than having to go to outside
22 suppliers of equipment, outside bodies for funding and
23 what have you?

24 A. I think we had the capability to progress the Z8 option
25 really in hand, if you like. Although we did have to

1 buy more equipment, we were more familiar with that
2 because we were using techniques that we were already
3 familiar with and, for example, the size exclusion
4 chromatography was not something that we had experience
5 with. So that would have been a new learning process in
6 itself.

7 Q. Is there an element of better the devil you know?

8 A. You could put it that way, yes.

9 Q. And you do say in your statement:

10 "Therefore, to minimise uncertainty, it was decided
11 to base the method of preparation of the new SNBTS
12 product on technologies with which the SNBTS was already
13 familiar but which were broadly equivalent in their
14 outcomes to the processes being used at the BPL."

15 You then explain:

16 "The new SNBTS product was named Z8 ..."

17 I'll just pause briefly to look at the relevant
18 document. It's [\[SNB0075608\]](#). This, we will see, is
19 a memo dated 5 March 1986 from yourself to Dr Perry and
20 Dr McIntosh, and it's to do with the question of naming.
21 If we could go over the page, please. Subparagraph
22 (iii):

23 "Product 3 involves precipitation of the cryo
24 extract (zinc) and concentration. We have previously
25 used the term ZHT but as heating is now an integral part

1 of virtually all processes, it may be better to use the
2 simpler form Z8. This would be my preference."

3 Is it really from that date, from March 86 that the
4 term "Z8" is used for this process?

5 A. I think that must be the case.

6 Q. Just to pause on this point, going back to ZHT, the
7 essential step there, as I understand it, was that zinc
8 was used to precipitate fibronectin?

9 A. Fibrinogen and some fibronectin as well.

10 Q. Yes, to produce a purer product. Going one step back to
11 the unheated NY intermediate purity product, was
12 anything used to precipitate -- was zinc used in that
13 product?

14 A. There was no precipitation step but there was an
15 adsorption of aluminium hydroxide, which was a standard
16 procedure in virtually all methods of manufacture. As
17 you saw a few minutes ago, that was something that
18 Dr Smith would have left out and caused us a little bit
19 of nervousness in his 8Y process.

20 Q. So zinc precipitation to create a purer Factor VIII,
21 that really we should think of in terms of ZHT for the
22 first time. Just developing that a little, so was Z8,
23 in a way, a continuation of the ZHT project, in that,
24 what seems to be similar to both ZHT and Z8, is the use
25 of zinc to precipitate?

1 A. Yes, that's correct and in a way 8Y was also a variation
2 of the ZHT project.

3 Q. So in a way there is no clear delineation between the
4 different products and projects?

5 A. There is a lot of similarity in the techniques that are
6 being used. Variations and -- to fine-tune them to do
7 slightly different things.

8 Q. It's a process of evolution perhaps?

9 A. Yes.

10 Q. I understand. Going back to page 44, I think you set
11 out some of the main steps in the preparation of the Z8
12 in some helpful bullet points. The first bullet point:
13 "The recovery of cryoprecipitate via continuous
14 thawing."
15 Secondly:
16 "Partial removal of fibrinogen and fibronectin from
17 cryoprecipitate extract by precipitation with zinc and
18 heparin, using a much lower concentration of heparin
19 than BPL."
20 That step, is that developed from the ZHT?

21 A. Yes, it's very much the same step.

22 Q. I understand. Third step:
23 "Removal of destabilising coagulation factors by
24 adsorption to aluminium hydroxide."
25 Fourth step involving calcium, and the next bullet

1 point:

2 "Recovery and concentration of Factor VIII using
3 ultra-filtration technology."

4 I think this again seems to have been a development
5 of the ZHT project?

6 A. That's correct. We had done quite a bit of work on that
7 in the ZHT project and that was the procedure that we
8 thought was most suitable for the Z8 project also.

9 Q. The next bullet I'm not going to go into, and then the
10 last bullet point:

11 "Freeze-drying of the product using a new type of
12 freeze-drying cycle that had been designed by PFC
13 scientists in October 1985 in order to freeze-dry the
14 high purity NYU product."

15 So again, that's going to be an example of where the
16 work on NYU helped produce Z8.

17 A. That's correct.

18 Q. This isn't, of course, a full account of how Z8 was
19 manufactured, and perhaps for completeness I can simply
20 give the references in your briefing note to where you
21 do give a full account. In particular -- I just give
22 this for reference -- between pages .1869 and 1873, one
23 sees a full account of the Z8 manufacturing process.

24 Also, if we can, perhaps, go to a flowchart at
25 page 1852 -- sorry, this is a different document. The

1 full reference for this document is [\[PEN0121852\]](#). This
2 is a document you produced for the B3 hearings. Could
3 we have that document up, please? [\[PEN0121852\]](#). It's
4 between pages 1869 and 1873 of that document. One sees
5 a full narration of the Z8 process but if we could go to
6 page 1852, hopefully a flowchart should appear.

7 THE CHAIRMAN: I think we are on 1852.

8 PROFESSOR JAMES: We are on 1852.

9 MR MACKENZIE: 1885? I think in the right-hand column we
10 can see a flowchart that applies to Z8. Is that
11 correct?

12 A. That's correct.

13 Q. And perhaps we can go to the bottom of the column and we
14 can see C19 and C20. C20 is the freeze-drying step and
15 then the separate final step is to dry heat at 72 hours
16 at 75 degrees or 80 degrees centigrade. Is that
17 correct?

18 A. That's correct.

19 Q. Sir, I don't propose going through the processes in any
20 more detail than this. If you would like me to ...?

21 THE CHAIRMAN: I don't think so. I think the structure of
22 this was gone over when we looked at the first two
23 columns in particular and I don't see any need to go
24 over it.

25 It is noted that with Z8, we are on to method 2 of

1 freeze-drying. As a change, I don't know whether you
2 want just to underline that. But I think the rest of it
3 follows through quite clearly.

4 MR MACKENZIE: I'm grateful.

5 We can put that to one side now, thank you. Return
6 to the briefing paper, please, at the bottom of page 44.
7 You mention:

8 "A visual comparison between Z8 and the earlier NY
9 products as shown below ..."

10 We will come to that in a second.

11 "Both vials contained 250 international units of
12 Factor VIII activity. The vial of the NY product on the
13 left was freeze-dried from 40 ml of solution while
14 a vial of Z8 on the right was freeze-dried from 10 ml
15 solution."

16 A. That should actually be 15 ml. That's my mistake.

17 Q. It should be 15 instead of 10?

18 A. That's correct.

19 Q. I'm grateful.

20 Over the page, please, to see these pictures. I was
21 hoping for colour but I am afraid it is black and white,
22 but certainly we can get an indication of the volume of
23 the product in the vial, I think, from the picture. At
24 page 45, looking at the picture, in short, NY is on the
25 left and Z8 is on the right. Is that correct?

1 A. That's correct.

2 Q. Is there the same amount of Factor VIII activity in both
3 vials?

4 A. Sorry?

5 Q. Is there the same amount of Factor VIII --

6 A. Yes, they are both designed to give the same dosage.

7 Q. But because the Z8, the vial on the right, is purer,
8 there is less volume in the vial?

9 A. That's correct.

10 Q. I see. Then continuing with the text, you explain:

11 "Suitable process conditions for the manufacture of
12 Z8 were determined in small volume laboratory
13 experiments that were performed during the first quarter
14 of 1986 ..."

15 Is that a reference to the work of Dr McIntosh in
16 the research laboratory?

17 A. It is, yes.

18 Q. "... and translated to pilot scale operation in the
19 second quarter of 1986."

20 "Translated to pilot scale operation", is that a
21 reference to the work moving off the research lab and
22 into the main manufacturing part of PFC?

23 A. It is, yes, but it's -- work in the main manufacturing
24 part, that's done still in relatively small volumes
25 because we don't want to consume huge quantities of

1 plasma unnecessarily.

2 Q. I understand. Perhaps two documents will just confirm
3 matters, if I may, document [\[PEN0171411\]](#). We can see
4 from the top of the page:

5 "Preparation of immediate purity Factor VIII for
6 heating: Z8-6-001. Pilot run, 23 June 1986."

7 Is this essentially a record of the first pilot run
8 of Z8?

9 A. It is, yes.

10 Q. The reference "Z8-6-001", what does that mean?

11 A. That gives you a batch number, if you like. "Z8" is the
12 product type, "6" is the year, 1986, and "001" is the
13 first preparation of that type of material.

14 Q. I understand. Could we also, please, for completeness,
15 look at [\[SNB0079049\]](#). We can see, I think, from the
16 heading "batch Z8-6-002," dated 28 July 1986. So this
17 is a second pilot run of Z8?

18 A. That's correct.

19 Q. Were there only two pilot runs, do you know, or were
20 there more?

21 A. I think there were only two at this volume. It's really
22 volume-related, and here we are talking about maybe
23 200 litres of plasma, I think, and when we get to
24 full-scale, we are talking about thousand litres of
25 plasma or something close to that.

1 Q. Thank you.

2 Returning, please, to the briefing paper, about half
3 way down page 45:

4 "By July 1986, progress in the pilot studies was
5 encouraging and there were good stocks of existing
6 68 degrees/24-hour heat-treated Factor VIII concentrate
7 available. It was therefore decided to cease production
8 of the existing product ..."

9 This is a reference to the existing intermediate NY
10 heat-treated product.

11 A. Yes, that's correct.

12 Q. Thank you:

13 "... in order to release production staff and
14 facilities in order to fast track the development of Z8
15 at large scale. Preparation of the first production
16 trial batch of Z8 was begun in August 1986."

17 The reference to "the first production trial batch
18 of Z8", is that a reference to scaling up the production
19 to full-scale production?

20 A. Yes, it would have been pretty much up to the large
21 volume of plasma that we would typically make a batch of
22 Factor VIII from.

23 Q. I understand, and again, two references for
24 completeness: firstly, [\[SNB0079072\]](#). These are the
25 notes of a steering group meeting on 30 July 1986:

1 "The following decisions were made: 1. No further
2 old-style Factor VIII (NY) will be made for the time
3 being. 2. A large-scale production run of the new Z8
4 process was approved for Monday, 4 August 1986."

5 It's really very much what is said in the briefing
6 paper, Dr Foster, and the other reference, if I may, is
7 [\[SNB0076048\]](#). This is the letter of 7 August 1986 from
8 Dr Perry to Dr Boulton in relation to Z8. He says:

9 "Just a note to let you know that we have now
10 successfully manufactured two batches of the above
11 product and assuming all is well on the QA front, we are
12 well on target to make product available for a clinical
13 trial end of August/beginning of September. All looks
14 well at the moment ..."

15 One question, Dr Foster, the reference to
16 "successfully manufactured two batches of the above
17 product," is that a reference to the pilot scale
18 operation, the full-scale operation or perhaps both?

19 A. At this date it would be the pilot scale batches would
20 have been -- completed their quality control and you
21 could say they were successful. The first large-scale
22 batch would have been processed but it wouldn't have
23 completed analysis by this time, I don't think.

24 Q. Thank you. If I may put that to one side, please, and
25 return to your briefing paper, you explain in the middle

1 of page 45 that:

2 "Further fine-tuning of conditions for the
3 preparation of Z8 was required at the much larger scale
4 of operation with the new freeze-drying process
5 requiring particular attention. Only a small number of
6 vials had been produced in each pilot batch, whereas at
7 full-scale, the number of vials was large enough to fill
8 the freeze dryer shelves. Under these conditions,
9 a significant number of vials failed to withstand
10 80 degrees centigrade dry heating."

11 You go on to explain:

12 "Differences in the crystalline structure of the
13 frozen plug were observed to be associated with this
14 behaviour. Vials with a plug of a uniform fine crystal
15 structure could withstand 80 degree C dry heating,
16 whilst those with plugs containing larger crystals or
17 a mixture of fine and large crystals did not. This is
18 illustrated in the photograph in figure 2 below, which
19 shows three vials of Z8, all of which were dry-heated at
20 80 degrees C for 72 hours."

21 This doesn't come over well in black and white, I am
22 afraid. I'm sure we are going to get a colour copy
23 available to the chairman and others but for present
24 purposes, you describe that:

25 "The first vial on the left exhibits a plug of fine

1 crystals, which I don't think we can see on this copy,
2 and the middle one has a mixture of fine and large
3 crystals, while the third one on the right exhibits
4 large crystals, and only the vial on the left was able
5 to tolerate dry heating at 80 degrees for 72 hours, and
6 the failure of the other two vials to withstand severe
7 dry heat treatment is illustrated by the degree of
8 discoloration present."

9 We certainly need a colour copy to see that and we
10 will arrange that. We will take your word for it for
11 present purposes.

12 A. You have got the colour copy. You can analyse that.

13 Q. You go on to say on that page that:

14 "Differences in crystal structure are determined by
15 the rate of freezing and it was postulated that the
16 uniform formation of fine crystals might be a result of
17 supercooling, a condition at which the vial contents
18 remain liquid below the freezing point of the solution.
19 In this situation, a small disturbance is sufficient to
20 cause instantaneous crystal formation (ie freezing) with
21 fine crystals being formed."

22 Just pausing there, doctor, am I right in thinking
23 that in the pilot scale production there weren't that
24 many vials going into the freeze dryer, whereas when
25 matters were scaled up to full-scale production, the

1 freeze dryer was full of vials, and that difference in
2 how full the freeze dryer was seems to have made
3 a difference?

4 A. Yes, because the freezing takes place inside the freeze
5 dryer, the vials sit on a shelf and the refrigerant is
6 inside the shelf. So if you have many more vials there,
7 then the way that material freezes is going to be quite
8 different to when there are only a few vials, because
9 the few vials get all the refrigerant, whereas with all
10 of the vials, you haven't got as much availability of
11 cold to freeze the material in the same way.

12 Q. Then at the bottom of page 46, you explain that:

13 "Experiments confirmed this hypothesis and
14 a two-stage freezing procedure was designed whereby the
15 necessary fine crystal structure could be obtained
16 throughout every vial of every batch of Factor VIII
17 concentrate on every occasion."

18 And that:

19 "Subsequently, careful examination of the product
20 temperature profile obtained during the freeze-drying of
21 a sample of BPL's 8Y exhibited a sharp rise in
22 temperature at the point of freezing."

23 Just to pause, Dr Foster, and to display my
24 ignorance again, it seems counter-intuitive that there
25 would be a sharp rise in temperature at the point of

1 freezing, one would have thought there may be a sharp
2 fall in temperature, but that's simply wrong?

3 A. When a material freezes it changes from a liquid state
4 to a solid state and it does so because it is more
5 stable in the solid state. When it reaches that solid
6 state, because it is more stable, there is this release
7 of energy, it is an exothermic process. If that happens
8 gradually, you don't see that because that energy is so
9 gradual, it's dissipated very -- and you can't detect
10 it. But if it happens -- in order to mature at the same
11 time, it actually shows up as a rise in temperature, and
12 you can see that in the figure below, where you can see
13 a distinctive rise in temperature when this change of
14 state takes place and the molecules are in a more stable
15 configuration, so they release energy and the
16 temperature rises.

17 Q. I see. You go on to say that:

18 "A sharp rise in temperature at the point of
19 freezing is a characteristic feature of supercooling,
20 indicating that supercooling may have occurred
21 advantageously with 8Y."

22 You then make reference to that being illustrated in
23 figure 3, which I don't think I'll go into. Two letters
24 I would like to then look at, please. One,
25 [\[SNB0076080\]](#). This is a letter dated 29 August 1986

1 from Dr Perry to Dr Boulton in relation to trials of
2 phase 3 factor VIII. This is Z8.

3 THE CHAIRMAN: Are you leaving the topic that you were on?

4 MR MACKENZIE: I am, sir, yes.

5 THE CHAIRMAN: Look at the preliminary report, please, at
6 page 507. Could we have that? It was an exchange with
7 English scientists at about this time over the question
8 of freeze-drying. I'm just looking for a little bit of
9 explanation of what happened. I'm hoping you will
10 remember some of this when you see it, Dr Foster.
11 Page 507.

12 It should be about 82, I think, on there. You see
13 at paragraph 11.319 there, there is a reference to
14 a report on the BPL model and it includes a reference to
15 your work and then it says:

16 "Note was taken of the Scots research in relation to
17 Factor VIII. In the context of Factor IX, the
18 conclusion was that there is no information yet on how
19 different softening conditions are affecting Factor IX
20 but it will be interesting to look for differences if
21 only to convince ourselves that there are none."

22 Then there is a letter from Dr Smith to you,
23 reporting on developments after that report, saying that
24 pre-softening had been a major variable.

25 How does that fit in with what you have been telling

1 us?

2 A. It doesn't. It's a different topic and it's to do with
3 the preparation of cryoprecipitate and how the plasma
4 is prepared before you thaw the plasma to prepare
5 cryoprecipitate, which can also have an effect on what
6 happens afterwards.

7 But we did -- after we had realised and discovered
8 that freeze-drying was important, of course we had let
9 Dr Smith know this, and at PFL they did start a project
10 themselves on freeze-drying and they began to look at it
11 in much more detail, and that became quite a large
12 project from their point of view because they did accept
13 that freeze-drying was important and they had to begin
14 to better appreciate that themselves, and we had
15 a number of reports from them about their work. So they
16 were beginning to investigate this too from their
17 perspective. They recognised its importance.

18 THE CHAIRMAN: Did you get anything out of this? Was there
19 anything positive that came out of this so far as PFC's
20 procedures were concerned, or was it a case of you
21 supplying information that affected the way the
22 English --

23 A. No, I don't think we learned anything from it ourselves
24 but it was useful to know that they were agreeing with
25 what we were doing and they were doing the same sort of

1 thing.

2 THE CHAIRMAN: So far as the softening is concerned, did
3 that contribute to the effectiveness overall of the
4 procedure or is it wholly incidental?

5 A. It's not incidental. It's important because if it's not
6 done correctly, you can end up with too much fibrinogen
7 in the product and that doesn't survive heating. So
8 it's part of the process that has to be done correctly.

9 THE CHAIRMAN: Thank you.

10 MR MACKENZIE: Thank you, sir.

11 Dr Foster, could we then please go back to
12 [\[SNB0076080\]](#) to continue the chronology of what was
13 happening in Scotland at this time, the letter from
14 Dr Perry to Dr Boulton of 29 August 1986. He states:

15 "While we now have material which can be used for
16 trial beginning of September in Dr Ludlam's patients, I
17 am not at this stage convinced that it has a proper GMP
18 pedigree or that it represents our definitive process.
19 We have recently encountered an eleventh-hour problem
20 with freeze-drying, which we are now addressing with
21 some considerable urgency. The result of this is that
22 we will not be able to meet the target dates of
23 early September for clinical trials but I am confident
24 that the delay will be measured in weeks rather than
25 months. As soon as I have a new trial target date,

1 I will contact you. I would be grateful if you informed
2 Dr Ludlam of this unexpected delay, but at the same time
3 assure him that we will be back on course in the very
4 near future."

5 The reference to the eleventh-hour problem with the
6 freeze-drying, is essentially reference to what you have
7 discussed here and what's set out in your briefing
8 paper?

9 A. Yes, I think it must be.

10 Q. Yes. It's envisaged here that the delay in commencing
11 the evaluation of the product, Dr Perry hopes that will
12 be measured in weeks rather than months. I think as
13 things turned out, it wasn't until, I think, December
14 that Z8 was available for clinical trial?

15 A. I think 2 December was when the batch was released -- it
16 was made available for issue, yes.

17 Q. Just to continue matters, could we then please look at
18 document [\[SNB0076144\]](#). This is a meeting --

19 A. Before you go on to that, could I just add that of
20 course it's important to appreciate that it takes two or
21 three months to manufacture a batch of Factor VIII. So
22 even if the batch was released or available for release
23 in early December, we had actually prepared in October,
24 and it took the period after that to carry out all of
25 the tests. So it takes quite a long time to prepare one

1 batch of Factor VIII. So in fact the timescale to have
2 the material available is not that long after Dr Perry's
3 letter, that he wrote to Dr Boulton.

4 Q. Could you perhaps just talk us through that period in
5 terms of the manufacturing period, how long that takes,
6 and how long it takes for any subsequent testing?

7 A. It would take about a week to process the material until
8 you had the product in the vial and perhaps heated, and
9 then you are really talking about two to two and a half
10 months after that to carry out all of the tests that
11 have to be done; the full quality control is very
12 extensive.

13 Q. So as at 1986, October 1986, what were the type of tests
14 that were undertaken?

15 A. Oh, there would be a very large range of tests to do
16 with the biochemical characteristics, the biological
17 characteristics, the Factor VIII content, the
18 microbiological content; samples might be sent to NIBSC.
19 You are better asking Dr Cuthbertson because this was
20 his department, not mine, but some of these tests
21 involved doing bacteriology to establish if there was
22 any growth of bacteria in any of the materials, and
23 those tests, simply to wait and see if bacteria grow,
24 take quite a long time. So there is an inbuilt time
25 element that you just can't avoid.

1 Q. Yes, and that may tie in, perhaps, with the minutes of
2 this meeting, a meeting of the coagulation factor study
3 group, on 14 October 1986. I think you were present,
4 doctor. If we can look, please, at page 3. This is at
5 page 3. There is an update on Z8 and then, paragraph 3,
6 "The Introduction to Routine Production". I think we
7 can see a reference to lots 1, 2 and 3 and then:

8 "In view of the above ..."

9 That must be a reference to some of the problems
10 perhaps:

11 "... modifications were made to the freeze-drying
12 cycle."

13 Lots 4 to 8, full-scale. Et cetera. Top of page 4,
14 we can see a reference to:

15 "Failure at full-scale production was due to varying
16 performance of the freeze dryer and a change in product
17 composition (increased fibronectin) at batch 4. In an
18 effort to overcome these problems, work was continuing
19 in the following areas:

20 "1. Modifications to procedure to improve
21 extraction."

22 Is that a reference to part of the freeze-drying
23 process?

24 A. No, this is when the cryoprecipitate is being dissolved
25 and there is some separation of unwanted fibrinogen at

1 that point.

2 Q. I see:

3 "2. The establishment of freeze-drying parameters
4 to cope with worst case scenario.

5 "3. Reduction of weight of cryo/L plasma to 1984
6 levels."

7 What's that a reference to, number 3?

8 A. The amount of cryoprecipitate that you get from the
9 plasma can be influenced by a number of things,
10 including the softening process we have just discussed.
11 There is an optimal weight of cryo per litre of plasma
12 to get a good yield without losing too much Factor VIII,
13 but not get too much fibrinogen or fibronectin carried
14 over, and it's a matter of finding that optimal
15 position. And we perhaps had moved slightly away from
16 that and needed to give that a bit more attention.

17 Q. There is a reference to:

18 "It was thought that it was unnecessary to heat at
19 80 degrees for 72 hours, and studies on product heated
20 at 75 degrees for 72 hours had yielded approximately 300
21 iu Factor VIII/L plasma."

22 It was really the reference to:

23 "In an effort to overcome these problems, work was
24 continuing in the following areas."

25 Do you know approximately when these problems were

1 solved?

2 A. I think that we begun to introduce what we called the
3 "two-stage freezing", that solved the problem in terms
4 of the crystal structure in October -- that's my best --
5 I can say, from this point in time, without going back
6 into batch files -- I mean, Dr McIntosh might remember
7 this better than I can but it was around about then that
8 we introduced the two-stage freezing procedure which
9 resolved the problem.

10 Q. And you had given evidence previously --

11 A. It might have been slightly later than October,
12 actually.

13 Q. I just wondered, when you said earlier that in fact, Z8
14 was available on 2 December for trials, I think you
15 thought it was probably produced in October. Is that
16 still your view?

17 A. Yes, the material that was available in December for
18 trials. Some of that was processed in -- as early as
19 October. But I think that was only heated at 75 because
20 it didn't have the right crystal structure. We did have
21 material that was available at the end of December that
22 did have the right crystal structure. So it must have
23 been processed around about, maybe the end
24 of October/early November. We can go back and look at
25 the exact dates, if that would help you.

1 Q. I don't think it matters.

2 THE CHAIRMAN: I was just about to ask how do you feel you
3 are getting on in terms of use of the day.

4 MR MACKENZIE: I think I'm getting on very well.

5 THE CHAIRMAN: I not looking for a qualitative assessment,
6 merely in terms of time.

7 MR MACKENZIE: I did mean in terms of time actually. We
8 have almost come to the end of 1986 and the period is
9 to --

10 THE CHAIRMAN: 87.

11 MR MACKENZIE: Early 87, but Dr Foster doesn't really speak
12 to clinical trials. That's outwith his area. Sir,
13 I would certainly finish my bulk of questioning of
14 Dr Foster today. I may not finish all of my questioning
15 of him by certainly by 4 o'clock, I would have finished
16 the bulk of it.

17 THE CHAIRMAN: Is there spare capacity tomorrow?

18 MR MACKENZIE: Yes, there is. Dr Foster is helpfully
19 available tomorrow morning. We also have Dr Cuthbertson
20 and Professor Cash, but they are speaking to much
21 narrower matters.

22 THE CHAIRMAN: My only concern is whether we should try to
23 have a relative briefly break.

24 MR MACKENZIE: That might be helpful, yes.

25 THE CHAIRMAN: Relatively brief then.

1 (3.07 pm)

2 (Short break)

3 (3.23 pm)

4 MR MACKENZIE: Thank you, sir.

5 Dr Foster, before I move on, the chairman had
6 mentioned a point about plasma conditioning, I think,
7 before we had the break. There may be two further
8 documents which may just help complete that point.
9 Could I firstly, please, put to you [\[SNB0076275\]](#)?

10 We can see this is the letter dated 8 December 1986
11 from Dr Smith to yourself, and he says:

12 "[The enclosure] may help to shed some light on old
13 empirical observations. Please treat it in confidence
14 before publication ..."

15 Et cetera.

16 I think if we try [\[SNB0076276\]](#). This is the
17 enclosure. It's headed "8XA."

18 What's that? Is that 8Y, or is that something else?

19 A. I don't know, I'm sorry.

20 Q. So it's not clear what that relates to but we can see
21 the title is then, "The effects of plasma conditioning
22 on subsequent cryoprecipitation and cryo-extraction."

23 We don't have to, I think, know more today than this
24 relates to plasma conditioning, but if we could then,
25 please, go to your response, which is [\[SNB0076296\]](#), and

1 this is a letter from you, Dr Foster, dated
2 16 December 1986 to Dr Smith, and you thank him for his
3 report on plasma conditioning and say:

4 "We have also confirmed our previous observations
5 and your findings seem to fit in with our experience
6 precisely. We have been doing intensive work on
7 freezing and freeze-drying over the last three months.
8 When we scaled up the Z8 process, we came across two
9 problems: one, our large production dryer was performing
10 differently to our small production dryer and our pilot
11 dryer and two, variations in final product, total
12 protein (because of plasma conditioning et cetera) gave
13 major batch to batch variations in solubility ... we now
14 believe that we have overcome all of these problems
15 (only time will tell) by means of a special freezing
16 technique and by designing our freeze-drying cycle more
17 carefully. Freezing turned out to be the most critical
18 area."

19 Is that correct, freezing or freeze-drying?

20 A. Yes, I would say so.

21 Q. "Freezing turned out to be the most critical area. Poor
22 results (solubility) were linked to the presence of
23 a crystalline structure after freezing and the degree of
24 crystal formation increased with increasing protein
25 concentration ..."

1 Is that essentially consistent with your evidence
2 earlier in answer to the chairman's questions?

3 A. This is talking about freezing of -- this final
4 paragraph -- freezing of the product. So that's what
5 I am describing here, whereas the very first line, which
6 was the report on plasma conditioning, was the thawing
7 of the plasma. So they are quite different things but
8 they do all have an effect on the final product.

9 THE CHAIRMAN: I think that my interest was in the
10 contribution that two different processes were making,
11 not an attempt to link them as one, but are they
12 properly seen as two things that were being developed by
13 you, roughly along the same timeframe, each of which was
14 contributing to the quality of the final product?

15 A. Yes, it was a learning process on both our parts and we
16 were learning from BPL and they were learning from us.

17 MR MACKENZIE: In the second last paragraph on the page,
18 when you say that:

19 "We now believe that we have overcome all of these
20 problems by means of a special freezing technique and by
21 designing our freeze-drying cycle."

22 The special freezing technique, for the avoidance of
23 doubt, what step in the process is that carried out?

24 A. That's the freezing of the product in the freeze dryer,
25 where I talked about achieving supercooling to obtain

1 fine crystals and we had a two-step freezing process
2 that was designed to achieve that.

3 Q. Yes. I understand. So really what you are saying is
4 that the whole freeze-drying procedure, that was the
5 most critical area, rather than the prior step of plasma
6 conditioning?

7 A. Yes, although the plasma conditioning was not
8 unimportant, but the most critical thing was the
9 structure of the frozen material in the vial that is
10 being freeze-drying.

11 Q. I think that's entirely consistent with what you
12 explained earlier. I'm grateful.

13 Moving on, please. Could we then look, please, at
14 [\[SGH0016672\]](#)? This is a note of a clinical trial review
15 meeting on 1 December 1986. Could we, please, go to
16 page 4? Item 9:

17 "Z8 heat-treated 75 degrees/72 hours. Dr Perry
18 reported that this product was now available for
19 half-life and recovery studies in Edinburgh, Glasgow and
20 Northern Ireland prior to its introduction into routine
21 use. Dr Boulton is coordinating this study."

22 I think that's consistent with what you said about
23 the product being available for clinical trial, I think
24 you said 2 December?

25 A. Yes, that's the date on the official batch record.

1 Q. Yes. So if we could then, please, go to the batch
2 record, which is [\[PEN0171437\]](#)? I don't think we have
3 looked at this in the Inquiry before. Can you explain
4 to us what this sheet is in general terms?

5 A. This is a sheet that records, for each batch of
6 Factor VIII, what the batch number is, what the product
7 is, if you like, in the top left-hand corner, who has
8 authorised it to be issued, and then the date that it
9 has been placed to issue, and it also states the expiry
10 date, which in this case is two years after the date of
11 issue.

12 It tells you how many vials were placed at issue,
13 the volume of the material in the vial, the biological
14 content, which in this case is 220 international units
15 of Factor VIII, and then in the table below, you see the
16 number of vials issued and the date that they were
17 distributed and where they went to.

18 Q. Thank you.

19 You mention the expiry date was two years after the
20 date of issue. Is that right? Is it two years after
21 the dated of issue or date of manufacture or what?

22 A. It's -- it will be the -- you would have to ask
23 Dr Cuthbertson to get a precise answer. It may be the
24 date that the manufacture was completed.

25 Q. Yes.

1 A. But I'm not certain about that.

2 Q. We will ask Dr Cuthbertson but we can see this document
3 and in the top right corner somebody has written
4 "75 degrees".

5 A. That's correct.

6 Q. So this presumably relates to the batches of Z8 which
7 were manufactured at 75 degrees for 72 hours?

8 A. That's this one particular batch and it was heated at
9 75 degrees for 72 hours.

10 Q. I see. We can then see the date placed at issue,
11 2 December 1986. I think we can then see that date,
12 22 December 1986, number issued, 20. It may be,
13 Dr Foster, I should leave my following questions for
14 Dr Cuthbertson. Presumably this is within his area?

15 A. Dr Cuthbertson and Dr Perry, yes.

16 Q. Yes, well, I think we have asked you a lot of questions
17 so we will keep some for others.

18 Then just to complete this chain, please, could we
19 then go to [\[SNB0079130\]](#). The notes of the meeting of
20 the Z8 steering group of 18 December 1986. Just out of
21 interest, we see the following points were agreed:

22 "1. Plasma conditioning is still seen as a problem
23 which requires attention."

24 So that was an ongoing matter to some degree. Is
25 that correct?

1 A. That's correct.

2 Q. Then paragraph 6:

3 "All batches manufactured in 1986 will be heated at
4 75 degrees centigrade for 72 hours with 20 vials from
5 each batch being heated at 80 degrees
6 centigrade/72 hours."

7 Over the page, we can see paragraph 8:

8 "No clinical feedback has yet been received."

9 I'll cover that with other witnesses:

10 "If none is forthcoming in the near future, then we
11 may have to revert to the manufacture of NY."

12 So really at this stage, the lack of clinical trials
13 of the Z8 product was becoming an issue?

14 A. I think we were certainly concerned about this because,
15 as this memorandum states -- this minute states, the
16 stock of product was running down and we were worried
17 that we might actually run out.

18 Q. Yes. Again, just to continue this chain, please, the
19 final document in this respect, [\[SNB0015507\]](#). If we go
20 to the last page, please, we see again this is a note by
21 Dr Perry of 15 January 1987. The first page again,
22 please. Again, this is an example of Dr Perry's notes
23 for the meeting of the haemophilia and SNBTS directors.
24 This meeting took place in February 1987. Then one:

25 "Introduction of new Factor VIII product (Z8)":

1 "Plans are now well advanced for the introduction of
2 a new Factor VIII preparation."

3 Then specifics of the product is given in comparison
4 with the existing NY product. I think we can see in the
5 right-hand column for the new product Z8, for the
6 heating regime, 80 degrees centigrade, 72 hours, but
7 initial supplies will be heated at 75 degrees for
8 72 hours. And we can then see, two paragraphs under the
9 table, the statement that:

10 "Product development has required that initial
11 batches of product are heated to 75 degrees for
12 72 hours. All batches manufactured since January 1987
13 are heated to 80 degrees for 72 hours."

14 It's the reference to "product development has
15 required", is that a reference to the difficulties in
16 particular for freeze-drying and plasma conditioning?

17 A. Yes, I think so. The early production batches couldn't
18 withstand heating at 80, and it was found that they
19 could withstand heating at 75, and the view was taken
20 that this was still superior to anything else that was
21 available in Scotland at that time and therefore those
22 batches should be heated under those conditions.

23 Q. Can we then please return to your briefing paper, just
24 to continue with the chain of events. We are now at
25 page 48, please. The second paragraph tells us that:

1 "A period of about three months was required to
2 prepare and fully test a batch of Factor VIII
3 concentrate, therefore it was not until December 1986
4 that the first batch of Z8 was available for clinical
5 evaluation."

6 I see. So the reference to "fully test the batch of
7 concentrate" is a reference to what you have told us
8 earlier about the various tests in PFC that
9 Dr Cuthbertson was responsible for?

10 A. Yes, it's testing and its review of all the
11 documentation, to be sure that everything has been done
12 correctly. There is a quality assurance process that
13 takes place as well.

14 Q. But that's not a reference to the clinical evaluation --

15 A. No, it's not a clinical evaluation.

16 Q. Thank you.

17 Then under "1987", you tell us -- in short,
18 Dr Foster, once you have achieved production of Z8 and
19 its full-scale manufacture at PFC, I think really the
20 question of clinical evaluation of the product and
21 questions of compensation and indemnity are really
22 matters I can ask others. Is that correct?

23 A. I think that is correct, yes.

24 Q. But you do helpfully just set out events at the
25 beginning of 1987 in any event, but I'm not going to

1 detain you in that. But at the bottom of page 48 you do
2 say that:

3 "At the PFC, most batches which could not withstand
4 80 degrees/72 hours dry heat were found capable of
5 withstanding heating at 75 degrees for 72 hours. As
6 this degree of heat treatment was superior to that being
7 applied to alternative Factor VIII concentrates
8 available in Scotland at the time, it was decided that
9 it would be preferable to release this material."

10 You say that:

11 "No cases of HIV, NANBH, or HCV transmission have
12 been associated with 75-degree/72 hours dry-heated ...
13 Z8, suggesting that this procedure was effective in
14 preventing transmission of these viruses."

15 Pausing briefly there, were studies undertaken in
16 that regard or are you simply relying on the fact that
17 there may have been no reported cases of transmission or
18 what?

19 A. My memory is that some of the 75-degree batches were
20 included in studies at that time and they were not found
21 to transmit non-A non-B Hepatitis or Hepatitis C, but
22 this was a very long time ago and I'm really just going
23 on my memory now.

24 Q. Right. Who would be best placed to speak to that?

25 A. Probably Dr Ludlam.

1 Q. Thank you.

2 Then in your briefing paper you look at the period
3 1988 to 1990, and you tell us that there were further
4 revisions, I think, made to Z8. Is that correct?

5 A. Yes, that's correct and this is not unusual. All
6 manufacturing processes like this in plasma
7 fractionation require fine-tuning and -- so this was no
8 different, it was no exception, but there was quite
9 a bit of fine-tuning required, as we learned more and
10 more about the process and how robust it was to
11 variations, the day to day variations that occur in
12 these sort of situations.

13 Q. Yes. Correct me if I am wrong but presumably, in
14 respect of the period 1988 to 1990, was it the case that
15 any deficiencies -- if they can be called that -- in the
16 product in that period did not cause Hepatitis C
17 infection?

18 A. No, the product would have been heated at 75 or 80, and
19 to the best of my knowledge those products didn't cause
20 any infection.

21 Q. Thank you.

22 Then in the remainder of the briefing paper on this
23 page and over the next page, you then continue with
24 further developments on different products up until
25 2006. I don't propose, sir, to read that out. I think

1 it's of interest as background but I think it does take
2 us outwith the scope of this topic C3 but it is all set
3 out there. Thank you.

4 That completes the briefing paper, Dr Foster, at
5 this stage. I think I would like to return now to your
6 statement, please.

7 THE CHAIRMAN: Are we just taking the Factor IX --

8 MR MACKENZIE: I will come back to that at the end, sir.

9 THE CHAIRMAN: You are coming --

10 MR MACKENZIE: Yes.

11 Your statement, doctor, was at page 5 of
12 [\[PEN0171556\]](#).

13 Doctor, this is only page 5 of a 33-page statement
14 but I wouldn't be disheartened because we have covered
15 most of the ground that I wish to cover and we can skip
16 some of these pages and certainly I won't be referring
17 you to any number of the same other documents, so I'm
18 fairly confident -- lawyers always say this -- that we
19 can deal with what follows much quicker than what has
20 gone before. I think we were on to question 3, doctor,
21 which was:

22 "In October 1985, PFC discovered the existing
23 intermediate NY Factor VIII product withstood heating at
24 80 degrees."

25 And we asked:

1 "Why was such heating of the existing intermediate
2 ... product not introduced immediately?"

3 I think the answer is probably clearer to us all
4 from what you have said today, but you have helpfully
5 summarised matters below in your response and I don't
6 propose reading that out with a view to avoiding any
7 repetition.

8 Over the page. I think the answer in short,
9 Dr Foster, is that it wouldn't have been possible to
10 immediately switch to heating the existing intermediate
11 NY Factor VIII product at 80 degrees for 72 hours. Is
12 that not the short answer?

13 A. No, if we had wanted to do that, we would have had to
14 bring in additional freeze-drying capacity, which would
15 have taken a lot of time and I'm not even sure we could
16 have fitted it into the building. It would have
17 required so much freeze-drying space.

18 Q. Yes. We have gone over that, thank you. Then at
19 page 6, question (b):

20 "Why did it take until May 1987 before [Z8] was
21 available for clinical use?"

22 Again, we have gone over the detail of this but you
23 do give a helpful summary that typical phases were a:

24 "Design of the process ... in the research
25 laboratory ...

1 "Scale up ... to pilot scale operation ..."

2 We have looked at that:

3 "Scale-up of the whole process to full-scale
4 operation ..."

5 We have looked at that. The question of clinical
6 evaluation. I'll ask others about that. Et cetera.

7 Then page 7. Again, we have gone over this:

8 "A number of unexpected problems emerged during the
9 development of Z8."

10 In particular the freeze-drying. We don't have to
11 go back over that, I don't think. Then page 8,
12 subparagraph (c), the question was:

13 "What changes in the manufacturing processes were
14 made and when to enable ... Z8 to be dry-heated at 80
15 degrees for 72 hours?"

16 You tell us that the production of Z8 required a new
17 manufacturing process to be established from the
18 recovery of cryoprecipitate paste onwards, and these
19 changes have been described in an earlier witness
20 statement. Simply for the record, I think that's
21 a reference to [\[PEN0121852\]](#). That's your B3 statement,
22 in particular pages 1869 to 1875.

23 Then question (d), we asked:

24 "What was the original timescale for the production
25 and introduction of Z8? If that timetable was not met,

1 when and why did it slip?"

2 We have looked at some documents in that regard and
3 I think I will take Dr Perry through some documents in
4 that regard, but in your response you say that you had:

5 "... originally advised Dr Perry that material might
6 be available for clinical evaluation in April 1986 ...
7 included in a briefing note for the haemophilia
8 directors ... written by Dr Perry in February 1986."

9 But your estimate was wrong for a number of reasons.
10 Firstly you had:

11 "... assumed that material prepared at pilot scale
12 would be used for the clinical determination of efficacy
13 and tolerability, as this had been the approach ...
14 previously with pasteurised Factor VIII (ZHT). This
15 approach was not followed with Z8 and material was not
16 released for clinical evaluation until after full-scale
17 production had been established. [You were] not
18 involved in this decision as this was the responsibility
19 of [Dr Cuthbertson]."

20 I will ask him about that, but the point that
21 occurred to me, Dr Foster, is that even if a phase 1
22 clinical evaluation had taken place off the pilot scale
23 Z8, given the difficulties which were encountered in
24 scaling up the product and the changes in procedures
25 which required to be made, in particular to

1 freeze-drying, is it not the case that a further phase 1
2 clinical evaluation would have been required in any
3 event for the scaled-up Z8?

4 A. Yes, you might well be right. I think we did make some
5 changes, once we came across these problems. That might
6 well have led people to think we must do the clinical
7 evaluation again but, of course, that was in the future.
8 So I hadn't anticipated that.

9 Q. Yes. And then you also refer in the other bullet point
10 to a number of unexpected problems which emerged, all of
11 which took time to solve, and we have gone over that in
12 some detail. Page 9, please. We asked whether:

13 "... PFC's work on the development of the high
14 purity Factor VIII concentrate NYU resulted in any delay
15 in the introduction of Z8?"

16 And your response is that you don't believe that was
17 the case. You say:

18 "Once the decision had been taken to develop Z8 ..."

19 And that would be in late 1985/early 1986:

20 "... this product was given the highest priority and
21 research on the development of a high purity Factor VIII
22 concentrate was effectively shelved."

23 Certainly, I think, one can see that once it had
24 been decided to develop Z8, the product was available
25 within about a year. But could it be suggested that the

1 decision to develop Z8 should have been taken earlier?

2 A. If we had taken a decision earlier, without knowing of
3 the importance of freeze-drying, it's my opinion -- and
4 it can only be an opinion -- that we would have failed.
5 We would have struggled to reproduce the 8Y process,
6 because that is the experience of other manufacturers
7 who tried to do that without understanding the
8 importance of freeze-drying.

9 Q. This is all hypothetical but if a decision had been
10 taken to develop Z8 earlier, let's say in July 1985,
11 would subsequent events then have run essentially the
12 same course, in that the problems which were discovered
13 with freeze-drying, would they have been discovered
14 about six months earlier, for example?

15 A. No, because we wouldn't have known that freeze-drying
16 was a critical part of the process and we would have
17 been exploring other aspects of the process to try and
18 find out what the problem was without understanding that
19 it was freeze-drying and freezing that were important,
20 and that's precisely what happened in Australia and in
21 America, when they tried to reproduce this process and
22 they failed.

23 Q. So why was the discovery in about October 1985 -- sorry,
24 I'm talking about different things.

25 In October 1985 it was discovered at PFC that it was

1 the freeze-drying process that was important in
2 achieving severe heat treatment rather than purity.

3 A. That's correct.

4 Q. So if a decision had been taken in July 1985 to
5 prioritise Z8, your point is that the discovery
6 in October 1985 would not yet have been known.

7 A. It might never have been made. We might never have
8 found out.

9 Q. Could that discovery in October 1985, about the
10 importance of the freeze-drying process, have been
11 discovered earlier?

12 A. It was -- we discovered it as part of the NYU high
13 purity project and it was only because we had redesigned
14 the freeze-drying process to freeze-dry high purity
15 Factor VIII that we actually got to that point. If we
16 hadn't redesigned our freeze-drying process, we wouldn't
17 have found out.

18 Q. I understand. So even if the decision to develop Z8 had
19 been made earlier, the separate NYU project would have
20 run the same course in time? It wouldn't have been
21 advanced?

22 A. Sorry, can you repeat the question?

23 THE CHAIRMAN: Would it have been continued at all or would
24 you have abandoned --

25 A. We probably would have abandoned that, yes.

1 THE CHAIRMAN: So there would have been a discontinuation in
2 that and then, I suppose, if you tried to follow the
3 patented prescription, you would have failed, as others
4 did?

5 A. That's the best of my judgment that I can make.
6 Dr McIntosh was a brilliant scientist, so maybe he would
7 have succeeded, but my view is we probably wouldn't.

8 THE CHAIRMAN: But if you then had to go back to
9 Dr Johnson's process, after having failed to achieve the
10 Winkelman result, you would have been delayed even
11 further, on one view.

12 A. That's correct, yes.

13 MR MACKENZIE: I'm grateful, sir. I follow that now.

14 Then returning, please, to page 9, you really
15 explain that, I think, by saying:

16 "I believe, on the contrary, that the development of
17 Z8 would not have succeeded without the knowledge gained
18 from working with Professor Johnson and in particular
19 the discovery in late 1985 that freeze-drying was the
20 critical step in achieving heating at 80 degrees
21 centigrade rather than the degree of purity of
22 Factor VIII. The importance of the freeze-drying method
23 had not been appreciated at PFL/BPL."

24 Then (iii):

25 "In the absence of this knowledge, I am not aware of

1 any organisation that succeeded in achieving
2 80 degrees centigrade dry heat treatment of Factor VIII
3 based on the findings of BPL."

4 You give examples of two organisations which
5 attempted to do that and failed.

6 Question 5 relates to the commencement of clinical
7 trials and I'm going to ask other witnesses about that
8 rather than you, Dr Foster, if I may, so we can just
9 skip over that, please.

10 Then page 11. At question 6 it moves on to another
11 matter and asks:

12 "Did any wider management, organisational or other
13 issues result in any delay in the introduction of Z8,
14 for example by R&D staff not being sufficiently involved
15 in the manufacture and production of products and
16 processes that had been developed by them?"

17 I should refer to two documents which are really the
18 basis for that question. Firstly [\[SNB0067120\]](#). This is
19 a memo dated 22 December 1988, so really outwith our
20 main reference period for this topic. It's a memo from
21 Dr Perry to yourself and others on the subject of
22 modification to Z8 freeze-drying cycle. The memo
23 states:

24 "It would appear that a modification to the Z8
25 freeze-drying cycle (primary to secondary drying) has

1 led to a major improvement to product quality and
2 perhaps also yield ... Less reassuring is my personal
3 observation (shared by others) that this particular
4 process modification was proposed some considerable time
5 ago and could have been introduced many months ago ...
6 I would suggest that there are lessons to be learnt from
7 these observations which may avoid future delays. The
8 lessons are:

9 "1. A need to review the management mechanisms by
10 which such changes are introduced;

11 "2. A need to explore the possible benefits of some
12 form of scientific audit of manufacturing processes
13 alongside QA audits;

14 "3. Clarify the role of R&D staff in the
15 surveillance of such processes."

16 Dr Perry ends by saying:

17 "It is of course possible that my assumptions are
18 incorrect but in any event I believe the topic should be
19 discussed at the heads of department meeting."

20 So in short, Dr Foster, are there concerns expressed
21 here by Dr Perry of any relevance to what happened in
22 the period 1985 to 1987 in the development and
23 production of Z8?

24 A. No, these comments apply to the routine management and
25 production of the product much later. This is end

1 of December 1988 and it's what I alluded to earlier,
2 that in these types of processes there is fine-tuning
3 that goes on, sometimes, for many years. The way that
4 is progressed is that where there are observations that
5 perhaps an improvement can be made, a proposal has to be
6 made formally to the head of the departments concerned,
7 who are the head of quality and the head of production.
8 That document we called a "process modification", which
9 would lay out the request for a change and give the
10 rationale and the evidence to support it. But it
11 wouldn't proceed until it was approved by the head of
12 quality and the head of production, and that was the
13 established GMP time process. That was the management
14 process in place.

15 In this case a process modification had been
16 submitted but I think it's probably by Dr McIntosh. It
17 had taken some time to be dealt with and I don't know
18 what the delay was. I know that both Mr Prowse and
19 Dr Cuthbertson were extremely busy people and maybe they
20 had other priorities which had to be looked at but --
21 and this had been brought to Dr Perry's attention
22 because he was the line manager for all of the heads of
23 department and if their priorities needed to be
24 reviewed, then he was the person to do that.

25 Q. Yes. There is perhaps a question about the involvement

1 of research and development staff in the initial
2 pilot-scale production of a new product and then the
3 full scale-up manufacture of a product and then, once
4 a product has been issued, any future modifications of
5 the product -- am I right in thinking that this memo is
6 to do with the third stage, any future modifications?

7 A. That's correct, yes. In the first stage that you
8 mentioned, which was the pilot, plant and the early
9 development, that was led by development staff, and we
10 had a project manager, who was Dr McIntosh. So he was
11 basically in charge of that. Anything that is done in
12 production has to be approved by the production manager,
13 obviously, and by the quality manager.

14 Q. How about the second step, the scale-up to full-scale
15 production?

16 A. Dr McIntosh was involved in all of that and he was
17 leading that process.

18 Q. I understand.

19 Then the other document which we had seen was this,
20 [\[SNB0077576\]](#). This, doctor, is a letter dated
21 21 November 1990 from yourself to Dr Prowse, the
22 director of the SNBTS National Science Laboratory, of
23 21 November 1990. So again we see it post-dates the
24 period we are considering. Can we go, please, to
25 page 3, paragraph 1.6, the question of delivery. The

1 letter states:

2 "You state earlier in the paper that our poor
3 performance concerning Z8 and S8 was complex and
4 multifactorial, yet here you imply that these problems
5 will be resolved by management changes in the context of
6 PFC product development. I have to disagree. The
7 management changes that I think you are referring to do
8 not address any of the issues required to improve the
9 overall PFC performance."

10 Over the page:

11 "There are fundamental issues which relate to
12 operational constraints (eg hours of work) and to the
13 control and supervision of manufacturing operations.
14 While the first of these is being addressed ... I see
15 little or no prospect of improvement elsewhere. In
16 these circumstances, the only way of significantly and
17 favourably affecting our future performance will be to
18 allow R&D staff a stronger role in the overall design,
19 specification and implementation processes. In the past
20 it has been PFC policy for R&D to withdraw sooner rather
21 than later, leaving manufacturing staff to tidy up any
22 loose ends. In retrospect, this has been self-defeating
23 and has been the root cause of many of the problems
24 experienced with Z8, which then followed through to S8."

25 Can you explain what you were meaning in that

1 passage, please?

2 A. Yes. In the development of any product which originates
3 in a research department and ends up in a manufacturing
4 department, there is this transition from research to
5 manufacturing. How that was managed is the subject of
6 many textbooks. One method is called "over the wall",
7 which is not a method that we used.

8 We worked closely with our production colleagues but
9 we didn't want to put them in a position where they
10 wouldn't have ownership of the process. So there is
11 a transition, where there is a gradual handover and the
12 production staff take on ownership and the research
13 staff withdraw. My preference was to encourage the
14 production staff to take ownership as soon as they
15 possibly could, but as the processes got more and more
16 complicated and more vulnerable to minor changes, then
17 my judgment was that the R&D staff needed to spend
18 longer in production or give more time to that than they
19 had done previously, and that was what I was reflecting
20 in this letter to Chris Prowse in that particular
21 paragraph.

22 Q. When you refer to the root cause of many of the problems
23 experienced with Z8, what were the problems experienced
24 with Z8?

25 A. Well, there were relatively small variations at various

1 points in the whole operation that with the previous
2 Factor VIII product were of no consequence but which
3 with Z8 became important and reduced the yield, perhaps
4 even made the product unable to withstand heat
5 treatment.

6 So the staff who were used to the old procedures
7 hadn't really fully taken on board that procedures had
8 to be much more closely defined than they had in the
9 past and, in order to make sure that happened, you
10 needed stronger supervision and management. That was
11 a learning process that we all went through as we
12 discovered the degree to which the Z8 process was a very
13 difficult process to operate. For example, how the
14 plasma was stored could affect how the process
15 performed, things like that which had never been
16 a problem before. We had procedures that were quite
17 appropriate and we suddenly found that we had to tighten
18 our limits, if you like, on storage conditions.

19 Q. Did any of the problems referred to in this letter
20 affect the viral safety of the product?

21 A. No.

22 Q. Put that document to one side, thank you, doctor, and
23 then go back to your statement, please, page 11.

24 I think you have really answered the question 6. In
25 (i), in short you say:

1 "I do not believe that any wider management,
2 organisational or other issues resulted in any delay in
3 the production of Z8 (other than those described [above]
4 ..."

5 In subparagraph (iii) again you tell us the project
6 to develop Z8 was led by Dr McIntosh of R&D and fully
7 involved all relevant staff from the various
8 departments, et cetera. I don't think we need to detain
9 ourselves further with that answer, thank you, other
10 than at page 12, subparagraph (v), you again confirm
11 that:

12 "It was the degree of involvement of R&D in these
13 later activities, after the production of Z8 had been
14 established, that was the subject of comments in the
15 documents ..." we have just looked at.

16 Sir, it's five past four. I can go on a little.
17 I'm not sure if that suits others. I suspect I may have
18 in total another hour to an hour and a half.

19 THE CHAIRMAN: I think that raises the question of the
20 amount of time that Mr Di Rollo and others might need
21 because if we take another hour/hour and a half tomorrow
22 and then there is an appreciable interest from others,
23 it becomes progressively more difficult to manage the
24 other witnesses tomorrow. I don't want to require
25 people to sit any longer than necessary but I think

1 I need to know what you all have in mind.

2 Mr Di Rollo, do you have any information that might
3 be of assistance in this?

4 MR DI ROLLO: I don't think I will have a large number of
5 questions for this witness. Certainly it wouldn't be,
6 as presently advised, more than about five or
7 ten minutes.

8 THE CHAIRMAN: Mr Anderson?

9 MR ANDERSON: I will be about five or ten minutes less than
10 that, sir.

11 MR JOHNSTON: I don't expect to have any questions sir.
12 I certainly don't at present.

13 THE CHAIRMAN: That's probably a more accurate answer than
14 Mr Anderson's, to the same effect.

15 Well, I think, if that's the case, we can probably
16 take the risk and break at this stage. It has been
17 a long enough day. So I think we will take the risk and
18 I look forward to seeing you in the morning.

19 A. Okay.

20 (4.08 pm)

21 (The Inquiry adjourned until 9.30 am the following day)

22

23 I N D E X

24

25 DR PETER FOSTER (continued)1

1	Questions by MR MACKENZIE	1
2		
3		
4		
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

