

1 Wednesday, 30 November 2011

2 (9.30 am)

3 PROFESSOR JUHANI LEIKOLA (continued)

4 Questions by MR MACKENZIE

5 MR MACKENZIE: Good morning, professor, welcome back. It
6 has been a while since you were here. We should perhaps
7 briefly remind ourselves of some of your biographical
8 details. I think, in short, we have your CV. It's
9 WIT0030004. We don't have to go to it but you were the
10 director of laboratory services at the Finnish Red Cross
11 Blood Transfusion Service between 1975 and 1988, albeit
12 between 1982 and 1986 you were based in Geneva as the
13 head of the blood programme department for the League of
14 Red Cross and Red Crescent Societies. I think that's
15 correct.

16 Then you returned to Finland and you were the
17 director of the Finnish Red Cross Blood Transfusion
18 Service between 1988 until you retired in 2001, and we
19 know you sat on many international committees and
20 organisations as set out in your CV but we note in
21 particular that you were a member of the committee of
22 experts on blood transfusion and immuno-haematology of
23 the Council of Europe between 1982 and 2001. Is that
24 correct?

25 A. Yes.

1 Q. Thank you. Could we turn now, please, to your statement
2 on our topic C2, professor? It's [\[PEN0171837\]](#). I will
3 just go through the statement and refer you to some
4 documents as we go along.

5 In paragraph 1 you refer to the two American
6 studies, the TTV study and the NIH study, which both
7 reported in 1981, and you explain they raised worldwide
8 interest and showed an association between elevated
9 donor ALT and NANBH of the recipient.

10 I would like to go to one document, please,
11 [\[LIT0012156\]](#) that we haven't looked at before. This,
12 I think, gives some further context to the TTV study and
13 report. This is an excerpt from the correspondence
14 section of the New England Journal of Medicine in 1981
15 and in the right-hand column we see the heading
16 "Post-transfusion Hepatitis and Serum ALT in Blood
17 Donors". We see a letter from Dr Blumberg of the
18 University of Rochester Medical Centre, and we can read
19 the letter for ourselves but in short he refers to the
20 TTV study report, and in his final sentence he states:

21 "The recommendation for screening is premature."

22 And Dr Aach replies to that, we will see shortly,
23 but the letter below that, the one beginning "To the
24 editor", if we go over the page, we will see this is
25 a letter from Dutch doctors, Dr Katchaki and others from

1 Arnhem, and they report on their relatively small scale
2 prospective study and about eight lines down we will see
3 the sentence:

4 "In this prospective follow-up study of 380
5 recipients of blood negative for HBsAg, we observed an
6 attack rate of 3.4 per cent with no correlation with ALT
7 levels in donor blood."

8 Then in the final paragraph of that letter, the
9 Dutch doctors say:

10 "It appears, therefore, that although screening of
11 bloods donors for HBsAg is of universal value in blood
12 transfusion, the introduction of screening of blood
13 donors for ALT should be considered on a regional basis
14 at best. On the basis of our results, we have chosen to
15 refrain from its introduction awaiting the development
16 of a specific test or tests for markers of non-A non-B
17 Hepatitis."

18 We will see a few lines down, at the end of the
19 references, scroll down a few lines:

20 "The above letters were referred to Dr Aach ..."

21 Who led the TTV study who offers the following
22 reply. So I think this letter sets out the thinking of
23 Dr Aach at the time, and Dr Aach states:

24 "The TTV study group did not recommend that routine
25 screening of blood donor ALT be initiated immediately on

1 the basis of their findings presented in this article.
2 A number of questions that we believed should be
3 answered first were listed in the discussion section of
4 the paper."

5 Read on a few lines down:

6 "A serologic assay is clearly preferable if and when
7 it becomes available. However, despite more than five
8 years of intensive effort by many investigators,
9 a confirmed reproducible serologic test was not
10 available, and even if it were developed in a research
11 laboratory in the very near future, three to five years
12 would be needed to adapt the test to large-scale
13 screening. Until that time, screening of donor ALT
14 might provide an interim means to reduce the incidence
15 of non-A non-B post-transfusion hepatitis in the
16 United States."

17 So that, I think, perhaps sets out the position of
18 Dr Aach and his colleagues at that time, that they
19 didn't necessarily recommend the immediate introduction
20 of ALT screening of donors but they did suggest that
21 such testing might provide an interim means to reduce
22 the incidence of non-A non-B post-transfusion hepatitis.

23 Professor, could we return then, please, to your
24 statement? I'll just carry on going through it. So
25 paragraph 2. You explain really by way of background

1 that:

2 "When an infective agent is not known, the only
3 means of reducing the risk for disease transmission are
4 through the selection of donors and judicious use of
5 products."

6 In the last sentence in paragraph 2 you explain:

7 "The second possibility is to use laboratory tests
8 (surrogate tests) that could identify donors with risk
9 factors."

10 In paragraph 3 you explain:

11 "The use of surrogate markers to reduce
12 post-transfusion infections has been a controversial
13 issue."

14 We can read for ourselves what is then set out. You
15 say:

16 "If the surrogate marker is positive in a large
17 proportion of the donor population, it is mostly
18 identifying wrong people. That has two consequences: it
19 may seriously reduce the number of eligible blood donors
20 and the donors found to be positive need to have
21 a plausible explanation so that the test results should
22 not raise unwarranted anxiety in the donor."

23 There is a need for an appropriate counselling
24 system. Paragraph 4 you say:

25 "Different countries ... perceive transfusion safety

1 differently."

2 Also:

3 "Infection incidence varies in different populations
4 and usually means that a careful study has to be made in
5 a given population and in a given society before
6 introduction of a new test, especially of an unspecific
7 surrogate test. Much depends also on the prevalence of
8 the marker and on the incidence of the infection."

9 In paragraph 5 you say:

10 "A third factor has to be taken into account. Once
11 a test has been introduced to routine screening, it is
12 psychologically and politically difficult to stop even
13 if a specific test would have made it obsolete."

14 Then over the page, please. All of that was by way
15 of background. I think we now come to look in
16 paragraph 6 really at a chronological consideration of
17 the use of ALT testing and the consideration given to
18 surrogate screening. In paragraph 6 you explain that:

19 "In Germany in April 1965, at a Congress of Hospital
20 Hygiene, it was suggested that blood donors should be
21 tested for liver enzymes to prevent
22 transfusion-transmitted hepatitis."

23 Of course, professor, 1965 was before the
24 identification of Hepatitis B and before the
25 identification of Hepatitis A. I think that's correct?

1 A. That's correct.

2 Q. You then state:

3 "The German Society of Blood Transfusion first
4 considered such mandatory testing of all donors to be
5 premature, especially in the light of losing many
6 regular donors but yielded the following year to the
7 growing pressure. A general ALT testing was started in
8 Germany in 1966. Many blood banks in Italy had
9 introduced ALT testing already in 1960."

10 Professor, as regards Germany, do you know whether
11 ALT testing was introduced in every region in the late
12 60s or whether simply some regions used the test?

13 A. To my knowledge it was introduced overall in Germany,
14 not at the same time, but gradually in all of the
15 regions.

16 Q. I see. Do you know, professor, the ALT cut-off that was
17 used?

18 A. No.

19 Q. No. If we could go to one document, please,
20 [\[PEN0170869\]](#), and if we scroll down a little, please,
21 and look at the left-hand column. This is a 2004
22 publication in Vox Sanguinis and we can see in the
23 left-hand column there is, I think, an abstract by
24 Drs Roth and others of the German Red Cross. I think
25 the important thing here is that they are considering

1 the relevance of ALT testing after the HCV test is
2 available and being used, and in short they don't
3 consider that ALT testing is relevant in those
4 circumstances, but we can see four lines down the
5 authors state:

6 "Since 2003 the threshold is determined with the
7 IFCC reference method for men of 134u/l and for women at
8 89u/l in Germany."

9 These are relatively high ALT cut-offs but obviously
10 this is in the context of screening with HCV. But that
11 doesn't give us any help, I take it, as to the ALT
12 cut-offs being used in the 1960s in Germany?

13 A. No.

14 Q. No. Okay. Turning to Italy, briefly, professor, when
15 you come back to paragraph 6 of your statement, please,
16 in the final sentence you say:

17 "Many blood banks in Italy had introduced ALT
18 testing already in 1960."

19 I take it from what you say that that isn't
20 necessarily across the whole of Italy, that may just
21 simply be some parts of it?

22 A. It's very difficult to say about the whole of Italy
23 because the system was very dispersed and this is
24 something that I heard from Professor Liotta, who was
25 the Italian representative at the Council of Europe

1 expert committee, saying that some of our centres had
2 already introduced this ALT testing, and this is all
3 I know.

4 Q. Thank you. I think we have heard previously that there
5 was a higher incidence of hepatitis in the donor
6 population, or rather in the community generally in
7 Italy, and by inference, therefore, presumably in the
8 donor population as well. Is that correct?

9 A. That is correct. Yes.

10 Q. So there may be special factors applying to Italy.
11 Thank you.

12 Then in paragraph 7 we can see what is said. In
13 paragraph 8 you explain that:

14 "The German transfusion doctors remained sceptical
15 about the efficacy of ALT screening.

16 Professor Siegfried Seidl, the then leading German
17 expert in the field of blood transfusion, wrote to ..."

18 A German publication:

19 "... in January 1983 and reviewed the American TTV
20 and NIH studies. He mentioned that the ALT screening
21 had not decreased the incidence of NANBH in the Federal
22 Republic of Germany. He concluded that there were still
23 too many open questions to be solved before routine
24 donor ALT screening could be recommended. Instead,
25 efforts should be directed towards finding a specific

1 marker for NANBH."

2 The reference for that publication is [\[LIT0012211\]](#).
3 We won't go to it because it's in German. So that's one
4 for the German speakers.

5 It may be helpful, though, to look at the
6 Vox Sanguinis series of comments in 1983 at this stage.
7 That is [\[LIT0011837\]](#). I'm not going to go through each
8 of the comments. In short, I think, most of the
9 contributors did not recommend the introduction of
10 surrogate testing in their countries at this time,
11 without further research. Is that a fair summary of the
12 general feeling?

13 A. I think that was the general feeling, yes.

14 Q. But if we could perhaps look at the German contribution,
15 it's at page 58, which is 1847. In the top right-hand
16 column, this is from Dr Muller of Hannover and we can
17 see what Dr Muller says for ourselves in the first half
18 of his column. We come about half way down, we can see
19 he says:

20 "In Germany, the main reasons for elevated ALT
21 activity today, however, are alcohol consumption and
22 obesity. Slightly elevated ALT activities in blood
23 donors, therefore, are observed so frequently that blood
24 bank services could not cover all the requirements were
25 they to apply a strict upper normal range ALT limit of

1 22 iu/l.

2 "Lack of agent specificity and reduction of
3 sensitivity for practical purposes are strong arguments
4 against routine ALT screening in blood donors. This
5 comprehension was supported by several previous studies
6 which failed to provide conclusive evidence for
7 a justification of routine donor ALT screening."

8 The references 1 and 2, I think, are to US studies
9 in 1959 and 1971. Then Dr Muller goes on to mention the
10 TTVS and NIH studies in America in 1981. Go over the
11 page, please.

12 Dr Muller then goes on to state that:

13 "The proportion of transfusion-associated non-A
14 non-B Hepatitis according to case history in 566
15 serologically proven non-A non-B Hepatitis cases
16 recognised in the Hanover area between 1975 through 1980
17 rose steadily from 5 per cent in 1975 to 19.2 per cent
18 in 1980 despite the fact that all donors are regularly
19 tested for ALT".

20 And Dr Muller goes on:

21 "Since ALT testing identifies some asymptomatic
22 carriers and a small minority of patients with anicteric
23 acute and chronic non-A non-B Hepatitis who can transmit
24 the agent(s), I feel that screening for ALT in blood
25 donors should not be abandoned."

1 This is the point I emphasise:

2 "Moreover, transfusion of blood and blood products
3 in Germany is subject to the same regulations applied to
4 the administration of drugs, which appoint a "maximum of
5 safety" with regard to toxicity and infectivity.

6 Considering the costs of ALT screening on each unit of
7 blood is therefore minimal compared with the total cost
8 amount which may arise from one case of non-A non-B
9 post-transfusion hepatitis running a chronic course."

10 I emphasise, professor, the requirement in Germany
11 for blood and blood products to have a "maximum of
12 safety," and that's a point I'll return to later when we
13 look at the Council of Europe recommendations in 1987.

14 Could we then, please, return to your statement?
15 Paragraph 9, please. You say:

16 "The TTV and NIH studies had, in 1981, shown
17 a correlation between donor ALT and recipient NANBH,
18 even though this finding was not confirmed in all donor
19 populations."

20 When you say, professor "the finding was not
21 confirmed in all donor populations," is that a reference
22 to all donor populations in America or elsewhere or
23 what?

24 A. I think that refers to their material that was collected
25 from various transfusion centres in the USA, and in some

1 areas these correlations could not be shown, whereas in
2 the majority of areas or those populations, it could be
3 shown.

4 Q. I understand. You then tell us that:

5 "The American Association of Blood Banks ..."

6 Just to pause there, professor, can you remind us,
7 the AABB, was that an association of independent blood
8 banks in the US, not including the Red Cross transfusion
9 services. Is that correct?

10 A. There were three major organisations in the
11 United States, covering this field, and the American
12 Red Cross was responsible for about, I believe, half of
13 all the collections and then there was the American
14 Association of Blood Banks and those were the
15 independent blood banks and they formed this
16 association, and the third one was the community blood
17 centres organisation. I don't remember its name right
18 now. But these three organisations covered the whole
19 field.

20 Q. In the mid 1980s, the AABB, would that include hospital
21 blood banks?

22 A. Yes, sir.

23 Q. And did the AABB in the mid 80s collect only from
24 voluntary donors or did they include some paid donors or
25 what?

1 A. AABB organised the yearly big conference, where these
2 different matters were discussed, so it was clearly the
3 leading organisation for transfusion matters in the
4 United States. American Red Cross was participating in
5 all these conferences but as an organisation it had not
6 such a dominant position as AABB.

7 Q. Yes. I'm just wondering, professor, we have heard often
8 references to America being different because in America
9 blood was collected from paid donors, rather than
10 voluntary, unpaid donors, particularly, I think, in the
11 70s. I'm just wondering, by the middle of the 1980s,
12 whether the AABB members only collected blood from
13 voluntary donors? Maybe it's a question you cannot
14 answer.

15 A. Generally, they did not pay the donors. They were
16 voluntary donors as far as whole blood was concerned,
17 whereas the plasma donation was totally commercial and
18 there all the donors were paid. This was a private
19 enterprises that were performing that. It was
20 a remarkable change from the 70s until 1980s and most of
21 the American blood banks that were collecting whole
22 blood really started using totally voluntary system.

23 Q. Thank you. I think the final point about the AABB, we
24 have seen often a reference to the journal
25 "Transfusion". I think that was the journal of the

1 AABB. Is that correct?

2 A. That is correct.

3 Q. Thank you. Picking up again in paragraph 9, please, you
4 explain that:

5 "The AABB established an ad hoc committee on ALT
6 testing and the committee concluded in 1982 that 'while
7 we share the desire of the entire medical community to
8 reduce the incidence of transfusion-associated
9 hepatitis, we believe that the currently available
10 evidence does not justify either universal testing of
11 donor blood for ALT or the rejection of donors who have
12 elevated levels'."

13 I'll give the reference for that document without
14 going to it. It's [\[LIT0012217\]](#). You go on to explain
15 in paragraph 9 that:

16 "... in 1985 ... Dr Alter ... wrote 'The question of
17 whether or not the ALT test should be routinely adopted
18 for donor screening was widely debated and currently
19 remains an essentially unresolved issue'. In the same
20 article he mentions that the New York Blood Centre had
21 initiated such testing but that they did not accumulate
22 additional efficacy data. Dr Alter had also started ALT
23 testing of donors at the NIH blood bank in order to
24 obtain more information but 'there was no significant
25 decline in hepatitis incidence after ALT testing. This

1 is even more striking since transfusion volume declined
2 over this time period'."

3 You explain:

4 "The same sceptical view on routine ALT testing was
5 presented in a review article of Transfusion, which
6 appeared in April 1985."

7 I'll provide the reference for the Transfusion
8 article without going to it. It's [\[LIT0012164\]](#).
9 I would, however, like to go to the Alter article of
10 1985, because I think it's interesting to compare
11 Dr Alter's views in 1985 with what he then says in 1986.

12 The Alter article is [\[LIT0010811\]](#). We have looked
13 at this article before, when looking at the state of
14 knowledge of the seriousness of NANBH previously, but if
15 we could look at the article for a different purpose,
16 namely Alter's views on surrogate testing at this time.
17 If we could go, please, to page 57 of the article, which
18 is 0821, and after a discussion of the data and evidence
19 available in surrogate testing, Alter, about a third of
20 the way down the page, states:

21 "With these analyses in mind, our options seem to be
22 threefold:

23 "1. To decide that existing data are inconclusive
24 and that in view of problems of non-specificity,
25 diagnostic uncertainty, responsibility to the donor,

1 test standardisation, cost and donor loss, it is best
2 not to adopt routine donor ALT testing at this time.

3 "2. To decide that although the data relating to
4 ALT efficacy are not definitive, they are scientifically
5 valid and overall are sufficiently compelling to warrant
6 universal donor ALT testing at this time. Implicit is
7 the assumption that if an interpretive error is to be
8 made, it is best to err on the side of recipient safety
9 and that to withhold such testing is ethically
10 unjustified."

11 That sentence, professor, "Implicit is the
12 assumption that if an interpretive error is to be made,
13 it is best to err on the side of recipient safety," is
14 perhaps a hint of the precautionary principle that,
15 where evidence isn't clear, one should err on the side
16 of seeking to cause least harm.

17 A. Yes.

18 Q. We may pick up on that a little later. Returning to
19 Alter, he states:

20 "3. To decide that existing data are inconclusive
21 but are sufficiently compelling that a definitive answer
22 must be sought."

23 Et cetera. We can read for ourselves down to the
24 bottom of the page:

25 "A randomised, controlled study is long overdue and

1 should be instituted as rapidly as possible.

2 "It is my opinion that option 3 is the most tenable
3 alternative. Had this controlled study been performed
4 three years ago when first proposed, a definitive answer
5 would be at hand. Instead, the same uncertainties
6 persist. A randomised, controlled trial could be
7 completed in one and a half years, could address both
8 the ALT and anti-core issues, and could provide
9 a definitive and rational basis for making these complex
10 decisions. Even at this late date, such a study should
11 be performed lest two years from now, we find ourselves
12 still far from the core (or the ALT) of this issue."

13 At that stage Alter is not arguing for the
14 introduction of ALT screening; rather, he argues for
15 a proper randomised, controlled study as to the efficacy
16 of such screening.

17 Thank you.

18 Could we then, please, return to your statement, to
19 paragraph 10? Paragraph 10 sets out a change in
20 thinking. You say:

21 "In 1986 the American opinion changed. In the
22 re-examination of the old TTV study data, the authors
23 had found out that there was also a correlation between
24 donor anti-HBc and recipient NANBH but ALT and anti-HBc
25 identified different donor groups."

1 We can see what Dr Alter then states. You provide
2 a quote from him and Dr Alter pointed out the fallacy of
3 this type of predictive reasoning.

4 Over the page, please. In paragraph 11 you explain
5 that:

6 "Later in 1986, the major American Blood Transfusion
7 Service organisations recommended routine ALT and
8 anti-HBc testing of all donations."

9 Although that was never required by the US health
10 authorities. You go on to say:

11 "However, the usefulness of this testing remained
12 controversial."

13 In paragraph 12 you say:

14 "From a European perspective, it was difficult to
15 determine the reasons underlying the change in American
16 thinking. At the meeting of the Council of Europe
17 expert committee in May 1987, the consensus of opinion
18 was that the American decision had been influenced by
19 non-scientific reasons."

20 Do you remember, professor, discussion of this
21 in May 1987?

22 A. I beg your pardon?

23 Q. Sorry. Do you remember there being discussion
24 in May 1987 of why the Americans had decided to
25 recommend routine surrogate testing?

1 A. I remember there was a vivid discussion about this ALT
2 and anti-core testing within the committee and I'm quite
3 sure that this decision was the main trigger of that
4 discussion. If I recall it correct, we were thinking
5 that it was mostly the AIDS crisis that prompted the
6 Americans to go ahead and were compelled to do something
7 in order to repair a little bit of that harm that had
8 been caused by the late reaction to the AIDS infection
9 in the United States.

10 So these two factors, the lessons from the HIV story
11 and secondly, indeed, we were thinking that America was
12 very likely going into the litigation and therefore the
13 blood centres wanted to protect themselves by starting
14 at least something.

15 Q. Yes. When you say "lessons from the AIDS crisis in
16 America", what particular lessons do you think there
17 were? What do you think were the main points the
18 Americans took from the AIDS crisis, which they then
19 applied to this question of surrogate testing?

20 A. Well, after 1983, I believe, then there was a discussion
21 whether it was an infectious disease or not, and then
22 later on it got very big press coverage and media
23 coverage and the transfusion community was very much
24 blamed for being slow in reaction to this potential
25 harm, and therefore we had a feeling -- and I don't know

1 whether this is true or not -- but we had a feeling at
2 the committee that this was the main reason why they had
3 to do something also for this hepatitis question, that
4 evidently was coming up at some point in the future or
5 already at present then.

6 Q. Is it possible that in America they were in essence
7 applying the precautionary principle perhaps in light of
8 the AIDS experience? Is it possible they were taking
9 the view that, "Yes, there is scientific uncertainty
10 about the efficacy of surrogate testing but that may be
11 a step which can improve the safety of blood; therefore
12 we should take it"?

13 A. Well, I think that primarily they were of the opinion
14 that at that time it was better to do something that was
15 uncertain because it could be safer for the recipients'
16 blood, and therefore decided to go ahead despite the
17 fact that this study that Dr Alter had two years
18 previously been advocating to be done, it was never
19 done. But there was a new analysis of old data and
20 therefore they got some support for this idea, that they
21 really should go ahead and look more thoroughly at the
22 question of the safety of transfusion as far as the
23 recipients are concerned.

24 Q. We will come to look --

25 THE CHAIRMAN: Mr Mackenzie, I wonder if I could just follow

1 one aspect of what Professor Leikola said.

2 Professor, I understand the point that
3 transfusionists were being subjected to a fair amount of
4 criticism following on from the AIDS crisis, but you
5 said that at this time there was a fear, or a thought,
6 that there was going to be coming up at some time in the
7 future, or was already present then, evidence that
8 hepatitis was going to be a problem. I would like just
9 to get a sense of that, please, from you. In 1986 in
10 the United States, what was the understanding of the
11 risks presented by hepatitis?

12 A. I think that there was good evidence that at that time
13 already, on the basis of the TTV and NIH studies, that
14 non-A non-B Hepatitis is indeed a risk in the
15 United States and probably elsewhere also. Therefore,
16 I think it was perceived as a real risk already at that
17 time and not only in the future but I had a feeling
18 that, because the attention was mostly directed towards
19 HIV and AIDS, the issue of non-A non-B Hepatitis would
20 become stronger in the near future at that time. But it
21 was very clear that non-A non-B Hepatitis was perceived
22 as a clear complication and a serious complication of
23 transfusion.

24 THE CHAIRMAN: So the changes made in attitude in 1986
25 towards favouring surrogate testing, when would you

1 think that it was appreciated by those who initiated the
2 change that NANB hepatitis presented a significant risk?
3 It must have been some time before.

4 A. Yes, I think it came in the early 1980s, after these two
5 studies had shown that non-A non-B Hepatitis was there
6 and it was serious enough.

7 THE CHAIRMAN: So really you have sort of almost
8 a coincidence of lines of thought, one responsive to HIV
9 AIDS and the other predictive of a similar problem
10 emerging with NANB hepatitis, resulting in a change of
11 attitude towards surrogate testing. Is that the picture
12 one should have?

13 A. This is true. I think that what prompted people to
14 re-examine those data from those two big studies was the
15 fact that now this had become a big issue and therefore
16 after the publication of this new data, then they got
17 some background and facts towards the idea of
18 nevertheless introducing the screening with phase 2
19 tests.

20 THE CHAIRMAN: Of course in America, fear of litigation is
21 always a factor that can prompt reaction in those who
22 are in the frame, as it were, for criticism.

23 A. Yes.

24 THE CHAIRMAN: Thank you.

25 MR MACKENZIE: Thank you, sir.

1 I suppose, professor, another important factor we
2 shouldn't forget about when considering what happened in
3 America was that there did always seem to be a higher
4 incidence of post-transfusion hepatitis in America,
5 certainly when compared with, I think, the northern
6 European countries. Is that correct?

7 A. Well, I think that was quite clear that the incidence of
8 non-A non-B Hepatitis was lower in northern Europe, as
9 compared to, let's say, big urban areas in the
10 United States, whereas in southern Europe it was also
11 clear that both Hepatitis C and Hepatitis B were more
12 prevalent than in the northern countries, including, for
13 instance, Finland and Holland, and also we considered
14 the UK.

15 Q. Yes, I suppose the point I seek to make is that at its
16 very simplest, one reason perhaps which prompted America
17 to introduce surrogate testing may have been that it was
18 a bigger problem there than it was in northern Europe,
19 quite simply because of the higher incidence of
20 post-transfusion non-A non-B Hepatitis?

21 A. I think both the higher incidence and also the public
22 opinion and media coverage in the United States, I think
23 were important factors for that. In addition, we had
24 read the recommendation of Dr Alter two years before
25 that the large prospective study should be really

1 instituted because of the differences in different
2 populations in the original TTV study, and therefore
3 this idea of now introducing a large enough prospective
4 study between blood donors and blood recipients in order
5 to see what is the real situation in those populations
6 in Europe, was considered.

7 Q. We will come back to that. Returning to paragraph 12 of
8 your statement, professor, in the second part of that
9 paragraph you refer to the litigation-prone atmosphere
10 in the United States. We can read that for ourselves.
11 There are two documents I would like to take you to,
12 which on the face of it set out American thinking on
13 this topic at this time.

14 The first one, please, is [\[SGF0010783\]](#). We have
15 looked at this before at the Inquiry and we can see it's
16 a copy of the Blood Bank Week, I think the publication
17 of the AABB, of 21 February 1986. If we go over the
18 page, please, we can see in the first paragraph that:

19 "The Blood Products Advisory Committee of the Food
20 and Drug Administration will recommend that both ALT and
21 anti-core testing be performed on donated blood to
22 reduce the incidence of transmission of non-A non-B
23 Hepatitis through transfusion."

24 We can see that:

25 "In a February 13-14 meeting, the panel received

1 reports and two studies showing that recipients of blood
2 from donors with elevated ALT and anti-core had an
3 higher incidence of NANB hepatitis."

4 The next sentence I emphasise:

5 "While questions were raised about the data, it was
6 noted that the carrier rate of NANB is higher than
7 previously thought, that cases are underreported and
8 that NANB is now considered to be a much more serious
9 disease."

10 So on the face of it, that sentence appears to
11 summarise at least the public reasons for the
12 recommendation that surrogate testing should be
13 introduced, and I suppose to summarise that sentence
14 again, all of the factors seem to be related to patient
15 safety, to seeking to maximise the safety of blood.
16 Does that seem a fair summary?

17 A. Yes, I think that's fair.

18 Q. Yes. The other document I would like to look at from
19 this time, please, is [\[LIT0011675\]](#). Again, we have
20 looked at this before but for a different purpose, to
21 look at the seriousness of non-A non-B Hepatitis. It's
22 a 1986 publication by Dienstag and Alter. If we could,
23 please, go to page 76, I think we have actually looked
24 at this quote before. It's at page 1684.

25 There has been a discussion by the authors on the

1 non-availability of a direct test, despite, I think,
2 over 40 candidate tests having been tried and failed,
3 and then a discussion of surrogate testing and the
4 negative aspects of surrogate testing in terms of low
5 sensitivity and specificity. But could I, please,
6 professor, pick up the article in the left-hand column.
7 We can see the second last line from the bottom:

8 "Despite these negative features, however, the
9 accumulating data that chronic NANB hepatitis leads to
10 cirrhosis in 10 to 20 per cent of cases has served as
11 compelling evidence for the need to rely on indirect
12 assays as an interim measure until such time as specific
13 NANB hepatitis assays are developed."

14 Pausing there, that perhaps brings us back to
15 Dr Aach's letter of 1981, that there may be a value of
16 surrogate testing as an interim measure until specific
17 assays are developed and available. Then to return to
18 the article, the authors state:

19 "The major components of the blood delivery complex
20 are currently considering the adoption of either the
21 anti-HBc test or both the ALT and the anti-HBc test.
22 Because of the cost and significant donor loss
23 engendered and because of the recent introduction of
24 mandatory screening of all donor blood for antibody to
25 HTLV-III, adoption of yet another one or two donor blood

1 screening tests represents a very complex and difficult
2 decision. Nonetheless, increasing documentation of the
3 chronic sequelae of NANB Hepatitis and the continued
4 high incidence of this disease after transfusion have
5 tipped the balance in favour of adopting indirect assays
6 for NANB Hepatitis carrier detection."

7 So again, here the authors seem to be giving patient
8 safety reasons for the balance having been tipped in
9 favour of the surrogate testing, albeit there were, no
10 doubt, all sorts of other factors in the background as
11 well, such as fear of litigation and perhaps other
12 factors too.

13 Professor, do you have any further comments on that
14 passage I have read out?

15 A. I would just point out that in this type of scientific
16 text, where this decision is either recommended or
17 commented on, it's very difficult to say in writing some
18 underlying development in the society in general,
19 whereas emphasising the patient safety is sort of a very
20 safe way of going ahead and having a good founding for
21 this decision that has been made. I don't doubt that
22 the patient safety and reaching a maximum safety in
23 transfusion really was an issue but on the other hand,
24 when you are writing these articles, it's very difficult
25 to say that, because of political pressure or something

1 else, so the scientists are much -- it's much easier to
2 say that this fact certainly was a factor there and was
3 the leading idea.

4 Q. I understand. Thank you. Leaving that article to one
5 side, please, and returning to your statement, in
6 paragraph 13 you explain:

7 "The American development was keenly followed also
8 in Europe. In the early 1980s the conclusion by the
9 AABB ad hoc committee ..."

10 I think that must have been the 1982 conclusion that
11 you referred to earlier:

12 "... was considered reasonable and there was no move
13 in Europe to introduce surrogate testing. It was
14 recognised that the incidence of NANBH varied from
15 country to country and in different donor populations.
16 In northern parts of Europe there were less cases of
17 NANBH than in the south and there were also differences
18 between urban and rural populations."

19 A reference to Australia. Paragraph 14:

20 "There was a general feeling that more information
21 was needed of the possible correlation between screening
22 for surrogate markers and prevention of NANBH."

23 A reference to the Vox Sanguinis publication in
24 1983, which we have looked at, and you explain that:

25 "All contributors took a cautious view on ALT

1 screening."

2 In paragraph 15:

3 "The American finding that anti-HBc correlated with
4 NANBH was disturbing and could not be explained."

5 I think, professor, to this day that correlation
6 cannot be explained. Is that correct?

7 A. There was no reasonable explanation for this correlation
8 because one was Hepatitis B and it was definitely not
9 the causative agent for non-A non-B Hepatitis.

10 Q. Thank you. You go on to say that:

11 "Correlation with ALT was much more natural since
12 the definition of NANBH was based on elevated ALT
13 values, and there the question was about the efficacy of
14 the test in identifying donors at risk of transmission
15 of hepatitis. There were soon reports appearing,
16 notably from France, the Netherlands and the
17 United Kingdom, showing that in the European donor
18 populations studied, anti-HBc did not correlate with
19 recipient NANBH. The pattern was clearly different from
20 the American donors: incidence of NANBH much less and
21 anti-HBc meaningless as a surrogate marker. There was
22 some association between elevated donor ALT and
23 recipient NANBH, but its efficacy as a possible
24 surrogate screening test was considered weak. This view
25 was supported by the negative findings of NANBH

1 incidence after ALT screening in Germany on the one
2 hand, and in the New York Blood Centre and at the NIH on
3 the other."

4 In paragraph 16 --

5 THE CHAIRMAN: Before you go on, I wonder could we explore
6 just a little bit the first sentence and what lies
7 behind it? One has a condition, Hepatitis B, with the
8 development of anti-HB core in the person, and that is
9 identified with the specific hepatitis condition. One
10 then finds that NANBH is associated in some way with the
11 incidence of anti-core Hepatitis B. As a matter of
12 logic, one would be inclined to say that it cannot be
13 the disease that provides the link because by definition
14 NANBH is not Hepatitis B. What else could it be?

15 A. I think it's the behaviour of the donor.

16 THE CHAIRMAN: Right.

17 A. He happens to have had Hepatitis B infections some time
18 in the past and then, because of his behaviour, he gets
19 also Hepatitis C or maybe elevated ALT because of
20 alcohol consumption.

21 THE CHAIRMAN: I think if we leave ALT aside just for the
22 moment, because I do understand the difference there.
23 So what in effect one is saying is that the sort of
24 person who has anti-HBc indicators is the sort of person
25 who is going to have NANBH. I find that very difficult.

1 Without further specification.

2 A. Yes. Well, Hepatitis C is really transmitted
3 parenterally, even sometimes, you know, once or twice
4 using intravenous drugs with a needle that has been used
5 also by the community around this person may transmit
6 Hepatitis C and therefore it may be -- you know,
7 otherwise, a totally healthy individual that in their
8 youth sometimes has tried these drugs.

9 On the other hand, it has also been shown that
10 alcohol consumption in those patients who are positive
11 for Hepatitis C, the prospect of developing a chronic
12 liver disease, cirrhosis and finally carcinoma, maybe is
13 much, much higher than in those people who are not
14 consuming much alcohol or some other agents that may
15 affect liver in addition to this virus, Hepatitis C.

16 THE CHAIRMAN: This still leaves me with the terrible
17 logical problem that all that that would indicate would
18 be that some people in these categories develop NANBH
19 and can therefore transmit it but one could not
20 generalise on that and say that all people in these
21 categories would be in that position, and therefore if
22 you look at the test, the universality of the test can
23 never be supported on the particular examples that one
24 has identified. It's a logical problem and --

25 A. It is a logical problem, yes.

1 THE CHAIRMAN: I'm not sure how one resolves it. But it may
2 be that at the end of the day, it is a sort of emotional
3 reaction to the situation that says we really have to do
4 something, rather than a scientific or logical answer to
5 the situation.

6 A. I would agree with that.

7 THE CHAIRMAN: You think that's what it was? Yes, thank
8 you.

9 Thank you, Mr Mackenzie.

10 MR MACKENZIE: Thank you, sir.

11 Professor, does it not really just come down to in
12 the American studies there was found to be a correlation
13 between donors with anti-HBc and an increased prevalence
14 of post-transfusion NANBH in recipients, and although
15 one couldn't perhaps explain why that was so,
16 nonetheless there was such a correlation so that was
17 some evidence for screening for anti-HBc? Does it not
18 just really come down to that?

19 A. One of the explanations was that maybe this non-A non-B
20 Hepatitis is caused by a number of different viruses and
21 some of the viruses are related to Hepatitis B virus,
22 and therefore some of these cases could be shown by
23 measuring the anti-Hepatitis B core antigen because the
24 virus was not known and it was not known whether non-A
25 non-B Hepatitis was caused by one virus or two viruses

1 or by a virus at all.

2 Q. Am I right in thinking that the starting point for the
3 argument that anti-HBc screening may be worthwhile was
4 the observed correlation, at least in America or parts
5 of America, of anti-HBc in donors and increased
6 incidence of post-transfusion NANBH in recipients? That
7 was the starting point?

8 A. Yes.

9 Q. And whether there was logic or whether the argument was
10 soundly based on evidence or perhaps other matters, but
11 at least there was a starting point for what it was
12 worth?

13 A. Hm-mm.

14 THE CHAIRMAN: The qualification, of course, rather
15 undermines the whole exercise. If you have to say "for
16 what it is worth", the logical basis has broken down.
17 I really would just like to get a feel for what was
18 thought at the time, Professor Leikola, because it's
19 clear that there has been a great deal of revision of
20 thought over the period between. But do you think that
21 we have discussed it enough to get to the sense that
22 people had at the time of the significance of these
23 tests?

24 A. Well, it could be. Of course, as I said, there were
25 some assumptions that this putative virus would

1 cross-react sometimes with Hepatitis B virus, and that
2 would be prevalent on the other side of the Atlantic but
3 would not be present in Europe, and this would be the
4 explanation for that. Although I think that most people
5 thought that, you know, it really doesn't make any sense
6 and therefore these European studies that showed that
7 there was no correlation between anti-hepatitis core and
8 non-A non-B Hepatitis was, for me at least, a relief, to
9 see that, you know, it wasn't logical to include
10 hepatitis core antibody in this whole exercise, and
11 therefore I was quite happy to see that it was confirmed
12 in our material and also in the other European --

13 MR MACKENZIE: I wonder, professor, if for practical
14 purposes that's the important point, that the reports
15 from Europe, France, the Netherlands and the UK showed
16 that in the European donor population studied, anti-HBc
17 did not correlate with recipient NANBH. So even with
18 that starting point which there was in America, there
19 wasn't even that in Europe. So for practical purposes
20 perhaps, I can see the force of that at the time.

21 PROFESSOR JAMES: Can I also just add one small thing? That
22 is that the American studies, the TTV study and the NIH
23 study, on which this was based, because they re-analysed
24 the data, looking at anti-HBc, were in a pre-AIDS donor
25 population, where there was probably less donor

1 selection. So it's likely that there may have been, for
2 example, in the anti-HBc group, a higher number of
3 people with "at risk behaviour" than in, for example,
4 northern Europe by 1986, where there was a great deal
5 more careful donor selection and where individuals with
6 at-risk behaviours were being better filtered out of the
7 donor population, of course because of what had happened
8 over HIV/AIDS in the preceding years.

9 Do you think that might be another possible
10 explanation for these different findings, that actually
11 they were really in different groups of individuals, not
12 just different countries but the different rigour of
13 selection?

14 A. Yes, sir, I think that could be part of the explanation.
15 When we initiated our large prospective study in
16 Finland, one of the reasons to do that -- and that has
17 been written also in the report -- was that now that we
18 had started the self-exclusion of people at risk of
19 transmitting HIV, we had to see what was the situation
20 with the present donor population, as compared to the
21 ones that had been taken before the HIV was emerging.

22 PROFESSOR JAMES: Thank you. Thank you.

23 MR MACKENZIE: If we could now, professor, turn to look at
24 the European response to the American recommendation for
25 screening, in paragraph 16 you explain that:

1 "After the American organisations decided to
2 recommend the introduction of routine ALT and anti-HBc
3 testing ..."

4 The European countries had to decide whether or not
5 to follow suit. Over the page, please. You explain
6 that:

7 "There was a consensus among the scientific and
8 blood transfusion expert community that prospective
9 studies were urgently needed before a decision could be
10 taken."

11 What do you mean by "prospective studies",
12 professor?

13 A. "Prospective studies". I mean a study where a number of
14 transfusion recipients are followed for long enough to
15 take blood samples out of those patients and then having
16 all the samples from the donors being stored and then
17 analysing whether any of these patients had contracted
18 non-A non-B Hepatitis, and then compare that with the
19 stored samples from the donors that were implicated.

20 Q. And what is the purpose of such a study?

21 A. The purpose was twofold. First of all, it was important
22 to see how much non-A non-B Hepatitis there really was
23 in a given patient population in a given country or
24 region, and therefore the patient had to be followed for
25 a long time. And we decided taking ten samples out of

1 each patient during a period of six months in order to
2 see whether there was a fluctuating ALT level, and you
3 would not find it by just taking one sample there and
4 therefore you could determine whether in that patient
5 population -- and that means in donor population on the
6 other hand -- non-A non-B Hepatitis indeed exists.

7 And then the second purpose was to be able to then
8 to compare the donor ALTs and recipient ALTs and later
9 on the specific Hepatitis C test, whether these were
10 linked together in order to show that positive mass
11 screening of donors would indeed then protect and
12 prevent transmission of this disease to the recipients.

13 Q. Thank you. So in short, the purpose of such a study was
14 firstly to consider the incidence of post-transfusion
15 non-A non-B Hepatitis in one's country, yes? And
16 secondly to really evaluate surrogate testing and any
17 specific testing which may come along?

18 A. Yes.

19 Q. Thank you. Would a study restricted to looking at
20 surrogate markers in donors meet those objectives?

21 A. You mean only donors?

22 Q. Yes.

23 A. No, that wouldn't be prospective. It would show the
24 incidence of ALT and then a possible marker within donor
25 population but it wouldn't show whether these

1 individuals really had transmitted a disease to the
2 patient.

3 Q. Yes. I should perhaps explain, as you may know, that it
4 was decided in the UK around this time to not undertake
5 a prospective study of recipients but rather to
6 undertake a study restricted to donors, and looking at
7 the incidence of surrogate markers in donors. Were you
8 aware of that at the time? I think there is in fact
9 reference to it in the minutes of the meeting of the
10 Council of Europe committee of experts. Do you recall
11 such a study being proposed in the UK, restricted to
12 donors?

13 A. That I don't know. We decided in Finland to undertake
14 that kind of study already before 1987 and I reported on
15 our plans and our study design to the committee, but
16 I don't remember what kind of reaction, other than
17 congratulations for a good undertaking and so on -- what
18 really was happening within the other circles and
19 countries.

20 Q. We could perhaps go to look at the minutes of the
21 Council of Europe committee of experts meeting
22 in May 1987. It's [\[SNB0019445\]](#). I say "minutes" but
23 I see it's an extract from the report of the committee
24 of experts on blood transfusion and immuno-haematology,
25 the tenth meeting in Rome, 19 to 22 May 1987.

1 Go over the page, please. We can see in the first
2 paragraph:

3 "A synthesis of replies received from members of the
4 SP-HM to the questionnaire on non-A non-B Hepatitis was
5 presented by Dr Gunson. These replies clearly show that
6 this issue is in general given careful consideration by
7 most blood transfusion services. The general impression
8 is that the incidence of NANB Hepatitis is rather low,
9 but varies widely between different regions. The value
10 of 'surrogate tests', such as ALT and anti-HBc, has been
11 studied by various groups but there is doubt about their
12 cost/effectiveness. Professor H Weise remarked that ALT
13 testing has been used in the Federal Republic of Germany
14 for more than 20 years. The reduction in non-A non-B
15 Hepatitis was estimated at about 29 per cent according
16 to Professor Weise, while approximately 1.2 per cent
17 donors were lost. However, controlled studies have thus
18 far not been performed."

19 Pausing there, professor, on the face of it,
20 Professor Weise, whom I assume was from Germany, appears
21 to be reporting a positive German experience with ALT
22 testing. Is that correct?

23 A. I think that the last sentence in this paragraph was
24 reflecting some of the criticism that the other
25 participants were giving to him because if I recall it

1 correct -- and I don't know; this is 22 years ago -- if
2 it was so that when details about this 29 per cent were
3 asked about, the answer by Professor Weise was that,
4 "Well, it's 29 per cent. I don't know more about it."
5 And therefore, you know, it was just a figure that he
6 was throwing to the audience and could not explain any
7 of the data that were behind it.

8 Q. I think we know that to be scientifically sound, in
9 order to know the efficacy of surrogate testing, one
10 would have to carry out a controlled, prospective study,
11 and I think no such study had been carried out at that
12 time.

13 Over the page, please. I should perhaps say, no
14 full-scale, controlled, prospective study had been
15 carried out. I think some work had been undertaken by
16 some centres involving perhaps small-ish numbers of
17 patients but I think not in sufficient numbers to give
18 a statistically and scientifically sound answer to the
19 question of the correct efficacy.

20 A. I think that's probably true.

21 Q. Thank you. Over the page at 9447, we can see your name
22 appearing at the bottom of the page, professor:

23 "Dr Leikola (Finland) reviewed the literature of the
24 last eight years concerning this topic. He concluded
25 that many of these studies lack definitions of hepatitis

1 and control populations. Also there are discrepancies
2 between epidemiological data and the results of small
3 scale studies. He expressed his opinion that
4 the decision to introduce surrogate testing should be
5 based exclusively on data available or obtained from
6 a given country or region. In Finland, a prospective
7 study in five hospitals will be started to establish the
8 value of such surrogate tests for the prevention of
9 post-transfusion NANB Hepatitis".

10 We will come to the reports of the Finnish study
11 soon. Over a couple of pages, please, to page 9449. At
12 the bottom of the page we can see again the position of
13 the various European countries at this time:

14 "Apart from Belgium, the Federal Republic of
15 Germany, some Italian regions and Luxembourg, no other
16 member countries of the Council of Europe are routinely
17 using ALT tests and blood donations at the present time.
18 However, a national working party in France has now
19 recommended the introduction of both ALT and anti-HBc
20 tests. Anti-ALT testing may also be commenced in
21 Sweden."

22 What's that a reference to? Perhaps that should be
23 either "ALT testing" or "anti-HBc testing". It may be
24 a typographical error. Is there such a thing,
25 professor, as anti-ALT testing?

1 A. I'm sorry, I didn't follow.

2 Q. It's simply an error perhaps.

3 A. Could you, please, repeat your question?

4 Q. Yes. We can see in the fourth line from the bottom of

5 the page a reference to:

6 "Anti-ALT testing may also be commenced in Sweden."

7 A. That should be "ALT testing", of course.

8 Q. Yes, thank you. Over the page, please. I should have

9 said, this is essentially the report of a working group

10 comprising yourself, Professor van Aken, Dr Habibi and

11 Dr Gunson, and at page 8, which we now have, we can see

12 at the top:

13 "Two studies are proposed. In Finland a prospective

14 study of patients undergoing open heart surgery ... in

15 the United Kingdom there are proposals to ALT and

16 anti-HBc test a cohort of blood donors in four centres."

17 We can see:

18 "On the basis of this information, the working group

19 concluded that ..."

20 And five conclusions are set out. We can see:

21 "1. Surrogate testing remained a controversial

22 issue."

23 And:

24 "2. If a stance is taken that blood should have

25 a maximum safety, then the tests would be introduced,

1 but the benefits derived from this testing would not be
2 uniform throughout every country. Also, there is no
3 guarantee that, in a given country, there will be
4 a significant reduction in the transmission of NANB
5 Hepatitis."

6 Again we see the reference to:

7 "If a stance is taken that blood should have maximum
8 safety ..."

9 We come back to discuss that a little at the end of
10 your statement. In three, a reference to potential
11 problems in blood supply. Four, a reference to problems
12 with donors and their counselling, and five:

13 "The committee cannot give a general recommendation
14 on the introduction routinely of non-specific tests for
15 evidence of NANB infectivity of blood donors.

16 Individual countries will have to assess the situation
17 locally and decide on the appropriate action to take."

18 Professor, those five recommendations -- we know
19 there were four individuals on the working group -- did
20 all four of you agree these conclusions or were some
21 members more in favour of surrogate testing than others
22 or what?

23 A. Well, it's very difficult for me to recall our internal
24 discussions within this small group, but I have the
25 feeling that Dr Habibi, who was very much involved in

1 the French AIDS scandal, was the strongest proponent for
2 introduction of surrogate tests.

3 Q. Thank you. That's that document. Could I then, please,
4 return to your statement and carry on? Paragraph 17.

5 You explain:

6 "It was not only a question of whether or not to
7 introduce surrogate testing but also which tests should
8 be used."

9 We can see what is said there:

10 "The main goal for the European countries was to
11 find out the true incidence of transfusion-transmitted
12 NANBH."

13 In paragraph 18:

14 "Most countries that I know elected in 1987 not to
15 blindly follow what the Americans did but to first find
16 out the situation in their own donor population. Thus,
17 the attitude towards surrogate testing was not negative
18 per se, but before making a decision in Europe, the
19 expert community wanted to know whether the concept
20 would really produce results."

21 A reference to plasma fractionators and ALT testing.
22 In paragraph 19 we see a reference to the Chiron
23 announcement in May 1988, that what would become known
24 as "Hepatitis C" had been isolated. You say:

25 "Thereafter it was quite natural that the decisions

1 concerning commencement of routine surrogate testing
2 with doubtful efficacy should be postponed until
3 a specific test was available."

4 In paragraph 20 you explain the position in France
5 and why they introduced surrogate testing. You say:

6 "It was not motivated by the scientific knowledge
7 but by the political necessity. Something had to be
8 done, whether or not it truly reduced the risk of NANBH
9 transmission by blood. Northern countries with low
10 NANBH incidence such as the Netherlands, Denmark,
11 Norway, Sweden and Finland, decided not to introduce
12 surrogate testing before more was known of the efficacy
13 in the respective donor populations."

14 You refer to a number of UK articles we have looked
15 at previously: Anderson in 1987, Dow and others in 1987
16 and Gillon in 1988 and you explain:

17 "These opinions in the prestigious medical journals
18 were not without influence in the international
19 community."

20 Returning in paragraph 21 to Finland, you explain
21 that:

22 "We decided in 1979 at the Finnish Red Cross Blood
23 Transfusion Service to undertake a prospective study to
24 determine the prevalence of post-transfusion hepatitis
25 in Finland."

1 You refer then, professor, to a publication in 1982.
2 I think that is the only publication of all of your
3 references we don't have. Is that publication in
4 English or --
5 A. That is in English.
6 Q. It's in English?
7 A. Yes.
8 Q. So maybe we could perhaps get a copy of that, either
9 from yourself or we could always use our own library
10 resources.
11 A. Yes. [NB this document is now available as PEN0181141.]
12 Q. Thank you. You explain:
13 "The study was carried out in 1980-1981 ...
14 a relatively small study involving 65 patients and 652
15 transfusions."
16 I assume, was that again a study of open heart
17 surgery patients?
18 A. Yes, sir.
19 Q. Which would explain the high number of transfusions per
20 patient, about ten transfusions per patient?
21 A. Yes, that was customary at that time in Finland, to
22 transfuse quite a bit of blood to open heart surgery
23 patients, and I also think that surgery has developed
24 since those days.
25 Q. I see. And you explain:

1 "Three cases of NANBH were found."

2 Could I pause, professor? Just out of interest,
3 were these cases later tested with the Ortho HCV test
4 and, if so, were they confirmed cases of Hepatitis C?

5 A. Those samples were not available any more.

6 Q. I understand. You go on to say:

7 "The main conclusion was that NANBH was indeed
8 present also in Finland but its incidence was lower than
9 that, eg, in the United States. In one of the
10 implicated donors there was elevation of ALT in
11 one sample but this finding did not warrant surrogate
12 testing."

13 We can then see the quote you take from the article
14 for ourselves.

15 Then, moving on to paragraph 22, you explain:

16 "The decision in the USA in 1986 prompted a new
17 discussion on the value of surrogate testing also in
18 Finland."

19 This is perhaps Professor James' point:

20 "Since in Finland, as in other countries, the AIDS
21 risk had resulted in new donor selection criteria in
22 1983-84 which influenced also the incidence of PTH. It
23 was decided in 1987 to undertake a new study 'to
24 determine the current incidence and types of
25 post-transfusion hepatitis among open heart surgery

1 patients from all parts of Finland. The
2 second objective was to obtain donor samples for future
3 evaluation of possible preventive strategies.'" "

4 A reference to an article by Ebeling and others in
5 1991, which we will come to; we will come to look at the
6 details of that article shortly. Also then:

7 "Several candidate markers for surrogate testing
8 were also investigated."

9 -- in another 1991 article by Ebeling, which we will
10 come to as well. Just to finish off paragraph 23, you
11 state:

12 "Preliminary evaluation of our study had indicated
13 that there could be some correlation between elevated
14 ALT values in the donors and PTH in the recipients, but
15 the correlation was weak. There was no correlation
16 between anti-HBc and PTH."

17 We can then see the conclusion that's set out.
18 I suppose we have to remember that this 1991 article is
19 written at a time or against the background that the
20 Ortho HCV test is available. So in a way the article is
21 comparing screening by ALT and other things with
22 screening by the Ortho HCV test.

23 A. Yes.

24 Q. And I would, professor, like to take you to these
25 two articles.

1 It may, sir, take -- in total I may be another
2 perhaps ten or 15 minutes with Professor Leikola.

3 THE CHAIRMAN: I think that it's 11 o'clock and we should
4 have a break.

5 MR MACKENZIE: Yes.

6 (11.02 pm)

7 (Short break)

8 (11.24 am)

9 THE CHAIRMAN: Yes, Mr Mackenzie?

10 MR MACKENZIE: Thank you, sir.

11 I would like to turn now to look at the two reports
12 of the prospective study in Finland and really I have
13 two purposes. Firstly to ask you a little about the
14 difficulties in carrying out this study and, secondly,
15 to ask you the value of this study. It's against the
16 background that this sort of study was not carried out
17 in the UK and it's really just to look at whether that
18 may have been possible and if such a study had been
19 carried out, what information may have been available.

20 So the first paper, please, is [\[PEN0171777\]](#). This
21 is a paper by Ebeling and others, including yourself,
22 published in Transfusion Medicine in 1991 and I think
23 the paper in short reports on the prevalence of
24 post-transfusion NANBH in Finland. If we look at the
25 summary, we can see some details of the study. We see

1 the summary states:

2 "A countrywide prospective study on open heart
3 surgery patients was performed between 1987 and 1989 to
4 determine the prevalence and nature of post-transfusion
5 hepatitis in Finland. Altogether 685 coronary bypass
6 operation patients, who received on average 12.3 units
7 of blood products, were post operatively followed for 6
8 months. Ten blood samples were drawn from each patient.
9 Hepatitis was diagnosed when the ALT values exceeded the
10 upper normal value 2.5 times in one sample and twice in
11 another, and non-viral causes could reasonably be
12 excluded. Eleven hepatitis cases were recorded ..."

13 I think to pause there, your conclusion was that 11
14 out of 685 patients were considered to have
15 post-transfusion non-A non-B Hepatitis. Is that
16 correct?

17 A. Yes.

18 Q. And therefore the incidence of post-transfusion non-A
19 non-B Hepatitis was considered in Finland to be
20 1.6 per cent. We go on to see the next column states:

21 "The majority had mild symptoms or were asymptomatic
22 but two became icteric. Six patients (55 per cent) had
23 abnormal ALT values for at least 6 months, which
24 indicates possible chronicity."

25 We can see what else is said there.

1 Professor, can I ask you about how easy or how
2 difficult it was to carry out this study and the cost of
3 it and how that was met? Can you explain these matters
4 to us a little, please?

5 A. Well, first of all, when we decided to perform this
6 study, the background were the discussions at the
7 Council of Europe and also the information coming from
8 the United States, and we were able to perform this
9 study mostly because our financing system at our
10 service -- the Finnish Red Cross Blood Transfusion
11 Service is an independent branch of the Red Cross and it
12 charges for the products and services, the hospitals,
13 and therefore we had the possibility of putting aside
14 from the budget a certain amount of money for research
15 and development, and this was considered to be very
16 important information that we were getting out of this
17 type of study. It was not only scientific interest but
18 it was also interest for the development and policy of
19 our institution.

20 Therefore, we hired Dr Ebeling as a young doctor, to
21 make her thesis work on this very subject, contacted all
22 the five university hospitals in Finland and asked about
23 their opinion about such an approach, could we possibly
24 follow up those patients for a prolonged period of time
25 and take all the samples, and would they agree that

1 their hospital would then take these samples and store
2 them and send them to Helsinki.

3 I think that it was mostly thanks to Dr Ebeling's
4 organising skills that we were able to pull together all
5 these surgeons and laboratories in those particular
6 hospitals in order to carry out this study as planned,
7 and we did not have to modify the original plan very
8 much during the course of the study. And the final
9 analysis of the samples, that was no problem in general,
10 especially since during the study then Ortho came up
11 with their new test.

12 It was not an inexpensive study but we had the
13 collaboration of those university hospitals that helped
14 us very much because they were not charging for
15 collection of the samples and they also had the
16 scientific interest in finding out whether blood
17 transfusion that all the surgeons were performing every
18 day, really was safe or not and then they could explain
19 also to their patients that even though the amount of
20 blood that was transfused in those days, 12 units on
21 average -- usually it was less but in some patients they
22 required very large amounts of blood -- they could
23 explain to the patients that indeed there is a general
24 feeling that blood transfusion is very safe in Finland,
25 but then they would have data showing that indeed it is

1 or if it isn't, how to prevent those possible
2 complications and consequences.

3 Q. Thank you. Do you know approximately how much the study
4 cost?

5 A. No, I don't.

6 Q. We know that for the patient follow-up there had to be
7 studies taken on a regular basis post-transfusion. Were
8 there difficulties in getting the patients to return to
9 hospital to take samples from them?

10 A. Yes, they came back to the hospital to take samples. In
11 the beginning it was connected with their later check of
12 their wounds and their conditions and so on, and the
13 patients were very cooperative in general. Fortunately,
14 the Finnish Red Cross Blood Transfusion Service enjoys
15 a very good feeling with all its voluntary donors, and
16 it's considered to be a very good source of services and
17 products, and therefore I think that the patients were
18 also quite cooperative in agreeing that they would come
19 in in order to see what would come out of this study.

20 Also, I think, that Dr Ebeling was quite good in
21 writing the information leaflets and informing those
22 interested parties why this was considered to be
23 important and what we expected out of that, so that the
24 patients would understand and would come along in this
25 undertaking.

1 Q. Thank you. Could we now then look at the other paper
2 which reports on the other findings of the study, in
3 particular the evaluation of the different tests? That
4 is [\[PEN0171763\]](#). We can see this is a publication by
5 Ebeling. Is Ebeling male or female?

6 A. She is a female.

7 Q. Female, thank you. I take it, she is a doctor?

8 A. Yes.

9 Q. Ebeling, a publication by herself in Vox Sanguinis in
10 1991. I think it is worth reading out the abstract to
11 see what is reported. We can see:

12 "ALT [gamma] glutamyl-transferase and Hepatitis B
13 core antibodies were evaluated as donor markers in
14 a prospective study of 685 open heart surgery patients.
15 Of these three surrogate markers, only an ALT level
16 greater than or equal to 2SD above the log mean had
17 a significant association with recipient non-A non-B
18 Hepatitis. Antibodies to the Hepatitis C virus were
19 detected by enzyme immuno-assay in 7 of the 136 units
20 transfused to the 11 NANBH patients and 29 of 3,650 not
21 associated with hepatitis. Calculated from this
22 subgroup of donors, the anti-HCV test would have a 15.6
23 positive predictive value with 0.92 per cent donor loss
24 and thus is superior as a primary screening marker to
25 all the three surrogate tests. The predictive value

1 could be substantially increased by subsequent ALT
2 testing or by the use of a recombinant immuno-blot
3 anti-HCV assay."

4 We will come on to look at the figures shortly,
5 professor, but am I right in thinking that this study
6 did find a correlation between elevated ALT in donors
7 and an increased incidence of post-transfusion NANBH in
8 recipients?

9 A. That is correct.

10 Q. And perhaps the more important point of this study,
11 I think there was a finding that the Hepatitis C test
12 seemed to detect post-transfusion NANBH recipients and
13 indeed positive donors?

14 A. Yes.

15 Q. Put very badly but in short, I think this report was
16 support for the introduction of a Hepatitis C test in
17 Finland and that will be developed, I think, later in
18 the day.

19 Could we just go through the paper and go over the
20 page, please? We can see on the left-hand column under
21 "Donor Samples" about half way down, that:

22 "Patient samples were drawn pre-operatively and 2,
23 4, 6, 8, 10, 12, 16, 20 and 24 weeks post-operatively."

24 Then over the page again, please. I'm trying to
25 avoid those parts of the paper which relate to HCV

1 testing because I think we might go back to revisit that
2 later.

3 On the right-hand column, if we can scroll down the
4 page, under "Anti-HCV", there is perhaps some overlap
5 here in our different C2 and C4 topics but it's stated:

6 "All 136 implicated samples from the donations to
7 the 11 NANBH patients were tested by ELISA for anti-HCV.
8 Seven of them were ELISA positive."

9 The top of the right-hand column, please.

10 A discussion there again of ELISA which I should perhaps
11 refrain from going over but in the second paragraph, at
12 the end of it:

13 "There was one additional factor which distinguished
14 between the implicated and non-implicated ELISA-positive
15 samples: 5/7 of the implicated but 0/29 of the
16 non-implicated ELISA-positive samples had raised ALT
17 levels."

18 Am I right in thinking, professor, that that is
19 showing that there was found to be an association
20 between elevated ALT in donors and Hepatitis C in
21 recipients?

22 A. There was an association, yes, but considering all the
23 elevated ALT cases among donors, the correlation was
24 quite weak, but I don't remember -- and reading these
25 figures right now, it's very difficult to explain it

1 more.

2 Q. Yes. I see. If we go down the page under "Discussion"
3 again a question of ALT was picked up again. The paper
4 states:

5 "64 per cent of the NANBH cases in the bypass
6 patients received a donation which was
7 anti-HCV-positive. The corresponding figure for ALT was
8 55 per cent, and this was the most predictive of the old
9 surrogate markers of ALT, GGTP and anti-HBc."

10 I wondered again whether that was evidence of there
11 being an association between elevated ALT in donors and
12 Hep C in recipients? Is that a correct reading of that
13 part of the article?

14 A. I beg your pardon?

15 Q. I'm sorry, I don't find it an easy article, professor,
16 to understand, which is perhaps obvious from my
17 questioning, but one point I did, I think, take from it,
18 which I think you agreed with, was that the study showed
19 an association between elevated ALT in donors and
20 increased incidence of non-A non-B Hepatitis and perhaps
21 Hepatitis C in recipients. I am simply searching for
22 passages in the article which support that proposition
23 of such an association. I'm wondering whether the first
24 two sentences under "Discussion" support the proposition
25 that there was such an association.

1 A. When I read these sentences, I think they support that,
2 yes.

3 Q. Yes. I think the paper goes on to say that
4 understandably the Ortho anti-HCV test was a better
5 screening test than ALT for reasons we can understand;
6 it's a more specific test. Could I ask you
7 a hypothetical question, professor? Given the findings
8 in this study, that there was an association between
9 elevated ALT and increased incidence of non-A non-B
10 Hepatitis and perhaps Hepatitis C in recipients, if the
11 Ortho test had not been available at this time and if it
12 had not been on the horizon, would that association have
13 been sufficient in itself to persuade you that ALT
14 testing should be introduced in Finland?

15 A. It's of course very difficult to answer right now, after
16 20 years' time, but I think that since the idea behind
17 this study was to find out whether non-A non-B Hepatitis
18 exists in Finland and what is its prevalence among the
19 patients and if there is such a correlation, that makes
20 sense, since non-A non-B was measured by ALT levels.
21 I have the feeling that we would have introduced the ALT
22 testing if Hepatitis C would not have been discovered.

23 Q. Yes.

24 THE CHAIRMAN: Are you going to look at the next sentence,
25 Mr Mackenzie? Rather than just the first two? Because

1 it goes on to talk about the positive predictive value
2 of ALT overall.

3 MR MACKENZIE: Yes.

4 THE CHAIRMAN: And I think the rate there is very much lower
5 than one might infer from the first two sentences. So
6 looking at the 4.1 per cent rate, would the answer have
7 been the same, professor, you would have supported the
8 introduction, ignoring the HCV on a predictive value of
9 4.1 per cent?

10 A. It's a difficult question. I still think that the
11 answer would have been yes.

12 THE CHAIRMAN: And that would have been an appreciable
13 enough incidence to make it worthwhile?

14 A. After this study I think that our emphasis on the
15 transfusion safety was such that we would have
16 introduced it.

17 MR MACKENZIE: And we can compare that positive predictive
18 value perhaps with the positive predictive value for the
19 anti-HCV test, which was found to be 15.6 per cent.

20 What exactly, professor, does "positive predictive
21 value" mean?

22 A. Right now the question is too difficult for me to
23 answer.

24 Q. Me too. I think that might be something, professor,
25 that Ms Dunlop might explore with you later in her

1 examination.

2 I think we can put that paper to one side, thank
3 you, professor, for now and return to finish off your
4 statement, please. We have reached, I think,
5 paragraph 24 and you explain that:

6 "After the introduction of routine screening of
7 anti-HCV in 1990, additional surrogate screening was not
8 seriously considered any more. Later experience has
9 confirmed that surrogate testing after starting anti-HCV
10 testing does not bring about any additional value."

11 I'll finish by asking you two specific questions.
12 The first question was: on the basis of what was known
13 at the time, did you consider it reasonable for the UK
14 not to introduce surrogate testing of blood donors? In
15 short, your answer was that you thought it was
16 reasonable for the UK on the basis of what was known at
17 the time, not to introduce surrogate testing of blood
18 donors.

19 Can you explain perhaps reasonably briefly,
20 professor, your reasons for holding that opinion?

21 A. Well, I think that what was regrettable was that no such
22 large study was performed in the UK in order to find out
23 what would be the value of especially ALT, both in
24 recipients of blood and donors of blood, but I don't
25 think that introducing a surrogate test at that point,

1 let's say when there was already information that the
2 Hepatitis C would be coming, was, I think, reasonable.
3 We did not introduce ALT testing before our study was
4 done and I think that that reflected the general view in
5 the mid 80s of the European transfusion community, that
6 surrogate testing is not something that you should start
7 without first performing such a study.

8 Q. In the middle of 1987 the Chiron test has not been
9 announced, it is not on the horizon?

10 A. No.

11 Q. In the UK, in the middle of 1987, there is no
12 prospective study of recipients. In light of that, was
13 it reasonable in Scotland, in the middle of 1987, not to
14 introduce surrogate testing?

15 A. The Hepatitis C was published in spring 1988 and I think
16 that there were plenty of rumours around that something
17 has been found and that would be some time in the future
18 for use as a test. But I think on the basis of what was
19 known by then, Finland did not introduce surrogate
20 testing, nor would any of those countries beyond
21 Belgium, Luxembourg, Italy and Germany, have introduced
22 the ALT testing, except for France, that started,
23 I think, in 1988 the ALT testing, but they had their own
24 reasons and therefore -- I think it's understandable
25 that the ALT testing was not introduced in Scotland in

1 1987.

2 Q. Does your position perhaps, professor, come to this,
3 that one should ingather the evidence upon which to come
4 to an informed decision; therefore, one should carry out
5 a prospective study involving recipients and one can
6 then decide what value, if any, surrogate testing may
7 have?

8 A. Yes.

9 Q. You are nodding your head. Is that a "yes"?

10 A. Yes.

11 Q. Does your position come to this, that if you have
12 a criticism of events in Scotland, it relates to the
13 failure to carry out a prospective study involving
14 recipients, rather than a criticism not to introduce
15 surrogate testing?

16 A. I would say so, yes.

17 Q. Yes. Over the page, in your statement, professor, we
18 really asked the same question but with the benefit of
19 hindsight. So we asked:

20 "On the basis of what is known now ... should
21 surrogate testing have been introduced in the UK and, if
22 so, when?"

23 We had referred to the Crawford Paper in 1994, we
24 looked at before, and you explain that paper:

25 "... found that of the donors with positive anti-HCV

1 test, a majority had elevated ALT values. This finding
2 does not say much about the possible usefulness of ALT
3 screening of all donors, since anti-HCV negative donors
4 were not included and thus, we do not know how many
5 donors in general would have had elevated ALT value at
6 the time of donation. I believe still now that not
7 introducing ALT screening as surrogate test in the UK
8 for NANBH was correct."

9 I think that the point we were seeking to make,
10 professor, by referring to the Crawford Paper was that
11 the Crawford study did show that there was a correlation
12 between donors with elevated ALT and recipients with
13 Hepatitis C. I think it's one thing to say there is
14 a correlation; it's a separate thing to be able to
15 predict to what extent ALT screening may have reduced
16 the incidence of Hepatitis C in donors, but it was
17 simply given that correlation, do you think that in
18 itself, with the benefit of hindsight, would have
19 justified surrogate testing, at a time before the Hep C
20 test was available?

21 A. I think that, if there would have been no knowledge of
22 Hepatitis C testing at all, then I think there would
23 have been more factors tilting towards introducing ALT
24 testing in blood donors and that could have been then
25 possible but this is not the only factor involving such

1 a decision. So it's very difficult for me to be in
2 Scotland and trying to evaluate a decision that was made
3 22 years ago -- 23 years ago.

4 Q. I understand that, professor. We come back to local
5 conditions and each country having to make up its own
6 mind, taking into account all relevant factors that
7 pertain to a particular country.

8 This is probably my last question, professor. It
9 comes back to, I suppose, the philosophy with which one
10 approaches transfusion. I can quite understand that in
11 considering whether surrogate testing should be
12 introduced or not, there will be a variety of factors
13 which are relevant and which should be taken into
14 account, but if one were to apply the precautionary
15 principle, should one not always err on the side of the
16 maximum safety of blood?

17 A. Well, I think that when you are considering such mass
18 screening as blood donors who are healthy people, you
19 have similar dilemmas with general vaccination
20 programmes. You have to consider the benefits and
21 drawbacks of a particular policy, and the attitude
22 towards blood safety was changing during the years of
23 1980s and therefore something that was considered to be
24 just a matter of fact, that blood transfusion would
25 carry some untoward effects, was changing, and towards

1 the end of the 1980s that was definitely tilting towards
2 the concept of, as you said -- if there is an error --
3 but erring for the safety of the recipient, because the
4 safety of the recipient has always been of prime concern
5 for transfusion directors and transfusion people
6 altogether. But if you are considering all the possible
7 untoward consequences of blood transfusion and if you
8 want to avoid absolutely every case, then it's not
9 reasonable to include all the possible tests within the
10 primary screening and therefore, when considering this
11 policy, you have to take into account a number of
12 factors in addition to the safety of patients.

13 But I would agree with you that the safety of the
14 patient is of prime concern.

15 Q. And perhaps looking at it another way, the safety of the
16 patient should perhaps be the starting point in any
17 consideration of an issue but there may be then,
18 I suppose, other factors which one may have to take into
19 account and address as well?

20 A. I would agree.

21 Q. Yes. Thank you, professor.

22 MR DI ROLLO: Mr Dawson on C2.

23 THE CHAIRMAN: Mr Dawson?

24 Questions by MR DAWSON

25 MR DAWSON: Thank you, sir.

1 Professor, I would just like to ask you a few
2 questions about a couple of matters arising from your
3 statement. If we could have that up, please, it's
4 [\[PEN0171837\]](#).

5 The first area I wanted to explore with you is
6 related to a number of comments that you make about the
7 use of surrogate testing at a time when anti-HCV testing
8 was either anticipated or actually available. You say
9 in paragraph 1 in the last sentence that:

10 "After the anti-HCV became commercially available in
11 early 1990, the question of introduction of surrogate
12 marker testing became obsolete."

13 The area I really wanted to ask you about is really
14 what's contained in paragraph 5, which is at the bottom
15 of that page. You say:

16 "A third factor has to be taken into account. Once
17 a test has been introduced to routine screening, it is
18 psychologically and politically difficult to stop even
19 if a specific test would have made it obsolete. To my
20 knowledge, ALT testing for surrogate purposes was not
21 started anywhere after the specific test for HCV became
22 available."

23 I had a little difficulty with understanding that,
24 professor. Are you suggesting that there may have been
25 either psychological or political difficulties with

1 stopping surrogate testing if it had been introduced
2 before anti-HCV testing came in, but after the point
3 when the anti-HCV testing was available?

4 A. Yes, I think that, for instance, the American blood
5 banks, they continued both anti-core antibody and ALT
6 testing, even after the specific anti-Hepatitis C test
7 was available and was in place.

8 The main reason is that, well, you never know that
9 if you stopped now this screening that we have started,
10 you never know whether it would cause some harm and we
11 would not be able to detect everything.

12 What I mean here is that ALT testing as such is not
13 a useless test but as a general screening test of all
14 donors, I think it had become obsolete. When there was
15 an indication that there would have been Hepatitis C
16 case or non-A non-B Hepatitis in the patient, then
17 I think it's very important then to test for ALT also in
18 the donors but only in the implicated donors.

19 Q. What would be the purpose of that testing?

20 A. The testing then would be an additional test, not
21 a screening test, but an additional test to see if the
22 carrier of that particular Hepatitis C virus, if that is
23 first of all confirmed that it really is Hepatitis C,
24 whether the liver is involved, for instance, a high
25 value of ALT would definitely indicate an active

1 hepatitis for that person. So from the donor's point of
2 view, it's important to know what is his status and what
3 is his health and secondly, that would be one of the
4 additional diagnostic tests that are being used.

5 Q. Okay, thank you.

6 Could we just go back to the first page, please?
7 I just wanted to ask you a couple of things about the
8 contents of paragraph 2 and 3, where you say:

9 "When there is a recognised risk for disease
10 transmission through transfusion and when the infective
11 agent is not known, the only means of reducing the risk
12 are selection of donors and judicious use of products.
13 If clear risk factors are identified for the given
14 infection, the donors with those risk factors can be
15 asked to refrain from donation as was the case with
16 AIDS. The policy is likely to be more effective with
17 voluntary unpaid donors in general population than the
18 paid donors. The second possibility is to use
19 laboratory tests (surrogate tests) that could identify
20 donors with risk factors."

21 Would it be correct to say that really the system of
22 donor exclusion and the system of surrogate testing are
23 two different types of the same kind of thing; they are
24 trying to identify, either by looking at someone as
25 a member of a recognised high risk group or by looking

1 at someone as having a recognised high risk on
2 a particular test, recognising that person as someone
3 whose blood should not be accepted into the system?

4 A. Yes, that is correct, that the surrogate test is used
5 for identifying persons with risk factors. The problem
6 is that particularly at that time, we did not know what
7 the risk factors were for Hepatitis C. They were
8 thought to be, you know -- with voluntary donors, you
9 would say that it's not because of drug abuse and so on,
10 and therefore the surrogate tests were not very good in
11 identifying a risk group because there really wasn't
12 a risk group or people with risk factors because
13 Hepatitis C can be obtained from many different sources,
14 mostly now we know that it's mostly parenteral.

15 Q. Right. So you make the comparison there with the
16 situation with AIDS, and transfusion systems were able
17 to identify groups of people and make the decision that
18 those donors, because they are part of that group,
19 should be excluded. Is the position with Hepatitis C
20 that such an approach as that was not possible?

21 A. That's right.

22 Q. And therefore all you were left with was doing the
23 laboratory type of surrogate testing in order to
24 identify people who might be of higher risk. Is that
25 right?

1 A. Yes.

2 Q. Right. So in paragraph 3 you go on to tell us that
3 there are two potential consequences, about half way
4 through the paragraph:

5 "It may seriously reduce the number of eligible
6 blood donors and the donors found to be positive need to
7 have a plausible explanation so that the test results
8 should not raise unwarranted anxiety in the donor.
9 A voluntary unpaid donation system underlines the
10 obligation for the transfusion service to arrange an
11 appropriate counselling system."

12 Would it have been normal practice, where someone
13 was excluded as being a member of a group -- so the
14 non-laboratory type of exclusion -- to offer them
15 counselling?

16 A. Yes.

17 Q. It would?

18 A. That would be normal.

19 Q. Right. So the obligation to offer counselling to donors
20 applies to anyone that would be excluded from the system
21 by either method?

22 A. Yes.

23 Q. Okay, thank you. You said in answer to one of the last
24 of Mr Mackenzie's questions that you thought that the
25 safety of the patient to a transfusion doctor is of

1 prime concern. This passage here is identifying,
2 I think, what Mr Mackenzie described as one of the other
3 considerations, which is obviously the welfare of the
4 donor. Do you think that it would be fair to say that
5 in your experience there would be an inclination on the
6 part of transfusion doctors to consider the welfare of
7 the donor to be the prime concern, rather than the
8 safety of the patient? Or is that not your experience?

9 A. No, I wouldn't say so. I think that the concern for the
10 safety of the patient or the recipient is of prime
11 concern, but in this counselling system and identifying
12 those risk groups and so on, you have to remember that
13 with laboratory tests the donor has already given a unit
14 of blood and then he is contacted afterwards, and saying
15 that, your unit of blood is no good. Whereas for AIDS
16 that was meant for donors that they would refrain from
17 donation, and therefore it would be much simpler to say
18 that, "No, we are not taking your blood because of so
19 and so and so".

20 So there is a philosophical difference between these
21 sort of risk factors that could be identified either by
22 identifying the risk group or the laboratory test.

23 Q. But is it not the case that in both groups what has
24 happened is that you have identified a non-specific
25 marker --

1 A. Yes.

2 Q. -- which tells you that the person is of a higher risk
3 of having a disease and therefore you have excluded
4 their blood, so that the situation is quite similar, is
5 it not, for both cases?

6 A. In a way, but from the donor's side it makes
7 a difference if he has already been accepted as a donor
8 and gives blood and then later on is contacted saying,
9 "No, your blood is at risk of transmitting a disease",
10 instead of trying to explain that before the donation,
11 it is sort of from the psychological point of view --
12 it's easier when you can explain that before the
13 donation.

14 Q. Okay, thank you. Could I just ask for your CV to be put
15 up, please? It's [WIT0030004]. Could we just scroll
16 down a little bit further? Thank you very much.

17 We have gone on a number of occasions to articles
18 which come from the publication Vox Sanguinis. I just
19 wanted to ask you. You say there under "Positions of
20 Trust Scientific", that you were involved in the
21 foundation of the Vox Sanguinis journal, and you were
22 a member of the board between 1992 and 1994 and
23 president from 1994 to 2003. Do I take it from this
24 that you were not a member of the academic editorial
25 board in 1987?

1 A. So, I was not a member of the editorial board. The
2 foundation was the owner of that journal and its main
3 functions were to appoint first of all the
4 editor-in-chief and secondly to take care of the
5 finances of the journal. But it had no role in the
6 scientific content of that particular journal; it was
7 really up to the editor-in-chief and the editors that he
8 had appointed and then confirmed by the foundation.

9 Q. I see. The reason why I'm asking is that Professor Cash
10 in his evidence yesterday told us about discussions
11 about surrogate testing that took place at a meeting of
12 the academic editorial board of Vox Sanguinis in
13 either January or February 1987, and suggested that you
14 might have been at that. Would I be correct in saying
15 that you were not at that because you were not a member
16 of the board?

17 A. I was not.

18 Q. Thank you. I just want to ask you some questions about
19 the evidence you have given already about weight that
20 can be placed, in the context of surrogate testing, on
21 studies and approaches being taken in other countries.

22 Could I ask you just to have a look, going back to
23 the statement, please, at paragraph 15, which is page 3
24 of [\[PEN0171837\]](#). You will recall this passage, which
25 Mr Mackenzie took you through in some detail. This is

1 with the American development in the background and you
2 are saying that:

3 "There were soon reports appearing, notably from
4 France, the Netherlands and the United Kingdom, showing
5 that in the European donor populations studied anti-HBc
6 did not correlate with recipient NANBH. The pattern was
7 clearly different from the American donors: incidence of
8 NANBH much less and anti-HBc meaningless as surrogate
9 marker."

10 So against the background of, I think, an evolving
11 position in the United States, would I be correct in
12 interpreting that as meaning that you were relying upon
13 data that was emerging from other countries in Europe to
14 tell that the position in European countries, or at
15 least northern European countries, was different from
16 that in America?

17 A. Yes, we were relying on that and then also the
18 information from the large TTV and NIH studies. They
19 were coming from the late 70s and early 80s and
20 therefore this more recent information, especially,
21 I would say in the Netherlands and the UK, were much
22 more influential, I would say, for our decision-making.

23 Q. Were these studies upon which you were relying of
24 a similar scale to those which had been conducted in
25 America?

1 A. Not quite, but they were large enough to draw meaningful
2 conclusions.

3 Q. Right. If we flip over the page, one can see what the
4 recommendation was at this stage at the top of page 4;
5 where you point out that:

6 "There was consensus among the scientific and blood
7 transfusion expert community that prospective studies
8 were urgently needed before a decision could be taken."

9 I'm just trying to explore the extent to which there
10 appears to be a slight inconsistency there. You are
11 relying upon the data that is available but suggesting
12 in that sentence, as I read it, that perhaps that data
13 is unreliable and a bigger prospective study is needed.
14 Could you just explain that for me?

15 A. The idea of a prospective study is really to find out
16 first of all what is the incidence of non-A non-B
17 Hepatitis in patients who are receiving blood products,
18 and then from the donors, when they have stored samples,
19 try to find out any laboratory correlation between those
20 patients who have been established to have non-A non-B
21 Hepatitis and the corresponding donors.

22 This has to be prospective in order to be non-biased
23 and to have material that is absolutely objective, and
24 therefore this need for these prospective studies is
25 very much the same as was indicated by Dr Alter two

1 years earlier, or three years earlier, that a large
2 prospective study would be needed in order to get
3 objective data that would support the decision-making
4 process.

5 Q. If you were in a situation where you simply, for
6 whatever reason, could not instigate a local prospective
7 estimate of that nature, for example if there was simply
8 no funding for that available, then to what extent could
9 you at that time draw upon conclusions that had been
10 reached and data that had been collated in other
11 countries, to make a decision reliably about whether
12 surrogate testing should be introduced?

13 A. To some extent, yes, if they would have a fairly similar
14 population and similar donor structure, then I think
15 that the only way of trying to find data behind the
16 policy decisions would be to try to learn from those
17 studies, taking into account that the conditions may
18 vary but still there is something to be taken.

19 Q. Right. Okay. I mean, obviously at this time, in
20 particular in your role on the Council of Europe
21 committee of experts, presumably you were discussing
22 this, amongst other issues, with your international
23 colleagues in some detail.

24 A. We were very much discussing that, yes.

25 Q. Am I right in thinking that at this time Finland was not

1 part of the European Community?

2 A. No, this was not a European Community. This was the
3 Council of Europe.

4 Q. Right, yes. No, no, I'm asking specifically about the
5 European Community?

6 A. No, Finland was not.

7 Q. I'm just wondering whether or not individuals in other
8 countries responsible for transfusion felt that the
9 European Community Directive, which was issued in 1985,
10 relating to consumer protection meant that they were in
11 a slightly different position from you from a legal
12 perspective as regards surrogate testing. Was that
13 something you were aware of?

14 A. To my understanding, in the European Community health
15 matters were not really discussed very much, at least in
16 the field of blood transfusion, and started only in the
17 very late 80s or early 90s. And finally when
18 a Directive on -- I think it was 1995 it came out. So
19 the consumer protection within the European Community,
20 that is something that I cannot comment on.

21 Q. Okay, thank you. Could I go back to page 2, please, of
22 your statement, just one last area I wanted to cover
23 with you that we have not touched on. You give us
24 a very interesting analysis on this page of the position
25 in various different countries around the world. One

1 I wanted to ask you about was paragraph 7, where you
2 say:

3 "The example was not followed in other countries.
4 Japan started ALT testing of donors in 1975, but this
5 was part of the biochemical testing service package
6 offered to Japanese donors in order to enhance the
7 recruitment process."

8 I just wonder whether you could explain why it was
9 perceived in Japan that offering ALT testing as part of
10 this package would enhance the recruitment process.

11 A. That was meant to -- they had a large pattern of
12 different biochemical tests there and ALT was one of
13 those tests and it was not taken out as a special
14 service to the donors, but the whole pattern of
15 biochemical tests were done for each donor by an
16 automatic machine.

17 The idea was to have a sort of health check for the
18 donors and therefore, you know, it was supposed that
19 they would come in because they would get this as
20 a prize for their blood donation, and it would be good
21 for the donors to know more about their blood and
22 whether they are sick or not.

23 Another matter was that this particular collection
24 of biochemical tests really didn't indicate whether they
25 would be healthy or not but at least they would get some

1 information about their blood and therefore ALT was one
2 part of the big package.

3 Q. Would you say that that kind of attitude from a public
4 health perspective, to trying to give individual
5 citizens information about the state of their health, is
6 a responsible one?

7 A. No, I don't think it's a responsible one at all, since
8 it's tempting those donors who are not feeling well and
9 who may be thinking that, "There is something wrong with
10 me," and what we have been trying to emphasise is that
11 the donor has to be perfectly healthy when he is coming
12 and there shouldn't be any way of trying to convince him
13 or to explain to him that, "Since you have now given
14 blood, you are healthy".

15 This was particularly important in the early days of
16 AIDS transmission, when we were trying to exclude those
17 risk groups and trying to avoid all those donors who
18 would be coming in in order to be tested. And therefore
19 the whole attitude and approach of offering these health
20 services that were outside the safety of blood or safety
21 of donor, I wouldn't agree with.

22 Q. Okay. Thank you very much, professor.

23 Thank you, sir.

24 MR ANDERSON: I have no questions on this topic, thank you,
25 sir.

1 THE CHAIRMAN: Mr Johnston?

2 MR JOHNSTON: I have no questions.

3 MR MACKENZIE: Thank you, sir. I have no further questions.

4 Ms Dunlop will now conduct the C4 examination.

5 THE CHAIRMAN: Are we ready for the change of gear?

6 MS DUNLOP: Yes, thank you, sir.

7 Questions by MS DUNLOP

8 MS DUNLOP: Professor, we would like to ask you now about
9 the assay and the introductions of anti-HCV screening,
10 and plainly we are interested in looking at the position
11 in Scotland.

12 You have provided for us two statements on this
13 question and the first of them is [\[PEN0171957\]](#). So we
14 would like to look at that, if we could.

15 You tell us in the second paragraph that you were
16 approached by Ortho in the spring of 1989 and asked to
17 arrange for a study on the new test, together with
18 Sweden and Denmark. I suppose I was interested in that.
19 There must have been a pattern of collaboration between
20 the Nordic countries, what, in matters of blood
21 transfusion or more widely in medical research?

22 A. At least in blood transfusion there was definitely quite
23 a lot of contacts and some of the contacts were within
24 the Council of Europe expert group that I have been
25 referring to and secondly, we had also some so-called

1 Nordic meetings, where the Nordic countries,
2 Scandinavian countries and Finland were participating
3 and then these different matters were quite a bit
4 discussed there.

5 But the difference between, let's say, Sweden and
6 Denmark and Finland on the other hand, was that the
7 organisation of transfusion system was totally
8 different. Sweden had hospital blood banks that were
9 independent and within the hospital authority and this
10 was true also for Denmark, whereas in Finland, there was
11 a Finnish Red Cross that took a countrywide organisation
12 for this transfusion service.

13 But in professional matters we had quite a bit of
14 contact.

15 Q. From what you have just said about Sweden and Denmark,
16 would it be correct for us to understand that the blood
17 supplies were more local rather than having
18 a countrywide system?

19 A. Yes, that was quite local, yes.

20 Q. Right. We see that the work was divided up, so Denmark
21 was doing one aspect of the study, Sweden another and in
22 Finland you were looking at the material that you had
23 from Dr Ebeling's research, and we know already from the
24 questions earlier this morning that that is the
25 post-transfusion hepatitis study in open heart surgery

1 patients. You received test kits at the beginning
2 of June 1989. You refer back to Dr Ebeling's study in
3 paragraph 3. Although we have looked at it already this
4 morning, I would like to have another look, if we can,
5 please. That's [\[PEN0171777\]](#).

6 One of the things that's striking about this,
7 professor, is the apparently low overall incidence of
8 non-A non-B Hepatitis in Finland. So you are one of the
9 lowest incidence groups or one of the lowest incidence
10 countries globally. Is that correct?

11 A. I think that's correct, yes.

12 Q. I had a look at the map which Professor Howard Thomas
13 showed us, on which there is a colour coding to show the
14 prevalence in individual countries, and Finland, in
15 common with the United Kingdom, is shown as being under
16 1 per cent.

17 A. Yes.

18 Q. Looking at some more information in this, I noted the
19 description of the background, and indeed that point
20 about prevalence worldwide is made, if we look at the
21 first part of the text on the left-hand side. So if we
22 could perhaps scroll down a little bit.

23 The authors observe that:

24 "The incidence of non-A non-B Hepatitis tends to be
25 higher in southern Europe and the USA and lower in mid

1 and northern Europe."

2 These authors, Reesinck and Van der Poel are Dutch
3 authors, I think?

4 A. They are Dutch, from Amsterdam.

5 Q. Yes. And then some reference to the characteristics of
6 the disease.

7 Then some explanation of the purpose at the bottom
8 of the page, determining the current incidence and types
9 of post-transfusion hepatitis among open heart surgery
10 patients from all parts of Finland, and then the second
11 objective being to obtain donor samples for future
12 evaluation of possible preventive strategies. There is
13 then an explanation of methods.

14 Can we move on to the next page, please?

15 Obviously, when the study began, it was necessary to
16 agree a definition of post-transfusion hepatitis and
17 that was essentially a clinical definition, as
18 I understand it, and you explain here how hepatitis was
19 defined and it was linked --

20 A. We wanted to avoid all possible bias in this type of
21 study and therefore the investigator herself and our
22 group was totally outside of the process of making
23 a diagnosis. But those were the clinical hepatologists
24 and other people who then determined whether a person
25 had non-A non-B Hepatitis or not.

1 Q. I see. And it was linked to measurements of ALT?

2 A. Yes.

3 Q. Yes. And indeed we see also some further factors that
4 were considered and that's on the right-hand side, and
5 I suppose there must have been the possibility of some
6 patients being discounted because it was thought that
7 their hepatitis could be explained by another factor or
8 that their liver symptoms could be explained by another
9 factor?

10 A. Their biochemical hepatitis, yes.

11 Q. Yes. Then on to the next page, please. There is more
12 information about what happened. So we can see that
13 figure 37:

14 "Coronary bypass patients developed ALT elevation
15 during the six post-operative months."

16 And obviously some investigation of whether
17 Hepatitis B was involved was carried out and then some
18 possible hepatitis cases identified and some ruled out.
19 Then we can see the 11 non-A non-B Hepatitis patients
20 referred to on the right-hand side and some description
21 of their disease, their symptoms, how many were icteric
22 and so on.

23 Then some explanation of the follow-up and then
24 finally the discussion section, if we go on to the next
25 page. Some interesting statistics about different

1 findings regarding incidence and then the reference to
2 the 1.6 per cent incidence, which is the 11 out of 685.
3 You have already said that at that time quite high
4 numbers of blood products were given to individuals and
5 that's borne out by the mean number of transfusions
6 being 12.3 units per patient.

7 And then you go on to talk about many contributing
8 factors -- I think this is to the low incidence -- and
9 some discussion about follow-up and how long follow-up
10 might need to be. And then at the bottom of the
11 right-hand side you say:

12 "Although a rare phenomenon in our country, NANBH is
13 still the most common infectious complication of blood
14 transfusion and deserves further preventive measures,
15 especially because of the often protracted course of the
16 disease. The newly developed test to detect antibodies
17 to the Hepatitis C virus ..."

18 And that's a reference to an article we have
19 examined already:

20 "... offers major advantages in this respect."

21 So it seems fair to say that even in Finland where
22 the prevalence of non-A non-B Hepatitis was relatively
23 low, you had a positive response to the news that the
24 test had been developed?

25 A. Definitely, yes.

1 Q. Yes. And you tell us, if we could go back to the
2 statement, that obviously when you had the kits, it was
3 of great interest to use the kits on the 11 patients who
4 had been identified. And actually I think the
5 information which you record in your statement, that six
6 out of the 11 patients were positive with the new test,
7 comes from a memorandum which you wrote on
8 10 October 1989 and to which you make reference in
9 paragraph 5. So I wanted to have a look at that too,
10 please. [\[PEN0171828\]](#).

11 We would have struggled with the Finnish, professor,
12 and you have fortunately provided a translation for us.
13 And this takes the story a little further. You explain
14 what has happened in America, in other words the
15 achievements of Chiron. I also notice that you remarked
16 on the omission of Norway from the Nordic study, which
17 no doubt others noticed as well. Then you go on to talk
18 about the situation in Finland.

19 A. If I may, I think that the reason was that Ortho was
20 considering Finland to be too small to carry out a study
21 itself. They wanted to cover the whole Nordic area with
22 maybe 25 million people. That would be much more
23 convenient for the manufacturer to have data from all
24 over. But then it turned out that Norway was probably
25 not interested in the approach of Ortho. They had also

1 individual hospital blood banks. And Denmark and Sweden
2 were interested, and therefore I contacted then my
3 colleagues in Sweden and Denmark but that didn't then
4 lead to any common approach in this respect, just
5 because of the diverse organisations in those countries.

6 Q. Right. So in the end there wasn't some kind of
7 Scandinavian solidarity principle that required you all
8 to introduce testing at the same time or anything like
9 that?

10 A. Totally forgotten.

11 Q. Right. Looking at the situation in Finland then, you
12 refer to Dr Ebeling's work and then the reference to the
13 identification of 11 patients, and then we see that six
14 patients seroconverted within two to ten weeks when
15 studied with the anti-HCV test, and these cases were
16 considered post-transfusion C Hepatitis. Of the six,
17 five were connected with an HCV-positive donor.

18 Then on the other hand, of the remaining five
19 patients who had been anti-HCV negative, two had
20 an anti-HCV positive donor. That seems to a layperson
21 slightly odd.

22 A. I think it only shows that the initial test was not
23 particularly sensitive and those may have been positive
24 with the later test.

25 Q. Right. Because what you have is five patients who

1 clinically were thought to have non-A non-B Hepatitis,
2 who have then tested negatively using the Ortho ELISA,
3 but they can also be connected to an anti-HCV-positive
4 donor. It does sound as though something may have gone
5 slightly wrong there.

6 A. I think that at this stage the test was not particularly
7 sensitive and a level of Hepatitis C antibody was sort
8 of fluctuating, and sometimes it was below the cut-off
9 level even though it would have been slightly positive
10 but below the cut-off level, and therefore they were
11 considered negative.

12 Q. Right. And you then mention also examination of 137
13 people with haemophilia in Finland, a large population
14 of approximately 200 patients needing treatment. We
15 will look at the article which deals specifically with
16 that.

17 Then we have the overall percentage, which you had
18 ascertained at about 0.73. You say:

19 "Possibly slightly higher than in the rest of
20 Scandinavia, which number is somewhat surprising
21 considering the clinical background."

22 Then your conclusions. We note, because we have
23 heard this point made a number of times, that you were
24 concerned by the lack of a confirmatory test, but you
25 said:

1 "The repeatability of the screening test is good.
2 The FDA may register the test still before the end of
3 this year and the American blood services will start
4 using it as soon as possible. Testing may start next
5 year also in Europe, wherever it is technically
6 possible."

7 You record that:

8 "Investigations so far had shown that the virus
9 existed in Finland and caused post-transfusion hepatitis
10 but all the cases were not necessarily found."

11 Then there is a reference to the serious end of the
12 Hepatitis C cases, those which become chronic, and you
13 comment:

14 "Since a specific test now exists that may reduce
15 the blood inventory by as little as less than
16 1 per cent, a general screening test has to be
17 introduced in our country to safeguard the transfusion
18 safety."

19 A very clear view, Professor Leikola,
20 from October 1989.

21 In the next paragraph you refer to the possibility
22 of starting screening during the first quarter of next
23 year. That would be 1990. You have explained to me
24 before we began today that only one laboratory was
25 involved. Is that correct?

1 A. That's correct.

2 Q. Yes, could you explain that for us, please?

3 A. In the whole organisation, mostly because of historical
4 background, the Finnish Red Cross Blood Transfusion
5 Service has only one laboratory, in Helsinki, and all
6 the samples are sent in from different places in
7 Finland.

8 We rely very much on mobile teams going out and when
9 they are coming in, all the samples come to the same
10 laboratory and therefore both automation and
11 introduction of new tests would have been depending only
12 on the laboratory facilities and then on particular
13 decision-makers, and would have been much simpler and
14 was much simpler than having various different centres
15 with their own laboratories.

16 Q. Yes. Although one imagines that samples in some cases
17 must have to travel quite long distances?

18 A. That's right.

19 Q. But arrangements are in place for that to happen?

20 A. It was quite complicated logistics behind sending them
21 by aeroplane and train and whatever but it worked.

22 Q. Right. Another interesting point to note from the third
23 paragraph is the possibility, which is envisaged, of
24 what we would call a "staggered start"; in other words,
25 you say testing cannot be started right away to cover

1 the whole country but the populations with higher
2 prevalence may be screened first. You say that:

3 "A similar approach was used with anti-HIV
4 screening, which seems to have begun in Helsinki. We
5 may use such a system also this time and widen the
6 testing to cover the whole country within a few months."

7 Was that ever seen as controversial in Finland, that
8 screening might be introduced in a staggered fashion
9 across the country?

10 A. No, I think it was generally understood that such
11 a large screening test is very difficult to start. You
12 know, if you want to have a timely start, to start with
13 all possible samples at the same time, but to start
14 first from a limited number of samples in order to see
15 the feasibility of testing in general and then widen it
16 to the whole country -- we followed this pattern with
17 HIV and then also with the Hepatitis C, and since this
18 is a very centralised organisation, I don't think that
19 any dissident voices at least came to my ears.

20 Q. Right. There is then finally some mention of cost, and
21 no doubt with some resignation you noted that the
22 manufacturer effectively had a monopoly at that time?

23 A. Yes.

24 Q. And we can all understand the implications of that. And
25 you have some, I suppose, fairly rough calculations.

1 Can we just look to the end of the memo, just to see
2 where these go. Additional costs in the region. You
3 have added, helpfully for us now, about 1 million euros.
4 Then on to the final page we can see the other adverse
5 consequence, the discarded blood, and then obviously
6 also costs associated with information to donors, delay
7 in testing the units, et cetera:

8 "Despite the costs and other difficulties, anti-HCV
9 screening has to be started at the FRC blood service as
10 soon as it is technically possible."

11 Back to the statement, please, if we may. That
12 memorandum, you say, presumably intended for internal
13 discussions and for the National Board of Health. Where
14 did the National Board of Health fit in?

15 A. Since this was the only transfusion organisation in
16 Finland, we had agreed -- I don't think there was
17 a decree for that but at least we had agreed with the
18 National Board of Health, which was under the Ministry
19 of Health really, taking care of the practical matters
20 in healthcare. We had agreed that we would provide
21 annually our budget and price list for our products to
22 the authorities at the National Board of Health, with
23 the explanation why this price has been increased or
24 whatever has happened, and then we had some comparison
25 with other countries; how much they were charging for

1 these products.

2 This became statutory later on, but this was more or
3 less voluntary at the time, since it was quite easy to
4 explain to the hospital administrators that now the
5 increased fees for our services and products had been
6 approved by the National Board of Health, and these are
7 the reasons behind that. So they were not always very
8 happy about that but at least I think they were
9 satisfied.

10 I think it was very important to have a sort of
11 strong background for our financial decisions. And
12 I think it's very important to say that the transfusion
13 service really was an independent unit of the Finnish
14 Red Cross. So the Finnish Red Cross had the final
15 approval of our budget but the factual approval of that
16 was done by the health authorities.

17 Q. Right. So when you wrote this memorandum, which would
18 go to the National Board of Health, did you have to
19 obtain permission from the National Board of Health to
20 introduce screening or were you sending the memorandum
21 simply to inform them?

22 A. We didn't have to have permission to introduce it but we
23 had to have permission to increase the price for blood,
24 and therefore I sent the memorandum and then we convened
25 with the director general and one of the officials to

1 discuss that and to see whether it was reasonable to
2 increase it by a fairly substantial percentage, because
3 of the screening costs.

4 Q. I see. The other article which concerns patients with
5 haemophilia, you referred to earlier and I thought, just
6 to keep ourselves informed, we should have a look at the
7 actual article rather than the reference to the
8 statistics. It's [\[PEN0171773\]](#). This is interesting for
9 us too. If we look at the abstract, which narrates that
10 137 Finnish patients with haemophilia were looked at to
11 detect signs of chronic viral hepatitis and its possible
12 aetiological associations. Then, when the patients were
13 tested with the new kits, the prevalence of Hepatitis C
14 seropositivity was 50 per cent.

15 I think perhaps, professor, there are no surprises
16 in the article, given the information that we have
17 learned about the pattern of Hepatitis C in patients
18 with haemophilia. Just to look at some of the facts
19 that are highlighted, firstly on the left-hand side, if
20 we could scroll down a little bit. Finland is one of
21 the few countries that have been self-sufficient in the
22 production of clotting factors.

23 It also mentions the fact that until 1984, small
24 pool, two or eight donors, lyophilised cryoprecipitate
25 was exclusively used to treat Haemophilia A,

1 von Willebrand's disease and Factor XIII deficiency.
2 And then on the right-hand side, a little bit of
3 explanation about how patients with haemophilia were
4 cared for.

5 Then January 1988, all 230 patients with
6 a coagulation disorder using clotting factor
7 concentrates were asked for a blood sample. You
8 obtained material from 137. They were the study group.
9 Then narrative of the performance of ELISA testing.

10 On to the next page for the results. We can see
11 there on the left-hand side:

12 "Anti-HCV":

13 "68 patients (50 per cent) were anti-HCV positive,
14 most of the samples showing strong reactivity."

15 Then October, the final passage, where we can see
16 some of the other factors in patients who were positive.
17 So on page 3, if we look on the left-hand side, "Viral
18 markers, ALT and severity of haemophilia":

19 "Patients with severe haemophilia had Hepatitis C
20 antibodies significantly more often than those with
21 milder forms."

22 Again, in the next paragraph, about half way down:

23 "Anti-HCV positivity was significantly more common
24 in AHF-20 ..."

25 That is the large-pool concentrate:

1 "... than cryoprecipitate users."

2 Then the discussion on the right-hand side:

3 "The prevalence of anti-HCV was highest (74 per
4 cent) among those with persistently raised ALT values.
5 Patients with severe Haemophilia A or B had
6 significantly higher frequencies of both anti-HCV and
7 HBV markers than those with milder forms ... the
8 small-pool cryoprecipitate was associated with
9 a significantly lower anti-HCV prevalence than ..."

10 The large pool concentrates. Then you note two
11 paragraphs down:

12 "The 50 per cent prevalence ... was lower than in
13 results recently reported for Australian, Spanish,
14 French, British, American, German and Italian
15 haemophiliacs ..."

16 You say:

17 "HCV antibodies sometimes seem to disappear and the
18 above percentages may underestimate the number of
19 patients with a previous HCV contact."

20 Then actually by this time you were able to say that
21 the new RIBA had also been used with this group of
22 people and the results have been shown to be very
23 specific:

24 "This means that false positive results were only
25 a minor source of error among these patients."

1 We can see the information tabulated at the bottom
2 of the page. Just on to the final page, please, for the
3 conclusion. You said:

4 "We conclude that the significant association of
5 raised ALT and anti-HCV points to the possibility of the
6 HCV agent being a major cause of chronic hepatitis among
7 haemophilia patients. Even so, the absence of the HCV
8 antibodies in 26 per cent of the patients with
9 persistently abnormal ALT leaves open the possibilities
10 of heterogeneity in antibody response to various HCV
11 epitopes and also the existence of still more
12 blood-borne non-A non-B Hepatitis virus."

13 Might this in fact have also involved different
14 genotypes rather than different viruses?

15 A. It could very well be, yes. This, of course, we didn't
16 know at that time.

17 Q. Yes. I should, I think, professor, just draw your
18 attention to the fact that even though there hadn't been
19 an analogous, large-scale prospective study in Scotland
20 in the late 1980s, there was an attempt made once the
21 Ortho kits arrived to do a study using the kits.

22 Sorry, this isn't on the list but could we have
23 a quick look at [\[SNB0061596\]](#)?

24 We did look at this last week, professor. This is
25 a report from October 1989 -- it's 5 October 1989 in

1 fact -- of research work that was carried out in Glasgow
2 with samples from different parts of Scotland.

3 Indeed, if we look at the fourth page, 1599, we can
4 see really what looks to be quite a comprehensive list
5 of objectives, including number 1, determining the
6 prevalence of anti-HCV in the Scottish blood donor
7 population; looking at surrogate markers; looking at
8 sera from patients with alleged post-transfusion non-A
9 non-B Hepatitis, along with the implicated donations;
10 looking at higher risk groups. Then, six, looking at
11 the prevalence of the marker in select patient groups,
12 such as haemophiliacs and multitransfused individuals.

13 Then perhaps more practical aspects as well.
14 Looking at how to use the kit, how suitable it was,
15 looking at batch to batch variation, even.

16 We have looked at the results which were obtained
17 from looking at the non-A non-B Hepatitis samples. Can
18 we look at page 1609, please?

19 We can see there that actually they had 15 NANB PTH
20 patients to look at, and obviously you might want to
21 know what the criteria were for defining something as
22 a case of non-A non-B Hepatitis and so on, we understand
23 that, but with the new kits they only found a third of
24 them, five of them, to be positive.

25 That's perhaps a slightly disappointing result, is

1 it?

2 A. Yes, I would say so.

3 Q. Yes. What do you think might be some of the reasons for

4 it?

5 A. As you said, I didn't know what were the criteria for

6 non-A non-B Hepatitis. Secondly, those patients, as was

7 said earlier, the antibody may disappear in time, over

8 a prolonged period of time, from the blood, but

9 otherwise this was not quite what we had seen. On the

10 other hand, if you would have added two or three

11 patients, then that would be very well fitting to our

12 whole pattern. So it was not very far but of course the

13 material was not very big.

14 Q. Yes. I suppose too, the opposite point can be made

15 about the antibody, that it is, I think, a late

16 appearing antibody, the one that was being screened for

17 at this point. So the samples may have been too early.

18 A. Yes.

19 Q. I think you were also noting that the samples dating

20 from as far back as 1987 which --

21 A. You must remember that we took ten samples altogether,

22 sequential samples from the patient in order to find at

23 least one positive.

24 Q. Yes. Excuse me a moment, professor.

25 Yes, is there also an issue about samples which have

1 been frozen? Do they sometimes yield unreliable
2 results?

3 A. I don't think that the freezing would interfere
4 with test results.

5 Q. Right.

6 A. I'm not sure but this is what I think I remember.

7 Q. Right. The other aspect of this part of the study is
8 reported on the following page, if we could look at
9 that. That looking at sera from donors in 28 cases of
10 non-A non-B Hepatitis, actually only revealed six donors
11 being anti-HCV repeatedly reactive.

12 So according to that measurement, only 21 per cent
13 of cases had a donor identifiable as being anti-HCV
14 reactive. Again, not a particularly encouraging result
15 perhaps but certainly an improvement on a situation
16 where no screening is taking place.

17 A. Hm-mm.

18 Q. Yes. Unsurprisingly similar results to your results
19 were obtained with patients with haemophilia.

20 So there was some effort being made in Scotland, and
21 indeed there was a study in England as well in 1989,
22 looking at these new kits and what sort of results were
23 obtained with them.

24 Can we go back then to the statement, please? At
25 paragraph 7 you tell us that you heard from Ortho,

1 either in late November or early December, that the FDA
2 had given an export permit to the new test. We have
3 seen that Professor Cash was similarly informed at the
4 end of November 1989. You had a meeting on
5 11 December 1989 with the director general and the
6 medical officer responsible for blood transfusion
7 related matters at the National Board of Health. You
8 make the point you have already made about the need for
9 their approval of your increased charges, and that was
10 obviously a fairly straightforward matter, was it?

11 A. I beg your pardon?

12 Q. Was the obtaining of approval from the National Board of
13 Health quite straightforward?

14 A. It was very straightforward and it was made by the
15 director general at that meeting, so it was not sort of
16 put to any committee or anything else. He said, "Just
17 go ahead".

18 Q. Well, I was actually going to ask you,
19 Professor Leikola, if it was all achieved at one
20 meeting, and I think that possibly reflects a battle
21 weariness at having looked at a tract of time in which
22 different committees met for a total of 19 meetings,
23 almost all of them to discuss this issue among other
24 things.

25 THE CHAIRMAN: Timing, Ms Dunlop?

1 MS DUNLOP: Yes, that would be a good point to stop, sir.

2 (1.04 pm)

3 (The short adjournment)

4 (2.00 pm)

5 THE CHAIRMAN: Yes, Ms Dunlop.

6 MS DUNLOP: Thank you, sir.

7 Professor Leikola, I just wanted to ask you
8 generally about the information which started to come
9 through in 1989 about the Ortho test or even about its
10 predecessor, Chiron's own RIA test.

11 There were reports from other countries -- we looked
12 at some publications from the summer of 1989 from
13 Germany and the Netherlands and Spain. So different
14 European countries were looking at the new tests. What
15 was the attitude in Finland to material from other
16 countries like that? Did you think, oh, well, it
17 doesn't come from our population, so it's not really
18 relevant?

19 A. I think as far as northern Europe was concerned,
20 especially Netherlands and the UK, I think that these
21 data were quite relevant to us also. They were
22 supporting our view that this is really something that
23 should be started and we have finally found specific,
24 not an ideal test but finally a test for Hepatitis C.
25 And we were very much following what was going on in

1 other places, especially at the meeting in Rome, where
2 the different experiences from various countries were
3 collected and then discussed together.

4 Q. Right. So, for example, information about how many
5 patients with non-A non-B Hepatitis clinically tested
6 positive with the new kit in the Netherlands. That
7 would have been interesting to you?

8 A. Yes.

9 Q. Yes. And somewhere like Spain, less interesting or
10 still something you would want to read about?

11 A. Of some interest but it was very clear that the
12 prevalence of hepatitis both in Spain and Italy was
13 higher than in northern countries and therefore the main
14 emphasis was on the northern countries.

15 Q. Right. We were in your statement, [\[PEN0171957\]](#) and we
16 are now on 1958. Could we have that in front of us,
17 please?

18 You tell us at the top of the second page that
19 routine testing commenced in the beginning
20 of February 1990 and was extended to all blood donations
21 in Finland as of 1 April.

22 So did it indeed begin in the Helsinki area?

23 A. That's right, that's correct.

24 Q. And then you say that you explained to your clinical
25 colleagues why you had taken the step and you wrote an

1 article in the journal of the Finnish Medical
2 Association, which, sir, we don't have and it's in
3 Finnish.

4 Paragraphs 9 and 10, Professor Leikola, are still in
5 Finnish. You explained to us that you wrote in your
6 book a comment about what you describe, I suppose, as
7 a general philosophy as far as testing is concerned,
8 that if a new test seems to be inevitable, it pays off
9 to start it as soon as possible and then with flags
10 waving.

11 The book is "A History of the Finnish Red Cross
12 Blood Transfusion Service and its Predecessors". Is
13 that correct?

14 A. That's correct.

15 Q. Right. Published in 2004.

16 Do you cover this issue specifically in your book?

17 A. Not specifically but it had almost 350 pages so this
18 period of time was, of course, very important for the
19 transfusion service.

20 Q. Right. At paragraph 11 you say that you published the
21 preliminary results of Dr Ebeling in The Lancet, 21
22 April 1990 and I think we should look at that, if we
23 could, please. That's [\[LIT0010270\]](#). It's a letter and
24 we see it beginning on the right-hand side, towards the
25 bottom.

1 You refer to an earlier publication from
2 Dr Van der Poel and colleagues. So that would be
3 a Dutch piece, I imagine. And that had reported that:
4 "Screening of low risk populations, such as blood
5 donors, for antibodies to Hepatitis C ... by the
6 available ... ELISA may yield false positive results."

7 You go on to record the consequence, that it's
8 difficult for blood transfusion services to decide on
9 policies for discarding suspect blood units and for
10 donor counselling. And on the next page you explain
11 that you have had the opportunity to use the Chiron
12 RIBA. So this being April 1990, you had already had
13 a look, I assume -- I think you say this actually in
14 your report -- at a research kit. It would be
15 a research version of the RIBA kit that you were using.
16 Is that correct?

17 A. Yes.

18 Q. And you had used that to detect HCV antibody. The test
19 was distributed by Ortho. Yes, it says here, "For
20 research use only". Both antigens have been coated in
21 distinct bands on nitrocellulose strips.

22 Then you describe what had been done, that you had
23 applied the ELISA and the RIBA to a frozen panel of
24 donor and patient samples from your prospective study.
25 So obviously you had looked at the same 11 patients, of

1 whom we have been speaking, and seven of the 11 patients
2 had received a product from an anti-HCV ELISA positive
3 donor.

4 I think it's perhaps most easily seen if we look at
5 the table. These are the first seven donors, numbers
6 one to seven, implicated in cases of post-transfusion
7 hepatitis, and of those, six show two positive bands in
8 the RIBA. Is that correct?

9 A. That is correct.

10 Q. Yes. You say:

11 "All six donor samples that were reactive for
12 antigen bands 511 and C100 ..."

13 And this is the third paragraph in fact:

14 "... were associated with hepatitis in the
15 recipient."

16 So that reference to all six samples is the
17 reference to everybody in implicated donors one to
18 seven, apart from number six. Is that correct?

19 A. Yes.

20 Q. Right. And then for those donors there is also a record
21 of whether the recipient was found to have seroconverted
22 when tested using the ELISA. There are five yes's and
23 two no's and then the RIBA results from the recipients
24 are also tabulated.

25 So on the basis of this research, you were

1 suggesting that the RIBA may offer help in
2 differentiating infective from non-infective blood
3 donors, that reactivity for both antigens and 511
4 especially, was associated with infectivity.

5 I think this is actually the research that you
6 referred to earlier, when Mr Mackenzie was questioning
7 you, and it was also written up subsequently in a longer
8 article?

9 A. Correct.

10 Q. Yes. So that comment that you had made in your
11 memorandum, about the lack of a confirmatory test, was
12 beginning to be addressed, it appeared, by the
13 appearance of the RIBA. Is that right?

14 A. Yes.

15 Q. If we could go back to your report, please, you point to
16 the fact that this was in The Lancet, so was obviously
17 available to readers in the United Kingdom.

18 You also refer to another publication, which we will
19 look at, and this is an article from 1993, so more of
20 a retrospective review really, called "Viral Risks of
21 Blood Transfusion" in a publication called "Reviews in
22 Microbiology". That's [\[PEN0171723\]](#). We can see from
23 the summary that this is really a review of, as it's
24 entitled, the risks of blood transfusion, particularly
25 viruses. So mentioning also HIV and Hepatitis B.

1 As far as Hepatitis C is concerned, if we scroll
2 down the page a little, we can see a general discussion
3 of hepatitis and then on to the next page, Hepatitis B
4 is covered and then Hepatitis C on the right-hand side.
5 There is mention of the Chiron breakthrough and at the
6 end of that first paragraph, under Hepatitis C, we see
7 their method, their application of recombinant gene
8 technology:

9 "Led to identification and isolation of one clone,
10 which was used to produce a protein called C100-3. It
11 turned out later to be part of a non-structural protein
12 of the Hepatitis C virus."

13 Professor, I have seen references to antibody
14 testing which tests for non-structural antibodies, as
15 being less desirable than structural antibodies. Is
16 that a correct understanding?

17 A. Or a structural antigen.

18 Q. Sorry, structural antigen.

19 A. Antibodies against that. I'm not able to comment on
20 that.

21 Q. Have you seen reference to that, that if you can have
22 a test for a structural antigen, it's better?

23 A. In general if there is a structural antigen, then
24 I think that the virologists think that the virus itself
25 is involved, whereas if there is a non-structural

1 antigen, then it could be like a Hepatitis C surface
2 antigen, which is just an antigen and not the virus
3 itself.

4 Q. I see. I'm sure that's good enough for us, professor.
5 I'm sure we don't need to go any further than that.

6 Then there is a little bit of the history since the
7 Chiron breakthrough, given in your article, particularly
8 that paragraph beginning:

9 "The production and use ..."

10 And by this point, this being 1993 the same antigen
11 is being used by several manufacturers:

12 "The first generation assay looked very promising
13 for diagnosis and prevention of NANBH. In patients with
14 NANBH, the test gave positive results in a high
15 percentage."

16 You refer to the American study of 16 well defined
17 PTH cases, where the antibody was found in 14 of the
18 respective donors. I think we should just check the
19 reference. Could we go to the references, please, which
20 must be on the last page?

21 I think that's the very early report in 1989 but we
22 will just check reference 10. That's Harvey Alter and
23 others in the New England Journal of Medicine. I think
24 I have seen that as a well characterised group of
25 samples that they were able to use?

1 A. That is right.

2 Q. And if we go back to page 2, please, you do say that:

3 "In subsequent studies from Europe, the percentage
4 was lower ... There was no true confirmatory tests since
5 everything was dependent on only one recombinant
6 antigen. Partially to circumvent this drawback,
7 a recombinant immunoblot assay was developed using two
8 different sources of the protein."

9 We have had some difficulty, I think, in getting
10 a good working understanding of the features of a true
11 confirmatory test. Is it fair to say that the term
12 "confirmatory test" is sometimes used a bit imprecisely?

13 A. Yes, I think that a true confirmatory test should be
14 based on the principle that it is different from the
15 original antibody/antigen reaction, in order to show
16 from another point of view that it really is a true
17 reaction between the virus and the antibody. We have
18 these days for many viruses, the PCR test that detects
19 the virus itself, and therefore that can be considered
20 as a good confirmatory test because it's based on
21 a different principle. Here we are dealing with only
22 one protein that was isolated from a bacterium, that
23 presumably was a part of the virus and the difficulty
24 was that this protein, to confirm that it really
25 belonged to the virus, would have needed a test that

1 would have detected some other part of the virus or the
2 virus itself.

3 Q. I see. So --

4 A. So we called it usually the "supplementary test",
5 instead of "confirmatory".

6 Q. So using that language, the first RIBA, strictly
7 speaking, was it a supplementary test, rather than
8 a confirmatory test?

9 A. This is how we considered it, yes.

10 Q. Yes.

11 A. But it could be used to confirm the results. This is
12 a little bit ambiguous but it really was a supplementary
13 test that helped us to convince ourselves that this was
14 a true positive.

15 Q. I see. And can we look then to the following page,
16 please? You refer to the Finnish prospective study and
17 to the results we have looked at, which were reported in
18 The Lancet; and of course, by this time, by 1993, you
19 are able to talk about second generation testing, and
20 you say that:

21 "The sensitivity and specificity of the test have
22 been improved by adding two more antigens to the assay,
23 the non-structural protein, C33c and the structural core
24 protein C22."

25 So in your Finnish material -- this is the 11

1 patients again, I take it -- the number of seropositive
2 patients increased from six to nine when assayed with
3 4-RIBA and the same outcome in Dutch patients. In
4 a similar Dutch study the number of seropositives
5 increased from six to nine when the second generation
6 ELISA was applied. And then some information about
7 other manufacturers using other approaches to establish
8 confirmatory tests and then you are saying that:

9 "Anti-HCV is a relatively late indicator of the
10 infection. Antibodies appear on average 10-12 weeks
11 after inoculation with infected blood but it may take
12 6-12 months before the tests become positive. Direct
13 tests measuring the virus would obviously be preferable
14 but the presumably low titres of the virus make
15 immunological detection difficult or impossible."

16 Then some quite technical material about PCR and
17 even then you comment -- and this is reading from the
18 second paragraph on the right-hand side -- that:

19 "The sensitivity of the confirmatory tests is not
20 yet optimal, and it can be estimated that the true
21 prevalence of anti-HCV antibodies in northern European
22 populations is approximately 0.05-0.1 per cent ..."

23 Which would fit with the findings of the results
24 here the first few months after screening was
25 introduced:

1 "It increases up to 1 per cent or more in
2 geographical areas where hepatitis viruses are more
3 common."

4 Then some comment on the clinical significance of
5 Hepatitis C infection, that:

6 "Longitudinal studies had shown that about half or
7 more of NANB PTH cases become chronic and 10 to 20 per
8 cent of these eventually develop cirrhosis."

9 And that the association between post-transfusion
10 hepatitis of the NANB type and hepatic carcinoma was
11 especially marked in Japan.

12 Then the rest of the article is concerned with other
13 viral risks. So we can put that to one side.

14 Can we go back to the statement, please, and move to
15 the specific questions? We asked whether it was
16 reasonable for the United Kingdom to wait
17 until September 1991 before screening donors for
18 Hepatitis C, and you said:

19 "It was interesting to read the preliminary report
20 and the chronology of the UK studies ..."

21 Perhaps not just studies into surrogate testing but
22 studies more widely:

23 "... into ... testing for NANBH from autumn 1989
24 until September ..."

25 We can see from the evidence that we have already

1 covered that it does appear that Ortho approached
2 a number of different countries around the same time,
3 that the material was discussed in Rome. We know that
4 our Dr Mitchell was in Rome, and then you go on to
5 reflect that there seemed to have been two camps in the
6 discussions: the academic scientists and the practical
7 transfusionists.

8 And from the scientific point of view there were
9 many reservations: lack of confirmatory test, which was
10 the most serious one; lack of understanding the virus
11 itself; deficient specificity in identifying the
12 putative virus and an assumption that the situation in
13 the UK may differ from the US, where most of the
14 information was gathered.

15 The second last difficulty, the deficient
16 specificity in identifying the putative virus, is that
17 really the problem of false positives?

18 A. Well, I think that the fact that the virus itself was
19 still hidden and the virologists didn't know what kind
20 of virus that would be, there was just a lone protein
21 floating somewhere, I think especially for basic
22 virologists that was a very disturbing factor that we
23 were not talking about the virus but just a single
24 protein that was indicating the presence of the virus
25 or, as a matter of fact, an antibody to this particular

1 protein.

2 Q. Right. In the next paragraph you contrast what
3 I suppose is the attitude of the practical
4 transfusionist. Is that right?

5 A. Yes.

6 Q. Yes. One of the difficulties which certainly we have
7 seen referred to is the difficulty of coping with false
8 positives?

9 A. Hm-mm.

10 Q. You can introduce a new test which will generate a large
11 number of people who are testing positive but who do not
12 in fact have the virus, but I find it difficult to
13 imagine that if the test was good enough in identifying
14 and preventing some cases of disease, that the problem
15 of false positives would ever stop you introducing the
16 test. Is that not just a price you are going to have to
17 pay with a new test?

18 A. Well, in our opinion it was very clear that as long as
19 the number of positives -- that's including false
20 positives -- in the primary screening is low enough so
21 we can handle figures that are less than 1 per cent, and
22 explain to the donors what is the situation, that this
23 may be true or may be not true, and in our opinion at
24 the time it would not prevent introducing such a test.

25 Q. How much of a factor in the Finnish decision was it that

1 a confirmatory test, in crude terms, another test, was
2 coming?

3 A. We didn't know really that it was coming. There was
4 many rumours saying that many new manufacturers are
5 coming into the picture and so on but when the decision
6 was made in November 1989, then we didn't know about the
7 confirmatory tests. So our decision was based really on
8 the first studies with the first generation screening
9 test.

10 Q. Right. What were you intending to do with all the
11 positive donations?

12 A. I don't remember that in detail but we contacted all
13 these people and we explained to them the situation,
14 where we were, and asked them to come again and to give
15 a new sample in order to see whether they would be
16 repeatedly positive after a certain period of time and
17 then follow that up and offer the possibilities for
18 consulting our doctors. This is what I recall. I don't
19 remember the details.

20 Q. Right. Did you introduce the first generation RIBA
21 pretty quickly after it became available?

22 A. Yes, we did.

23 Q. Right. Just moving on then into that paragraph about
24 the practical transfusionists, you have seen Dr Perry's
25 note and perhaps we can just look at it again. Can we

1 go to [\[SNF0011710\]](#)? That's Dr Perry's letter to
2 Professor Cash on 2 May 1990 and that's after the VSB
3 meeting on 24 April, and if we look over the page, we
4 can see his notes and it's actually on the final page.
5 So we need to go one more page, please.

6 This is the passage you have highlighted, professor.
7 It's really the last of the bullets under "General
8 Comments". It's not perhaps very clear whose particular
9 comment that was or whether that relates to the note at
10 the end, but you have highlighted this note at the end,
11 that Dr Gunson and Dr Perry -- and this is at the very
12 end, the conclusion -- felt there was sufficient data to
13 justify testing now. But they were in the minority.

14 It's interesting also that reference was made to
15 testing already being in place in France, Belgium,
16 Luxembourg, Finland and Australia. So this is the
17 practical transfusionists at work really, is it, in your
18 description of the two camps?

19 A. Yes.

20 Q. And then can we go back to the statement, please, to
21 this question of the FDA? You say that:

22 "An important argument was that the FDA had not
23 approved the test even if it had given the export
24 permit."

25 That was obviously something that featured in

1 a number of different discussions in the United Kingdom
2 and I just wondered what the attitude had been in
3 Finland to the fact that the FDA had not formally
4 approved the test for use in the United States. Did you
5 take that into account?

6 A. No, I don't think it was a very important factor for us.
7 We had decided to go ahead anyway as soon as possible,
8 based on our own observations and based on the
9 observations that we had on this particular test. So as
10 soon as the FDA had given the export permit for the
11 test, then we decided to go ahead anyway and not to wait
12 until formal licensing of FDA for the US blood banks.

13 Q. So you weren't deterred by the possibility that the FDA
14 might refuse to license the test for use in the
15 United States and that would put you in an awkward
16 position?

17 A. No, we were not, no.

18 Q. Right. Why not? Can you expand that answer for us?
19 Why do you think that didn't have any impact in Finland?

20 A. I think that the FDA, when it was dealing with the
21 United States blood banks, had to consider very
22 different aspects of their system in the US and to see
23 that, you know, the different laboratories were fit to
24 use the test in the correct way and other aspects;
25 whereas we, having just one laboratory and having seen

1 that this test in our opinion works, did not expect any
2 refusal of FDA of using this kind of test.

3 If that would have come forward, of course, we would
4 have looked at the matter and seen, based on our
5 experiences, whether we would follow suit or not, or
6 whether this negative decision from the FDA would have
7 been based on particular conditions in the
8 United States.

9 Q. Yes. I suppose we might say you would have crossed that
10 bridge if you had come to it. So if that had happened,
11 that there had been a subsequent refusal by the FDA, you
12 would have wanted to know what the basis of that refusal
13 had been and you would try to decide what relevance, if
14 any, that had on the testing you had already commenced
15 in Finland?

16 A. That's right. I could have imagined that, for instance,
17 they would have found something incorrect in
18 manufacturing this test and inconsistency of getting
19 different batches of the test and then we would have
20 been worried about it and have come back to the quality
21 control of the test, but otherwise if that would have
22 been based on practical considerations concerning the
23 routine introduction in the United States, then that
24 wouldn't preclude our continuation.

25 Q. Thank you. And you go on to say you obviously were

1 aware of the positive signs from the new first
2 generation RIBA tests and then that it seems to you on
3 the basis of this development -- I think that means the
4 RIBA, does it? -- in regarding the practice in other
5 countries, the UK ought to have decided earlier to start
6 screening of blood donors. You say:

7 "It would have interfered with the planned and
8 ongoing studies on the incidence of
9 transfusion-transmitted NANBH but eventually one of the
10 studies was too small for meaningful conclusions in any
11 case."

12 A. Yes, you have to remember that we had to test 15,000
13 blood donors that were connected with the patients, and
14 that gave only 11 cases and six of them were positive.
15 So that only showed that in a low prevalence country, as
16 we considered the UK to be, it would have needed
17 a fairly large study.

18 Q. Yes. And then our second question was:

19 "On the basis of what is known now, ought screening
20 for Hepatitis C to have been introduced earlier in the
21 UK?"

22 You begin your answer by identifying, you think,
23 three factors which contributed to the long interval in
24 the United Kingdom, and these are:

25 "... the lack of a proper prospective study,

1 pressure from the scientifically-oriented members of
2 ACVSB and ACTTD to get more precise information on the
3 usefulness of the test, and the reluctance of some blood
4 centres to introduce a new screening of questionable
5 value, involving discarding appreciable amounts of blood
6 products, counselling of donors, et cetera."

7 You point, I think, to what you would not really
8 accept as a reasonable basis not to introduce a test;
9 that is the notion that better tests are coming. You
10 think the answer to that is to say, "Fine, we will start
11 screening now and introduce the better tests when they
12 arrive"?

13 A. That was my point, yes.

14 Q. And if you had done that or if a country had done that,
15 introduced screening even when better tests were on the
16 horizon, would time have been lost in changing from the
17 first type of test to the new and better test?

18 A. No, I don't think so.

19 Q. I mean, practically speaking, is there quite a lot
20 involved in introducing a second generation test to
21 a laboratory which is carrying out first generation
22 testing?

23 A. If that is basically similar tests, so it doesn't
24 involve totally new machinery and so on, I don't think
25 that it's too cumbersome to do comparative tests with

1 the currently ongoing test and the new test, and to see
2 whether the sensitivity and specificity are really
3 better than before. It's not too complicated.

4 Q. Right. And even if you decide that the new test is
5 better, the practicalities of introducing the new
6 test --

7 A. That would take time. First of all how the manufacturer
8 would be able to deliver all these test kits and then
9 secondly, what kind of agreements you would have with
10 a previous one and changing everything. So it would
11 need some time.

12 Q. But is the idea that newer kits are coming enough to
13 stop you from starting with currently available kits?

14 A. Usually, if the new test is really better than the old
15 test, then, of course, the change should be made as soon
16 as possible.

17 Q. Right. And whether you wanted to not start using the
18 old tests because the new test was imminent would really
19 depend on how close the manufacturer was to releasing
20 the second type of test?

21 A. That is true, and if the new test would be only
22 marginally better, then I mean you would have some time
23 for this overlap period. The same is true if new a
24 manufacturer would offer that for a cheaper price.

25 Q. All right.

1 A. Then you would have some time in between to introduce
2 the new one.

3 Q. You say that you think a decision to introduce anti-HCV
4 screening could have been made in June or July 1990.
5 From reading the preliminary report, you got the
6 impression that:

7 "... there was no clear mechanism for making
8 a definitive decision concerning the whole UK. The time
9 needed for practical arrangements in the blood centres
10 could have been a maximum of four to five months, so the
11 screening could have been in place in late 1990,
12 possibly in October/November 1990."

13 That would be assuming a linear progression so that
14 the decision to start is made and then preparations
15 commence for the introduction. You would be able to
16 save some time if you had commenced your preparations
17 ahead of the final decision, would you not?

18 A. Yes, that was based on our straightforward approach,
19 that, you know, once you make a decision, then you just
20 go ahead and start implementing it, taking all the
21 practicalities and so on but, you know, in our
22 conditions and our organisation, that was much easier.

23 Q. Right. Can we look at the meeting from July 1990,
24 please? That's the ACVSB meeting of 2 July 1990,
25 [\[SNF0011705\]](#). This is a meeting which was brought

1 forward. It was originally supposed to take place on
2 24 July 1990 but it was brought forward to 2 July, as
3 far as we can tell, because of developments since the
4 previous meeting in April, particularly the availability
5 of the RIBA and the grant of a licensing approval by the
6 FDA.

7 If we look to the particular passage in the minutes
8 of this meeting, in which the decision is recorded, and
9 can we go on to paragraph 8, please, which is on 1707?
10 Perhaps we should look too, at paragraph 6. There was
11 the reference to testing now being carried out in
12 America and other countries. The meeting's main purpose
13 was to reconsider the principle of Hepatitis C
14 screening. Then paragraph 8:

15 "The committee concluded they should recommend to
16 ministers that Hepatitis C testing should be introduced
17 in the UK, but that first a pilot study using the Ortho
18 and Abbott tests was necessary to decide which was the
19 better test for the regional transfusion centres."

20 You think there was another way of doing it,
21 Professor Leikola?

22 A. I don't know.

23 Q. Well, did testing have to be deferred until the end of
24 the comparison?

25 A. Well, to me the reasoning in that is not totally valid.

1 Doing the comparison is quite fine and I understand that
2 they want to make this comparison, but just to delay the
3 introduction of the testing because of this comparison,
4 I don't think it was fair. It could have been
5 introduced, of course, already in May, after the FDA
6 decision, and latest in July decide that now we go ahead
7 and start screening, but meanwhile you could compare
8 these two tests and see if there is substantial
9 difference between those tests.

10 You have to remember that both tests were based on
11 the same protein and the same patent from Chiron, so it
12 was not to be expected that there would be a major
13 difference between these two tests, and this had been
14 stated also by Professor Zuckerman already; I think it
15 was in the February meeting or April meeting of the
16 committee.

17 Q. Can we then move to your second statement, because we
18 did come back to you and push you a little bit harder on
19 some of the key meetings at which decisions were or
20 weren't made. That's [\[PEN0171961\]](#).

21 I am afraid we are going slightly back in time here
22 because we are looking again at the meeting on
23 6 November 1989, which certainly was one point at which
24 a decision in principle could have been taken, but you
25 note that the committee -- and this is VSB, reading from

1 paragraph 4 of your statement:

2 "The committee supported the general introduction of
3 the Ortho anti-HCV test if the FDA approved it and
4 a pilot study showed it to be feasible and
5 non-problematic."

6 Perhaps we can just have a look at the minutes of
7 that meeting, [\[SNB0019563\]](#). I think, Professor Leikola,
8 what this meeting stops short of being is a decision
9 that testing should be introduced as soon as the FDA has
10 approved the kit for use in America, or as soon as
11 a confirmatory test is available. There isn't anything
12 quite as clearcut as that in this meeting?

13 A. I was a little surprised to see that there is no
14 clearcut decision. There was a sort of recommendation
15 that this would be very nice to have this test, but you
16 have to remember that at that time the FDA had not
17 licensed it for export.

18 Q. Yes.

19 A. And therefore everything was on the preliminary and
20 research level and therefore I think it's sort of
21 natural that the committee was in general, as far as
22 I read the minutes, in a positive mood towards a future
23 screening by this test but decided then to wait and see
24 the developments and make a definitive decision later
25 on.

1 Q. Yes. If we look at paragraph 28, which is really the
2 key paragraph as far as the decision is concerned, we do
3 see that positive note that you have identified:

4 "The test represented a major step forward, but ...
5 the committee need to know a great deal more about it,
6 and acknowledge the need for a confirmatory test."

7 We have had some discussion, Professor Leikola,
8 about saying that the UK wouldn't introduce screening in
9 advance of an FDA decision not being quite the same as
10 saying, "We will introduce it as soon as the FDA has
11 decided," and that may have been a difficulty, that it's
12 really not very clear whether the approval by the FDA is
13 or is not to be an automatic trigger. Would you agree
14 with that?

15 A. No, it's not very clear in these minutes, no.

16 Q. Yes. Can we go back then to Professor Leikola's
17 statement. So your opinion, that that decision at the
18 meeting of 6 November 1989 was reasonable, that's really
19 on the understanding that the test was going to be
20 introduced?

21 A. Yes.

22 Q. Once the FDA had approved the kit and once there was
23 a confirmatory test?

24 A. Once these three conditions were fulfilled, then
25 I think -- at least in my understanding -- once the

1 committee would have information on these three points,
2 then the decision would be positive if there wouldn't be
3 any major problems.

4 Q. Right. So if the decision had been clear that there
5 would be these automatic triggers, you would agree with
6 it or you would regard it as reasonable?

7 A. I would agree with that.

8 Q. Right. And then you comment on the January 1990
9 meeting, and I think we will have a look at that as well
10 actually. Can we look at [\[SNB0019657\]](#), please?

11 This is the meeting of the same committee on
12 17 January 1990 and there is a discussion on page 9659
13 and we see it there. Professor Zuckerman spoke to
14 a paper which had been circulated. It's actually
15 a letter from him in which he makes the comment that you
16 refer to about not really being able to justify a delay
17 much beyond approval by the FDA. So that's in the
18 letter, which is described here as "Paper ACVSB5/4".

19 In the following paragraph, I think we are agreed
20 that that sentence about:

21 "The figure of 5,000 members of the donor population
22 who could be excluded from donating but 50 per cent
23 could be false negatives ..."

24 It says. That should probably be "false positives",
25 would you agree. That would make more sense, I think:

1 "People are being excluded from donating."
2 It's probably the case --
3 A. I think both false negatives and false positives since
4 it was known that this test would not detect all
5 implicated donors.
6 Q. Right. So with the first generation kits, there were
7 appreciated to be problems with false positives and
8 false negatives. I think we understand that that was
9 true.
10 Then there is quite a lengthy discussion and on the
11 next page we find Dr Mortimer, as a public health
12 physician, being apparently quite keen to introduce the
13 test. This is 24 and then 26, Dr Gunson. You knew
14 Dr Gunson, didn't you, professor?
15 A. I beg your pardon?
16 Q. You knew Dr Gunson?
17 A. Yes.
18 Q. Yes.
19 A. Yes.
20 Q. Very much a practical transfusionist?
21 A. Very much a practical transfusionist, yes.
22 Q. Yes. So it doesn't surprise you to see him apparently
23 pressing for the introduction of screening?
24 A. Well, I remember very well Dr Gunson from our committee,
25 the Council of Europe committee, and I think that he

1 always represented a very reasonable opinion on
2 different practical policy matters, and when we were
3 discussing the introduction of Hepatitis C testing,
4 I think that he, in private discussions anyway, was
5 a great proponent for the introduction of this testing.

6 However, I think that he did not have, to my
7 knowledge, a very sound scientific background with
8 academic degrees and academic positions and so he took
9 the practical, rational approach to these problems,
10 whereas the so-called academics -- I'm an academic
11 myself also. The academics took a much more
12 research-like, scientific view on these matters. But
13 I had a great respect for Dr Gunson, for his common
14 sense and practical mind.

15 Q. Thank you. There is quite a bit in these minutes about
16 people thinking it was unlikely that the FDA were going
17 to license the Ortho test. If we look at paragraph 20
18 actually at the top of this page, Professor Zuckerman:

19 "... felt it was unlikely the FDA would license the
20 Ortho test in the absence of a confirmatory test.

21 Dr Rotblat added that it was also her understanding that
22 the FDA was also unlikely to approve the test at this
23 stage."

24 Do you remember any rumours at this stage that it
25 was unlikely that the FDA were going to license the

1 test?

2 A. No.

3 Q. Would you ever expect them to withhold approval because
4 there wasn't a confirmatory test?

5 A. Not really, no.

6 Q. It seems to be two different things; yes? The approval
7 of the ELISA and then approval of an RIBA or some other
8 form of additional test. It would be two different
9 processes, one would imagine?

10 A. That's right.

11 Q. Perhaps I'm missing something. Dr Gunson's comments are
12 in paragraph 26 and then we have already looked at
13 the -- sorry, the "Summing Up" is the chairman's summing
14 up at 29 and 30:

15 "Routine testing not to be introduced in advance of
16 the FDA decision."

17 So if anything, a decision as to what's not going to
18 happen, rather than a decision as to what is going to
19 happen.

20 And then paragraph 30 obviously has a bit of
21 a forward plan.

22 This meeting also made reference to the fact that
23 there were symposia about to be held in February, both
24 Ortho having a symposium and Abbott having a symposium,
25 and there was also a conference that was going to be

1 attended by Professor Zuckerman in Houston, the
2 International Hepatitis Meeting in Houston.

3 Can we go back to Professor Leikola's statement,
4 please? And you have quoted a bit about
5 Professor Zuckerman's contribution in your paragraph 6
6 and the decision in paragraph 7, and you say:

7 "There was no clear recommendation at this meeting
8 that testing should be introduced as soon as the FDA had
9 given a green light to the US blood banks."

10 One of the documents which came to the attention of
11 different groups in the United Kingdom shortly after
12 this was a document from the United States. As far as
13 Scotland is concerned, a copy of it seems to have been
14 brought back from the Abbott symposium by Dr Mitchell.

15 If we have a look at that, that's [\[SNB0019825\]](#). If
16 we look at the very end of it, professor, we can see
17 who's responsible for it. This is dated 8 February
18 1990, and these guidelines come from the American
19 Association of Blood Banks, the American Red Cross and
20 the Council of Community Blood Centres. Then if we
21 could return to the first page, please.

22 This seems to be an exercise in pre-planning for the
23 introduction of screening in the United States. Have
24 you seen these before? Have you seen these guidelines?

25 A. These guidelines? Yes, I saw them yesterday.

1 Q. Right. I suppose one thing which occurs to me is that
2 if there was a kind of expectation that the FDA were not
3 about to license the test, it would be surprising if
4 these organisations were going so far as to publish
5 guidelines for what was to happen, so this is perhaps
6 a clue that there was an expectation that testing was
7 going to be starting in America quite soon.

8 A. I think that these people had some preliminary knowledge
9 about the RIBA test, that was probably in the coming and
10 therefore they decided, obviously according to this
11 memorandum, to make all the preparations, expecting the
12 FDA to approve this test as soon as there was
13 a supplementary test or something that could be added to
14 the primary screening test.

15 Q. Right. So the approval by the FDA was in some way
16 connected to the need for a supplementary test?

17 A. I believe it was in some way, yes.

18 Q. Right. We can see there is reference to the need to
19 facilitate rapid introduction of the anti HCV test. So
20 it certainly looks to be quite a focused document,
21 setting out steps that need to be taken so that no time
22 is lost.

23 A. Hm-mm.

24 Q. In making practical arrangements. Quite a lot of
25 references to haste:

1 "Blood centres should implement anti-HCV testing,
2 including testing of complete inventory as rapidly as
3 possible."

4 And so on. The other interesting paper from around
5 this time is the set of abstracts from the Ortho
6 symposium. If we go back first, please, to
7 Professor Leikola's statement. You take the narrative
8 on, professor. You talk about the US blood bank
9 organisations recommending to their members that the
10 implementation of the anti-HCV screening should be
11 introduced as soon as possible after the FDA had
12 licensed it. I think that's the set of guidelines we
13 looked at really, that evidence?

14 A. Yes.

15 Q. Then there is your letter in The Lancet and we have
16 looked at that, and then paragraph 9, the FDA licensing
17 the Ortho test. Then the next meeting of the ACVSB
18 in April 1990, at which, as you say, reservations seemed
19 to have grown. And in paragraph 11, you commented that:

20 "The change of attitude of the ACVSB between January
21 and late April 1990 was remarkable."

22 So that comment of yours made us wonder what could
23 be the explanation for the change between January
24 and April 1990, and one candidate, I think, is the Ortho
25 symposium. Can we have the papers of that again,

1 please? That's [\[SNF0011628\]](#). Professor, we gave you
2 these to read in hard copy overnight.

3 A. Yes.

4 Q. And you have, I think, had a chance to have a look at
5 them?

6 A. Yes.

7 Q. Did you get an overall impression from the abstracts
8 from this conference, and if so, what was it?

9 A. Of course, these different abstracts, they consist of
10 a variety of quite different approaches towards this
11 question, but judging from these abstracts, it would be
12 difficult for me to interpret them so that this test
13 would be no good and therefore, you know, any possible
14 delay in the introduction would be justified on the
15 basis of those abstracts.

16 It's very natural that in that kind of symposium,
17 the investigators, they are not marketing people for
18 this commercial manufacturer, but they want to have
19 a critical approach to these tests and I think it's
20 natural that they emphasise the fact that they have
21 found, you know, that it's not a perfect test and so on.
22 So much are not detected and so many are false positives
23 also. But to draw this conclusion that it should not be
24 introduced at that time, I think I, at least, couldn't
25 make out of these abstracts.

1 Q. Right. That comment that we see, which is on the front
2 sheet of the set of abstracts, that the test is not
3 sensitive or specific enough, that also found its way
4 into the minutes of the ACVSB meeting of 24 April 1990.
5 The overall impression was that the test was not
6 sensitive or specific enough for reliable testing. You
7 would have disagreed in April 1990, would you?

8 A. It's very much a question of the definition of the word
9 "enough". What is enough and what is not enough? We
10 thought that it was good enough to be introduced, while
11 admitting that there were a number of weaknesses with
12 this kind of test.

13 Q. Yes. Just thinking still about that symposium in
14 London, which was obviously quite a gathering of leading
15 figures, we know that Dr Boulton also attended. He was
16 the deputy director of the transfusion service in
17 Edinburgh and Southeast Scotland. And he prepared
18 a report. Can we have a look at that? That's
19 [\[SNB0141645\]](#).

20 THE CHAIRMAN: Ms Dunlop, do you want to stop at some time
21 soon?

22 MS DUNLOP: Yes, I can stop now.

23 THE CHAIRMAN: Rather than getting into a new document.

24 MS DUNLOP: Yes.

25 (3.11 pm)

1 (Short break)

2 (3.25 pm)

3 THE CHAIRMAN: Ms Dunlop.

4 MS DUNLOP: Thank you, sir.

5 Professor Leikola, we were still talking about the
6 Ortho symposium in London in February 1990 and I was
7 saying that Dr Boulton, the deputy director from
8 Edinburgh, from the Blood Transfusion Service, was one
9 of those who attended.

10 Can we look at his report, which is [\[SNB0141645\]](#)?
11 As would be expected, he mentions some of the
12 contributors, whose abstracts are included in the bundle
13 we just looked at. So the contribution from
14 Professor Thomas really talking about the nature of the
15 illness, and then Dr Barbara. Predictive value in low
16 prevalence populations is low.

17 With some trepidation actually at this point, let's
18 just digress. Can we keep that document open, please.
19 Positive predictive value, which has been mentioned
20 already today. Could we just go back to [\[PEN0171763\]](#),
21 please?

22 Can we go to page 3 of this article. It's
23 Dr Ebeling's article from Vox Sanguinis in 1991.
24 Mr Mackenzie saved for me the possibility of going into
25 the issue of what "positive predictive value" means and

1 I simply wanted to suggest to you that there is actually
2 a working definition given in the article. Under that
3 heading "Discussion" after the use of the term "positive
4 predictive value", there is a passage in brackets:

5 "The percentage of NANBH cases among all recipients
6 of marker positive blood."

7 Professor, please correct me if I am wrong. I took
8 that to mean that if you took 100 units of blood which
9 had tested positive on a test, and gave it to 100
10 people, either 15 of them or 4 of them would get non-A
11 non-B Hepatitis. That's what I understand from that
12 explanation there.

13 So if you had your 100 units of blood which had
14 tested positive, using the anti-HCV ELISA, and you gave
15 them to 100 patients, 15 patients would get Hepatitis C;
16 whereas using ALT as your test, if you took 100 units
17 which had tested positive on a test using raised ALT as
18 a marker, and if you administered those 100, only four
19 patients would get Hepatitis C. That is the
20 understanding that I took from that explanation. Is
21 that accurate?

22 A. When I read these lines, I think you are correct.

23 Q. I hope so. I hope that's right, yes. Thank you.

24 Sorry, just to go back.

25 THE CHAIRMAN: It becomes predictive because if that's the

1 result you have found, you can then use that as a basis
2 for estimating what would happen thereafter?

3 A. That's right.

4 MS DUNLOP: That really was a digression. Can we go back to
5 Dr Boulton's report, please. It was just a prompt
6 because he used the words "predictive value". Thank
7 you.

8 We were looking at Dr Barbara's words. Then on the
9 second page there is the end of Dr Barbara's
10 contribution, as seen by Dr Boulton.

11 An interesting reference there to the Harvey Alter
12 study:

13 "Indicated 80 per cent correlation by strict
14 definitions. In Holland Reesinck showed a lower value
15 (50 per cent) using field criteria."

16 I'm not sure I completely understand that but it
17 looks quite good.

18 PROFESSOR JAMES: I can explain that if you want. The
19 strict definition is the ones that, you know, were the
20 very, very carefully selected patients in the NIH group,
21 whereas presumably the Dutch ones were done by the
22 similar kind of way that you had defined and colleagues
23 in the UK had defined non-A non-B, without sort of
24 "pedigreeing" it to quite the same extent.

25 MS DUNLOP: I see. By definition more likely to include

1 some false positives?

2 PROFESSOR JAMES: Yes, if anything.

3 MS DUNLOP: Yes, right.

4 Then a resume of Dr Lee's contribution, not entirely
5 favourable comments. Although I should say, no
6 reflection on Dr Lee. On to the next page of
7 Dr Boulton's report, thank you, just to look at the ones
8 he has summarised. On to page 3. Dr Philip Mortimer:

9 "All studies so far having small numbers."

10 And the next page as well, please. Comments on
11 a presentation relating to HCV and the drug addict, and
12 then HCV, some tropical studies. Then on the final page
13 there are references to hospital -- well, actually it's
14 not hospital but liver cancer connection between HCV and
15 liver cancer from Dr Johnson. What is also interesting
16 is Dr Boulton's covering letter, with which he sent this
17 report. That's [\[SNB0141644\]](#).

18 Dr Boulton obviously felt he should send his report
19 of the Ortho symposium to Professor Cash, and he says
20 that:

21 "In spite of obvious difficulties with the current
22 Ortho ELISA, I have developed a very strong feeling that
23 the screening of donors for HCV antibodies should be
24 introduced at the earliest possible opportunity. This
25 is not because of the 'science' but because there

1 appears to be little doubt that people have contracted
2 HCV as a result of transfusions which they would not
3 have received had those transfusions been screened for
4 HCV antibody."

5 That's quite easy logic to follow,
6 Professor Leikola, isn't it?

7 A. Yes.

8 Q. Yes. So he has been at the same symposium but seems to
9 have come away with a different view about the need to
10 introduce the tests in the United Kingdom.

11 A. Correct. I think this is very much the same view as Drs
12 Perry and Gunson had in their earlier statement.

13 Q. Yes. And indeed he makes reference in his letter to the
14 possibility of legal action as well.

15 Right. Let's complete your second report,
16 professor. Could we go back to it, please, at
17 page 1962?

18 We were looking at what might possibly have
19 contributed to the change of attitude between
20 the January and April 1990 meetings of ACVSB and you
21 have given us a little precis in paragraph 11 of the
22 apparent mood of the meeting in April, firstly the
23 reference to better tests on the horizon and then:

24 "The US may start screening out of fear of
25 litigation, the French and the Australians have their

1 own reasons and some small European countries may follow
2 suit, but the UK should not rush in before a reliable
3 confirmatory test was available and the specificity and
4 the sensitivity of the screening test were improved.
5 A large prospective study was needed for the evaluation
6 of whether or not screening would be suitable for the UK
7 conditions."

8 I suppose like the sort of study that you had?

9 A. Yes.

10 Q. Yes. And no doubt with your tongue a little bit in your
11 cheek, you are noting that you would be included in the
12 "some small European countries" who had taken
13 a different course. Would that be right?

14 A. Yes, I didn't want to spell it out.

15 Q. No, I think we got the point.

16 And then you move back to the July meeting and
17 observe that:

18 "Contrary, perhaps, to the impression that might be
19 created from the very meeting having been advanced by
20 three weeks, there was still no rush."

21 And we are returning again to this idea of taking
22 a sort of decision in principle but saying that first
23 there needs to be a comparison between the Ortho kit and
24 the Abbott kit. And you make the point, which we have
25 discussed already, that that comparison could equally

1 have been undertaken with screening up and running?

2 A. Simultaneously, yes.

3 Q. Can we move on to the last page then, please?

4 The July 1990 minutes record an estimate -- I think it's
5 four months roughly -- that it would take to do the
6 comparative study but in fact that proved to be an
7 underestimate, and you say:

8 "In essence, the outcome of the 2 July meeting meant
9 at least half a year's delay in the introduction of the
10 screening. As it turned out, the timespan was more than
11 two times longer."

12 Your understanding is that:

13 "Only few preparations had been made concerning the
14 practicalities of the large-scale routine testing."

15 Then in your final paragraph you attempt a summary,
16 which is a difficult thing to do because I think there
17 are a number of different factors at play. But you
18 identify firstly enthusiasm and a welcoming of the new
19 test in 1989, perhaps particularly. A view that there
20 should be some approval by the FDA before the test could
21 be introduced in the United Kingdom and indeed, as
22 a matter of practicality, there would have to have been
23 an export permit. But perhaps crucially, professor,
24 I think we have seen there was never a clear decision
25 taken that approval by the FDA would in itself trigger

1 the process of introduction of screening in the
2 United Kingdom.

3 A. No, that is true. Those conditions were aligned already
4 in November and when they were all fulfilled, there
5 still was no clear decision as to go ahead.

6 Q. And the same could really be said of the confirmatory
7 test?

8 A. Yes.

9 Q. That it wasn't set out that as soon as a confirmatory
10 test of some sort, or a further test was in place, that
11 it would be time to begin the introduction of screening.
12 That caused enough delay for the arrival of new
13 information. You say:

14 "Preliminary information of new developments."

15 Then what you describe as a "wait and see" attitude
16 becoming stronger:

17 "It would be foolish to rush into the only available
18 inadequate test when new possibilities were around the
19 corner."

20 You think you can see also questions about the
21 seriousness of the transfusion-transmitted Hepatitis C
22 that seemed to be quite often very mild or totally
23 asymptomatic, and that may be part of the background to
24 all of this. Then:

25 "By July 1990, it had become clear the UK could not

1 postpone this matter forever, since the examples of
2 other countries, public health aspects, media coverage,
3 lessons of the HIV epidemic and other non-scientific
4 factors were so pressing that some decision had to be
5 taken even if reluctantly."

6 So I suppose if we think of a decision being taken
7 perhaps in January or in April at one of those meetings,
8 that testing should be introduced once a confirmatory
9 test, in its broadest sense, was available and once the
10 FDA had approved the test, and if some initial plans for
11 implementation had begun and some practical steps had
12 been taken, it would have been possible to save quite
13 a bit of time, it seems to me. Would you agree with
14 that?

15 A. I would agree with that, yes.

16 Q. Yes. In fact a year or more.

17 A. Yes.

18 Q. Yes. Thank you very much, Professor Leikola.

19 THE CHAIRMAN: Mr Di Rollo?

20 MR DI ROLLO: Sir, I'm grateful to my learned friend for her
21 comprehensive treatment of this and I have no questions.

22 THE CHAIRMAN: Mr Anderson?

23 Questions by MR ANDERSON

24 MR ANDERSON: I'm obliged.

25 Can I just ask about one matter, professor. We know

1 that during 1990 various countries throughout the world
2 introduced first generation screening. Can you help us
3 with what second generation tests were introduced in,
4 say, European countries? Do you have any information
5 about that that you can help us with?

6 A. I don't think I can help you very much in this matter.
7 I don't remember.

8 Q. Thank you very much.

9 THE CHAIRMAN: Mr Johnston?

10 MR JOHNSTON: I have no questions, thank you.

11 MS DUNLOP: We have no further business for today, thank
12 you, sir.

13 THE CHAIRMAN: Professor Leikola, thank you very much.

14 A. Thank you.

15 THE CHAIRMAN: Ladies and gentlemen, the proposal is that,
16 because of the volume of business, we should start
17 tomorrow morning at 9.15. That is no problem to me
18 provided I am able to turn up at all, but we will see
19 how we can get on.

20 (3.42 pm)

21 (The Inquiry adjourned until 9.15 am the following day)

22

23 I N D E X

24 PROFESSOR JUHANI LEIKOLA (continued)1

25 Questions by MR MACKENZIE1

1	Questions by MR DAWSON	66
2	Questions by MS DUNLOP	81
3	Questions by MR ANDERSON	146
4		
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

