

1 Wednesday, 7 September 2011

2 (9.30 am)

3 DR PETER FOSTER (continued)

4 Questions by MS DUNLOP (continued)

5 THE CHAIRMAN: Good morning.

6 MS DUNLOP: Good morning, Dr Foster.

7 A. Good morning.

8 Q. I wanted, if I could, please, to go back to your memo of  
9 3 May 1983, at which we were looking yesterday  
10 afternoon. That's [\[SNB0073635\]](#). Dr Foster, I just  
11 wanted to ask one or two more questions because I wanted  
12 to be clear about what happened around about the time of  
13 this memo, and what the response to it was.

14 But looking at the first page, the second point you  
15 make, numbered point number 2 -- this is part of the  
16 strategy, the then current strategy was to design  
17 a full-scale plant to handle 30 per cent production for  
18 1984 to 1985 at the earliest.

19 So by "full-scale plant", you are really meaning  
20 industrial-sized equipment. Is that what we should  
21 understand about that?

22 A. Yes, that's what I mean by that.

23 Q. Yes. We did look at this yesterday. You then canvass  
24 in your memo the possibility that some change of  
25 strategy may be required and if we look on to the second

1 page, this is the second sentence on the back page:

2 "While I do not disagree with point 2 above ..."

3 In other words, you are still in favour of moving to  
4 full-scale plant to handle 30 per cent production for  
5 1984 to 1985 at the earliest:

6 "... it may be possible to introduce an immediate  
7 stage still using the pasteurisation cabinets."

8 Bearing in mind the point the chairman made  
9 yesterday about the word "intermediate", I suppose there  
10 are two possible senses in which you may have been using  
11 the word "intermediate". You may have meant  
12 intermediate in terms of size of operation, or you may  
13 have meant intermediate in a temporal sense; in other  
14 words, something we can do in the time interval before  
15 we are introducing the full-scale plant. Which of those  
16 senses do you think it was, when you said "an  
17 intermediate stage"?

18 A. I have to admit this was such a long time ago, I have  
19 great difficulty actually remembering what I actually  
20 did mean.

21 Q. I quite appreciate that, Dr Foster.

22 A. It could actually mean that in our normal Factor VIII  
23 process, as I mentioned yesterday, we tried to complete  
24 the process from starting to thaw the plasma to loading  
25 the freeze dryer in one day, and with a procedure like

1 this, it would take more than one day and the question  
2 is how do you hold material, how do you progress it in  
3 two days or three days, or whatever? It may have been  
4 that I was talking about an intermediate holding point,  
5 where you would work for a day and then leave something  
6 overnight and then come back and carry on the next day.  
7 That's another possibility.

8 As I sit here, I can't really say exactly what I did  
9 mean by that. It could be what you suggested, that this  
10 is prior to putting in the routine process I had been  
11 thinking of, we could have an intermediary kind of  
12 production operation.

13 That's possible. I really don't know the answer to  
14 the question.

15 Q. Right. Perhaps we should just take from it that there  
16 is some kind of sense of something being proposed, which  
17 is in advance of the main plan that you have set out on  
18 the first page?

19 A. Yes, I was looking to see how can we advance this as  
20 quickly as we possibly can. That was the sense of it.

21 Q. Right. The next thing that I don't think I fully  
22 understand is the background or the context, rather, of  
23 your worked example. I called this your "worked  
24 example" yesterday. That is the text that follows  
25 immediately below where you say:

1            "That is, consider a 1,000 kilogramme pool of  
2            fresh-frozen plasma."

3            When you were explaining to us at the beginning of  
4            your evidence yesterday about the manufacturing process,  
5            you told us that the 1,000 kilogramme pool would be the  
6            4,000 donations?

7            A. Approximately, yes.

8            Q. So that really matches, as it were, the description you  
9            gave yesterday of the process?

10          A. Yes.

11          Q. What I think I failed to ask you is: how frequently  
12          would that size of pool be commenced? How often did you  
13          start off a pool that size?

14          A. That would have been approximately twice a week.

15          Q. Right. So this worked example then, if we read on down  
16          and we see that the penultimate paragraph in the whole  
17          memo amounts to you suggesting that doing what you are  
18          now proposing would enable PFC to cope with 2,000  
19          kilogrammes of fresh-frozen plasma per week, does that  
20          then mean that what's suggested in the memo would really  
21          have amounted to a wholesale move over to  
22          pasteurisation, albeit on a more temporary basis?

23          A. Yes, that is clearly what I was suggesting, yes.

24          Q. Right. Thank you. I just wanted to be sure that I was  
25          following that.

1 A. And I think, just to look at this second last paragraph,  
2 I do say "pending a fully engineered process design."

3 And that does fit in with your earlier comment about  
4 what I meant by "intermediate"; let's do this as  
5 a temporary arrangement pending the full engineered  
6 process design.

7 Q. So it might have been a bit Heath Robinson-ish. You  
8 wouldn't necessarily have been using all the equipment  
9 you would have liked to have had and so on, but you  
10 would have been able to carry out pasteurisation  
11 following the suggestions in your memo?

12 A. That's correct, yes.

13 Q. Now --

14 A. I should perhaps just comment here that I think the  
15 purpose of this memo was perhaps to stimulate  
16 a discussion around this with Mr Watt. It is obviously  
17 not a fully worked up proposal, but it's just to start  
18 people thinking and to start some discussion around  
19 these possibilities.

20 Q. Thank you. We are slightly retracking here but --

21 THE CHAIRMAN: Just pause on that.

22 On the other hand, at this stage you, from your  
23 point of view, were putting up what you considered to be  
24 a feasible programme to move from one approach to  
25 processing to another?

1 A. Yes, I think it would seem to me to be feasible but  
2 having said that, I would appreciate that this was  
3 a very difficult project and clearly writing a memo was  
4 much easier than actually making it work in practice.

5 THE CHAIRMAN: Yes.

6 MS DUNLOP: Can we look then, please, at [\[SNB0073638\]](#)? We  
7 looked at this yesterday as well. This is 5 May 1983  
8 and it's Mr Watt writing to Dr Cash. I think we  
9 understood yesterday from your evidence, and indeed we  
10 can see for ourselves, that the approach in this letter  
11 is slightly different from the approach in your memo,  
12 and indeed the chairman suggested one possible reason  
13 why that might be so and we will come to that in  
14 a moment. But what we can see from this letter is that  
15 Mr Watt is really reporting to Dr Cash the current state  
16 of play, so he is saying that there has been an interim  
17 pilot scale approach to preparation of a pasteurised  
18 product really and that that has been going well,  
19 I think, quite well. He says that:

20 "Studies are progressing well."

21 Then if we look on to the second page, he is saying  
22 to Dr Cash that there is a first pilot lot prepared and  
23 there is a long paragraph dealing with that. So at the  
24 end of the long paragraph he is saying:

25 "I believe it is sensible to get some clinical

1           experience of lot NY761 as part of the overall process  
2           introduction."

3           I take it that when a stage had been reached at PFC  
4           of having material that was to be tried out, those  
5           trials would have to be organised through Dr Cash as the  
6           national medical director. Is that right?

7   A. That's correct.

8   Q. Right. So Mr Watt is saying, "While we are ready to  
9           roll on that aspect, we have some material to trial,"  
10          and then if we look on to the third page, there is the  
11          reference in the final paragraph about speeding up the  
12          programme substantially:

13                 "The expansion of the makeshift process now in use  
14                 ... expenditure now instead of 1984 to 1985 as well as  
15                 some additional expenditure which would not advance the  
16                 longer term production process."

17                 That there is some costing going on and again  
18                 I think we established yesterday that this seems to  
19                 marry with what was in your memo, that this looks to be  
20                 Mr Watt alluding to the suggestion that had come from  
21                 you about possibly speeding things up at this point, and  
22                 there would be a little bit of extra expenditure to do  
23                 that but Mr Watt is telling Dr Cash that this is being  
24                 considered and that it is also being costed. Is that  
25                 correct?

1 A. Yes, I would agree with that.

2 Q. Right. I think what I want to try to find out is what  
3 actually happened then to that proposal. So we have the  
4 proposal and Mr Watt passing it on to Professor Cash and  
5 saying that it is being costed. Apart from asking  
6 Dr Cash to make some arrangements for clinical trials,  
7 Mr Watt doesn't actually seem to be asking Dr Cash for  
8 anything; it's more of an informative letter, that  
9 letter. Is that fair?

10 A. I think that's probably correct.

11 Q. Yes.

12 A. I think what Mr Watt is really encouraging  
13 Professor Cash to organise are the clinical trials  
14 because it's really crucial at the next stage to know  
15 whether or not this material is going to have any value  
16 in patients, and I think there were two types of  
17 clinical trial discussed, which I'm not quite sure in  
18 the timescale when this fits but there was a phase 1  
19 trial and a phase 2 trial, and in the phase 1 trial that  
20 was intended to establish that the product will be  
21 effective in treating haemophilia. That would have  
22 measured the half-life, the recovery and the  
23 tolerability of the product. And assuming that that was  
24 all acceptable, then there was a notion to go on to  
25 a phase 2 trial, which was rather like the Mannucci work



1           that you discussed yesterday, to establish whether or  
2           not the infective agent of non-A non-B had actually been  
3           destroyed or not. So all of that clinical planning was  
4           also having to be undertaken by Professor Cash.

5   THE CHAIRMAN: The reply was [\[SNB0073708\]](#).

6   MS DUNLOP: I'm obliged, sir, I had momentarily lost the  
7           reference for that.

8           Can we just look at that then, please,  
9           Professor Cash's reply?

10           That is Dr Cash writing back to Mr Watt in response  
11           to the letter of 5 May and picking up the suggestion  
12           about the clinical trials and then saying -- and perhaps  
13           this corroborates our sense of there being two different  
14           moves afoot:

15           "On another tack altogether ..."

16           So there is the immediate practical requirement to  
17           organise some clinical trials but there is also this  
18           question of whether the whole heat treatment programme  
19           is to be accelerated in some way, and he is saying:

20           "I would regard the last paragraph of your letter to  
21           be the most important."

22           And he is very pleased that there is costing going  
23           on. There is then a paragraph which we have studied  
24           quite a lot actually and I'm hoping that Professor Cash  
25           will be able to give us a bit more information about it

1           tomorrow but I think as matters currently stand it would  
2           be fair to say we find it slightly difficult to follow.

3   THE CHAIRMAN:  Rather dense, I think.

4   MS DUNLOP:  Yes.  About the reaction of the deputy chief  
5           medical officer to the concept that heat-treated  
6           Factor VIII is related to the interests of the Medicines  
7           Inspectorate.  Can you help us a at all with that,  
8           Dr Foster?

9   A.  I'm not sure I have it on the screen here.

10  MS DUNLOP:  It's in the fullest paragraph, so paragraph 4.

11  A.  Okay.

12  Q.  I suppose, if one were speculating, one might suggest  
13           that somebody has suggested in the hearing of the deputy  
14           chief medical officer that the heat treatment project  
15           should be funded in connection with the recommendations  
16           of the Medicines Inspectorate?

17  A.  That may well be the interpretation, that in order to  
18           find a budget and to justify it, there was possibly  
19           a pot of money available with the heading "Medicines  
20           Inspectorate" on it, and that was an easier way to find  
21           money in the short-term than to come in with a new  
22           proposal.

23  Q.  If one was carrying on the speculation one might infer  
24           that the deputy chief medical officer hadn't been  
25           entirely supportive of that proposition, but I was just

1           wondering if you had any recollection of dialogue about  
2           that at the time?

3    A.   I can -- I just saw that letter, it was copied to me.  
4           But I don't remember it.

5    Q.   Right. Thank you. So can we then go back to your  
6           statement? That's the document which is [\[PEN0121438\]](#).  
7           Can we go to page 1461, please? This is the beginning  
8           of your numbered paragraph 15, which is an answer to our  
9           question about the memorandum of 3 May 1983. We  
10          discussed yesterday what had been the trigger for the  
11          writing of the memo, and you have explained to us that  
12          you think it was these articles in the Lancet; or  
13          letters, I think they are, actually, rather articles.

14                 Can we then look at the next page, please, 1462?

15                 Just so that I understand this, Dr Foster -- and I'm  
16                 sorry if this feels very plodding -- but when you tell  
17                 us, in particular in paragraph (d), that:

18                 "The equipment would take some time to design,  
19                 construct and install, instead of waiting for this, it  
20                 occurred to me that processing at pilot scale could be  
21                 progressed by dispensing the mixture into 1 litre  
22                 bottles which could then be heat-treated in the spray  
23                 cabinet that was used to pasteurise albumin."

24                 In that paragraph, you are not actually talking  
25                 about your proposal in the 3 May memo, you are talking

1           about your proposal connected to the pilot scale  
2           preparation?

3    A.   Yes, you are correct.  It would apply to the memo which  
4           talked about really full-scale as well as pilot scale.

5    Q.   Yes, right.  So when you say in paragraph (e):  
6           "This procedure was introduced ..."  
7           What you are meaning is pilot scale lots were  
8           prepared; you are not meaning that what was outlined in  
9           the 3 May memo was introduced?

10   A.   That's correct.  That's entirely correct, yes.

11   Q.   Good.  I think I had misunderstood that until yesterday.  
12           The question is then: what happened to your, let's  
13           call it, "full-scale proposal", as outlined in the 3 May  
14           memorandum?  That is the Heath Robinson-ish proposal.  
15           What happened to it?

16   A.   It's very difficult for me to remember, as I mentioned  
17           earlier, but my sense is what I said a few minutes ago,  
18           that this memorandum was me putting out some ideas for  
19           a wider discussion with Mr Watt and their consideration  
20           and the heads of department within PFC, and it's  
21           conceivable that they said, "Look, this is going to be  
22           too difficult."  I just don't remember but that's  
23           a possibility.  But what did happen fairly shortly after  
24           this was that I went to Stockholm to attend the two  
25           congresses there, where I met Dr Johnson and learned

1 about his proposals. And at that time, the immediate  
2 thing that struck me was that this could actually help  
3 us because this was a very difficult process we were  
4 trying to develop and I immediately recognised the value  
5 of Dr Johnson's work, that this would actually make it  
6 much simpler to introduce a pasteurisation process at  
7 full-scale. And of course when I came back from  
8 Stockholm, I learned that Mr Watt had resigned and was  
9 going to leave and to be honest, I can't really remember  
10 if we discussed my earlier proposal beyond that.

11 Q. Yes. I completely appreciate the points you make,  
12 Dr Foster. I mean, we are asking you about events  
13 28 years ago and it would be extraordinary if you had  
14 a clear recollection of everything that happened, but  
15 perhaps an easier question about the 3 May memo is,  
16 rather than asking you what did happen, to focus on what  
17 didn't happen. There wasn't, as I understand it, in  
18 early course a move to putting through 2,000 kilogrammes  
19 a week in the manner suggested in your memo?

20 A. No, there wasn't because a pre-condition would be to  
21 have satisfactory clinical data. We wouldn't want to  
22 commit ourselves to doing something so enormous without  
23 suitable clinical results to justify it, and of course  
24 we didn't get that result because one of the patients  
25 experienced an adverse reaction.

1 Q. We are coming to that as well. But just before we drop  
2 for today the question of funding, do you have any  
3 memory of its also being an obstacle to being negotiated  
4 that money had to be found?

5 A. No, it didn't seem to me to be an issue. I thought this  
6 is so important that I thought, "If this is what it  
7 costs, this is what it costs and the money will come  
8 through," and I left that to Mr Watt and Professor Cash  
9 to sort out. It wasn't something that seemed to me to  
10 be an obstacle.

11 Q. So just reading on through your statement --

12 THE CHAIRMAN: Sorry, could I just follow that.

13 There are two possible situations in which you  
14 wouldn't recognise it to be an obstacle. One was that  
15 no one led you to believe that it might be an obstacle;  
16 the other is that, as a scientist, you weren't really  
17 concerned where the funding came from. Is it either of  
18 those or something else?

19 A. I was fully aware that funding had to be obtained and  
20 I knew the processes that we had to go through to get  
21 the funding. So I wasn't ignorant of that but I have no  
22 memory of this seeming to me to be an impediment. I was  
23 confident that Mr Watt and Professor Cash would get the  
24 funding. They were very good at doing things like that.

25 THE CHAIRMAN: I'm happy with having a clear answer on one

1 or the other.

2 MS DUNLOP: One of the things, which I hope will become  
3 clearer tomorrow when we are hearing from  
4 Professor Cash, is that around about this time, by which  
5 I mean May/June 1983, there is discussion both in the  
6 Blood Transfusion Service subcommittee and also in SHHD  
7 about funding for the pilot scale level. It almost  
8 looks as though you were working on the pilot scale  
9 project before that expenditure might formally have been  
10 authorised.

11 A. Yes, there are two issues here. One is the process  
12 equipment that we have talked about but also changes to  
13 the facility, because the pasteurisation step is carried  
14 out in the middle of the process. Then all the  
15 processing after that, to be absolutely sure that the  
16 product is going to be safe, has to be done in an area  
17 that's segregated, where there's no possibility of any  
18 recontamination occurring. And we had to build an area  
19 to do that.

20 So that required extra capital funding, of money to  
21 do building works and to design an area to do it and all  
22 of that. So that was the second aspect, which we hadn't  
23 progressed. So we were doing one part, which was doing  
24 the processing to get the pilot material to establish  
25 whether it would work in a patient, but to actually

1           prepare material that we would say was going to be  
2           prepared in the segregated facility, where there was no  
3           possibility of recontamination, that hadn't been put in  
4           place and that also needed funding.

5    Q.    I see.

6    A.    And it would need to be scheduled in as a building work  
7           and we would have to shut the factory to do it and stuff  
8           like that.

9    Q.    I see.  You mentioned Dr Johnson and I think we should  
10          pick up the story of that in subparagraph (f).  When you  
11          met Dr Johnson, was it actually in Stockholm?

12   A.    Yes.

13   Q.    He was in Stockholm too?  Right.  He had a new idea,  
14          which he thought would achieve greater purity, and this  
15          is what you tell us but you have obviously envisaged  
16          that if this method were indeed successful, it would  
17          reduce the volume of material with which you were  
18          working hugely, which would make it much easier to carry  
19          out the pasteurisation process.  Is that right?

20   A.    That's correct.

21   Q.    Yes.  Can we move to the next page, please?  You go on  
22          to tell us, however, that there was a patent problem.  
23          In fact, perhaps it should be acknowledged it wasn't  
24          specifically a patent problem, it was a problem caused  
25          by legal advisers, who said that they didn't want him to



1 disclose details of his procedure before the patent  
2 application was filed. You say:

3 "Dr Johnson continued to put off filing in order to  
4 add further information."

5 So he was still working on his process over the  
6 ensuing months. Is that right?

7 A. Yes, he was making improvements, although he told me  
8 when we first discussed it that he was very close to  
9 filing the patent, but it actually dragged on and on and  
10 on, much longer than he had expected and I had expected.

11 Q. Right. Did he know that you were waiting for details of  
12 the process?

13 A. Oh, yes.

14 Q. Right. And I appreciate you had a very good  
15 relationship with Dr Johnson, but in practice at this  
16 point he was holding you up?

17 A. Well, at this point we were actually putting in place  
18 what we call a "businesses arrangement", so contracts  
19 were organised through the CSA, so it was all done on  
20 a proper business footing and that took some time and  
21 Mr Watt took a lead in achieving that before he left.

22 Even if Dr Johnson had had no problem with  
23 patenting, if he had filed the patent, we couldn't have  
24 proceeded without the business agreement being in place  
25 first. So that did take some time also.

1 Q. So a number of things were happening simultaneously?

2 A. That's correct.

3 Q. Therefore it is not necessarily possible to say that any

4 one thing delayed progress?

5 A. I think ultimately it was this issue of the patent

6 because we had the business agreement in place and he

7 still didn't come forward with the technical details of

8 what it was and eventually we really became exasperated

9 and said, "Look, we can't continue in this way," and

10 then his legal advisers agreed that he could make the

11 information available to me and that was on

12 14 June 1984.

13 Q. Did you go to New York especially?

14 A. I went to New York especially for that.

15 Q. Right.

16 THE CHAIRMAN: Was the business arrangement in place --

17 A. The business arrangement was in place, yes.

18 THE CHAIRMAN: -- by that stage? So you had in effect a

19 joint venture that allowed the lawyers to treat this as

20 other than disclosure to the public?

21 A. That's correct, yes. I think they were still very

22 nervous that it might leak out.

23 THE CHAIRMAN: But, as Ms Dunlop is asking you, here was

24 a legal structural problem, however one looked at it,

25 standing in the way of implementation of Dr Johnson's

1 work at Edinburgh.

2 A. I would say that was the case, yes.

3 MS DUNLOP: And separately you then started analysing the  
4 details that he had given to you in June 1984 -- this is  
5 what you tell us in subparagraph (h) -- and you thought  
6 there was a slight snag in connection with the ion  
7 exchange reagent. Is that right?

8 A. Yes, I mean, it is often the case that scientists  
9 working in a research laboratory don't fully appreciate  
10 the implications of what they are doing in terms of  
11 a large-scale industrial process, and despite his wealth  
12 of experience, Dr Johnson still didn't fully  
13 appreciate -- because he didn't work in industry, he  
14 didn't have that appreciation. And I was able, in  
15 examining what he had done, to realise that it needed  
16 some improvement in order to fit it into an industrial  
17 process, and I suggested the kind of improvements that  
18 could be made.

19 Q. Right. You didn't just suggest, you actually arranged  
20 a meeting. You arranged for Dr Johnson to see somebody  
21 from, is it pronounced Pharmacia?

22 A. Yes, Pharmacia was the principal company at this time  
23 who provided this reagent to the fractionation industry.  
24 We knew Dr Curling well. He was a senior scientist in  
25 that company, and I arranged this meeting with

1 Dr Johnson and Dr Curling where Dr Johnson explained his  
2 requirements and Dr Curling identified this new material  
3 that the company were developing as being possibly the  
4 most appropriate, and it was named "Q-Sepharose" -- or  
5 "QAE Sepharose" to give it its full title -- and that is  
6 now a conventional reagent that is used in the  
7 manufacture of Factor VIII worldwide and this is where  
8 it originated, and that is what we began to work with.

9 Q. Right. Then you tell us that also you identified need  
10 for additional manpower?

11 A. Yes, I mean, having looked at what was going to be  
12 involved -- I mean, Dr Johnson had originally said to  
13 me, "This is very straightforward and you can do it in  
14 a few weeks," and I looked at it and I thought, no, it's  
15 a bit more than that. So I thought we need to bring  
16 someone else to work on this and I suggested  
17 Dr McIntosh, who was a scientist in my department who  
18 had been working on other projects and I thought he  
19 would be very good at this and he agreed to do that.

20 Q. Right. Then subparagraph (j), we find out that you  
21 obtained some Q-Sepharose, to give it its short name,  
22 in August 1984 and even then you realised that some  
23 further work would be required. Then you tell us in  
24 subparagraph (k) that when you had been talking to  
25 Dr Johnson and Dr Bernard Horowitz?

1 A. Horowitz.

2 Q. There is an extra "ro".

3 A. I have spelt it wrongly, I am afraid.

4 Q. Right, yes. You had had discussions at the ISBT  
5 congress in Munich and you had learned of a new viral  
6 inactivation procedure using solvent detergent  
7 treatment, is that right?

8 A. Yes, I think we were generally aware that the New York  
9 blood centre were beginning to make some progress in  
10 this area, but this was the first time I kind of  
11 discussed it with Dr Horowitz directly with Dr Johnson  
12 present. And this became the standard method that's  
13 used nowadays by virtually all fractionators.

14 Q. I don't want to go into something that's too  
15 scientifically difficult for me to follow, and that  
16 wouldn't take much, but I take it from this paragraph  
17 that this really would have been something rather  
18 different altogether; it would have been a combination  
19 of Dr Johnson's new idea for the chromatography with  
20 solvent detergents being used as the viral killers, the  
21 viricidal step?

22 A. That's correct. The problem that Dr Horowitz had was  
23 that he was using chemicals that had to be removed  
24 because they couldn't be injected into patients, and one  
25 way of doing that was the procedure that Dr Johnson was

1           devising. So that was another option that was opening  
2           up as a possibility that I was conscious of, if we  
3           wanted to go down that route.

4   Q. Right.

5           But at that time you didn't actually progress that  
6           particular possibility?

7   A. No, we didn't because the agent responsible for non-A  
8           non-B hepatitis hadn't been discovered. Hepatitis C  
9           hadn't been discovered and the solvent detergent  
10          treatment only worked against certain types of viruses,  
11          and it wasn't known if the Hepatitis C viruses would be  
12          affected by it or not.

13   Q. Right. I think you tell us in terms in subparagraph (k)  
14          that this was really more of a fallback plan, should the  
15          pasteurisation technology not work or should the  
16          pasteurisation project --

17   A. It was an alternative option.

18   Q. Yes. In (l), back to the matter of pilot batches, the  
19          pilot patches, these are the 1 litre bottles of  
20          pasteurised material, is that right?

21   A. The pilot batch would involve taking the equivalent of  
22          100 litres of plasma but in terms of cryoprecipitate.  
23          So I think I said yesterday you would get 10 kilogrammes  
24          of cryoprecipitate from 1,000 litres of plasma. So we  
25          would take 1 kilogramme of cryoprecipitate from

1 production, so it was representative of the full  
2 production pool, and then process that. So it's an  
3 aliquot, if you like, of the production pool would be  
4 processed through this pasteurisation process to give it  
5 a small quantity of finished product that then could be  
6 evaluated.

7 Q. Right. Can we go back to page 1462, please? I just  
8 wondered if that matched subparagraph (d). You are  
9 talking about processing at pilot scale by dispensing  
10 the mixture into 1 litre bottles.

11 A. Yes, that's correct. The pasteurisation was done in a 1  
12 litre bottle, but we had a number of 1 litre bottles so  
13 we had ...

14 Q. It was just when I was picturing the 1 litre bottles,  
15 presumably these would only be suitable for clinical  
16 trials, it was not something that a patient could take  
17 home and use as his normal --

18 A. No, this is not the final product. The 1 litre bottle  
19 is for the pasteurisation and then the material is taken  
20 out of that and processed further to be dispensed into  
21 vials aseptically and filtered and freeze-dried and all  
22 of that.

23 Q. So the material that ends up going for the clinical  
24 trials is, to all intents and purposes, the same sort of  
25 vials that are normally supplied for patients?

1 A. Yes, that's correct.

2 Q. Sorry, can we go back to 1464 then, please?

3 Subparagraph (m) refers to events in November 1984  
4 and I think this answer really relates to a part of the  
5 question that focused on whether what happened when you  
6 did introduce dry heat treatment at the end of 1984, was  
7 essentially using the same equipment as was being used  
8 for pasteurisation in 1983/1984, and you explained,  
9 I think, essentially the answer is yes but you explained  
10 in a little more detail at (n):

11 "Specialist ovens for dry heat treatment had to be  
12 manufactured."

13 So for the first six month or so  
14 after November 1984, you were using the cabinets that  
15 you used to pasteurise albumin, and in fact if we move  
16 to the next page there was a degree of good fortune  
17 about that because the cabinet had been designed to  
18 function up to 70 degrees centigrade, so you were able  
19 to get higher temperatures than the 60 degrees for which  
20 you needed it to function for the albumin?

21 A. That's correct.

22 Q. That was a very long question, I'm glad you were able to  
23 follow it.

24 Right. Can we go back then, please, to the schedule  
25 which has the questions in it, [\[PEN0121531\]](#). We have



1 covered 17 and 18 and then 19 is dealing with the  
2 contact with Professor Johnson, which we have just been  
3 discussing, and then question 20, we noted that you had  
4 written to Dr Smith on 23 August 1983. I don't think we  
5 need to go to that, but in that letter the intended  
6 collaboration with Professor Johnson was not mentioned  
7 and I think it's self-evident to us now that that will  
8 be because of the confidentiality that was necessary  
9 given that the patent was to be filed within the next  
10 few months. Is that right?

11 A. I think that's correct, yes.

12 Q. Right. We can see the answer, if we go back to your  
13 answers. You say that in your numbered paragraph 18,  
14 which is on page 29 of [\[PEN0121438\]](#). Indeed, there seems  
15 to have been an unfortunate development involving the  
16 dean of New York University, who seems to have taken  
17 exception to Dr Johnson cooperating with organisations  
18 in Europe. Do you remember that?

19 A. I do. I do seem to remember that there was pressure  
20 brought on the dean that discoveries at the university  
21 should be offered to American companies first, and he  
22 was not entirely happy with Dr Johnson's arrangement  
23 with us. And there was, as I say here, a temporary  
24 breakdown. But by that point we had enough information  
25 that we could proceed without needing to have ongoing

1 communication with Dr Johnson and the situation was  
2 resolved eventually and normality resumed.

3 Q. Right. And your friendship with Dr Johnson and your  
4 collaboration with him survived?

5 A. Oh, yes. He was very keen to maintain the relationship  
6 with us. He just had to convince his dean that that was  
7 the appropriate way to do it.

8 Q. I see. You have already alluded to the departure of  
9 Mr Watt and we asked you one or two questions about  
10 that, Dr Foster. Can we go back to the questions  
11 document, please, at 1535? Can we just look at  
12 paragraphs 21 and 22:

13 "Meanwhile ..."

14 That is over the summer of 1983:

15 "... Mr Watt had tendered his resignation as  
16 scientific director of PFC."

17 He had written to Professor Johnson to tell him of  
18 his intended departure and he said in his letter that  
19 his decision was multifactorial.

20 Then paragraph 22, just trying to pinpoint these  
21 events in time, his resignation was known about by  
22 15 July 1983, the issue was discussed at a meeting with  
23 Dr Scott and Dr Bell, caused a meeting with  
24 representatives of the CBLA to be postponed. Perhaps in  
25 passing we can just note that the meeting actually was

1 due to take place on 21 September, so obviously, as  
2 perhaps one would guess, a significant enough  
3 development that it required postponement of a meeting  
4 some two months ahead, and reading on that:

5 "The original plan was for Mr Watt to leave at the  
6 end of March 1984 but he left at the end  
7 of December 1983."

8 That reference -- we don't need to go to it -- but  
9 it's actually a memo from Dr Perry informing people that  
10 he is the acting director as from the beginning of 1984.  
11 Dr Cash described the circumstances of Mr Watt's  
12 departure as "unusual". I would like to look at that  
13 letter, if we could, please. That's [\[SNB0111346\]](#).

14 Plainly, this is material that we can put to  
15 Professor Cash and we will be doing that, but just  
16 perhaps to look at this letter, which is headed "Future  
17 Arrangements for the Replacement of Mr Watt", we can see  
18 in particular that Professor Cash is mentioning as  
19 decisions which will be required, subparagraph (b):

20 "Scaling up procedures for heat-treated Factor VIII  
21 concentrates."

22 And (c):

23 "Advancing studies on the heat treatment of existing  
24 Factor IX concentrates."

25 So I suppose, given that we were asking you whether

1 Mr Watt's departure had an effect on the heat treatment  
2 programme, it is striking that these two paragraphs  
3 occur in the letter of 5 January 1984. Does that not  
4 suggest that the heat treatment programme at this point  
5 was a crucial matter in the affairs of PFC?

6 A. Oh, yes, it was a very important project and I think  
7 here Professor Cash is listing that along with other  
8 projects, and he is seeking a period, he describes, of  
9 "reflection and stability" so that we can continue to  
10 progress these without disturbance, and I think he is in  
11 a sense wanting to try to maintain some kind of  
12 continuity as far as could be achieved.

13 Q. Right. Then, please, can we return to where we were on  
14 page 6 of [\[PEN0121531\]](#) That's the middle of  
15 paragraph 22.

16 So we have Dr Perry taking over as acting director,  
17 Dr Cash emphasising in that letter his view that the  
18 next director of PFC had to be unequivocally responsible  
19 to the national medical director, obviously Dr Cash.

20 Then we also referred you to another letter about  
21 the relationship as it then stood between Dr Cash and  
22 Mr Watt.

23 Can we go then to your answers on this matter,  
24 Dr Foster. Can we go back to the document [\[PEN0121438\]](#)  
25 at page 1466. You tell us firstly that Mr Watt did not

1 discuss his reasons for leaving with you and then you  
2 say that you don't believe the resignation of Mr Watt  
3 adversely affected the virus inactivation programme or  
4 influenced SNBTS strategy. As support for that view you  
5 highlight Mr Watt's continued participation in the  
6 biological subcommittee of the Committee on Safety of  
7 Medicines until 1986, and what you would see as Mr Watt  
8 continuing to display the same sort of approach to heat  
9 treatment viral inactivation as had been evident when he  
10 was the director of PFC. Is that right?

11 A. That's what the committee seems to have followed.

12 Assuming that Mr Watt was in agreement with the  
13 committee, then, yes.

14 Q. Yes. But if we move on to the next page, you give us  
15 a little more detail about circumstances surrounding  
16 Mr Watt's departure. In fact you found out on Monday,  
17 11 July, when you got back from Stockholm. Then  
18 subsequently, presumably at some point in the ensuing  
19 months?

20 A. Oh, no.

21 Q. No. Very shortly?

22 A. I think it was fairly shortly. I can't absolutely be  
23 sure but it seemed to me it wasn't very long afterwards.

24 Q. I suppose it was the talk of PFC?

25 A. I was told by the driver, he was the first person I met,

1           and if the driver knew about it, everybody knew about  
2           it.

3   Q.   Was it also the driver -- I take it it wasn't the driver  
4           who told you that Mr Watt was planning to establish  
5           a company to fractionate animal plasma?

6   A.   No, I think that was probably Dr McIntosh.

7   Q.   And that Mr Watt was also seeking to recruit staff from  
8           PFC, and then you tell us in paragraph (b) and (d) that  
9           presumably Dr Cash was very disturbed by this?

10  A.   Oh, yes, he was.  And rightly so, I think.  If a lot of  
11           people had left or even a significant number of key  
12           people had left, that would have been very harmful.  But  
13           in the event that didn't happen.

14  Q.   Right, and you told Dr Cash that you had heard of four  
15           people who had been approached by Mr Watt or who were  
16           planning to leave with Mr Watt?

17  A.   No, who had been approached and were considering whether  
18           they would accept this offer or not.

19  Q.   Right.  And in fact Mr Watt's intended departure date  
20           was the end of March 1984 but he left at the end  
21           of December 1983.  Was he asked to go earlier?

22  A.   That would be my understanding.

23  Q.   Yes.  And did other staff leave with him?

24  A.   At that time, no, because he didn't establish his new  
25           business for some time but eventually a couple of people

1           did leave and join him.

2   Q.   Right.  What sort of level of staff were they?

3   A.   They were what we would call section manager level,  
4       which was senior technical level.

5   Q.   So people who worked in laboratories?

6   A.   There was a person who managed one of the quality  
7       control laboratories and also a person who managed one  
8       of the areas in production at a senior technical level.  
9       We did have a turnover of staff anyway.  So these are  
10      things that do happen.

11  Q.   So it was something that PFC could cope with?

12  A.   Yes.

13  Q.   Dr Foster, you, in your next answer, deal with four of  
14      our paragraphs and we need to go back and just establish  
15      the content of those paragraphs.  So can we go back to  
16      the questions document at 1536, please?

17           In your next answer you deal with our paragraphs 23  
18      to 27, excluding 26.  So if we just take a moment to  
19      look at that section.

20           24, we referred to the position in England around  
21      about this time, in particular we referred to a Central  
22      Blood Laboratories Authority paper on heat treatment,  
23      which I think we should look at now.  It's [\[DHF0024489\]](#).  
24      Thank you.  We can see that this is headed up "AIDS,  
25      progress with heat treatment of human plasma products".

1 We can see the introduction. If we look at page 2 of  
2 this document, please, I think we can see the extract  
3 that was included in the question, just to allow  
4 everyone to read that beginning section under the  
5 heading "AIDS". (Pause)

6 So it's being said that:

7 "The syndrome of AIDS is likely to include in its  
8 aetiology transmission of an infective virus and the  
9 possible phenomenon of reactivation of an existing virus  
10 in individuals concerned."

11 And an interesting remark that:

12 "This aetiological observation has promoted more  
13 activity in the area of blood products pasteurisation  
14 with the empirical view that a virus is involved and, as  
15 with hepatitis virus, is likely to be partially or  
16 completely inactivated by heat."

17 Then, the subheading "Means of Heat Treatment of  
18 Blood Products":

19 "Heat treatment is only one pathway by which viruses  
20 may be inactivated."

21 And I think we understand that from the rest of your  
22 evidence, Dr Foster:

23 "But it is the most favoured route at present."

24 Then the section that we quoted, that the options so  
25 far as heat treatment is concerned are really wet or dry



1 heating, so pasteurisation or dry heat treatment and  
2 then the paper goes on to say that:

3 "Heat transfer in the wet state is more homogeneous  
4 and efficient and to satisfy reliability in manufacture  
5 is to be preferred."

6 So a view with which you would have concurred?

7 A. Yes.

8 Q. But it says:

9 "Wet treatment is associated with more molecular  
10 damage of heat unstable proteins than occurs by the dry  
11 heat route."

12 What about that?

13 A. It depends how much heating you apply. And of course,  
14 as we have looked at, you have to add stabilisers to  
15 a very high concentration when you are involved with  
16 pasteurisation of coagulation factors, and that was much  
17 less so the case with dry heat because the process of  
18 freeze-drying is itself a stabilisation process.

19 Q. Right. So you would accept the second part of that  
20 sentence, would you?

21 A. I think it's a bit of a generalisation.

22 Q. Right. We then find some discussion of what's available  
23 at BPL. Wet heat pasteurisation of blood products is  
24 available for albumin, antithrombin Factor XIII and is  
25 likely to be successful with Factor IX. Then:

1           "Wet heated Factor VIII, however, is said to be  
2           likely to require a longer programme of work if  
3           a satisfactory reliable method is to be developed."

4           Then we move to dry heat:

5           "The majority of commercial manufacturers are  
6           currently depending upon dry heat of the finished  
7           Factor VIII concentrate. The associated claims, which  
8           are entirely unfounded in scientific and quality control  
9           term, are that the heat process will inactivate the  
10          putative virus transmission causing AIDS."

11          So a discussion of the different options that are  
12          around. Can we just scroll right to the bottom, please?  
13          The other document that we quoted around this time was  
14          a set of minutes from a CBLA working group on AIDS.  
15          That's [\[DHF0024834\]](#). We can see this is a CBLA working  
16          group on AIDS October 1983. In particular, can we go to  
17          the foot of page 3 of this document, please? We see the  
18          heading "Treatment of Blood Products to Eliminate  
19          Micro-Organisms."

20          Then on to the next page, please.

21          Perhaps, as compared with the immediately preceding  
22          document, a slightly more negative view of dry heat  
23          treatment and perhaps unsurprisingly referring back to  
24          the chimpanzee results which seem to have been in  
25          everybody's mind around the summer of 1983. So possibly

1 slightly more equivocal as to whether the wet heat  
2 option should be pursued or the dry heat option? It  
3 doesn't really seem to record much of a decision, does  
4 it? I suppose just an acceptance that research is  
5 ongoing and that further evaluation will be required,  
6 which is all very sensible, is it?

7 A. Yes, I think they are probably leaving it to Dr Smith to  
8 work out what he thought was best.

9 Q. Yes, and I think Dr Smith has some views on these  
10 documents as well. So we will be able to ask him when  
11 he comes to give evidence.

12 Can we go back, please, to the questions document at  
13 1536? We then said that the reference to the  
14 chimpanzees was presumably a reference to the knowledge  
15 that three chimpanzees had developed hepatitis and we  
16 mentioned Dr Walford's letter which we looked at  
17 yesterday.

18 Paragraph 25. A memorandum from Dr Smith to you  
19 in January 1984, setting out detail of work to date  
20 on dry heat treatment. Then 26 we can leave for the  
21 moment and look at 27, please:

22 "The information from England was referred to at the  
23 Factor VIII study group meeting of 12 January 1984 along  
24 with the information that the Hyland ... treated product  
25 was still infective."

1           Just to see that can we go to [\[SNB0074059\]](#). This is  
2           the Factor VIII study group meeting in January 1984. We  
3           can see who attended and you were there. In particular,  
4           please, can we go to page 5 and we can see that  
5           reference in numbered paragraph 6(2)a.:

6           "Our report is being given ..."

7           Is this by you? Will you have been telling the  
8           group about news from England?

9           A. I don't know, I am sorry, I can't remember.

10          Q. Right. It doesn't matter. But anyway, the information  
11          is imparted that there is no yield penalty for dried  
12          Factor VIII if it is heated to 60 degrees for three  
13          days. This would be investigated:

14          "But it was noted though the current Hyland product  
15          made by this method is still infective."

16          So the study group is keeping in touch with what's  
17          happening in England but we asked whether there was any  
18          suggestion around this time of the possibility of  
19          changing tack; that is from pasteurisation to dry heat  
20          treatment. You then provided an answer, Dr Foster, to  
21          all of these paragraphs in your numbered paragraph 21,  
22          which is page 30 of [\[PEN0121438\]](#). We don't, I think,  
23          need to investigate any further the knowledge that we  
24          know emerged in 1983 about the lack of success of the  
25          Hyland product, as far as viral inactivation is

1 concerned. That reference to Mannucci is in fact,  
2 although that's one possible reference to it, the  
3 article which is in our court book as [\[LIT0011101\]](#), but  
4 I don't need to go to it. Then you say:

5 "Further evidence against dry heat treatment was  
6 obtained by yourselves in late 1983."

7 That you carried out some dry heat research  
8 yourselves, and in particular looked at viral kill. Is  
9 that right?

10 A. That's correct.

11 Q. Or viricidal results.

12 Dr Cuthbertson was involved in those experiments,  
13 and plainly we will be able to ask him next week but  
14 just to go to the reference for that, which is a kind of  
15 state of play report from December 1983, that is  
16 [\[PEN0121500\]](#). You say this is actually a report that  
17 you prepared for the study group meeting  
18 in January 1984. If we go to page 5 in this document,  
19 please, I think this is actually the very last item in  
20 your report and we can see that you are telling the  
21 group that various experiments have been carried out on  
22 freeze-dried product but the initial results were  
23 suggesting that the viral kill was less successful than  
24 the pasteurisation method.

25 Can you just explain to us, Dr Foster, what the

1 nature of the experiments was? You were using, as it  
2 were, surrogate viruses, is that right?

3 A. Yes, some people call them "model viruses", other people  
4 call them "marker viruses". These are viruses that  
5 are -- they can be worked with, so you can actually  
6 measure whether they are dead or alive and you can get  
7 a known amount of the virus, add it to some Factor VIII,  
8 freeze-dry it in a research freeze dryer and then heat  
9 it under different conditions and then reconstitute it  
10 and find out how much virus is alive or how much is  
11 dead.

12 Dr Pepper had the freeze dryer, because at that time  
13 I did not have a laboratory freeze dryer, and  
14 Dr Cuthbertson did all the virology work. So it was  
15 really their experiment. But I was aware that the  
16 experiment was taking place, and when I was writing this  
17 report, I wanted to know what the results were and they  
18 hadn't completed the analysis of the data. So all they  
19 could give me was a general answer, that it was looking  
20 as though it was much less kill than they had previously  
21 in the earlier experiments with pasteurisation. So that  
22 is what I recorded in this note.

23 And Dr Cuthbertson can probably describe the  
24 experiment better than I can.

25 Q. Right. Thank you.

1           Can we go back then, to the answer, please? That's  
2           page 31 of [\[PEN0121438\]](#). You actually explain that as  
3           far as you were concerned, the information from Dr Smith  
4           lacked that sort of material; in other words,  
5           comparative viricidal analysis, as it were?  
6    A.   Very much so. There was no information at all from BPL  
7           on that kind of analysis.  
8    Q.   Right.  
9    A.   In fact they didn't have the capability to do that and  
10           we did the work for them subsequently.  
11   Q.   Right. Can we move on to the next page, please?  
12           I think this is really your answer to your changing tack  
13           question when you say:  
14                   "The information from Dr Smith did not alter the  
15                   opinion in Scotland that pasteurisation should continue  
16                   to be the main focus of research on virus inactivation."  
17           So not only did you feel that nothing had been said  
18           to displace you from your main goal, there was also  
19           interest, you tell us, from England in what you were  
20           doing by way of pasteurisation and Dr Smith came  
21           in June 1984 to see what was happening with your  
22           pasteurised product and took some photographs?  
23   A.   That's correct.  
24   Q.   And sent you copies?  
25   A.   Yes, which I still have.

1 Q. Right. You say -- and again this is something we can  
2 ask Dr Smith -- that you think there were accommodation  
3 considerations that were relevant to which method was  
4 going to be chosen for England as well?

5 A. Yes, I think that's probably very important. I was  
6 aware that they were perhaps giving more priority, or  
7 more emphasis I should say, to dry-heated than to  
8 pasteurisation but I wasn't entirely sure why that was  
9 the case but later on I understood that it was very much  
10 because the pasteurisation process has a much bigger  
11 footprint, if you like, and they just couldn't imagine  
12 they could fit it into the BPL facility at that time.

13 Q. Right. We can pass over your answer 22 very quickly,  
14 just to note that there is a question in the questions  
15 document about what happened with Dr Ludlam's patient,  
16 when batch 761 was tried, and you say you are not in  
17 a position to provide information about that.

18 Then, moving on to the next answer. Can we go back  
19 to the question, please, question 28? There was  
20 a costing prepared for the production of heat-treated  
21 Factor VIII, that is pasteurised Factor VIII, that shows  
22 a total cost of £90,000. The date towards which PFC  
23 were aiming was April 1985 and we asked you if there was  
24 any suggestion that this might be too long a timescale  
25 and your answer is contained in your numbered



1 paragraph 23. You say that rather than being too long  
2 a timescale, you think it was actually extremely  
3 ambitious?

4 A. Yes, I would still take that view, yes.

5 Q. Right. In subparagraph (b) you contrast the more  
6 technically straightforward introduction of dry heat  
7 treatment.

8 Just to confirm that information about the costing,  
9 can we look firstly at [\[SNB0074276\]](#)? We can see that  
10 this is a covering letter from Dr Perry to Dr Cash  
11 in February 1984 saying he is sending a paper for  
12 transmission to the Blood Transfusion Service  
13 subcommittee. That's a subcommittee of the  
14 Common Services Agency?

15 A. That's correct.

16 Q. Yes. So for their meeting on 22 February, a paper is  
17 being written with a costing in it and the costing is  
18 [\[SGH0020068\]](#). Did you coordinate the preparation of  
19 that?

20 A. I can't remember.

21 Q. Right. Fair enough. We deal with this in the  
22 preliminary report, I think subsequently it was tweaked  
23 because there was a question of increased money being  
24 required for the reagents or something like that?

25 A. Yes, I noticed that.

1 Q. Yes. But perhaps we should ask others about what  
2 happened to the costing and the authorisation of the  
3 funds and so on. Would that be reasonable?

4 A. Yes.

5 Q. Right. Can we go back then to question 29, please?

6 Again this is something you answered very briefly. We  
7 simply referred to a memo from Dr Craske, which I don't  
8 think we need to go to, but Dr Craske was talking in  
9 early 1984 of an Edinburgh product being available  
10 shortly and you say you do not know how Dr Craske  
11 obtained his information and that as at March 1984 there  
12 were five pilot scale batches which had been prepared.  
13 So it does seem to be slightly over optimistic to say  
14 the product would be available shortly, although perhaps  
15 there is no quantification of "shortly".

16 A. It depends what he means by "available shortly". He  
17 might mean available for clinical trial shortly, and  
18 that's what the intention was with the pilot scale  
19 batches.

20 Q. We know that the funding was in fact approved -- or  
21 least approved in principle at -- the meeting of  
22 22 February 1984 and we can perhaps develop that with  
23 other witnesses.

24 The next subject I want to talk about crops up  
25 really from now on in the questions, Dr Foster, and it's

1 concerning the events of the autumn of 1984. I would  
2 like to try, if I may, to deal with this period  
3 chronologically because there are a number of different  
4 strands around this time. So if you will bear with me,  
5 I'm not going to work systematically through the  
6 questions and answers.

7 I think the first matter we should deal with is  
8 something you refer to in your statement, which is  
9 a suggestion that was made to Lord Archer's Inquiry,  
10 that it was known that the AIDS virus could be  
11 inactivated by heat treatment by May 1983 and I think  
12 that was something on which you did some work for the  
13 Archer Inquiry. Is that correct?

14 A. Yes, I didn't think that comment was correct and  
15 I prepared a short note for the Archer Inquiry to try to  
16 explain the situation, what was known and what was not  
17 known.

18 Q. Right. So can we look firstly, I think, at the paper  
19 that you prepared, just to check that this is the  
20 correct reference. I'm not sure actually if this is the  
21 correct reference but can we look at [\[PEN0121506\]](#),  
22 please? Slightly confusingly it does say "response to  
23 questions raised at the Inquiry" but that's not our  
24 Inquiry, that's the Archer Inquiry. Is that right?

25 A. That's correct.

1 Q. Can we just look then at the text of this? You have  
2 highlighted an extract from a submission actually from  
3 the Haemophilia Society and it's the point that I was  
4 just making, this suggestion that in May 1983 it was  
5 discovered that the HIV virus could be inactivated by  
6 exposing it to dry heat at 68 degrees centigrade for one  
7 hour.

8 Perhaps the first reaction of those of us who have  
9 sat through the first 41 days of this Inquiry would be  
10 that that really would be surprising, given that that  
11 might almost pre-date the article by Barre-Sinoussi and  
12 Montagnier?

13 A. Exactly.

14 Q. But you think that this is to do with the Hyland  
15 product, about which we have heard so much, and indeed  
16 material was published in relation to the lack of  
17 seroconversions in connection with the Hyland product.  
18 So we know that a lot of research was done, or studies  
19 were done, in connection with hepatitis in patients who  
20 were given this Hyland product but there was also some  
21 monitoring in relation to AIDS and there is  
22 a publication on that point, which is [\[LIT0010436\]](#).

23 This is a letter to the Lancet in February 1985.  
24 Can we just look at the authors of the letter, please,  
25 if we can go to the next page? We can see that this

1 comes from plainly some French researchers, also  
2 somebody from Milan and Rolland. Is he something to do  
3 with the company? I think he may have been something to  
4 do with the company? You probably don't know. We can  
5 actually see, not as an author, but Dr Savidge mentioned  
6 and then obviously Professor Mannucci.

7 One of the questions I have asked myself is what is  
8 the relationship between this piece of research and the  
9 hepatitis research which we know Professor Mannucci was  
10 coordinating in connection with the Hyland product, and  
11 this looks perhaps to have been a satellite of that?

12 A. Yes, Professor Mannucci explains it in one of his  
13 memoirs in that, from the hepatitis study, they had  
14 retained samples from the patients and he was approached  
15 some time in late 1984 by Luc Montagnier, who said they  
16 had an assay for HIV, and he volunteered to assay these  
17 samples to see if these patients might be infected or  
18 not, and these are the results of that study. So it was  
19 the same patients, some of whom were infected with non-A  
20 non-B hepatitis, and this shows that they were free from  
21 infection with HIV.

22 Q. Right. So can we just go back to the previous page  
23 then, please? We can see the description of what the  
24 research had been and as you say, they had been using  
25 LAV, which at that time was the name for the French

1 isolate. Can we scroll a little bit further down,  
2 please? It says:

3 "None of the 18 patients ..."

4 This is just the second last paragraph on the  
5 right-hand side:

6 "None of the 18 patients in the test group were  
7 anti-LAV positive before or after treatment. Five of  
8 the 29 controls were seropositive. No patient has any  
9 symptoms of AIDS or AIDS related diseases.

10 "5. Anti LAV positive controls have no risk factor  
11 for AIDS other than treatment with Factor VIII  
12 concentrates."

13 So I think this is one of the points you are making  
14 in your paper to the Archer Inquiry, that it was this  
15 which was the first publication of that research, rather  
16 than anything being published in 1983 or 1984?

17 A. That's correct.

18 Q. Yes. So can we go back to Dr Foster's paper on this,  
19 please? That's [\[PEN0121506\]](#). If we can just look  
20 again, you make a number of different points which you  
21 say are necessary to consider in assessing the merits of  
22 the claim. If we can perhaps just read through them.

23 So the first point you make is that the Hemofil  
24 product was heated at 60 degrees, not 68 degrees, and  
25 then some material with which we are now familiar.

1 Perhaps noting specifically that a UK licence  
2 application for Hemofil T was rejected by the  
3 Committee on Safety of Medicines.

4 Then the fourth bullet is the reference to that  
5 report in February 1985. In January 1986 a manuscript  
6 concerning inactivation of viruses in clotting factor  
7 concentrate is submitted by Dr Gomperts. Then over the  
8 page, please.

9 Then taking a slightly different tack, you point out  
10 under a subheading "Dry Heat Treatment at 68 degrees"  
11 that:

12 "At the time in question ..."

13 So that will be in May 1983:

14 "... the only company which was heating its  
15 concentrate at 68 degrees was Bayer, also known as Miles  
16 Cutter, and that their product Koate was licensed by the  
17 FDA in February 1984."

18 Then you go on to talk about other research, which  
19 we are going to look at too. Then can we go on to the  
20 next page, please?

21 You point out that evidence that HIV was relatively  
22 heat sensitive and could be inactivated by heating in  
23 solution was first published in January 1985 with  
24 a caution from the authors that:

25 "The data cannot, however, be extrapolated to

1 lyophilised products since our experiments were  
2 conducted in liquid medium."

3 So, in essence, Dr Foster, the thrust of your paper  
4 is to suggest that it was known in May 1983 that the HIV  
5 virus could be inactivated by a particular heat  
6 treatment protocol is a misconception?

7 A. I think it was a misunderstanding, yes.

8 Q. Sir, before we return to autumn 1984, perhaps this is a  
9 good time for a break.

10 THE CHAIRMAN: It might just be.

11 MS DUNLOP: Right.

12 (11.00 am)

13 (Short break)

14 (11.25 am)

15 MS DUNLOP: Thank you, sir.

16 Dr Foster, just before we stopped, I had asked you  
17 about that paper that you did for the Archer Inquiry and  
18 we had looked at that and I did so because you refer to  
19 it specifically in your statement. That's at page 34  
20 of [\[PEN0121438\]](#) at subparagraph (c), which we don't need  
21 to go to but just for the references.

22 The next document that I want to look at is  
23 a publication from the Lancet in September of 1984.  
24 This is [\[LIT0010434\]](#). You refer to this as well in your  
25 statement. Simply trying, as I said, to work through



1 the different references in chronological order. This  
2 is to do with mouse retroviruses. Is that right?

3 A. That's correct.

4 Q. Yes. These authors are sending what's called  
5 a preliminary communication to the Lancet about work  
6 they have been doing with retroviruses in mice. So in  
7 essence what they are doing, it's dry-heated material,  
8 so using dry-heated material, heated at 68 degrees, and  
9 then injecting it into mice and seeing what happens to  
10 the mice? Is that --

11 A. No, that wouldn't be it.

12 Q. Sorry. I'm completely wrong?

13 A. They are taking, their company, Factor VIII -- and this  
14 is Bayer. And we know already that Bayer were heating  
15 their Factor VIII at 68 degrees for 72 hours in  
16 an attempt to inactivate the agent for non-A non-B  
17 hepatitis, and they are trying to establish whether or  
18 not that process would be effective against  
19 a retrovirus, because by now it is known that HIV is  
20 a retrovirus.

21 They don't actually have the human retrovirus, HIV,  
22 so as an alternative they have taken this mouse  
23 retrovirus which is available in a laboratory as  
24 a culture that they can add to the Factor VIII. They  
25 can then heat that to 68 degrees and establish whether

1 or not that retrovirus is inactivated. But I think they  
2 also added it into the process to see how it distributed  
3 in the process as well. So they could get a measure of  
4 what was happening to the virus all the way through  
5 their process.

6 Q. Yes. Can we just scroll down to look at the text of the  
7 first page of this, please? Actually I put it exactly  
8 the wrong way round because we can see that they  
9 recovered a virus, possibly not "they", somebody else  
10 recovered a mouse retrovirus from a New Zealand black  
11 mouse kidney. Then it seems the virus was grown in mink  
12 lung cells.

13 People are very creative in your line of work,  
14 Dr Foster.

15 Can we then look on to the next page, please?  
16 Because I'm interested in the time periods.

17 Just to direct attention, if we look at the table  
18 and then a little bit below the table, it says:

19 "No infectious virus was detected in the samples  
20 heated for 96 hours at 68 degrees."

21 So a particularly long period of heating. And then  
22 in relation to the 72-hour heating, which is immediately  
23 above:

24 "Virus was detected in two out of three lyophilised  
25 samples but only at a concentration of ..."

1 I think a hole has been punched just at the wrong  
2 bit but I think it's under one particle per millilitre.

3 I think we possibly have that data in another --

4 THE CHAIRMAN: It looks like the same unit of measurement as  
5 is in the second last line of the paragraph.

6 MS DUNLOP: Yes:

7 "Infectious particle per millilitre", yes.

8 I think the other thing to note about this, if we  
9 can go right down to the bottom, please, is the  
10 connection with Cutter Laboratories, so that's the  
11 Bayer/Miles Cutter?

12 A. Yes, and one of the authors is a person that I knew  
13 reasonably well.

14 Q. Right. So this is the murine retroviruses research and  
15 this is also referred to in MMWR, which is a publication  
16 we haven't looked at for a while. [\[LIT0010460\]](#). This  
17 is one of these weekly bulletins with which we are now  
18 all familiar. It's 26 October 1984 and it's an update  
19 on AIDS but if we look at the bottom of the first page,  
20 in the third last line. I'm directing you to this but  
21 you, I think, directed us to it in the first place. So  
22 it won't come as a surprise:

23 "A recently published study evaluated the  
24 thermo-stability of murine retroviruses inoculated into  
25 factor concentrates using a cell transformation assay."

1           Then, after 48 hours at 68 degrees, viral titer has  
2           dropped from 10 -- I don't know, is that 10 to the power  
3           8?  
4    A.   Yes, it would be.  
5    Q.   To two infectious particles per millilitre.  Then:  
6            "In studies done at CDC in cooperation with Cutter  
7            Laboratories ..."  
8            We can all read it for ourselves, that this is the  
9            same research.  
10           The date of that being 26 October is interesting for  
11           our purposes because we know that it was around about  
12           that time that news broke in Edinburgh of the infection  
13           of a group of patients treated at Edinburgh Royal  
14           Infirmary.  That's correct, isn't it?  
15   A.   Yes.  I think Dr McClelland has actually said the 26th  
16           was the date that he was informed.  
17   Q.   Yes.  Can we go, please, to a set of minutes from that  
18           date, which are [\[SNB0103479\]](#).  These are the minutes of  
19           a meeting of heads of department and section managers,  
20           held on Friday, 26 October 1984.  You are there.  
21           Dr Perry, Dr Cuthbertson.  We can see that various  
22           matters are discussed.  If we can scroll down, some  
23           practical points, and then on to the next page, please.  
24           These meetings, were they a regular event?  Was it every  
25           Friday?

1 A. Yes, I think at this time they were, yes.

2 Q. Can you remember, was it a morning meeting?

3 A. This would be a morning meeting.

4 Q. Right. Can we just scroll right through the document,  
5 please. I think it's towards the very end there is  
6 a reference to AIDS. It's actually under AOB:

7 "Dr Perry was concerned that there may be  
8 a possibility that PFC would be asked in the future what  
9 plans had been made to reduce AIDS infection in blood  
10 products. He proposed and it was agreed that it would  
11 be useful to collate all information and data on  
12 heat-treated products and that Dr Cuthbertson,  
13 Dr Foster, Dr MacLeod and Mr McQuillan should meet with  
14 him to discuss this matter."

15 Do you remember that actual discussion at the  
16 meeting?

17 A. Only vaguely, very, very vaguely, and I think it is no  
18 more than is stated here.

19 Q. Right. Could we return, please, to Dr Foster's  
20 statement. That is document [\[PEN0121438\]](#). And go to  
21 1471. Just so that we are not losing anything that's in  
22 the statement, there is a reference to what Dr Mannucci  
23 said at a meeting in Cardiff. We have tried actually to  
24 find the exact date of the meeting in Cardiff but we are  
25 not very clear when it was. It was certainly around

1 about this time but you point out to us that that  
2 research, which is the research that we looked at in the  
3 Lancet in 1985, wasn't published in fact until 1985, and  
4 also you are referring to a publication in connection  
5 with Hemofil T, which was first made in 1987. Paragraph  
6 (c), we have dealt with because that's the submission to  
7 the Archer Inquiry.

8 Then paragraph (d), back to the report of the  
9 meeting in Cardiff, which you heard about on  
10 6 November 1984 but I'm interested in going a little bit  
11 further back into the end of October. In paragraph (e)  
12 you make a reference to data that were presented at  
13 Groningen and you correct something that's in your  
14 report of Groningen and we will come to that in  
15 a moment, but if we can move on to look at the next  
16 page, where you are answering more specific questions  
17 about your awareness of the infections in Edinburgh, you  
18 tell us in answer numbered 27 that you think you heard  
19 the news from Dr Cuthbertson, or at least from  
20 overhearing a conversation Dr Cuthbertson was having,  
21 probably with Dr McClelland?

22 A. Yes, it might even have been Dr Boulton, now I have seen  
23 that Dr McClelland was ill. So it could have been  
24 Dr Boulton, but I didn't know who Dr Cuthbertson was  
25 talking to but I got the gist of the conversation.

1 Q. Right. You say that you immediately called Dr MacLeod  
2 to your office and asked him to identify all the R&D  
3 samples of Factor VIII concentrate that were already  
4 available and which could be used for heat treatment  
5 experiments. By "immediately" I take it you mean  
6 within, what, minutes or an hour at most?

7 A. I mean that they were already prepared. We didn't have  
8 to go away and get cryoprecipitate and process it and  
9 freeze-dry it. We actually had some freeze-dried  
10 material -- some freeze-dried samples that we could heat  
11 and then assay to see what effect the heat had.

12 Q. But in terms of how quickly you contacted Dr MacLeod --

13 A. That was immediately.

14 Q. As in minutes or maybe an hour at most?

15 A. It was immediate. I think he was in my office before  
16 Dr Cuthbertson had put the telephone down.

17 Q. We need to turn on to the next page, please. WeD are  
18 talking about the research information that we have  
19 looked at. That's the Levy publication and the  
20 reporting of that. I don't think you mention it here  
21 but the further report in MMWR. We take up the story of  
22 Dr MacLeod's involvement in subparagraph (e). So he  
23 comes back to you with a list of available samples.  
24 That's samples available for research. You drew up  
25 a plan. Do you think that that was on the Friday,

1           26 October?

2    A.   At one point I thought that might have been the case but  
3           it can't have been because there is a report from  
4           Dr McClelland, which was written at the time, where he  
5           is quite clear that he didn't have this information  
6           until that evening. So it seems to me more likely that  
7           that was the Monday morning and that it was Dr Boulton  
8           who was phoning Dr Cuthbertson on the following Monday  
9           and that then led us to carry out these further heat  
10          treatment experiments. And I do have a set of results  
11          of some of these experiments, which are dated Tuesday,  
12          30th, which would be consistent with that.

13   Q.   Yes. Indeed, you go on and tell us with great clarity  
14          about that in the ensuing paragraphs but I'm just  
15          interested in your own recollection. When you first  
16          thought about it, before you had seen other people's  
17          material, you did think it was the Friday, did you?

18   A.   I did and I think I must have been mistaken but it's so  
19          vague. I really would be wrong to give a specific date  
20          without anything to verify it by.

21   THE CHAIRMAN: Dr Foster, what about the atmosphere, as  
22          distinct from the precise date? You are in a different  
23          room and yet you pick up enough, from what you have  
24          said, whether it's the Friday or the Monday, immediately  
25          to call Dr MacLeod, who reacts very, very quickly



1           indeed, probably back before Dr Cuthbertson or  
2           Dr Boulton has put the phone down, and then you are  
3           giving instruction as to tests. What was it that  
4           informed you of the need for as urgent a reaction as  
5           that?

6    A. Well, it was the possibility that the HIV was actually  
7           in the Scottish blood supply and we hadn't known that  
8           before that.

9    THE CHAIRMAN: Yes, and how did people react to that around  
10           you?

11   A. I don't think it was broadcast at that time. It was  
12           kept fairly confidential because it was very preliminary  
13           and I think people didn't want to talk about it very  
14           widely at that point in time.

15   THE CHAIRMAN: And the narrow group of people who did know?  
16           How did they respond?

17   A. I really can't remember. But we did -- I mean, I'm sure  
18           I had discussions with Dr Cuthbertson and we did start  
19           to do these dry heat treatment experiments and it was,  
20           of course, immediately after that that we went to this  
21           meeting in Groningen and we discovered the data from CDC  
22           and we came back and implemented that.

23   MS DUNLOP: Yes. Can we just look, please, at the next  
24           page.

25           You are not sure if that discussion at the heads of

1 department meeting on 26 October -- we looked at what is  
2 perhaps a slightly cryptic paragraph at the end of the  
3 minutes. You are not sure if that discussion was taking  
4 place in the context of there now being known to be  
5 infections in Edinburgh.

6 A. I think the more I think about it, I would say it wasn't  
7 to do with that. I think Dr Perry was simply beginning  
8 to anticipate that this was obviously something that was  
9 of great concern and he was going to be questioned about  
10 it and he just wanted to bring together all of the data  
11 that we had, so he was in a position to answer  
12 questions.

13 Q. Dr MacLeod obviously acted with great alacrity and you  
14 say that the results of these dry heat experiments were  
15 available on the Tuesday. So if it wasn't the Friday,  
16 it wasn't during the working day on the Friday, there is  
17 no alternative, other than to say it was during the  
18 working day on Monday that you learned about it?

19 A. I think that's probably correct, yes. But the data from  
20 my discussion with Dr MacLeod, actually those samples  
21 were examined over a period of time. It was the first  
22 information that I had, that was on the Tuesday, 30th,  
23 it wasn't samples which had been modified in any way, it  
24 was the standard product, that was there to be heated  
25 and to test.

1 Q. Right. You say that the results were available on the  
2 Tuesday. It will have been very quick work to have  
3 learned about the infections on the Monday and to have  
4 results from further experiments by the next day?

5 A. Yes, I think -- it is just possible that -- I mean,  
6 there were two things done here. There is the  
7 experiments that I discussed with Dr MacLeod, which  
8 involved samples that I had prepared with different  
9 additives. But then there was also heat treatment  
10 studies with the existing product, and they weren't done  
11 by Dr MacLeod, they were done by Mr McQuillan, who was  
12 in the quality control department, and it is his results  
13 that I'm talking about that we had on Tuesday, 30th, not  
14 the results from Dr MacLeod's discussion. And it's  
15 possible that those experiments were discussed on the  
16 Friday afternoon, following our meeting on the Friday  
17 morning, in light of the publication with the murine  
18 virus, that it was worth going back and seeing what our  
19 product would tolerated at 68 degrees. Or that might  
20 have been done on the Monday morning. And the heating  
21 was only for a few hours. So it would have been a few  
22 vials heated for a few hours and then the Factor VIII  
23 assay is done and a short reported written and given to  
24 me on the Tuesday.

25 Q. Just so that I'm not misunderstanding, Dr Foster, none

1 of these results was something that you already had on  
2 the books, for example. It wasn't a question just of  
3 going back and looking up something that had been done  
4 a month or so before?

5 A. No.

6 Q. No. So it was all starting from scratch?

7 A. The previous work we had done was virtually 12 months  
8 earlier, the December 1983 experiment of Cuthbertson,  
9 where we had not done any further work with dry heat  
10 treatment until this point in time.

11 Q. Right.

12 A. And of course, the 68 degrees follows on from the --  
13 I think it must follow on from the publication with the  
14 murine virus from Cutter and that I chose to include  
15 that temperature.

16 Q. Yes, and the different samples you were trying out were  
17 ones that had been treated, if that's the right word,  
18 with various different additives or potential  
19 stabilisers?

20 A. Yes, and that was studies that I had done to try and  
21 improve the yield of Factor VIII and I had put some  
22 vials aside for long-term stability studies, because  
23 that was something that was needed for licensing. You  
24 had to show that the product would retain its activity  
25 after two years but it seemed to me that this was more

1 pressing. So I took those samples to be used in this  
2 experiment. And one of the difficulties at this time  
3 was that our production operation was shut down for  
4 building renovations. So there was no way that I could  
5 actually do new experiments. I couldn't get fresh  
6 cryoprecipitate to do further experiments. That would  
7 have taken a number of months. All I had was what was  
8 already on the stocks, if you like, to work with.

9 Q. A very stressful few days, I imagine, Dr Foster?

10 A. A stressful 30 years, I think.

11 Q. Indeed.

12 So the focus at this point, you have the help of  
13 Dr MacLeod and Mr McQuillan, and the focus is to find  
14 out of your library of samples what is the most robust  
15 in the presence of heat, really?

16 A. Yes, that's right, and we did heating at 60 degrees, as  
17 well as 68.

18 Q. Right. We travel to Groningen. Just for completeness,  
19 as lawyers keep saying, just noting that on a previous  
20 page, 1472, you do say that prior to leaving for  
21 Groningen, you had received results from Mr McQuillan  
22 that indicated that the Factor VIII concentrate could  
23 withstand dry heat treatment at either 60 degrees for 24  
24 hours or at 68 degrees for about three hours.

25 Groningen. You tell us in paragraph (h) that the

1 Wednesday, Halloween, you travelled to Groningen and as  
2 I think was your practice, you wrote a report about that  
3 meeting, which is [\[SNF0013373\]](#).

4 This event in Groningen, was it a regular fixture?

5 A. The transfusion centre in Groningen held a conference  
6 every year but each year they would have a different  
7 topic, and in this particular year the topic was plasma  
8 fractionation, which was almost a unique event. There  
9 were very few conferences dedicated to plasma  
10 fractionation.

11 Q. Right. Here are your notes from the meeting. I think  
12 this is one of these documents where every second page  
13 is blank but I think we need to go to what is our  
14 page 3, please. We can see that page 3 has quite a bit  
15 of information about AIDS, in particular AIDS in  
16 haemophilia, and then at the very bottom of the page you  
17 have recorded information about heat inactivation  
18 studies, and you have said:

19 "Probably by Cutter."

20 Then starting level of the virus. Over the next  
21 page, please. Then "conditions", 68 degrees wet heating  
22 and 68 degrees dry heating. You corrected that, and  
23 drew attention to the passage in your statement, where  
24 you have corrected that. The pasteurisation experiments  
25 that were being spoken of were actually 60 degrees

1 heating?

2 A. That's correct.

3 Q. So we should correct that first reference from

4 "68 degrees" to "60 degrees", where we see it there. Is

5 that correct?

6 A. Yes, yes.

7 Q. But the 68 degrees dry heating is said to have fewer

8 than ten viral particles per millilitre after one hour,

9 complete inactivation at 24 to 78 hours. So is this

10 different from the information that you had had in your

11 mind before you went to Groningen from the CDC and the

12 Lancet publication.

13 A. The Lancet publication was concerned with the mouse

14 retrovirus. I'm not a virologist but I didn't really

15 know how relevant that was to the human virus. So there

16 was some uncertainty. But the Lancet paper did suggest

17 that dry heating might have some effect and might be

18 therefore worth picking up again, which was what we were

19 starting to do. The MMWR that was dated 26 October,

20 although we subscribed to that, we hadn't received our

21 copy by that date because it took a couple of weeks to

22 arrive. So this was the first knowledge I had of these

23 findings. In her presentation, Dr Jason actually said

24 this is hot from the press, and gave the impression that

25 she had just had these results by telephone the previous

1 day.

2 Q. I suppose the other thing that appears to me to be  
3 strikingly different is the shortness of the period of  
4 time because the Lancet paper had spoken of much longer  
5 periods of dry heating?

6 A. The Lancet paper does have a time point of one hour, if  
7 you go back to the table in the paper. It had the time  
8 period of one hour and it goes up to 96 hours. So they  
9 had a lot of time points.

10 Q. Right. Well, perhaps we should just look at that table  
11 because, I'm sorry, I have missed that reference to the  
12 one-hour heating. That's [\[LIT0010434\]](#). It seems  
13 a slightly different result. You had better explain it  
14 to me. It looks like more particles were still present  
15 after one hour?

16 A. That's right, and that tells us that the mouse  
17 retrovirus is more resistant to heat than the human HIV.

18 Q. Right. I suppose in a nutshell, the newness of the  
19 information being imparted in Groningen is how  
20 successful even as short a period as one hour of dry  
21 heating could be?

22 A. That's right. That's what brought it into our terms of  
23 reference, almost, that we could apply that.

24 Q. Right. At this point I would like to return, if we  
25 could, please, to Dr Foster's paper, which is the



1 document numbered [\[PEN0131309\]](#). Go to a passage  
2 I skipped over yesterday. That's on page 17  
3 of [\[PEN0131309\]](#). Just to look at the information that's  
4 on the three pages that we missed yesterday. I think  
5 most of this we have already covered. In the second  
6 paragraph, Dr Foster, you are crediting Dr Gallo with  
7 discovering the virus responsible for AIDS, are you?

8 A. Yes, I would say that the earlier French publication  
9 concerned the isolation of the virus but proof that this  
10 was actually the virus responsible for AIDS wasn't fully  
11 established, I would say, until the Gallo publication  
12 and of course, a discovery, you have to know what you  
13 have discovered.

14 Q. Yes. Of course, what happened in that year, May 1983  
15 to May 1984, and whose virus exactly Dr Gallo was  
16 working with, seems to be a bit murky?

17 A. That's a very interesting story.

18 Q. Yes. Fortunately I don't think we have to probe that.  
19 Although we will be looking perhaps in a little more  
20 detail at it in the next topic.

21 But you mention the CDC experiments and the  
22 collaboration with Cutter and then the publication in  
23 the MMWR on 26 October, which we have looked at, and  
24 just in case anyone wants to do some further reading,  
25 the further article by Levy et al, 1985 is -- and I'm

1 not wanting to go to any of these but just to give the  
2 references for the transcript -- [\[SNB0085852\]](#) and the  
3 McDougal paper. I can say this because Mr Stempt isn't  
4 here to hear it. The McDougal paper is a duplicate in  
5 court book, and has two references, which is not  
6 supposed to happen, it's [\[LIT0010826\]](#) and it's also  
7 SNB0106169.

8 Information on the effect of dry heating Factor VIII  
9 concentrate for one hour at 68 degrees was presented at  
10 Groningen. We have looked at that, and also you say  
11 in September 1985 in a brochure that Cutter published.  
12 Then you refer to further evidence about the heat  
13 sensitivity of HIV and then the Mannucci et al research  
14 published in February 1985 in the Lancet.

15 On to the next page, if we could, please. Again,  
16 this is information that we have come across before,  
17 that commercial heat-treated Factor VIII concentrates  
18 were first licensed for use in the UK in February 1985:

19 "Supplies were insufficient for some months with the  
20 result that 40 per cent of UK haemophilia centres were  
21 still using unheated concentrates as late as May 1985."

22 Then a further reference to research on dry heat  
23 treatment at 60 degrees, a reference to some difficulty,  
24 some infections caused by heat-treated Factorate, an  
25 Armour product, which is dealt with in the preliminary

1 report. Then you go on to summarise that material by  
2 telling us that there were questions asked about the  
3 effectiveness of dry heat treatment and a resort by most  
4 manufacturers to solvent detergent treatment. You say:

5 "It is likely that the early heat-treated products  
6 were largely successful in destroying HIV, evidenced by  
7 the fact that in a major USA study there were no cases  
8 of HIV infection in people with haemophilia born after  
9 1984."

10 Then you have provided for us a table, which is on  
11 the next page, and we can see that by international  
12 standards or on an international survey, Scotland was  
13 not just prompt but first to distribute heat-treated  
14 Factor VIII and recall unheated Factor VIII.

15 That's that section of your paper. Can we move  
16 forward in the paper, please, to 1344. Again, just to  
17 confirm that much of this has been covered but if we can  
18 go to the bottom of the page, please, reference to the  
19 American research. Then you make a point in the next  
20 paragraph about concern about neoantigens and there is  
21 a trio of letters that I wanted just to look at in that  
22 regard. Can we look, first, please, at [\[SNB0064708\]](#)?

23 Here we have Dr Ludlam writing to Mr Watt on  
24 24 March 1983. He is very interested to hear of  
25 progress of both the new Factor VIII preparation and its

1 heat treatment but -- and this is the second  
2 paragraph -- he is concerned about the possibility of  
3 neoantigens developing following heat treatment. And  
4 neoantigens are, I think we covered this yesterday,  
5 basically that the heating will do something to the  
6 Factor VIII which will actually create something that  
7 will adversely affect the patient?

8 A. Yes, it would be a new site on the Factor VIII that  
9 would be recognised as being foreign and would cause an  
10 immune response in the patient.

11 Q. Yes.

12 A. We talk about inhibitors, which you have heard about.  
13 It would be a type of inhibitor that would stop the  
14 Factor VIII from working.

15 Q. Right. I think he is proposing a small study. Is that  
16 right?

17 A. That's correct.

18 Q. He is also worried about sorbitol as an irritant.

19 The next letter is [\[SNB0073601\]](#). Mr Watt is writing  
20 to Dr Cash on this topic. That is Dr Ludlam's letter of  
21 24 March. He is saying he finds it difficult to follow  
22 Dr Ludlam's logic.

23 This seems quite technical, Dr Foster.

24 A. Yes, Mr Watt is talking about the test system that Dr  
25 Ludlam has proposed, because there was no known way of

1 actually determining whether anything was going to be  
2 a neoantigen. So the question they were addressing was:  
3 how can we make these measurements? What measurements  
4 can we make that might tell us that the product is going  
5 to be harmful or is not going to be harmful? So they  
6 are having a debate about the possible approaches that  
7 can be taken to that.

8 Q. Can we look at the second page, please? So Mr Watt is  
9 thinking that the type of study proposed by Dr Ludlam is  
10 either unnecessary or premature:

11 "I believe the latter to be most probable."

12 Can we next look, please, at [\[SNB0073625\]](#)? This is  
13 Dr Cash coming back to Mr Watt. He seems to be more  
14 supportive of Dr Ludlam's position than of Mr Watt's  
15 position. Is that right?

16 A. Yes, that's correct.

17 Q. Yes. So Dr Cash thinks there are some investigations  
18 that can be carried out that would be meaningful. These  
19 letters certainly illustrate your point, Dr Foster, that  
20 there was concern about the possible formation of  
21 harmful neoantigens. Did anything very much come of  
22 this exchange, do you remember?

23 A. Yes, as a consequence of this, we did some work with  
24 Dr Joan Dawes, who was working with Dr Pepper who  
25 reported to Dr Cash, and she had developed some test

1 systems to look at the integrity of the Factor VIII  
2 molecule and associated molecules to see if they were  
3 altered in any way by the heat treatment, and basically  
4 the answer was that it looked fine. This was the  
5 pasteurisation.

6 Q. Yes. Right. Can we go back to Dr Foster's paper then,  
7 please?

8 A. It is just worth pointing out that some years later two  
9 pasteurised products did cause abnormal inhibitors in  
10 patients and had to be withdrawn. So it did turn out to  
11 be actually a real issue some years later on.

12 Q. Right. I suppose these concerns, which are certainly,  
13 obviously, evident in 1983, wouldn't then have been  
14 restricted to pasteurisation; they would have applied to  
15 concerns about dry heat treatment methods?

16 A. Yes, very much so.

17 Q. Yes. So we were on 1345, if we could look at that,  
18 please.

19 After your reference to neoantigens you tell us that  
20 two hours was specified for the initial dry heating  
21 protocol at PFC because this was the longest period of  
22 heating that samples of the existing concentrate would  
23 stand. You must also have been comforted by the fact  
24 that it was double the period that had been reported to  
25 substantially inactivate the virus?

1 A. Yes, it did seem to be -- it made it worthwhile.

2 Q. Then you tell us about the oven angle, which I think we  
3 have mentioned before, and then three months' supply was  
4 heated immediately and the product issued as soon as the  
5 necessary clinical evaluation of efficacy and  
6 tolerability had been completed. So you were able to  
7 supply all of Scotland and Northern Ireland with  
8 sufficient dry-heated Factor VIII concentrate for all  
9 patients on 10 December 1984.

10 Then this is something that we have discussed  
11 before, that adding a bit of sugar enabled the heating  
12 period to be increased from two hours to 24 hours. And  
13 you explain the rationale for the release of the  
14 two-hour product, which I think we can follow. Then on  
15 to 1346. I think you are basically telling us that  
16 although you had some information about the possible  
17 tolerance up to 24 hours, you didn't wait and actually  
18 proceed with that protocol because you want to get on  
19 with issuing heat-treated product immediately?

20 A. We made the change to the formulation as soon as we  
21 started manufacture because at this point we weren't  
22 manufacturing Factor VIII. We had stopped production  
23 due to building renovations. So it was the first day  
24 that we started manufacture that we put sucrose into the  
25 new formulation.

1 Q. We will be going back to the paper, I think, so if we  
2 could perhaps leave it open but if we could return to  
3 the questions document and look at the last batch of  
4 questions, which is on [\[PEN0121531\]](#) at 1538. We can  
5 work our way through the remaining questions.  
6 Fortunately we don't have to look at all the documents  
7 that are listed at the end of 35 because I think your  
8 answer in a nutshell is that you didn't at that time  
9 require to obtain any additional equipment. That is at  
10 the end of 1984?

11 A. That's correct.

12 Q. Yes. The last question we asked you, Dr Foster, is as  
13 follows:

14 "In retrospect the infection of the group of people  
15 known as the Edinburgh cohort would have been prevented  
16 if PFC had moved to dry heat-treated product at the  
17 beginning of 1984. It appears that the equipment  
18 necessary to do so was either already installed or  
19 easily obtained. What are the reasons why this did not  
20 take place?"

21 Just to clarify, obviously, any prevention by such  
22 a step would have had to encompass product recall, and  
23 I think you make that point in your answer. So what we  
24 are really asking you to envisage is what happened  
25 in December 1984 but envisage it happening



1 in January 1984, say. We asked you to explain in your  
2 view why that didn't happen and you have answered that  
3 very fully. This is [\[PEN0121438\]](#), Dr Foster's  
4 statement, at 1475. You have a number of reasons and  
5 indeed some further comment in response. Just to go  
6 through these, you say:

7 "The cause of AIDS was not known."

8 And you refer to the preliminary report:

9 "The virus had not been discovered."

10 And I suppose that links back to the answer you gave  
11 a little while ago about the linking up that was done in  
12 America between the virus and the disease?

13 A. I think even Luc Montagnier has agreed with that in some  
14 of his publications.

15 Q. "That the virus could be inactivated by heat treatment  
16 was not known; that it could be inactivated by dry heat  
17 treatment under conditions that SNBTS Factor VIII  
18 concentrate was not known."

19 You were hard at work and we know this. You were  
20 hard at work preparing pilot batches of a heat-treated  
21 product, a pasteurised product, indeed ZHT, for clinical  
22 evaluation, as were a number of other manufacturers.

23 You make the point that no manufacturer in the world  
24 had switched from unheated to heat-treated Factor VIII  
25 concentrate, although some manufacturers were

1 heat-treating a small proportion of their Factor VIII  
2 and it was known that dry heat treatment had not  
3 inactivated agent or agents responsible for non-A non-B  
4 hepatitis.

5 Then you also mention a concern about an adverse  
6 reaction in patients.

7 A. There is another way of looking at this and that is to  
8 put to one side what we know now, and in January 1984 it  
9 was conceivable that heat treatment would not have  
10 inactivated HIV. It was conceivable that it might have  
11 caused adverse reactions in patients and if we had  
12 proceeded to do what you suggest, and it hadn't  
13 inactivated HIV and it had caused adverse reactions in  
14 patients and serious adverse reactions, I might be then  
15 asked questions as to why we had made that change that  
16 damaged patients when there was no evidence to justify  
17 it.

18 Q. Yes.

19 THE CHAIRMAN: That's the reality of life, Dr Foster.

20 MS DUNLOP: You refer, indeed, in the very next paragraph to  
21 the then Dr Hann's letter and we looked at that when we  
22 were examining concentrate treatment. It's  
23 a handwritten letter. We don't need to go to it but he  
24 had misgivings about the swiftness with which your  
25 heat-treated product was introduced.

1 A. That's correct.

2 Q. That's an example of somebody who wasn't completely in  
3 favour. Then you say:

4 "A similar concern was published by Bird and others  
5 in the Lancet."

6 And we have referred to that in the preliminary  
7 report.

8 Then you make other points, which we can read at (d)  
9 and (e) and so on. You didn't have evidence in a peer  
10 reviewed journal that HIV was relatively heat sensitive  
11 until January 1985, and we have seen that referred to  
12 before. Then also the continued use in the UK -- for  
13 practical purposes, I think we do mean England and Wales  
14 here -- the need to continue to use unheated domestic  
15 Factor VIII continued within the UK. The position in  
16 BPL. Then in (h) you refer to applying the heat  
17 treatment to the stock that was held. You say it was  
18 discovered subsequently -- this is reading from  
19 subparagraph (i) -- that:

20 "A number of HIV positive donations from this period  
21 are contributed to batches of SNBTS Factor VIII  
22 concentrate that were subsequently dry heat-treated.  
23 One HIV positive donation having been collected as early  
24 as 24 March 1984."

25 I think the information that exists about the

1           donations that went into batch 0090, if we can call it  
2           that for shorthand, actually reveals that the donation  
3           must have been collected in the spring of 1983?

4    A.   That's correct.

5    Q.   Yes.

6    A.   I would probably say later than that.  It might have  
7           been summer to autumn 1983.

8    Q.   But the manufacture was November 1983?

9    A.   November, yes.

10   Q.   That gives us a cut-off date.  You say:

11                 "The heating of a 12-month stock of Factor VIII  
12           concentrate did not extend back to the batch of Factor  
13           VIII concentrate that was implicated in the transmission  
14           of HIV to the group of people known as the Edinburgh  
15           cohort."

16   A.   It's worth pointing out that the heating of the 12  
17           months' stock probably did include material that was  
18           manufactured in January 1984.  So in fact you could say  
19           we did heat-treat material that was prepared  
20           in January 1984.

21   Q.   Yes.  But in fact it's not really the cut-off date for  
22           the retrospective heat treatment that is determinative  
23           here, it is the fact that actually this batch was  
24           transfused between March and May 1984.  So it had gone  
25           out anyway?

1 A. That's right.

2 Q. Yes. Of course, the question was actually framed on the  
3 hypothesis that there was only one infected batch, which  
4 we have been over to a considerable extent already, and  
5 the picture is not as crisp as that. But you say in  
6 subparagraph (k) that:

7 "In retrospect, the infection of the group of people  
8 known as the Edinburgh cohort would not have been  
9 prevented if PFC had moved to dry heated product at the  
10 beginning of 1984 unless stocks of Factor VIII  
11 concentrate had also been subjected to a speculative  
12 heat treatment procedure."

13 So that would have had to have been a similar kind  
14 of retrospective treatment?

15 A. That's correct.

16 Q. And you refer to harm that was done by the formation of  
17 inhibitors.

18 Would it be fair, Dr Foster, to add as an additional  
19 reason why this wasn't done -- that is dry heat  
20 treatment at the beginning of 1984 rather than the end  
21 of 1984 -- that it was not known that the agent  
22 responsible for AIDS had entered the blood supply in  
23 Scotland?

24 A. Certainly that was not known.

25 Q. Yes.

1 A. I'm not sure if I would include that as a reason or not.  
2 I can't really remember that far back as to what was our  
3 thinking. I doubt if we would have done something based  
4 on speculation. I mean, you know, in science you like  
5 to do things based on evidence.

6 Q. I appreciate that this question may well break down on  
7 the detail, but if one imagines that at the beginning of  
8 1984 you had somehow had knowledge that one of the  
9 batches that had already been manufactured was  
10 infectious, surely that would have altered the course of  
11 events? I'm not saying you should have had knowledge,  
12 just with the luxury of hindsight which is afforded to  
13 us, if we look back on that and say, if you could have  
14 known in some way --

15 A. You could make the same analogy with non-A non-B  
16 hepatitis, and we knew that was being transmitted but we  
17 didn't know how to prevent it. And in January 1984,  
18 even if we had known that the HIV was in the blood  
19 supply, we didn't know how to prevent it, and what you  
20 are suggesting is based on hindsight. It is the  
21 knowledge that was gained later, with what worked.

22 Q. I appreciate that.

23 We have rather neglected Factor IX. So to correct  
24 that, I would like to go back, please, to your paper,  
25 which is [\[PEN0131309\]](#). Turn to page 1358.

1 THE CHAIRMAN: Could I follow just a little bit about what  
2 might have happened. I'm sorry to take time to think  
3 about it.

4 MS DUNLOP: Yes, certainly.

5 THE CHAIRMAN: Dr Foster, we know that in the last days  
6 of October 1984, when the word broke that there was an  
7 infected batch out there, there was a very swift  
8 reaction and you did call in things. I appreciate that  
9 by then you had quite a lot of additional information,  
10 but if you had known at the beginning of the year that  
11 NY0090 was out in circulation and was infected, don't  
12 you think there would have been immediate action taken?

13 A. There might have been a change to cryoprecipitate.

14 THE CHAIRMAN: Well, no. I'm thinking about the product  
15 that was out and in circulation. Would it not have been  
16 recalled, so far as possible, immediately?

17 A. I think if it was known there could have been a link to  
18 any batch, yes, that would have been recalled, and we  
19 did that with hepatitis. But to recall, to stop issuing  
20 Factor VIII, is putting the lives of all the patients at  
21 risk because they need some kind of treatment.

22 THE CHAIRMAN: I appreciate that but of course it was  
23 recalled, so far as possible, as soon as the knowledge  
24 was available?

25 A. The batch that was implicated was recalled, yes.

1 THE CHAIRMAN: And the implication, of course, arose from an  
2 examination of the treatment records of patients and the  
3 distribution records of PFC, and that information was  
4 available early in 1984, as it was later on?

5 A. Yes, I agree with you. If there had been some  
6 association with a batch, or more than one batch, those  
7 batches would have been recalled.

8 THE CHAIRMAN: So there would have been a situation surely  
9 in which such material as could be found would have been  
10 taken out of circulation?

11 A. Yes.

12 THE CHAIRMAN: And PFC would have had at that point a body  
13 of material that was at least suspected, to a fairly  
14 high degree of suspicion, to contain infective particles  
15 of HTLV-III or HIV, would it not?

16 A. Yes.

17 THE CHAIRMAN: What would you have done?

18 A. In what respect?

19 THE CHAIRMAN: In PFC. You have this stuff, you have  
20 grounds for believing that it's infected. I don't  
21 believe you would have done nothing, so what would you  
22 have done?

23 A. If we use the hepatitis analogy, I think what Mr Watt  
24 did with batches that were implicated like that would be  
25 to send them to a virologist to see if they could



1           isolate the virus.

2   THE CHAIRMAN:  And once you had made that attempt, you would

3           be trying to do something about it?

4   A.  If the virus had been isolated, yes, but I don't think

5           anyone did isolate HIV from Factor VIII at that time,

6           even for some years.

7   THE CHAIRMAN:  I appreciate that if one uses all of

8           hindsight, we have to get up to Professor Simmonds in

9           2005 and his phylogenetic trees to find out exactly what

10          was in it, but I just find it difficult to imagine

11          a situation in which you would not have done something.

12   A.  I'm sure we would have sat down and done everything we

13          could have thought of.  I doubt we would have done

14          something speculative in terms of some treatment that we

15          had no knowledge would or wouldn't work, which might

16          harm patients.

17   THE CHAIRMAN:  I think that's as far as I can go in

18          provoking Dr Foster, but you take over.

19   MS DUNLOP:  Thank you, sir.  As you appreciate, it's

20          a question that we put to everybody.

21   THE CHAIRMAN:  I know.

22   MS DUNLOP:  So we will have a number of opportunities to

23          reflect on it.

24   THE CHAIRMAN:  Absolutely, and Dr Foster mustn't think he is

25          the only person who is going to be asked these

1 questions. It is an area I have to look at very  
2 carefully.

3 A. I understand that and it's a question that has been put  
4 to the whole industry.

5 MS DUNLOP: So back at Factor IX, we are in the paper,  
6 [\[PEN0131309\]](#), at pages 1358 and you have a subheading,  
7 "The development of heat-treated Factor IX concentrate".  
8 You tell us, which I hope we can manage to remember from  
9 yesterday, that you have been engaged in research aimed  
10 at eliminating the risk of hepatitis transmission by  
11 Factor IX concentrate since 1970.

12 A. SNBTS have.

13 Q. Yes, not you personally. But you joined in when you  
14 arrived?

15 A. At some point, yes.

16 Q. Yes. You mention on the following page Supernine. So  
17 was Supernine a product then in which some viral  
18 inactivation was expected to have occurred?

19 A. It was expected to remove some virus, not to inactivate  
20 it but to physically remove it.

21 Q. Sorry, yes.

22 A. Whether it was sufficient to remove all the virus to  
23 make the product free from infection was a debatable  
24 point.

25 Q. And then 5.2. The application of heat treatment to

1 Factor IX concentrates, you point out that SNBTS  
2 research on the application of pasteurisation was  
3 undertaken about Factor IX as well Factor VIII, but of  
4 course -- and we have heard this before -- there was  
5 this concern with Factor IX about thrombogenicity. And  
6 we have already looked at Dr Cash's article from 1975 on  
7 that topic. Just for reference, although we are not  
8 going to it, it's [\[LIT0010959\]](#).

9 Then on to the following page. We know that this  
10 was an area in which you worked with BPL/PFL. So you  
11 worked both on the Scottish product, DEFIX, and on the  
12 English product, which you say was called "9A", to  
13 discover whether heat-treating was posing an additional  
14 risk of thrombosis?

15 A. Yes, I mean, they agreed with us, and with Dr Cash, that  
16 this was a very important study to be carried out with  
17 their product as well as with ours.

18 Q. Yes. Fortunately the animal safety studies were  
19 completed in August 1985 with no increase in  
20 thrombogenicity being observed:

21 "Clinical trials proceeded and heat-treated  
22 Factor IX concentrate was issued routinely from the  
23 beginning of October 1985. As soon as adequate stocks  
24 were in place, the SNBTS recalled all stocks of its  
25 unheated Factor IX concentrate, DEFIX, which were

1 destroyed."

2 Then you take us forward and tell us about a high  
3 purity Factor IX concentrate, HIPFIX. I should have  
4 said, of course, that all of this -- I think it's clear  
5 from your paper anyway -- is heat treatment at  
6 80 degrees for 72 hours. Factor IX is just generally  
7 rather more obliging than Factor VIII, isn't it?

8 A. Yes, I would say that's a good way to put it.

9 Q. Yes.

10 A. Apart from the thrombogenicity risk.

11 Q. Yes, well, there is that.

12 1361, the next page. You have a section entitled,  
13 "Clinical safety of SNBTS heat-treated concentrates",  
14 and you say:

15 "All the heat-treated concentrates are considered to  
16 have been free from transmission of HIV ... Two patients  
17 are known to have developed antibodies to HIV after  
18 receiving SNBTS heat-treated Factor VIII concentrate but  
19 both patients had previously received unheated  
20 concentrates at a point in time consistent with this  
21 being the most probable source of infection."

22 Your reference for that is a letter from Dr Forbes,  
23 which I think we should just look at. That's

24 [\[SNB0047732\]](#), Dr Forbes to Dr Cash in February 1986:

25 "We have become aware of three seroconversions in

1 the past year in patients receiving blood products."

2 He is enclosing details. The first is a patient  
3 who's Factor VIII-deficient.

4 The first positive test is October 1985 but it  
5 certainly would have been possible for the previous  
6 negative test, in October 1984, to have been during  
7 a window period, and I think that may be a view which  
8 has been taken in relation to this individual. I'm not  
9 sure if you are in a position to comment, Dr Foster.

10 A. This is not really my area of expertise. I would refer  
11 that to Professor Cash or Dr Forbes.

12 Q. But if we look at patient 2, we see that patient 2 is  
13 actually a Haemophilia B patient and he looks to have  
14 seroconverted during 1985. Do you see that? Of course,  
15 the heat-treated product, we have just said, wasn't  
16 issued routinely until the beginning of October 1985, so  
17 it's likely that that was unheated Factor IX that is  
18 implicated in the case of patient 2. Does that seem  
19 a reasonable inference?

20 A. Yes, I would agree with that.

21 Q. And then patient 3 is somebody who has received FEIBA,  
22 only, and FEIBA is, I think, a commercial product  
23 anyway?

24 A. It's manufactured by Immuno.

25 Q. Yes. Can we go back to the paper, please? You tell us

1 that when donor screening was introduced in October 1985  
2 and the Blood Transfusion Service, therefore, was able  
3 to pick up donors who screened positive, investigations  
4 were done to determine what had happened to donations  
5 that they might have provided earlier, and you say:

6 "It was discovered that a number of batches of  
7 Factor VIII concentrate which had been heat-treated had  
8 been prepared from plasma donations where either the  
9 archive sample tested positive for antibody to HIV or  
10 where infectivity was implied because the associated red  
11 cell donation had transmitted HIV. None of these  
12 batches transmitted HIV."

13 Indeed, you have tabulated those donations and the  
14 donors for us. Then you say:

15 "The absence of HIV transmission via unheated  
16 Factor IX concentrate suggests that the infectivity was  
17 eliminated by the manufacturing process or that the  
18 recipients were not susceptible to infection."

19 But I think, having looked at Dr Forbes' letter, it  
20 isn't a total absence in relation to Factor IX, is it?

21 It does look as though there is --

22 A. No, I think there is evidence that Factor IX did  
23 transmit, and it may depend on the titer of virus in the  
24 particular batch concerned.

25 Q. Right. Then over on to the next page. You say:

1           "The fact that an infective donation from March 1984  
2           did not infect people with haemophilia demonstrates the  
3           value of dry heat-treating the stock immediately  
4           in November."

5           Dr Foster, the rest of your paper consists of  
6           a detailed chronology, which I hope people will find  
7           doesn't contain anything of significance that we haven't  
8           discussed, and then a series of numbered references and  
9           also a further series of references for literature which  
10          was primarily referenced in a work that you prepared  
11          with -- you had better help me with the pronunciation --  
12          Bienek?

13        A. Dr Bienek.

14        Q. You have provided a great deal of material for us on  
15          heat treatment and it has obviously been enormously  
16          helpful to us in our preparations on this topic. So we  
17          are very grateful to you. Thank you.

18        A. Thank you.

19        THE CHAIRMAN: Mr Di Rollo? Do you want to start or do you  
20          want time or --

21        MR DI ROLLO: No, I don't want to ask any questions --

22        THE CHAIRMAN: You do not want to ask any questions.

23          Mr Anderson?

24        MR ANDERSON: I have no questions, sir.

25        THE CHAIRMAN: Mr Johnston?

1 MR JOHNSTON: No, sir, I have no questions.

2 THE CHAIRMAN: I don't know if Dr Foster is coming back. Is  
3 he due to be arraigned again?

4 MS DUNLOP: I'm afraid he is. I'm sorry, Dr Foster, I think  
5 you know that, though.

6 A. I do, yes.

7 Q. Yes.

8 THE CHAIRMAN: I will leave my final thanks until then.

9 MS DUNLOP: Once more.

10 THE CHAIRMAN: But thank you very much.

11 MS DUNLOP: Once more.

12 A. Thank you.

13 THE CHAIRMAN: Now ...

14 MS DUNLOP: Well, I had anticipated we might take all of  
15 two days so I'm afraid I haven't lined up anybody for  
16 this afternoon.

17 THE CHAIRMAN: Quel dommage. Very well, we will rise.

18 MS DUNLOP: It gives us more time to prepare for  
19 Professor Cash tomorrow.

20 (12.37 pm)

21 (The Inquiry adjourned until 9.30 am the following day)

22

23 I N D E X

24

25 DR PETER FOSTER (continued) .....1



1	Questions by MS DUNLOP (continued) .....	1
2		
3		
4		
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

